

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)

CASE NO. 13,893

APPLICATION OF YATES PETROLEUM)
CORPORATION FOR APPROVAL OF A PILOT)
PROJECT IN THE NORTH DAGGER DRAW-UPPER)
PENNSYLVANIAN UNIT FOR PURPOSES OF)
ESTABLISHING PROPER WATERFLOOD INJECTION)
PATTERNS AND FOR A TEMPORARY EXEMPTION)
FROM THE PROVISIONS OF DIVISION RULE 203)
CONCERNING APPROVED TEMPORARY)
ABANDONMENT OF WELLS, EDDY COUNTY,)
NEW MEXICO)

2007 APR 12 11 09 40

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Jr., Hearing Examiner

March 29th, 2007

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, March 29th, 2007, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

STEVEN T. BRENNER, CCR
(505) 989-9317

I N D E X

March 29th, 2007
Examiner Hearing
CASE NO. 13,893

	PAGE
EXHIBITS	3
APPEARANCES	4
APPLICANT'S WITNESS:	
<u>DAVID F. BONEAU</u> (Engineer)	
Direct Examination by Mr. Carr	5
Examination by Examiner Catanach	37
REPORTER'S CERTIFICATE	48

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	7	37
Exhibit 2	13	37
Exhibit 3	13	37
Exhibit 4	15	37
Exhibit 5	18	37
Exhibit 6	19	37
Exhibit 7	20	37
Exhibit 8	21	37
Exhibit 9	23	37
Exhibit 10	25	37
Exhibit 11	25	37
Exhibit 12	26	37
Exhibit 13	33	37
Exhibit 14	36	37

* * *

A P P E A R A N C E S

FOR THE DIVISION:

DAVID K. BROOKS, JR.
Assistant General Counsel
Energy, Minerals and Natural Resources Department
1220 South St. Francis Drive
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

HOLLAND & HART, L.L.P., and CAMPBELL & CARR
110 N. Guadalupe, Suite 1
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: WILLIAM F. CARR

* * *

1 WHEREUPON, the following proceedings were had at
2 8:22 a.m.:

3 EXAMINER CATANACH: At this time I'll call Case
4 13,893, the Application of Yates Petroleum Corporation for
5 approval of a pilot project in the North Dagger Draw-Upper
6 Pennsylvanian Unit for purposes of establishing proper
7 waterflood injection patterns and for a temporary exemption
8 from the provisions of Division Rule 203 concerning
9 approved temporary abandonment of wells, Eddy County, New
10 Mexico.

11 Call for appearances.

12 MR. CARR: May it please the Examiner, my name is
13 William F. Carr with the Santa Fe office of Holland and
14 Hart, L.L.P. We represent Yates Petroleum Corporation in
15 this matter, and I have one witness.

16 EXAMINER CATANACH: Okay, will the witness please
17 stand to be sworn in?

18 (Thereupon, the witness was sworn.)

19 DAVID F. BONEAU,
20 the witness herein, after having been first duly sworn upon
21 his oath, was examined and testified as follows:

22 DIRECT EXAMINATION

23 BY MR. CARR:

24 Q. Would you state your name for the record, please?

25 A. David Francis Boneau.

1 Q. Dr. Boneau, where do you reside?

2 A. Artesia, New Mexico.

3 Q. By whom are you employed?

4 A. Yates Petroleum Corporation, as engineering
5 manager.

6 Q. And have you previously testified before the New
7 Mexico Oil Conservation Division?

8 A. Yes, sir.

9 Q. At the time of that testimony, were your
10 credentials as an expert in petroleum engineering accepted
11 and made a matter of record?

12 A. Yes, sir, they were.

13 Q. Are you familiar with the Application filed in
14 this case on behalf of Yates?

15 A. Yes, sir.

16 Q. Are you familiar with the current status of the
17 North Dagger Draw-Upper Pennsylvanian Unit?

18 A. I'm familiar with that.

19 Q. Have you made an engineering study of that unit
20 and the area that is involved in this Application?

21 A. Yes, I've done that.

22 Q. Are you prepared to review the results of that
23 work with Mr. Catanach?

24 A. That's why we're here, sir; I'm definitely
25 prepared to do that.

1 MR. CARR: Are the witness's qualifications
2 acceptable?

3 EXAMINER CATANACH: They are.

4 MR. CARR: Mr. Examiner, today in this case, as
5 you know, we're seeking an exception to the provisions of
6 Rule 203. I think the way to explain what Yates seeking
7 and why would best -- we'd best serve that purpose if Dr.
8 Boneau would now refer to Exhibit Number 1 and, in doing
9 that, explain what we're seeking and also provide some
10 historical background that would put this Application in
11 some context.

12 Q. (By Mr. Carr) Dr. Boneau, would you refer to
13 Exhibit 1 please?

14 A. Exhibit --

15 MR. BROOKS: Excuse me, do you have another set
16 of the exhibits?

17 THE WITNESS: Oh, you bet.

18 EXAMINER CATANACH: Right there.

19 MR. BROOKS: Oh, this is the -- Okay, sorry.

20 MR. CARR: In this case, we do not want for
21 exhibits. I have several more here.

22 MR. BROOKS: I figured that was the case. I'm
23 sorry, go ahead.

24 THE WITNESS: Exhibit 1 is a one-page list of 11
25 items that, if we can take the time to go through them,

1 tells what we're up to here, I think.

2 So we're talking about North Dagger Draw-Upper
3 Penn Unit, Eddy County, New Mexico. We've heard about this
4 a little. Hopefully you recall it's a vuggy dolomite
5 reservoir about 7500 feet deep, really great production
6 five to ten years ago. We're here to tell you our story,
7 and we need to be able to shut in wells while we continue
8 testing, kind of figure out North Dagger Draw. Okay.

9 So the unit, which involves 101 wells, was
10 effective February 1st, 2005. And just as a point of
11 information, those wells on primary production before the
12 unit was formed made 24.7 million barrels of oil -- so 25
13 million barrels of oil from 100 wells, about 250,000
14 barrels per well -- along with 63 BCF and a whole lot of
15 water. You probably recall that these wells make water
16 pretty much throughout their life. So we've got -- out of
17 this area we've gotten 25 million barrels.

18 We think there are 50 million more barrels down
19 there. They're going to be kind of hard to get, but
20 they're there, it is an attractive target.

21 The unit was formed in order to waterflood and
22 try to recover some of this oil. At the time the unit was
23 formed, we had an engineering study done by a consultant in
24 Dallas, under item number 4 here, that proposed an unusual
25 approach, and it was -- I call it an irregular waterflood

1 pattern. If you don't recall, you'll see it in a minute.
2 And since everything about Dagger Draw is different, we
3 went along with this different approach to the waterflood,
4 with this strange-looking injection pattern.

5 And we began injecting into five wells, September
6 15th, 2005, and so we've injected for roughly a year and a
7 half. And you'll see there's really been no oil response,
8 no increase in oil production. As number 6 says, we've
9 noticed some water movement, mostly in the east-to-west
10 direction, east-west direction.

11 And our conclusion is that this irregular
12 pattern, our first try out there, has failed. We've given
13 up on what the consultant said. And so we're at a decision
14 place as to what to do next.

15 And in my opinion -- the options are listed
16 there, number 8, basically use a more normal injection
17 pattern, which would be either a fivespot or a line drive,
18 or the other option is quit, which means plug all the wells
19 or try to recomplete them in some other zone, or some such
20 thing. And we -- with 50 million barrels there in place,
21 we really don't want to quit, but the options are rather
22 expensive, and the odds of it working maybe are not that
23 high. Anyway, we've got this problem.

24 What we're proposing, I tried to list in number
25 9, probably would take on the order of three years to do.

1 And as 9.a says, we'd like to do two kinds of well testing.

2 The first is some rather fancy measurements that
3 estimate the oil saturation accessible to an individual
4 well, around the well. And we would do that at two wells,
5 at two places in the waterflood -- in the waterflood unit.
6 The oil is there, but with the rock being vuggy it's not
7 clear how much of the oil is really connected to the
8 wellbores. And if that's very low we've got a really --
9 probably hopeless case. If that's reasonably high, we
10 probably still have a chance. And there is a way to
11 measure it, although you'll see it's relatively complicated
12 and expensive. Anyway, we'd like to do two of those kind
13 of tests to get actual numbers as to what kind of oil is
14 available to the wells that we have.

15 And then we would like to do a couple
16 interference tests where you measure east-west permeability
17 and north-south permeability, and that would tell us what
18 kind of a line drive has a better chance.

19 So anyway, we're talking about doing a little --
20 well, a little -- \$200,000 worth of testing, which by the
21 time it all gets analyzed probably takes six months. And
22 then based on that testing, we would inject -- we would
23 select a pattern, either the fivespot or the line drive,
24 and try one of those. And that's going to take at least 15
25 months. If that doesn't work we might quit, or we probably

1 would try the other pattern, and the other pattern would
2 take another 15 months.

3 So at least for talking purposes, I'm talking
4 about six months of testing, try plan number two, 15 or so
5 months, maybe try plan number three for another 15 months,
6 which would add up to approximately three years.

7 And so as number 10 says, we're requesting
8 permission to leave the wells that are outside of the test
9 area. These test areas would be -- would involve five,
10 ten, twenty wells, not a hundred wells, and there's a whole
11 lot of other wells sitting out there that are a problem to
12 us with the must-produced rules.

13 And so we're asking that we can leave those wells
14 outside of the test areas, what I call shut-in, during this
15 testing period so that we can avoid having to keep them
16 alive at a cost which approximates \$300,000 a month, which
17 over this -- is \$10 million to keep -- I'm estimating it
18 would cost us \$10 million to keep the outside wells alive
19 while we do this testing. And we can't afford that, nobody
20 can afford that. I mean, I don't think -- Well, I don't
21 know if Exxon could afford that, but we can't afford that.

22 So that's the dilemma, if I've made any sense
23 there, that's the dilemma. And of the course at the end of
24 the test period we hope that we -- relatively successful
25 and could expand the waterflood and waterflood a decent

1 portion of this unit, and if all these experiment things
2 fail, you know, scout's honor, we'll plug the wells and do
3 all we're supposed to and take care of things.

4 A really big reason that there's not much risk, I
5 think, to the Commission and to us in approving this is
6 that this is a relatively new field. Most all these wells
7 were drilled in the 1990-to-1995 time frame, so they're 10,
8 15 years old, lots of them have 7-inch casing. Anyway,
9 they're new wells, good cement programs, they're in good
10 shape. Sitting there a few years is not going to hurt
11 anything. It's not -- We're not talking about a 1920s
12 field where everything is falling apart, we're talking
13 about some relatively new wells that are in good enough
14 shape to sit there while we do this testing.

15 That's kind of an outline of what we're up to
16 here.

17 MR. CARR: And then, Mr. Examiner, I might add
18 that we decided that we should bring this matter to hearing
19 instead of trying to do any sort of an administrative pass
20 at the OCD, keeping you in the loop, partially because
21 there are approximately 340 interest owners in the unit,
22 and in 2005 we had meetings about statutory unitization,
23 explained the entire project to them, based on the study of
24 the consultant, and we thought that the one way to be
25 certain that everyone knew what we were doing would be to,

1 as you'll see, provide working interest reports and then
2 bring it here to hearing if anyone was concerned about it.

3 Q. (By Mr. Carr) Dr. Boneau, could you refer to
4 what has been marked as Yates Exhibit Number 2 and identify
5 that for Mr. Catanach?

6 A. Yes, and I think one more opening statement that
7 probably we ought to make is that we're hoping for some
8 kind of temporary approval with some -- I don't know, come
9 back after a year and tell you where we are, or something.
10 We doubt that we'll get a blanket three- or four-year you-
11 don't-have-to-do-anything approval. So anyway, we're
12 expecting maybe we talk about some kind of review process
13 partway through this exercise.

14 Okay, Exhibit Number 2, it's the great big fat
15 thing. It's the engineering report by -- it's called the
16 Scotia Group, which are -- they're consultants in Dallas.
17 It's the report that suggested the irregular pattern. My
18 intention is not to look at anything -- well, it's not to
19 go through the report page by page.

20 Exhibit 3 is a picture of what they've proposed,
21 and I'm hoping we can just go look at Exhibit 3 and talk
22 about what they've proposed.

23 Q. Let's do that. Would you go to Exhibit 3,
24 please. Identify it first and then review it.

25 A. So Exhibit 3 is a map of a portion of Township 19

1 South, 25 East, in Eddy County, New Mexico. The green
2 outline is the outline of the North Dagger Draw-Upper Penn
3 Unit. It's approximately three sections by three sections
4 with a little bite taken out of the northwest corner.

5 The blue triangles on the map are the wells that
6 the consultant report suggests be injection wells. And you
7 can see they're just sort of all over the place. The idea
8 at the time -- the consultant's idea, which seemed like it
9 had some merit at the time -- was that the reservoir is
10 vuggy, it has water in it, it has some high-permeability
11 streaks, et cetera.

12 The consultant's idea was to inject in the lower-
13 permeability, tighter parts of the rock, where it was more
14 likely that the oil was trapped, and try to force the oil
15 out of those areas into adjacent higher-permeability places
16 where then it could have a highway to some producing well.
17 Maybe my words aren't too great, but that was kind of the
18 idea.

19 These are -- the wells selected as injection
20 wells were among the poorer producers. And I said the
21 wells averaged 250,000 barrels over their primary lifetime,
22 and so these wells were, you know, 150,000-barrel-a-day --
23 not barrel-a-day, 150,000-cum wells, as compared to 300,000
24 or 400,000, some of the others. Anyway, they were the
25 poorer producers. They weren't poor producers, but they

1 were the poorer, and the poorer producers was kind of
2 inferred to be the tighter rock. That was the idea, that
3 -- anyway, there was an idea.

4 We -- There's a red outline around that's listed
5 as Phase 1A, and that was the starting point towards this,
6 and that's -- what's shown there in Phase 1A with the solid
7 blue triangles as injection wells is what we have done for
8 the past year and a half or so. So we have injected into
9 those five wells at rates between 2000 and 2500 barrels of
10 water per day into each well, and we have summed -- we have
11 recorded the production for inside that red outline as the
12 pilot project, or as the initial project, the Phase 1A
13 project. So that's what we've done, and that's what they
14 suggested.

15 Q. Would you now review the waterflood operations
16 conducted by Yates in the Phase 1 area, and in doing that
17 would you refer to Yates Exhibit Number 4?

18 A. Exhibit 4 has a lot of -- again, has a lot of
19 stuff on it. But it shows a summary of what happened. So
20 there are four different colors -- well, actually five
21 different colors in the plot there.

22 There's a yellow line that goes from the lower
23 left corner up to the upper-right corner, and it's a
24 measure of the cumulative water injected with the scale
25 along the right-hand side. So during this period, roughly

1 a year and a half, we've injected about 4.8 or 4.9 million
2 barrels of water. That's what the yellow line is.

3 Then there are four wiggly lines representing
4 oil, gas, water and water injected.

5 So the purple one at the top is the amount of
6 water injected, with the scale on the left-hand side, and
7 it's fairly constant, slightly above 10,000 barrels of
8 water per day injected. Actually, it's about 12,000
9 barrels of water per day injected, roughly 2000 to 2500
10 barrels a day per injector. And you can see that -- we've
11 held that pretty constant over the period of the flood
12 after an initial startup when we injected at lower rates.

13 The light blue line is water produced out of
14 those wells in Phase 1A, and it dribbled along about the
15 2000 level and in the last six months or so has gone up
16 somewhat.

17 The red line is the gas produced from the
18 producing wells in the Phase 1A area, and it started
19 something about 600 and over time has drifted down to maybe
20 400. So the gas produced has actually gone down, which is
21 an encouraging sign in a waterflood. You're trying to
22 raise the pressure and force the gas back into the oil, and
23 the fact that the gas has gone down is probably the only
24 encouraging thing about what we've done.

25 The green line at the bottom, then, is the oil

1 production out of the wells in this Phase 1 area, and it
2 begins about 30 or 40 barrels a day and drifts along about
3 30 or 40 barrels a day and kind of tails off at the end.
4 But there's nowhere that it really increased, and it needed
5 to increase to 200 or 250 or something, to act like it was
6 successful, and it did not do that at all. It did nothing.

7 Q. On the right of the exhibit are some additional
8 numbers, current rate and things like that. Would you
9 review those for Mr. Catanach?

10 A. Yeah, and I just had some white paper over there
11 and wanted to stick some numbers in that would sort of help
12 him maybe understand if I tell him what they are.

13 So before unitization we produced 24-point-
14 something, about 25 million barrels of oil. Since the unit
15 was formed a couple years ago, the total production from
16 the unit has been 127,000 barrels of oil -- that's one of
17 the numbers at the top there -- 1 BCF of gas and about 5
18 million barrels of water. So since unitization we have put
19 in about 5 million barrels of water and we have taken out
20 about 5 million barrels of water.

21 The next little group of numbers below there are
22 current rates for the whole unit, not just the Phase 1A
23 place, the whole unit, in January. And essentially we
24 greatly reduced, almost stopped injection at the first of
25 the year. We gave up on this first try at the first of the

1 year. Anyway, these are the rates in January, and they're
2 basically after we gave up.

3 So the rates for the unit -- the unit is now
4 making 44 barrels of oil a day, 934 MCF a day and 2000
5 barrels of water a day, just more numbers to help you or
6 confuse you.

7 Q. Dr. Boneau, let's go to Exhibit Number 5. Would
8 you explain what this shows?

9 A. Okay, in Exhibit Number 5, again lots of numbers,
10 but on -- and it's not -- whatever, you don't need to
11 absorb it all, I don't think, but this exhibit is an
12 attempt to show you the status of everything right before
13 we gave up on try number one.

14 So I would call your attention to the five
15 triangles in a north-south direction in the Phase 1 area,
16 and there's -- next to each well there's a set of numbers,
17 oil, gas and water. And for the injection wells there's a
18 negative blue number, which is -- the negative indicates
19 that it's injection. So just some more numbers.

20 But Well Number 53, the northernmost injection
21 well, averaged 1899 barrels of water a day injected in
22 December. And the next well below it, Number 60, 2224
23 barrels of water per day injected. And on down, 1700,
24 2000, 2300 barrels of water a day injected.

25 So in December we are injecting seriously into

1 those wells, still trying to push things. And if you look
2 at the surrounding wells to the east and west of that line
3 of injectors you see low numbers for oil, like -- Well, 35
4 is 2 barrels of oil, 17 gas, 57 water. Underneath it, zero
5 oil for 54, 19 gas, 219 water. Anyway, a whole bunch of
6 little numbers. Nothing's going on, we're not moving much
7 oil. And that's really the only point of the picture.

8 Q. Okay, what about Exhibit Number 6? What does
9 this show us?

10 A. Exhibit Number 6 is the same kind -- exactly same
11 kind of picture. It's for January, and it's basically
12 after we gave up on try number one. And so it's more like
13 the way the unit is sitting now. And I -- Well, it's got
14 all the same numbers, every well next to it has an oil, gas
15 and water number, et cetera. But I would just, you know,
16 call your attention to the five triangles in the north-
17 south direction, their water-injection numbers, minus 295,
18 295 barrels a day, 372 barrels a day, 272 barrels a day,
19 314, 402. Not zero, but reduced.

20 And so we're injecting some in there just to say
21 we're injecting and maybe give us some time to get on to
22 the next plan, but we've stopped serious injecting, and the
23 producers have the same kind of low numbers that they had.
24 The water production is reduced, since the -- in some of
25 the nearby wells, since the water injection is reduced.

1 But the point of this Number 6 is just to lay out
2 all these numbers for more or less this transition time,
3 this intervening time. We've quit try one, we want to do
4 try two, we've got to get all our ducks in a row, or
5 whatever analogy you use, to go on and try something else.

6 Q. What kind of operating expenses has Yates
7 incurred while working on this project?

8 A. In 2006, we averaged income of about \$400,000 a
9 month and expenses of about \$800,000 a month. So in 2006,
10 operating the Phase 1, we were losing about \$400,000 a
11 month, and that includes the cost of injecting, et cetera.
12 It also includes some cost of trying to keep wells alive
13 that -- you know, under the current rules that were shut in
14 or that had been TA'd, we had some wells that had been
15 TA'd, and their period of time came up and the BLM and the
16 OCD would not remove the TAs, and we had to go out and
17 spend money to pump those or reactivate them, et cetera.

18 Anyway, in 2006 we were losing \$400,000 a month
19 doing this Phase 1 -- operating the unit during Phase 1.

20 Q. All right, let's go to Yates Exhibit Number 7.
21 Would you identify this for Mr. Catanach and explain what
22 this shows?

23 A. Okay, Exhibits -- well, 6, 7 and 8 also are all
24 aimed at showing, you know, as clearly as -- or at least my
25 attempts at showing clearly the status of the wells now,

1 when we stopped our first try and are talking about going
2 on to try some other injection pattern.

3 So Exhibit 7 is simply a list of the 101 wells in
4 the unit with their API numbers and locations, et cetera,
5 and the three right-hand columns are the amount of oil, gas
6 and water that each well produced in January.

7 And I guess I maybe could have taken a yellow
8 marker or something, but anyway you go through the and
9 there's quite a number that are zero, zero, zero, that were
10 shut in. There's some that are zero oil and a tiny of gas
11 and a little or no water, wells that we're not pumping. I
12 think the picture becomes a little clearer if we just go to
13 8.

14 Q. Let's go there now.

15 A. Exhibit Number 8 tries to show the status of each
16 well at -- you know, in February, but in this transition
17 period. And they're lumped into groups, hopefully for our
18 understanding.

19 So item number 1 says there are 11 wells that
20 we're pumping with enthusiasm because they make enough oil
21 and gas to be economic. So there are really 11 economic
22 wells, and we're pumping those, and they're listed there,
23 number 3, blah, blah, blah, 131. Anyway, the 11 wells
24 listed there, exactly which ones they are.

25 There are five injection wells from our first try

1 that we're injecting in at reduced rates, but those wells
2 will not be part of the next testing, and they will drift
3 off into limbo-land, unless we can get a real plan set up
4 here. We have three wells that are in real TA status,
5 Number 10, Number 67 and Number 116H

6 And then come the big groups. There are 60 wells
7 that are not pumping, but they're open to sales, and a
8 little gas comes out which is sold. And so they are
9 producing, but very marginal. And all those wells are
10 listed there, from Number 1 to Number 138.

11 And under item number 5 there are 22 wells that
12 are not producing -- not being pumped, and they don't
13 produce anything without being pumped. I call them shut-
14 in, and they're listed there from Number 2 to Number 139.
15 Those numbers add up to 101 wells in the unit, in the --
16 Hopefully we're getting to where we can understand the
17 point of all this.

18 We want to go -- do a little testing, and then we
19 want to go and inject in a pilot pattern that will involve
20 10 or so of these wells, but we cannot afford to spend the
21 money to put the 22 shut-in wells back into production and
22 to keep the 60 not-pumping wells alive for the testing
23 period, because some of them will keep producing a little
24 gas and some of them won't.

25 And we have the five old injection wells which

1 are going to fall into that same pool, and so there's at
2 least -- so the only wells that are really covered are the
3 11 producing wells and the three TA'd wells, as long as
4 their TA status can be maintained. The other wells are a
5 problem except the ones that are actually in our pilot
6 area. And we cannot afford to keep that 20, 40, 60, 80
7 wells alive while we do this testing problem, this testing
8 program.

9 Q. Let's go to Exhibit 9.

10 A. I don't know what else to say.

11 Q. What does Exhibit Number 9 show?

12 A. Okay, Exhibit Number 9 has nine red triangles on
13 it, and it's listed there as Expansion Option 7A. Anyway,
14 it's one of the things that we talk -- well, it's one of
15 the things we talk seriously about management.

16 Actually, it's the one that the engineering
17 department proposed to management that we do, and it's
18 intended to be an east-west line drive consisting of the
19 bottom two groups of wells, Number 98, Number 99, and 100,
20 and Number 122, 123 and 124, make two east-west lines of
21 wells that would be injectors, the water -- under the idea
22 that the water flows fairly easily east-west, and so it
23 would move between those wells, but eventually it would
24 build up enough pressure to push a bank of water north from
25 the south group and south from the north group, and try to

1 push oil to the three wells in the middle, 109, 110 and
2 111. That would be an east-west line drive pilot.

3 And superimposed on it are a diamond shaped four
4 wells on top, consisting of 75, 85, 87 and 99, that are a
5 fivespot surrounding producer Number 86, where that
6 injection would force water towards Well Number 86,
7 basically from all directions, and try and see if that's
8 effective at moving oil.

9 So the engineering department proposed that we do
10 both these kind of patterns at once, at a capital cost of
11 about \$3 million. And Yates management said, That's too
12 much to spend at one time.

13 Q. And so is your plan to proceed sequentially --

14 A. So our plan is to proceed sequentially, is to do
15 this testing to determine which of the two patterns has the
16 better chance, and then try the first one of those first,
17 and if that doesn't work probably try the second one
18 sequentially.

19 Q. The cost of this effort is really what is driving
20 this program and the way it's going to be implemented;
21 isn't that fair to say?

22 A. The cost and the risk, but the cost, yes.

23 Q. In terms of trying to control the cost, if you're
24 able to go forward with this, will you be able to use
25 tubing and other material out of existing injectors?

1 A. Yeah, that's part of the argument for doing them
2 sequentially. We have, you know, lined injection pipe in
3 the five wells that we have been injecting into. That's
4 approximately \$50,000 a well.

5 So we're hoping and we're planning to take that
6 lined injection pipe out of the five current injectors and
7 put it in -- and use it in the -- either in the line drive
8 or the fivespot pattern. I mean, if we do the line drive
9 first, we would have to buy one more string of lined
10 injection pipe to have enough for all six injectors. If we
11 did the fivespot first, which involves four injectors, we
12 would have sufficient lined pipe to do that.

13 But anyway, by re-using that we can save \$50,000
14 an injection well, which is, you know, another \$500,000
15 over the project. Anyway, we're -- that's one of the
16 factors that argues towards doing the two patterns in
17 series. And of course there's some others --

18 Q. All right, what is --

19 A. -- mostly money.

20 Q. What's Exhibit 10?

21 A. Okay, so Exhibits 10 and 11 just show the two
22 individual patterns that we would do sequentially in one
23 order or the other.

24 Exhibit 10 illustrates where the red triangles
25 are injection wells that we would inject into in an east-

1 west line drive, and the capital costs for that project are
2 \$1.5 million. It's in the area that it is because it's
3 relatively near to where our water injection station is,
4 but we'd have to lay new injection lines to all these
5 wells, et cetera.

6 Exhibit Number 11, it's the same thing for the
7 fivespot pattern. It shows the four injection wells that
8 we would inject into, and again it's within a mile of our
9 water-injection station, but you'd have to lay new lines to
10 all the wells and convert them all to injection at an
11 estimated capital cost of \$1.2 million.

12 Q. Let's go to Exhibit Number 12, and I'd ask you to
13 refer to this exhibit and review the economics involved and
14 the proposed testing that Yates is interested in
15 undertaking.

16 A. Okay, Exhibit 12, the bottom half of it, I wanted
17 to try to make fairly clear what kind of testing we were
18 really talking about, so there's fairly much detail about
19 the testing there.

20 The top of the exhibit just tries to put that on
21 paper, some of the economic numbers that I've been throwing
22 around, maybe, is how we'd say it. But let's see if we can
23 make that be sensible.

24 Item number 1 under economics, the unit lost
25 \$400,000 per month in 2006. And if we don't do something

1 -- I mean, the corollary is that if we don't do something
2 different during the next testing period, we will continue
3 to lose something of -- I say \$300,000, but something on
4 the order of that per month, and that's a lot of money over
5 the testing periods that we're talking about.

6 The average operating costs per well are \$6000
7 per well, per month.

8 The 22 wells that are currently shut in, if we
9 had to put them back on pump and the pumps were free, we
10 would still be spending \$132,000 a month just to pump
11 those.

12 The five injection wells would cost \$30,000 a
13 month to pump, even if the pumps were free.

14 There's 60 more wells out there in a very
15 marginal state, some of which are going to fall into the
16 shut-in status.

17 If we actually had to pump all those, it would be
18 \$360,000 per month, even if the pumps were free. You know,
19 I've tried to make an estimate of how many problem wells we
20 would have over the next three years, and I come out that
21 we're losing about \$300,000 per month on just pumping
22 charges to try to hold those wells by producing a little
23 out of them, rather than just leave them sit there, which
24 is what we're proposing that we do.

25 So to hold the unit at a loss of \$300,000 a month

1 for three years is \$10 million, which we simply can't
2 afford. It's that clear. If that's the only choice, our
3 options are down to quitting. If the choice is quit or
4 face \$10 million of losses during the testing period, the
5 only conclusion from that is quit. Anyway...

6 Q. Let's go into the --

7 A. Let's go on to the testing part. This is
8 actually interesting.

9 The first part of the testing, we'd like to
10 measure oil saturation to two wells, and we've picked two
11 wells. I mean, if you want to look at the map you can see
12 where they are, but they're Number 61 and Number 135.
13 Number 61 is kind of in the middle of the unit, Number 135
14 is towards the south edge.

15 The testing procedure that we're talking about
16 was invented by Exxon in the 1960s, when people were
17 talking about surfactant floods, which -- Anyway, it was
18 invented by Exxon in the 1960s, and it really does work.
19 It's been used, not hundreds of times but towards 100
20 times, and it really does work.

21 You inject into a well a chemical called an
22 ester. The actual one here is called ethyl acetate. So
23 you inject into a well for a week or two and then let that
24 solution sit there.

25 Two things happen to the ethyl acetate while it's

1 in the well. Part of it, the chemical word is, hydrolyzes,
2 changes into an alcohol. In this case it would be ethyl
3 alcohol, ethanol, the alcohol that makes people drunk. So
4 part of it changes into an alcohol.

5 The other thing that happens is that the ethyl
6 acetate -- ester -- partitions is the word I use,
7 partitions, which means that some of it goes in the oil and
8 some of it goes in the water. You inject it in a water
9 solution, but some of it transfers to the oil. And the
10 amount that transfers to the oil depends on how much oil is
11 there.

12 So you inject this ethyl acetate in water. And
13 after it sits there a while, you've got ethyl acetate in
14 water, you've got ethyl acetate in oil, and you've got this
15 ethanol alcohol that was produced from some of the ester.
16 So then when you produce it back, you get these three
17 components. And the alcohol just stays in the water, and
18 so it comes back first. And the ethyl acetate that went
19 into the oil is held up, and slowly some of it comes back
20 to the producing well.

21 And so what you're measuring is the time lag
22 between when the alcohol comes back and when the ethyl
23 acetate comes back, and by analyzing that you can tell how
24 much oil there was for the ethyl acetate to spend time in
25 while it was down there in the reservoir.

1 And that really involves -- usually involves a
2 computer model, but you can -- by measuring how much and
3 when these three chemicals come back, you can estimate
4 fairly accurately how much oil there is down there. And by
5 "fairly accurately" I mean within, oh, about three
6 percentage points by which -- So if you measure an oil
7 saturation of 25 percent, 25 percent of the fluid is oil,
8 the accuracy is such that that means it's between like 22
9 and 28 percent. So it's 25 plus and minus 3 percent, is
10 the kind of accuracy that you get. So you really can tell
11 for sure whether you've got 35-, 40-percent oil, which
12 would be an attractive target, or 15- or 20-percent oil,
13 which is a very unattractive target.

14 So I -- anyway... And you can see that it -- I
15 mean, I think from my hand-waving description here, fairly
16 complicated procedure, and not surprising that it costs
17 \$70,000 a well, or the estimates have gone up. There's a
18 company out of Laramie, Wyoming, that does these tests, and
19 -- anyway, the cost is \$70,000 per well, and I expect it to
20 work. I mean, I think it will really give accurate
21 answers.

22 Q. Dr. Boneau, once you go through that, that's the
23 first thing that you would do; isn't that right?

24 A. Yeah, well maybe -- you know, maybe -- well, we
25 know there's a lot of oil down there, it's just with the

1 vugs, is where it is.

2 But anyway, we did not do these kind of tests
3 before we started the first injection, but now it seems
4 prudent to us to -- Is there really any oil -- is there
5 really oil that's readily available for the waterflood
6 before we do anything else? And it --

7 Q. And if you got a bad result on that, that could
8 be the end of the project right there, could it not?

9 A. As item number 4 says, "Low oil saturation could
10 kill entire project." Yes.

11 Q. Assuming you have a high enough oil saturation,
12 then what do you propose?

13 A. Then we propose these two interference tests.
14 And then they're -- well, the word "interference" is used,
15 and that -- we can just use that, but basic- -- we're going
16 to inject into one of the old injectors and simply measure
17 the pressure response at a well that's east-west from there
18 and a well that's north south from there, and the idea is
19 simply to estimate the permeability in the east-west
20 direction and the north-south direction.

21 So these tests are, inject into one well, put
22 downhole pressure gauges in a well offsetting to the east
23 and a well offsetting to the south or whatever, and measure
24 those pressures. If the two wells are connected, the
25 measured pressure should go up, as you inject water. If

1 they're not very well connected the measured pressure may
2 not go up at all, or may go up only a little, or very
3 slowly.

4 And those -- Anyway, a lot simpler idea than the
5 first kind of test. But you inject for two weeks, the cost
6 is in the downhole pressure measuring devices and in the
7 analysis of the results, but the cost is estimated at
8 \$30,000 per test, which would be \$60,000 for two of them.
9 Anyway, the two things together, a couple hundred thousand
10 dollars. Probably two to three months to actually do the
11 items, and then by the time you figure out the results and
12 charge ahead with the next phase, you're going to use up
13 four to six months.

14 Q. And that's the first phase of your --

15 A. That's the first phase of what I see is the plan
16 for what we're going to do out here.

17 Q. And then what is the plan?

18 A. And then as item number 5 says, I would recommend
19 -- or we would try the fivespot first of the patterns, if
20 the permeabilities in the east-west direction and the
21 north-south direction were roughly comparable. If the
22 permeability in the east-west direction is much greater
23 than the north-south permeability, that would indicate, I
24 think, that the line drive had a better chance, and you'd
25 want to do the line drive first.

1 Q. Is it your belief that you would probably try
2 both approaches, one after the other?

3 A. I think the target is attractive enough that we
4 would try both approaches, is what I think. I think just
5 spread out the -- well, whatever, spread out the cost and
6 re-use the lined tubing, et cetera, but I think we would
7 try both approaches.

8 Q. Dr. Boneau, could you identify for the Examiner
9 Yates Exhibit Number 13?

10 A. Yeah, Yates Exhibit Number 13 is a report dated
11 March 5th, 2007, from the Yates engineering department to
12 the working interest owners of the Dagger Draw Unit. And
13 again, I -- we've gone through a lot of what's in there.
14 It kind of puts in one place a lot of what we said, and we
15 made this report for the working interest owners, and it
16 seemed like sharing it with the Examiner would be a wise
17 thing to do.

18 Q. Basically, this provides sort of a written
19 summary of the material you have presented and discussed
20 with Mr. Catanach today; is that not true?

21 A. That's true, and my intention of including it is
22 that it gives him some numbers in a halfway organized place
23 to look at, yes.

24 Q. Does Yates propose to report back to the Division
25 on the progress as they go through these various phases?

1 A. We'll do whatever they want. I mean, I -- Like I
2 said, I doubt that they want to give us *carte blanche* to do
3 the whole thing, but I doubt that they want weekly reports
4 cluttering their desk. So if they would tell us what they
5 want, we would provide that. And in my mind, something
6 like a review after 12 or 18 months is appropriate, but we
7 will do whatever they want.

8 Q. What does Yates propose to do with the wells at
9 the end of the test period?

10 A. At the end of the test period? We will either
11 have found an injection pattern that has a good chance, or
12 we will have not found such as that. If we have not found
13 that, they will make us, and we will go ahead with TA,
14 plugging, recompleting -- It's a lot of wells. I mean, if
15 everything really fails and we're sitting there with 100
16 wells to plug, we're going to come and try to reach -- I
17 mean -- are the words ACO? Or whatever the words are. But
18 anyway, agree on a plan for taking care of all those wells
19 in a reasonable time period. You know, a reasonable time
20 period is not six months, but it's not five years. It's a
21 year or two or something.

22 Q. Would Yates agree to either return the wells to
23 beneficial use or --

24 A. -- or --

25 Q. -- arrange to --

1 A. -- or arrange to do those --

2 Q. -- put them in compliance under --

3 A. -- under --

4 Q. -- a schedule?

5 A. -- under a set time schedule. If we do find
6 something that has a chance of working, we are going to
7 expand that. And being, you know, honest and
8 straightforward with everybody, we are not in one month
9 going to reactivate 101 wells. But we're going to expand
10 that aggressively, and we'll have to work out a plan with
11 the Commission for reactivating those inactive wells in a
12 -- what we agree is a reasonable way and a reasonable time-
13 frame.

14 Q. In your opinion, would approval of this
15 Application and undertaking the efforts that Yates is
16 proposing be in the best interests of conservation, the
17 prevention of waste and the protection of correlative
18 rights?

19 A. Yes, it doesn't have a whole lot to do with
20 correlative rights, but it does have very much to do with
21 waste. You know, this is the only way we can see -- or
22 this is a reasonable way we can see to avoid blowing off
23 this 50 million barrels of oil that's sitting in the ground
24 in North Dagger Draw Unit.

25 Q. Dr. Boneau, were Exhibits 1 through 13 prepared b

1 you?

2 A. Me and two -- one or -- me and two friends at
3 Yates engineering department prepared those, yes, sir.

4 Q. And have you reviewed them?

5 A. Yes, sir.

6 Q. Can you confirm their accuracy?

7 A. They're as accurate as I can make them, yes, sir.

8 MR. CARR: May it please the Examiner, our
9 Exhibit Number 14 is a notice affidavit. Notice was
10 provided to all interest owners in the unit. There were
11 approximately 340 such owners, and we had sent a certified
12 letter to each of them, and I have these here. Instead of
13 cluttering your files with them -- you can have them if you
14 want -- I also have a Xerox copy of all the return receipts
15 that I'd like to file with the affidavit, which has been
16 marked Exhibit 14.

17 EXAMINER CATANACH: Okay.

18 MR. CARR: And further I'd like to point out that
19 after we had all of these letters out and the affidavit
20 prepared, we were advised that there were about 20
21 additional owners that needed to receive notice because of
22 some recent transfers of property interest. They had not
23 been notified, and so we notified those interest owners.
24 And because of that, we'll have to ask that the case be
25 taken -- continued and taken under advisement until April

1 26th to let the notice period run on those last few. One
2 of the people who they failed to notify, Yates failed to
3 notify was Mr. Randy Patterson.

4 But we are confident now that we have notified
5 all affected interest owners. And also they've received,
6 all working interest owners, a summery of the report that
7 Dr. Boneau presented.

8 So with that, I would move the admission of Yates
9 Exhibits 1 through 13 that were explained by Dr. Boneau,
10 and our Exhibit 14 which is our notice affidavit.

11 EXAMINER CATANACH: Yates Exhibits 1 through 13
12 and the Exhibit Number 14, the notice affidavit, will be
13 admitted as evidence.

14 MR. CARR: And that concludes my direct
15 examination of Dr. Boneau.

16 EXAMINATION

17 BY EXAMINER CATANACH:

18 Q. Dr. Boneau, during the test period I kind of want
19 to get an idea of what you plan on doing with the wells.
20 Now I understand the injection wells will be active
21 injection, either in the fivespot or the line drive
22 pattern. You will be actively producing the wells that
23 might be affected by those injection wells? Those will be
24 pumped off?

25 A. We would be producing the wells that are adjacent

1 to the injectors.

2 Q. Both -- in all directions?

3 A. Pretty much in all directions. If I sit down
4 here and tell you exactly which wells we're going to
5 produce, you will catch me in a lie. But I'm looking at
6 Exhibit 11. In the fivespot pattern we would produce 76
7 and 84 and 100 and 98 and 110 and 86 and 88. You know, we
8 would produce the north-south offsets and east-west
9 offsets. The diagonal offsets, I'm not so sure. Some yes,
10 some no, probably.

11 Q. Okay. How about the 11 wells that are still
12 economic? Those will continue to be produced?

13 A. Those will continue to be produced, and if by
14 some reason something else becomes economic, yeah, we -- I
15 mean, yes, we're happy to produce the economic wells.

16 Q. Okay. The rest of the wells are going to be in
17 just a -- what kind of status? Some are still going to be
18 producing gas?

19 A. Yeah, our -- I mean, they're going to be in a
20 comatose status. If they will produce some gas, we will
21 let them produce some gas, but we don't intend to pump any
22 wells except the economic ones and the ones directly
23 offsetting the pilot tests that we're doing. I think
24 that's clear and accurate.

25 Q. Okay, so that will be -- by far the majority of

1 the wells will be --

2 A. Seventy-five of these wells will be in that
3 comatose -- a little gas or nothing at all state.

4 Q. Comatose.

5 A. If it gets the message across, it's a decent
6 word.

7 Q. How are these wells configured at the present
8 time? They have submersible pumps in them?

9 A. Not very many of them have submersible pumps
10 anymore. They mostly have rod pumps. Well, I think there
11 are three sub pumps in the whole unit. I mean, of the
12 order -- you know, a handful of sub pumps, but the rest of
13 them have -- a few have no pumping equipment for some
14 reason or other, but most of them have rod pumps and beam
15 pumps. Rod pumps underground and beam pumpjacks on the
16 surface.

17 Q. Okay. So basically those wells will just be shut
18 in?

19 A. They'll be shut in. The pumping units will not
20 be moving.

21 Q. And you said most of the wells have 7-inch
22 casing?

23 A. Most of the wells have 7-inch casing to 8000
24 feet, yes. They have 7-inch casing so that they can
25 accommodate big -- so that they could accommodate big sub

1 pumps in the past

2 Q. Tell me about -- You said the wells were drilled
3 in the 1990s, basically. Have you had some casing failures
4 out there?

5 A. No.

6 Q. No casing failures?

7 A. No, no casing failures that I'm aware of. I
8 considered bringing you a wellbore diagram of 101 wells,
9 and I --

10 Q. Well, they're basically all the same, aren't
11 they?

12 A. They're basically the same. A few of them have
13 5-inch casing, most of them have 7-inch casing, but they're
14 basically all the same, yes. Probably two or three
15 diagrams would cover all of them.

16 Q. By having the wells shut in for three years or
17 so, do you anticipate any -- is there anything in the
18 wellbore that would cause these wells to become a greater
19 risk in terms of casing failures?

20 A. Well, the gas at Dagger Draw is sour, there is
21 some H₂S in this, you know. There is -- it is not true
22 that there's no risk. There's H₂S eating on things, and
23 the tubing would be more at risk than the casing, but there
24 is some -- whatever. It's not a totally benign situation,
25 I can't tell you that it is.

1 We might -- you know, we might pull the tubing
2 and pumps out of the wells, just to protect that. But the
3 casing is going to be basically unprotected, but my opinion
4 is that it's new enough and well enough done in this modern
5 age that it will not fail in three years, and we've had no
6 history of failures to this time.

7 Q. Would it be uneconomic to actually TA the wells,
8 set a bridge plug and...

9 A. Okay, it costs \$5000 to \$10,000 a well to TA a
10 well. In our experience so far, that cost has not been the
11 most galling thing. The most galling thing has been that
12 the TA is set for normally one year, and at the end of one
13 year we're told that you can't continue that.

14 And so if we could -- I mean -- an alternative
15 that might work -- and it's not what I'm suggesting -- an
16 alternative that might work would be a real TA procedure
17 that would last for the three or four -- for the three-
18 year-plus that we're talking about, and not have us TA for
19 a year, and in the middle of our testing program we've got
20 to go and TA 50 wells or something. You know, I don't want
21 to get into that.

22 But spending \$10,000 to TA 80 wells, \$800,000,
23 and then it would cover us for the whole testing period,
24 obviously would be preferable to losing \$10 million while
25 we live with the present rules. We think that \$800,000 is

1 also a waste, but -- I don't know if management would do
2 that or not, frankly. But that would obviously be an
3 alternative. It might be easier for you to approve and
4 some kind of middle ground. But our management might not
5 want to spend that money. Honestly, I don't know what else
6 to tell you.

7 Q. Uh-huh. Well, even during the three-year period
8 that you're testing these new patterns, you're still going
9 to be losing money, right? In the unit? Is that a fair
10 assessment, or is...

11 A. Yeah, but we're going to be losing \$50,000 a
12 month and not \$300,000 and \$400,000 a month. We're going
13 to be losing what it costs to do the testing. We're going
14 to be making a little money on the wells, economic, and
15 we're going to be losing -- you know, if you want to put
16 numbers to it, I'd say we're going to be making \$50,000 a
17 month on the economic wells, and we're going to be losing
18 \$100,000 a month on the testing program, and we're going to
19 be losing a little money, but that's in the realm of
20 reasonable in terms of gaining the knowledge. The \$10
21 million is not in the realm of reasonable to gain the
22 knowledge.

23 Q. Is Yates the biggest cost-bearing interest in the
24 unit?

25 A. Yes, Yates is about 85-percent owner of the unit.

1 The next biggest owner is Nearburg, with about 5 percent.

2 Q. Hm. Does Yates have any plans to sell the
3 property?

4 A. Sell used to be a four-letter word at Yates. It
5 is no longer a four-letter word, we have actually sold a
6 few things, and it's -- so I cannot rule out the
7 possibility of trying to sell this.

8 Q. The reason I bring that up is because we've had
9 problems with properties like this that go into the hands,
10 you know, of a subsequent operator that maybe can't afford
11 to --

12 A. Okay --

13 Q. -- to plug the wells properly --

14 A. -- well --

15 Q. -- or --

16 A. Yeah. I mean, what I think I can say positive is
17 that if our Application is approved and Yates starts this
18 testing program, Yates will not sell -- Yates will not sell
19 the unit until the testing program is over and the analysis
20 of the testing program is over. I think that's -- I think
21 I can say that with a high degree of confidence. I cannot
22 say that five years from now Yates won't sell the whole
23 thing.

24 Q. Okay. Have you got a figure in mind as to what
25 oil saturation you would need to make this thing economic

1 to continue with the fivespot, with the line drive?

2 A. Yeah, if the oil saturation is 35 or above,
3 that's encouraging. If it's 25 or below, that's very
4 discouraging. If it measures 30, I don't know what I'd --
5 I mean, it needs to be 35 or above to continue testing.

6 Q. So if it's below 30 you probably won't go on?

7 A. If it's below 30 we probably won't go on, which
8 means we'd be to the sell, plug, recomplete place.

9 Q. And those results of that test would be -- I
10 guess you would consent to provide those to us?

11 A. Yes, sir.

12 Q. The reservoir here, is it -- it's mostly water.
13 Is there an oil-water contact still in the reservoir? I
14 remember there was a big water column.

15 A. There's an oil-water contact way deep where there
16 clearly is water below that and not oil. But the main part
17 of the reservoir, which is what we're talking about here,
18 acts like it's in the transition zone, in the whole huge
19 section of the reservoir, including, I think -- I would
20 say, all of this unit, acts like it's water and oil
21 together in the reservoir. And the real oil-water contact
22 is below -- is 100, 150 feet below what we're talking about
23 here, but there's a lot of water here also.

24 Q. So where was the majority of the oil produced
25 from? The lower interval?

1 A. No, the majority of the oil is produced from this
2 intermediate transition zone. Hardly anything is produced
3 below the oil-water contact, obviously, but -- so my first
4 -- you know, in the real producing reservoir, which is what
5 we're talking about here, in the transition zone, we
6 produced 25 million barrels of oil and 86 million barrels
7 of water out of the main reservoir.

8 Q. How thick is that main reservoir you're talking
9 about?

10 A. It's a number of zones over 200 feet, over an
11 area of 200 feet. The reservoir pressure has obviously
12 been brought down. It's about 400 pounds, 300 or 400
13 pounds. We need to raise that pressure back up, you know,
14 near its original which is like 3000 pounds.

15 And in this Phase 1 thing that we talked about,
16 we got the pressure up to like 800 pounds. We were not
17 going to -- anyway, we were not able to get the pressure up
18 over -- We need to get up over 2000 pounds or something,
19 2500 pounds, in my opinion, to force the oil out of these
20 tight places.

21 And with this unconfined thing that we chose to
22 do for our first effort, it's unconfined in that the
23 pressure just kind of drifts off, and we are not successful
24 at raising the pressure. I think that's the main -- I
25 mean, to me that's the main statement of the failure of the

1 first thing. We were not able to raise the reservoir
2 pressure by a significant amount.

3 Q. How large -- On your oil saturation test, how
4 large an interval will you be testing?

5 A. Oh, well, that -- you know, we selected -- I
6 mean, the wells that are selected, we selected because they
7 have a relatively small producing interval. I mean, the
8 test is going to be more compli- -- well, it's going to be
9 harder to interpret if you've got four zones at 8000 feet
10 and 7950 and 7900 and blah, blah, blah, you know, all
11 producing. The tests are going to be cleaner if you pick a
12 well that's got one main producing zone, and that's the
13 reason that we picked the wells we have picked, that they
14 have one porosity -- one main porosity zone in the
15 wellbore.

16 Q. How much do you inject? Do you know?

17 A. Yeah...

18 Q. Just a -- you might just give me an estimate.

19 A. A couple thousand barrels.

20 Q. What kind of radius of investigation does that --

21 A. Oh, ten feet.

22 Q. Ten feet?

23 A. Yes. Five to twenty feet anyway. Ten feet.

24 EXAMINER CATANACH: Mr. Brooks, do you want to
25 delve into this?

1 MR. BROOKS: No, I don't think so.

2 EXAMINER CATANACH: I think that's all I have.

3 MR. CARR: That concludes our presentation in
4 this case.

5 EXAMINER CATANACH: Okay. All right, there being
6 nothing further, this case, Number 13,893, will be
7 continued to April 26th.

8 And I believe that's all we have.

9 This hearing is adjourned.

10 (Thereupon, these proceedings were concluded at
11 9:34 a.m.)

12 * * *

13
14
15
16
17
18 I do hereby certify that the foregoing is
19 a complete record of the proceedings in
20 the Examiner hearing of Case No. 13893
21 heard by me on March 29, 2007.
22 David R. Catanch, Examiner
23 Oil Conservation Division
24
25


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL April 1st, 2007.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 16th, 2010