

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)
APPLICATION OF VERSADO GAS PRODUCERS,)
LLC, OPERATED BY TARGA RESOURCES, LLC,)
FOR APPROVAL OF AN ACID GAS INJECTION)
WELL, LEA COUNTY, NEW MEXICO)

CASE NO. 13,865
(Reopened)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: WILLIAM V. JONES, Jr., Hearing Examiner

July 26th, 2007

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, WILLIAM V. JONES, Jr., Hearing Examiner, on Thursday, July 26th, 2007, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

2007 AUG 9 PM 2 24
RECEIVED

I N D E X

July 26th, 2007
 Examiner Hearing
 CASE NO. 13,865

	PAGE
EXHIBITS	3
APPEARANCES	3
APPLICANT'S WITNESS:	
<u>CALVIN W. WRANGHAM</u> (Senior Environmental Safety and Health Specialist, Targa Midstream Services, LP)	
Direct Examination by Mr. Carr	5
Examination by Mr. Swazo	16
Examination by Ms. Altomare	17
Examination by Examiner Jones	19
Further Examination by Mr. Swazo	26
Further Examination by Examiner Jones	26
DIVISION WITNESSES:	
<u>CARL CHAVEZ</u> (Environmental engineer, Environmental Bureau, NMOCD)	
Direct Examination by Mr. Swazo	27
Examination by Mr. Carr	38
Examination by Examiner Jones	39
<u>CHRIS WILLIAMS</u> (District Supervisor, Hobbs District Office, District 1, NMOCD)	
Direct Examination by Ms. Altomare	43
Examination by Mr. Carr	52
Examination by Examiner Jones	55
REPORTER'S CERTIFICATE	63

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit A	8	15

* * *

Division

Exhibit 1	33	33
-----------	----	----

* * *

A P P E A R A N C E S

FOR THE DIVISION:

MICHAEL THOMAS
 Assistant General Counsel
 Energy, Minerals and Natural Resources Department
 1220 South St. Francis Drive
 Santa Fe, New Mexico 87505

MIKAL ALTOMARE
 Assistant General Counsel
 Energy, Minerals and Natural Resources Department
 1220 South St. Francis Drive
 Santa Fe, New Mexico 87505

SONNY SWAZO
 Assistant General Counsel
 Energy, Minerals and Natural Resources Department
 1220 South St. Francis Drive
 Santa Fe, New Mexico 87505

FOR THE APPLICANT:

HOLLAND & HART, L.L.P., and CAMPBELL & CARR
 110 N. Guadalupe, Suite 1
 P.O. Box 2208
 Santa Fe, New Mexico 87504-2208
 By: WILLIAM F. CARR

* * *

1 WHEREUPON, the following proceedings were had at
2 11:20 a.m.:

3
4
5 EXAMINER JONES: Okay, let's go back on the
6 record this morning and call Case Number 13,865, which is
7 reopened and continued from the June 21st Examiner Hearing.
8 It's the Application of Versado Gas Producers, LLC,
9 operated by Targa Resources, LLC, for approval of an acid
10 gas injection well, Lea County, New Mexico.

11 Call for appearances.

12 MR. CARR: May it please the Examiner, my name is
13 William F. Carr with the Santa Fe office of Holland and
14 Hart, L.L.P. We represent Versado Gas Producers, LLC, and
15 Targa Resources, LLC, in this matter, and I have one
16 witness.

17 EXAMINER JONES: Other appearances?

18 MS. ALTOMARE: Mikal Altomare and Sonny Swazo,
19 with the Oil Conservation Division. We have two witnesses
20 today.

21 EXAMINER JONES: Any other appearances?

22 Will the witnesses all please stand to be sworn?

23 (Thereupon, the witnesses were sworn.)

24 MR. CARR: May it please the Examiner, at this
25 time we'd call Mr. Cal Wrangham.

1 CALVIN W. WRANGHAM,

2 the witness herein, after having been first duly sworn upon
3 his oath, was examined and testified as follows:

4 DIRECT EXAMINATION

5 BY MR. CARR:

6 Q. Would you state your name for the record, please?

7 A. Calvin Wayne Wrangham.

8 Q. Mr. Wrangham, where do you reside?

9 A. In Midland, Texas.

10 Q. By whom are you employed?

11 A. Targa Midstream Services Limited Partnership.

12 Q. Could you explain to the Examiner what is the
13 relationship between Versado Gas Producers, LLC, and Targa
14 Resources, LLC?

15 A. Yes, Targa Resources is a C corp, which owns
16 Targa Midstream Services, LP. And Versado Gas Processors,
17 LLC, is owned by Targa Midstream Services, LP, and Chevron,
18 Inc. And Targa actually owns 63 percent of Versado, and
19 Chevron owns 37 percent. And Targa operates the Versado
20 assets.

21 Q. Now will Targa actually be the operator of this
22 proposed acid gas injection well?

23 A. Yes, Targa Midstream Services, LP, will operate
24 the well.

25 Q. What is your relationship to Targa Resources, LP?

Rule 40 OK

OERID = ~~2257~~ 24650

1 A. I'm employed by (Targa Midstream Services, LP) my
2 title is senior environmental safety and health specialist,
3 located in the Permian Basin office in Midland, Texas.

4 Q. Mr. Wrangham what does an ES and H specialist
5 actually do?

6 A. I function as an environmental and safety and
7 health information resource for three gas processing plants
8 and their associated compressor stations which are owned by
9 Versado and located in Lea County, New Mexico. My duties
10 include supporting facility managers and employees with
11 resources to comply with all company, state, federal
12 standards and regulations.

13 Q. What were you asked to do for today's hearing?

14 A. I was asked to present additional information on
15 Targa's proposal and respond to questions from the Division
16 concerning the Application for the acid gas injection well.

17 Q. Now this case was previously presented, was it
18 not?

19 A. Yes.

20 Q. And we're presenting supplemental information
21 here today?

22 A. Yes.

23 Q. Have you previously testified before the Oil
24 Conservation Division?

25 A. No, sir.

1 Q. Could you summarize your educational background
2 and work experience for Mr. Jones?

3 A. Yes, I have a degree from Midland College and
4 have worked in the gas processing industry for 24 years, 12
5 of which I've been working environmental safety and health
6 field.

7 Q. Are you familiar with the Application filed in
8 this case on behalf of Targa Resources?

9 A. Yes.

10 Q. Are you familiar with the proposed acid gas
11 injection well?

12 A. Yes.

13 MR. CARR: Are Mr. Wrangham's qualifications
14 acceptable?

15 EXAMINER JONES: Any objections?

16 MS. ALTOMARE: No objections.

17 EXAMINER JONES: Mr. Wrangham's qualifications
18 are acceptable.

19 Q. (By Mr. Carr) Mr. Wrangham, could you briefly
20 summarize for the Examiner what it is that Targa and
21 Versado are seeking in this case?

22 *near* A. Well, we propose to drill an acid gas injection
23 well (at a) location which is locally known as the South
24 Eunice Plant, and it's located 2580 feet from the south
25 line and 1200 feet from the west line of Section 27,

AVG = 4200 B/WPD
MAX = 53,000 F

X *L. J. Jones*
2000 B/WPD
20,000 B/WPD

*THIS is the
OLD well's
Location
30-025-21497
SWD-29*

STEVEN T. BRENNER, CCR
(505) 989-9317

*San Andres
O'Brien
4010-4350
Dilled
A/26/61*

1 Township 22 South, Range 37 East, in Lea County, New
2 Mexico.

3 And we seek approval to utilize this acid gas
4 injection well for the injection of acid gas into the San
5 Andres formation. In addition to the acid gas, the
6 proposed well will take some or all of the wastewater
7 currently being injected in the existing Class II disposal
8 well at this facility.

9 Q. Mr. Wrangham, this well is located in Versado's
10 South Eunice Compressor Station, is it not?

11 A. Yes.

12 Q. And what is the status of the land on which the
13 well will be drilled?

14 A. The land is deeded, it's owned by Versado Gas
15 Processors, LLC.

16 Q. And Targa is the lessee of the oil and gas rights
17 under this tract?

18 A. Yes, it is.

19 Q. Does Targa have all necessary rights to use the
20 land for the well and the related facilities?

21 A. Yes, they do.

22 Q. Could you identify for the Examiner what has been
23 marked as Targa Exhibit A? Is Targa Exhibit A, Mr.
24 Wrangham, a letter dated July 16, 2007?

25 A. Yes, it is.

1 Q. And are there various attachments with that
2 letter?

3 A. Yes.

4 Q. Could you go to that letter and review the
5 information contained thereon, contained in that packet of
6 material?

7 A. Yes, I wrote the letter and supplied the
8 attachments, and the Exhibit A consists of sonar surveys,
9 and these sonar surveys and subsequent surveys showed us
10 that the well tubing was clear of all obstructions, and the
11 bottom of the casing was set at a depth of 2038 feet.

12 The density run indicated that brine water was at
13 a level 50 feet below the wellhead. So the brine
14 completely filled the cavern and was actually up in the
15 casing. And the survey also indicated there was no product
16 or pockets of product in the well. The density and CCL
17 strip chart are attached to the letter.

18 And what we did on July 12th, we had Gray
19 Wireline and Sonarwire of Abita Springs, Louisiana, conduct
20 a sonar survey. And this process was witnessed by myself
21 and Mr. Leonard Lowe of the OCD in Santa Fe.

22 The survey showed the cavern to be circular with
23 a maximum radius of 61.6 feet. The supporting data is
24 attached to the exhibit letter and titled as Maximum Range
25 versus Bearing, and north-south and east-west vertical

1 cross-sections.

2 Q. Mr. Wrangham, what conclusions can you reach from
3 this information?

4 A. The survey identifies the cavern radius to be
5 approximately 20 yards in the direction of the proposed
6 acid gas well site. The horizontal distance from the
7 Skelly Number 4 Y-Grade storage well and the proposed site
8 is approximately 170 yards. So the survey demonstrates
9 there's no potential impact since the borings are
10 approximately 150 yards horizontal distance separating the
11 two.

12 Q. Mr. Wrangham, Mr. Jones raised certain questions
13 concerning the Application that was filed in this case.
14 Are you prepared to respond to those questions?

15 A. Yes.

16 Q. Could you first just identify for us the correct
17 name that will be used as operator of this well?

18 A. The correct name will be Targa Midstream Services
19 Limited Partnership.

20 Q. And is that the name as it appears on the bond?

21 A. Yes, it is.

22 Q. And what is the footage location for this well?

23 A. It is 2580 feet from the south line and 1200 feet
24 from the west line of Section 27, Township 22 South, Range
25 37 East, in Lea County, New Mexico.

STEVEN T. BRENNER, CCR
(505) 989-9317

*THIS is the original well &
NOT the new proposal well.*

1 Q. And Mr. Wrangham, Mr. Jones had questions
2 concerning the well construction. By e-mail dated July 19,
3 2007, Mr. Chris Williams, District Supervisor of the Hobbs
4 District Office, District 1, advised Mr. Jones that the
5 surface casing should be set at least 50 feet into the
6 Rustler anhydrite at about 1150 feet and that the
7 production casing should be set through the San Andres and
8 circulated to the surface or at least 200 feet into the
9 surface casing.

10 Are the recommendations from Mr. Williams
11 acceptable to Targa?

12 A. Yes, they are.

13 Q. Why is Targa abandoning the existing saltwater
14 disposal well located at the South Eunice facility?

15 A. Well, the existing injection well is a Class II
16 disposal well, and it was originally constructed for plant
17 waste streams, which consisted mainly of cooling tower
18 water and some produced water that came in with the inlet
19 gas.

20 Those plant operations were shut down in the year
21 of 2000, so the service of this well was no longer needed.
22 And basically we can't use that well, or decided not to,
23 because the construction isn't suitable for the disposal of
24 H₂S and CO₂ under pressure. So we plan to plug it after
25 there's no further need for it.

1 Q. Could you explain to us how Targa plans to mix
2 the CO₂ and H₂S and inject at a constant pressure?

3 A. Yeah. Well, first, liquid is a desired phase to
4 inject this type of material in. It's easier and it's
5 safer to inject it, but it takes a relatively high pressure
6 to saturate acid gas with water, even though acid gas is
7 water-soluble. The high pressure facilitates a
8 liquification of the acid gas when it's mixed with water.
9 It basically saturates it, thus changing its phase to a
10 liquid.

11 And how it will work is, there will be a pressure
12 control valve on the wellhead which will maintain a set
13 backpressure on the well, which is allowing for the
14 liquification of the acid gas. And the average and maximum
15 injection pressures will be approximately 600 pounds per
16 square inch and 750 pounds per square inch, respectfully
17 [sic].

18 There will be an acid gas compressor at the site,
19 which will compress the gas from the pipeline to the
20 desired injection pressure, and a high-pressure water pump
21 which will increase the water pressure to this desired
22 injection pressure. These two streams will mix at a T near
23 the wellhead and will be injected as their pressures meet
24 the required injection pressure, which is a control valve
25 backset pressure.

1 Q. Has Targa ever injected acid gas into the current
2 Eunice saltwater disposal well?

3 A. No, Targa has never injected acid gas into any of
4 its existing disposal wells.

5 Q. Now Mr. Wrangham, you have met with the OCD staff
6 concerning this matter, have you not?

7 A. Yes, I have.

8 Q. And the information in Exhibit A was previously
9 provided to them; is that right?

10 A. Yes.

11 Q. Will Targa provide the Division's Environmental
12 Bureau, and in fact anyone in the Division, all the
13 information on the well that it has requested and keep it
14 advised of whatever is happening out there and provide
15 additional information as requested by the Division?

16 A. Certainly.

17 Q. What benefits are there that will result from the
18 approval and use of this proposed acid gas injection well?

19 A. Well, the benefits of the well are that it will
20 give Targa the flexibility to shut down the sulfur recovery
21 unit at its main Eunice gas processing plant. This sulfur
22 recovery unit has a 90-percent recovery efficiency and is
23 an emission source and a very costly process to maintain.
24 And the proposed well will enable Targa to inject the H₂S
25 and CO₂ into the San Andres formation. This formation and

1 others is where the gas originally came from when it was
2 produced with the natural gas by the producers.

3 This existing sulfur recovery unit is permitted
4 through the New Mexico Environmental Department, Air
5 Quality Bureau, at a maximum emission rate of 280 pounds
6 per hour, or 1226 tons per year of sulfur dioxide. This
7 sulfur dioxide is created by burning or incinerating the
8 H₂S in the acid gas.

9 The other 86 percent of the acid gas, which is
10 CO₂, is not flammable so it does not destruct in the SRU
11 incinerator and is emitted with the SO₂. Based on today's
12 average acid gas volume to the SRU, the unit is emitting
13 approximately 200 tons per year of CO₂, which is a
14 greenhouse gas.

15 To conclude, this project will potentially reduce
16 emissions up to approximately 1226 tons per year SO₂, and
17 up to approximately 200 tons per year CO₂, from being
18 admitted [sic] into the atmosphere near Eunice, New Mexico.

19 Q. And Mr. Wrangham, does Targa request that the
20 order in this case be expedited to the fullest extent
21 possible?

22 A. Yes, we do. We believe that we're just pending
23 OCD approval, and we request that.

24 Q. Was Targa Exhibit A prepared by you, or have you
25 reviewed it and the attachments and can you testify to

1 their accuracy?

2 A. Yes, I prepared the exhibit, and the attachments
3 on the survey were handed to me on site at the conclusion
4 of the sonar survey by Mr. Sean McCool of Sonarwire,
5 Incorporated. I believe all parts of the exhibit are
6 accurate.

7 Q. In your opinion, will approval of this
8 Application be in the best interest of conservation, the
9 prevention of waste and the protection of correlative
10 rights?

11 A. Yes, sir.

12 MR. CARR: Mr. Jones, at this time we'd move the
13 admission into evidence of Targa Exhibit A.

14 EXAMINER JONES: Exhibit -- Pardon?

15 MR. CARR: A, A.

16 EXAMINER JONES: Any objection?

17 MR. SWAZO: No objection.

18 MS. ALTOMARE: No objection.

19 EXAMINER JONES: Exhibit A will be admitted into
20 evidence.

21 MR. CARR: And that concludes my direct
22 examination of Mr. Wrangham.

23 EXAMINER JONES: Go ahead.

24 MR. SWAZO: I did have a few questions, Mr.
25 Examiner.

EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. SWAZO:

Q. Mr. Wrangham, my questions concern the wells that are in the vicinity of this proposed acid gas injection well.

A. Uh-huh.

Q. My understanding from your testimony is that the saltwater disposal well is to be plugged and abandoned?

A. Yes, sir.

Q. I also understand that there's four other wells in the vicinity of the proposed acid gas injection well. Do you happen to know what Targa plans to do with those wells?

A. Four other what type of wells?

Q. Well, my understanding is that there are four other wells that used to store LPG.

A. Oh, yes, one of which we did, the Sonar --

Q. Yes.

A. -- and there's three other ones. Those wells would be plugged, they're no longer in service.

Q. Okay. And will that occur before Targa starts injecting the H₂S into this well?

A. I do not know. We're trying to get it done, but it's hard to get companies to -- everybody's so busy. But yeah, we plan on plugging them. The other three wells

1 really aren't even in the vicinity. They're on the far
2 north border. They're approximately another -- I would say
3 in excess of 200 yards away from the well that we did the
4 sonar on.

5 EXAMINATION

6 BY MS. ALTOMARE:

7 Q. I just had one follow-up question. You had
8 testified about the various pressure -- pounds per square
9 inch that you anticipate with regard to this well. What is
10 the maximum anticipated pressure that you anticipate with
11 regard to this well once it's up and running?

12 A. 750.

13 Q. Is the maximum anticipated pressure --

14 A. Yes.

15 Q. -- total?

16 A. Yes.

17 Q. My understanding, and maybe I'm misunderstanding
18 the prior testimony of Mr. Gutiérrez, is that he testified
19 that the maximum anticipated pressure was actually 2000
20 pounds per square inch previously, and I'm wondering if
21 something has changed in the analysis.

22 A. I don't know. I guess I need to check that.

23 Q. Okay. But in any event, whatever the maximum
24 pressure that's anticipated is, if it exceeds OCD standards
25 is Targa willing to do whatever is necessary, to do

1 whatever testing is required to make sure --

2 A. Yes --

3 Q. -- that everything is --

4 A. -- yes. Yes, my understanding is that this
5 pressure is -- from a calculation based on the volume of
6 the acid gas, a calculation to understand how much pressure
7 it's going to take to actually saturate the acid gas. So I
8 really think the pressure will probably vary with the
9 volume.

10 MS. ALTOMARE: Okay.

11 MR. CARR: And Mr. Examiner, if the pressure does
12 go over limits established by the OCD, we would confirm
13 that the pressures used are safe in a manner required by
14 you, but certainly with witnessed step-rate tests if that's
15 needed.

16 EXAMINER JONES: Okay, I think there was a step-
17 rate test on the old well --

18 MR. CARR: I think you're right.

19 EXAMINER JONES: -- that was run in the past,
20 that may be -- It's only 200 feet away; is that right?
21 This new well?

22 THE WITNESS: From the existing saltwater
23 disposal?

24 EXAMINER JONES: Yeah. Or I'm thinking 200 feet
25 away from where it was originally anticipated to be. So it

1 may be quite a ways away from the --

2 THE WITNESS: Yeah, it is.

3 EXAMINER JONES: It is, a long way from the --

4 MR. CARR: 170 yards, I think, is the number that
5 Mr. Wrangham stated was the distance between the Skelly 4
6 and the proposed AGI well.

7 EXAMINER JONES: Okay. So 170 yards away. But
8 anyway, we've got an operator, we've got a depth. The
9 depth is going to be -- it's on this -- I'm sure it's --
10 before, there was a -- they were talking about injecting
11 down to 5000 feet, but the depth of the well was 4500,
12 so --

13 MR. CARR: Right --

14 EXAMINER JONES: -- I was confused.

15 MR. CARR: -- that's right.

16 EXAMINATION

17 BY EXAMINER JONES:

18 Q. Now we've got a depth, we've got a well, we've
19 got a -- Have you gotten the APD approved by the District
20 Office to drill the well with a certain casing design and
21 everything?

22 A. No.

23 Q. So you still have that to go?

24 A. We're working -- yeah, we're working --

25 Q. And so you're going to work with them to --

1 A. Yes.

2 Q. -- protect the fresh water and --

3 A. Yes.

4 Q. -- and set up a well that's cased adequately
5 enough to --

6 A. Yeah, we've communicated with Chris about that
7 and know what the OCD is asking and agree with that.

8 Q. Okay. Are you involved in that, or do you guys
9 have like a drilling consultant that is going to be working
10 with Chris?

11 A. Yes, we will hire a drilling consultant to do
12 that. I won't be involved in that.

13 Q. Okay. And you'll just tell him your objectives
14 as far as isolating the --

15 A. Yes.

16 Q. And then he'll go to Chris and try to get all
17 that done?

18 A. Yes, sir.

19 Q. Okay. So as far as the next item, we're -- I
20 guess I'm kind of jumping ahead, but you've already got an
21 API number, right, for the well? Is that correct? It
22 looks like -- I thought I saw an API number in here
23 somewhere. But anyway, we'll need to know, as soon as you
24 get that information --

25 MR. CARR: What information, the APD?

1 EXAMINER JONES: The APD, yeah --

2 MR. CARR: Okay.

3 EXAMINER JONES: -- and the API number and --

4 THE WITNESS: Okay.

5 MR. CARR: We'll do that.

6 EXAMINER JONES: For purposes of well
7 construction, mainly, just to make sure everything is okay
8 on that.

9 EXAMINER JONES: So let me rephrase -- I may have
10 been too hungry here and I can't think very well right now.

11 (Laughter)

12 Q. (By Examiner Jones) Do you have a bottomhole
13 choke on that, on the thing? Is that what you're doing to
14 keep the solution into some kind of supercritical liquid
15 phase that you can -- it won't be as corrosive or -- is
16 that what you -- Is the choke going to be on the surface?
17 You were talking about a choke --

18 A. I don't know about the engineering in the well,
19 but there will be a control valve on the wellhead --

20 Q. On the wellhead.

21 A. -- which will maintain the backpressure.

22 Q. Backpressure on the flow line --

23 A. In the well.

24 Q. -- coming to the well?

25 A. In the well.

1 Q. But the well itself might be on a vacuum for a
2 while. In other words, how -- between the surface and the
3 bottomhole --

4 A. Correct.

5 Q. -- depending on how porous and permeable your
6 reservoir is, you know, it may not stand a column of fluid.

7 A. Yeah, I don't know how that will be engineered.
8 That's --

9 Q. But you have a consultant working with --

10 A. Yes.

11 Q. -- Chris on that?

12 A. Yes, that will do that. Yes.

13 Q. But up until the wellhead, it's going to be
14 control conditions for sure?

15 A. Yes.

16 Q. Okay, I guess we'll talk to the environmental
17 group later about that --

18 A. Yeah, we can do that.

19 Q. -- what you're going to do there, but --

20 A. We do operate an acid gas injection well just
21 like this one we're proposing in Crane County, Texas, for
22 our Sandhills gas plant --

23 Q. Okay.

24 A. -- and have had very good luck. So it's my
25 belief that Targa will hire the same people to engineer and

1 design that as it did the other one.

2 Q. Okay. So they will -- you've got your
3 compressors and -- You said that you don't want the old
4 well because you want to use the liquid to mix with acid
5 gas; is that correct?

6 A. Well, the old well is basically out of service
7 now. It's not even being used.

8 Q. Okay.

9 A. Right.

10 Q. So it's basically -- the permit expired on it,
11 because our wells -- the permit expires after one year of
12 non-injection, so --

13 A. Yeah, it's --

14 Q. You could always apply for a permit on that well,
15 though, so why didn't you do that, if you're going into the
16 same zone?

17 A. They decided that it would be better just to
18 completely drill a new well.

19 Q. Now why did they decide that?

20 A. I do not know. My understanding is, the
21 construction and the materials of the existing well aren't
22 suitable for acid gas.

23 Q. Did they have any problems with that well as far
24 as leaks or --

25 A. No, there's -- No. That well was worked over a

1 few years ago. The well is in good condition.

2 Q. Okay. Okay, yeah, we had a lot of geology
3 testimony from Mr. Gutiérrez about this, and --

4 A. Yeah, that well was -- you know, when the South
5 Eunice facility was an operating gas plant, that well was
6 utilized for the cooling tower and the normal gas plant
7 stuff. But that facility was shut down in the year 2000
8 and basically converted into a compressor station. So all
9 that equipment is out of service, and the only thing
10 running at the facility presently are two gas compressors.

11 So in fact, we're in the process -- Targa is in
12 the process right now of demolishing the facility and
13 cleaning the site.

14 Q. Okay. So how far away is this well going to be
15 from the source of the H₂S that's going to go into the
16 well?

17 A. Approximately five miles.

18 Q. You're going to have a five-mile pipeline?

19 A. Yes, sir.

20 Q. Okay. You're not asking here for pipeline
21 permitting --

22 A. No, the --

23 Q. -- at all?

24 A. -- the pipeline and compressor and that process,
25 we will permit separately.

1 Q. Okay. How far along is that? In other words --
2 I know you want this order out real quick, and we'll try to
3 do that, but --

4 A. Right. Well, the reason we want the order out
5 now is so we can get a contractor and get going on the well
6 and get it finished --

7 Q. Yeah.

8 A. -- and do some water in it and make sure that
9 it's going to operate properly for what we want to do.

10 Q. Okay.

11 A. And then we will permit the pipeline and set up
12 the actual equipment for the acid gas.

13 Q. Okay. So as far as -- this location that's
14 finally arrived at, it's real similar to what Alberto had
15 talked about, maybe 200 feet away, so --

16 A. Yes.

17 Q. Okay. And now as far as these -- I guess these
18 wells that are storing -- or used to be storing propane,
19 they're no longer being used and they're going to be
20 plugged; is that correct?

21 A. That's correct.

22 Q. And the nearest one is --

23 A. The nearest one is the one we did the sonar on,
24 and it's 170 yards from the proposed site.

25 EXAMINER JONES: Okay. Asking questions you've

1 already answered. I think that's pretty much -- Unless you
2 guys have some more questions based on any of that.

3 FURTHER EXAMINATION

4 BY MR. SWAZO:

5 Q. I would just like to clarify that the well that
6 you did the sonar test on is the Skelly 4 well?

7 A. Yes.

8 MR. SWAZO: That's the only question I had.

9 FURTHER EXAMINATION

10 BY EXAMINER JONES:

11 Q. The backside fluid on your well down in Crane --
12 is it around Crane, Texas?

13 A. Yes, it's in Crane County.

14 Q. Crane County?

15 A. Yeah.

16 Q. Has it got diesel on the backside? Is that what
17 you use to protect the --

18 A. I don't know.

19 Q. -- between the annulus --

20 A. I don't know.

21 Q. But your consultant would be -- you will probably
22 do -- whatever we put in the order or Chris Williams
23 requires, you'll --

24 A. Yes, we will.

25 EXAMINER JONES: Okay, that's all the questions

1 I've got.

2 MR. CARR: That's all we have of Mr. Wrangham.

3 MR. SWAZO: At this time the OCD would like to
4 call Mr. Carl Chavez to the stand.

5 CARL CHAVEZ,

6 the witness herein, after having been first duly sworn upon
7 his oath, was examined and testified as follows:

8 DIRECT EXAMINATION

9 BY MR. SWAZO:

10 Q. Good morning. Could you please state your name
11 for the record?

12 A. Carl John Chavez.

13 Q. And Mr. Chavez, by whom are you employed?

14 A. Energy, Minerals, Natural Resources Department,
15 Oil Conservation Division, Environmental Bureau.

16 Q. And what is your current title?

17 A. Environmental engineer.

18 Q. And what are your job duties with that position?

19 A. My main job responsibility is, I am a quality
20 assurance/quality control officer for the EPA Underground
21 Injection Control program. We oversee mechanical integrity
22 testing, scheduling, surface inspections of facilities,
23 quarterly reports to the EPA, annual reports for UIC
24 Class I industrial/commercial oilfield exempt/nonexempt,
25 nonhazardous waste injection to Class I wells, Class II LPG

1 storage and special storage wells, and Class III brine-
2 extraction wells.

3 Q. And how long have you held that position?

4 A. Two years.

5 Q. And how long have you been with Energy, Minerals
6 and Natural Resources Division?

7 A. Two years.

8 Q. And could you please describe your educational
9 background?

10 A. I have a bachelor's of geological sciences degree
11 from New Mexico State University with a minor in economics.
12 I attended the California Polytechnic University and Cal
13 Poly Pomona for two and a half years, taking courses in
14 mechanical engineering, petroleum option. I've attended
15 Western Michigan University and Michigan State University,
16 taking continuing education graduate courses in contaminant
17 hydrogeology, environmental geology, environmental
18 geophysics, and continuing education courses in business
19 from the Lansing Community College, in Lansing, Michigan.

20 Q. And real briefly, what was your employment
21 history prior to your current job?

22 A. As part of my student work at Cal Poly I served
23 as an assistant chemist at the Unocal 76 Wilmington,
24 California, refinery where I conducted laboratory testing
25 on oil and gas at a major refinery. The following summer I

1 was an assistant petroleum engineer with Unocal 76 in the
2 Orchid, California, area near the Santa Maria.

3 I've worked for six years as a geologist with the
4 Michigan Department of Natural Resources, Geological Survey
5 Division, overseeing the cleanup of oil and gas
6 contamination in the ground and soil and air-quality
7 issues.

8 I worked for four and a half years as a superfund
9 project manager overseeing the cleanup of superfund sites
10 such as landfills, industrial facilities, leading
11 environmental assessments on brown-filled sites,
12 investigations in-house, investigations in the field, team
13 leader for field sampling, everything to do with CERCLA,
14 Comprehensive Environmental Response, Compensation and
15 Liability Act.

16 I served for about five years in the
17 environmental sciences and services division as the lead
18 contact for the remediation/redevelopment division as a
19 technical contact and source, public outreach, technical
20 contact, education, publications, everything to do with all
21 aspects of air, land, water, pollution prevention.

22 I spent one and a half years with the New Mexico
23 Environment Department, Hazardous Waste Bureau, in the
24 Waste Isolation Pilot Plant project group. I oversaw the
25 monitoring program for the Waste Isolation Pilot Plant.

1 And more recently, I've done my two years with
2 the Oil Conservation Division.

3 Q. Now as part of your job duties did you review the
4 C-108 application for authority to inject Targa's South
5 Eunice Gas Plant, Lea County, New Mexico --

6 A. Yes.

7 Q. -- the report that was --

8 A. Yes.

9 Q. What did you think of the report upon your
10 review?

11 A. The report had a diagram that identified some LPG
12 storage wells, and part of my duty as an Environmental
13 Bureau review was to look it over for Environmental Bureau
14 concerns. And so I guess we identified those LPG storage
15 wells that I'm involved with as a quality assurance/quality
16 control officer as being very proximal to the proposed acid
17 gas injection well.

18 In addition, as we understood, there is going to
19 be a pipeline emanating from the Targa middle plant to the
20 south plant, proposed acid gas injection well, that I don't
21 believe was mentioned during the first hearing back in
22 February 1st. Those were the two main concerns on the
23 report.

24 MR. SWAZO: Mr. Hearing Examiner, before I
25 proceed any further I'd like to tender Mr. Chavez as an

1 environmental engineer expert.

2 EXAMINER JONES: Any objections?

3 MR. CARR: No objection.

4 EXAMINER JONES: Mr. Chavez is qualified as an
5 expert environmental engineer.

6 Q. (By Mr. Swazo) So what were your concerns again
7 regarding the information that you read in the Application?

8 A. Well, one of the things I noticed is that Mr.
9 Alberto Gutiérrez of Geolex, Incorporated, had -- was
10 attempting to utilize spherical formulas to estimate the
11 radius of the caverns associated with the LPG storage
12 wells, specifically the Skelly Number 4 well, which is
13 located about 500 feet to the northeast of the proposed AGI
14 well; in addition, that the J.V. Bakers 1, 2 and 3 caverns,
15 which are twice the size of the Skelly 4, which are within
16 800 to 1200 feet from the proposed acid gas injection well.

17 And one of our concerns immediately was that
18 there were some mistakes on his calculations, and I believe
19 he revised those radiuses based on these algorithms that he
20 used.

21 But in addition to that, we were requesting a
22 sonar test at a minimum on the closest LPG storage well,
23 the Skelly Number 4. And that's because we don't believe
24 that all caverns are spherical in nature, that due to the
25 bedded nature of salt, the anhydrite salt nature and

1 depositional environment, that we could have solution
2 features and fingers that extend on beyond just a spherical
3 cavity and could transect the location of the proposed acid
4 gas injection well. And we wanted to be sure that that
5 well was not drilled through any type of cavern that would
6 compromise its structural well integrity and so forth.

7 Q. Are you familiar with the June 5th, 2007, letter
8 authored by Alberto Gutiérrez addressing the Environmental
9 Bureau's concerns?

10 A. Yes, I am, and that was in response to an e-mail
11 with Environmental Bureau concerns that I sent Mr.
12 Gutiérrez on June 1st, 2007.

13 Q. Do you have a copy of that letter in front of
14 you?

15 A. Yes.

16 MR. SWAZO: Mr. Hearing Examiner, at this time I
17 would like to move for the admission of this letter.

18 MR. CARR: Mr. Examiner, we have no objection.
19 We included the letter, the original letter, in the
20 materials that we included as part of our Exhibit A.

21 EXAMINER JONES: Do you still want to admit it as
22 part of your exhibit?

23 MR. SWAZO: Yes, I would, Mr. Hearing Examiner,
24 the reason being is, there are some diagrams with the
25 letter that weren't included with Targa's -- with the

1 exhibit offered by Targa today, and the witness may want to
2 refer to those diagrams.

3 EXAMINER JONES: Okay, this is OCD Exhibit Number
4 1?

5 MR. SWAZO: That's correct.

6 EXAMINER JONES: Okay, OCD Exhibit Number 1 will
7 be admitted.

8 Q. (By Mr. Swazo) When you reviewed the June 5th
9 letter, were any of your concerns addressed?

10 A. I believe all of the concerns were addressed,
11 with the exception that Mr. Gutiérrez seemed to be
12 unwilling to conduct a sonar -- three-dimensional sonar
13 test of the Skelly Number 4 LPG storage well cavern.

14 Q. So what ultimately happened?

15 A. Subsequent to that, I believe my Bureau Chief,
16 Mr. Wayne Price, had some discussions with Targa and Mr.
17 Calvin Wrangham, and they reached agreement to schedule a
18 sonar test.

19 Q. And do you know the results of that test?

20 A. I do. On January 12th, as Mr. Wrangham had
21 alluded to, they had conducted a sonar test, north, south,
22 east, west, three-dimensional, and that was done by
23 Grayline Wire [sic] and Sonarwire, Incorporated.

24 MR. CARR: Do you mean July?

25 THE WITNESS: July 12th, excuse me. And based on

1 what we could tell from the results of that test, that it
2 was a legitimate test, and based on their radius they came
3 up with a radius of about 61 feet. And this was
4 significantly larger than their estimated radius from Mr.
5 Gutiérrez's June 5th letter of about 43 feet.

6 And I would just want to add, since we're looking
7 at a table here from the June 5th, 2007, letter from Mr.
8 Gutiérrez, and also it's the exhibit that Mr. Wrangham
9 provided to us in his July 16th letter, that he has the
10 incorrect -- or he submitted to us the incorrect table. It
11 was corrected by Mr. Gutiérrez and re-sent out to us, where
12 they had estimated a 13-foot radius on the Skelly Number 4,
13 versus a 43 feet. And then based on the sonar, we know
14 it's around 61 feet.

15 Q. (By Mr. Swazo) How many wells -- well --

16 A. I would add that on that Monday, July 9th, I
17 believe, they also gauged the well for obstructions before
18 the sonar test, and they did conduct the density test,
19 density survey, and we concur with Mr. Wrangham on the
20 depths and the results and the fact that there are no LPG
21 pockets that remain in the LPG well, Skelly Number 4.

22 Q. And so my understanding is that only one sonar
23 test was conducted and it was conducted on the well that's
24 nearest to the proposed acid gas injection well site?

25 A. Yes.

1 Q. And that's the Skelly 4?

2 A. Yes, 500 feet to the northeast.

3 Q. Now in your opinion would this well -- would the
4 Skelly well in any way interfere with the proposed acid gas
5 injection well?

6 A. We believe that it would not. When we look at
7 the Figure 3 that was submitted by Mr. Gutiérrez and the
8 locations of the acid gas injection well, the saltwater
9 disposal well and the four LPG wells including the Skelly,
10 that if you look at Figure 3 and you look at that dot, that
11 green dot, that's basically the radius of the cavern at the
12 Skelly Number 4.

13 And I think it's important to mention based on
14 that sonar test for the J.V. Bakers 1, 2 and 3, which are
15 about twice the size of the Skelly, that we would probably
16 have radiuses -- a conservative guess, about 120 feet
17 radius. And as you look at those and you look at the
18 radius of the cavern, the size on those, that would also
19 not interfere with the saltwater disposal well and/or the
20 proposed acid gas injection well.

21 Q. Do you have any other concerns with regard to the
22 information that you have reviewed in this case?

23 A. You notice from the sonar a peculiarity in the
24 configuration of the brine cavern at the Skelly Number 4.
25 At first we were thinking it could be due to lithologic

1 variation, and we've got a -- what appears to be a cavern
2 and -- you know, near the top it necks down into a very
3 narrow channel, almost like a wellbore, and then it expands
4 out again. We wouldn't anticipate or expect to see that
5 type of configuration. This certainly becomes a concern to
6 us when it comes time to plug and abandon the well.

7 And looking at fluid levels where they estimate
8 50 foot of head below well casing, and you know, we'd
9 probably recommend MIT testing of the casing and of the
10 formation to see whether there's any leaks in the piping
11 that might explain that upper cavern. But we're open for
12 some explanation from Mr. Wrangham, if he has it, on that
13 unusual configuration.

14 It's important to note that the J.V. Baker Wells
15 1 through 3 were installed back around 1952, and they are
16 old. And based on RBDMS, our database system, I could not
17 find any type of mechanical integrity testing associated
18 with them. And the Skelly was installed in '71.

19 But when it comes time for plugging and
20 abandonment of these wells, these are the type of issues we
21 get into with odd configurations of brine caverns, plugging
22 them correctly and looking for any type of leaks in the
23 casing and determining where that fluid level is coming
24 from. Is it from the upper cavern, is it from the lower,
25 et cetera. So we would be privy to any explanation that

1 Mr. Wrangham might have for that configuration.

2 And then lastly, I guess, in the hearing back on
3 February 1st, there was no mention of the pipeline, which
4 is going to extend around four miles from the Targa middle
5 plant to the south plant. And we noticed that the middle
6 plant is situated about 3000 feet southeast of the city of
7 Eunice with a population of around 2700 people.

8 And also, that pipeline will emanate down between
9 two major highways, Highway 18 and Highway 8. And so we're
10 obviously -- we're going to be concerned about hydrogen
11 sulfide gas, a very toxic gas, and there's going to be a
12 need for safety plans. And we've had verbal and written
13 assurances in the June 5th, 2000 [sic], letter from Mr.
14 Gutiérrez that these are going to be addressed in the
15 discharge plan modification process for the south plant and
16 the middle plant.

17 And so I just wanted to mention those as other
18 concerns with public and populations.

19 There seems to be no concern with subsidence of
20 roadways. These caverns are at depth, they are very
21 secure, they're very -- seem to be very small, not
22 interconnected. And so subsidence issues of public health
23 don't appear to be of concern.

24 Q. Is there anything else you would like to say in
25 this case?

1 A. I have no further comments.

2 MR. SWAZO: And I have no further questions.

3 EXAMINER JONES: Okay, Mr. Carr?

4 EXAMINATION

5 BY MR. CARR:

6 Q. Mr. Chavez, you testified that you have reviewed
7 the Application and supplemental material filed by Targa?

8 A. Yes.

9 Q. And at this time has Targa responded to your
10 request?

11 A. Yes.

12 Q. There are other questions concerning what happens
13 when -- the plugged wells and permitting of the pipeline,
14 but we're looking, you understand, at this time just at the
15 well so we can go out and do some testing to be sure it
16 will perform as we hope it will?

17 A. Yes, in our correspondence with Mr. Gutiérrez, he
18 assured us that Targa was merely seeking a Class II -- a
19 permit to drill, a Class II saltwater disposal well to
20 replace the existing saltwater disposal well, at which time
21 they would conduct an injectivity test to determine the
22 porosity and its suitability for acid gas injection.

23 Q. After we submitted this additional data to you,
24 we understood that we had met the concerns of the
25 Environmental Bureau. Are you objecting to this

1 Application?

2 A. We have no -- the Environmental Bureau has no
3 objections to the saltwater Class II disposal.

4 MR. CARR: Thank you, that's all I have.

5 EXAMINATION

6 BY EXAMINER JONES:

7 Q. Mr. Chavez, the well itself would have an H₂S
8 continuously planned -- is that right? -- release?

9 A. It would. Under Rule 118 any wells, any storage
10 gathering -- gas gathering facilities, pipelines would be
11 subject to Rule 118 and an H₂S safety plan.

12 Q. After seeing this sonar run on this offset well,
13 was that the closest offset well that you had records of?

14 A. Well, we looked at all boring records. But yes,
15 the Skelly Number 4 was the closest well, and that's why we
16 basically selected that, to --

17 Q. After seeing that, do you still have any concerns
18 about the safety of the well that's proposed to be drilled
19 in the --

20 A. Again, purely for the approval of a permit for a
21 Class II injection well to replace the existing saltwater
22 disposal well, at this time we have no concerns about that.
23 But we will address H₂S and pipeline concerns through our
24 discharge plan under the Water Quality Control Commission
25 with public noticing at a later date.

1 Q. The timing of the plugging of these LPG storage
2 wells, is that a concern to you? I mean, as far as when
3 they start injecting acid gas?

4 A. Yes. We would like to -- as Mr. Gutiérrez had
5 recommended to us in his June 5th, 2007, letter responding
6 to OCD Environmental Bureau concerns, we would like to see
7 those wells plugged and abandoned properly, with MITs
8 conducted on the casing and on the formation in advance of
9 the plugging and abandonment before acid gas injection
10 occurs. The saltwater disposal well, that's a matter, I
11 believe, for Mr. Chris Williams.

12 Q. Yeah. The MITs you're talking about, that would
13 be something similar to a salt brine well, MIT?

14 A. Yes, and one facet, we would set a packer within
15 a hundred feet of casing shoe and pressure up the formation
16 for four hours at about 300 to 500 p.s.i. and look for any
17 pressure loss in the formation, possible fluid migration
18 through the back side in the cement, et cetera.

19 And then on the other hand, we would do an MIT
20 30-minute packer pressure-up of the backside casing that's
21 in contact with the formation to ensure that there's no
22 leakage -- there was no leakage from these older LPG
23 storage pipes.

24 Q. Leakage as in up into the fresh water, or what?

25 A. Correct.

1 Q. You mean leakage that happened in the past?

2 A. If there was any pressure loss, then we would
3 have them investigate the vertical nature of the pressure
4 losses to determine whether freshwater versus subsurface
5 salt cavern leakage that might have possibly explained a
6 double cavern configuration on sonar.

7 Q. Okay.

8 A. You know, if you've got a leak in the upper part
9 of the casing up here that could be leaking for many, many
10 years, you could have dissolution of the salt.

11 Q. Okay.

12 A. We're just looking for any type of pressure loss
13 or --

14 Q. Okay, so this is part of the Environmental Bureau
15 monitoring freshwater contamination possibility, right?
16 This is -- because you're going to plug the wells, so it
17 just has nothing to do, really, with -- the MIT requirement
18 would have nothing to do with our permit on this injection
19 well, would it? It wouldn't be as critical as maybe even
20 plugging the wells?

21 A. Well, it could be from the sense that if they
22 began injecting the gas in advance of properly plugging and
23 abandoning them, and if there were in fact conduits from
24 fracturing if they overpressured those LPG wells at any
25 time and from their pressuring up in the acid gas injection

1 well, they could potentially force acid gas to move and
2 migrate and perhaps find conduits through these LPG storage
3 wells and move -- and come up as potential H₂S sources, and
4 potentially contaminate the Ogallala freshwater aquifer
5 with freshwater sulfates, et cetera.

6 Q. You sound concerned that -- have you looked at
7 the --

8 A. We think that those wells should be properly
9 plugged and abandoned in advance of acid gas injection.

10 Q. Okay. Have you looked at the well design that
11 was proposed for the acid gas injection well and the
12 cementing requirements and everything?

13 A. I did, but our function was not to do the
14 downhole engineering --

15 Q. Okay.

16 A. -- review.

17 EXAMINER JONES: Okay, I understand. I don't
18 have any more questions.

19 MR. SWAZO: No further questions.

20 THE WITNESS: And our only involvement was due to
21 the LPG storage wells, which the Environmental Bureau
22 regulates.

23 EXAMINER JONES: Okay, thank you.

24 MS. ALTOMARE: OCD would like to call Chris
25 Williams to the stand.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CHRIS WILLIAMS,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MS. ALTOMARE:

Q. Can you please state your full name for the record?

A. Chris Williams.

Q. And by whom are you employed?

A. The New Mexico Oil Conservation Division, Hobbs District Office.

Q. And what is your title?

A. I'm the District Supervisor there.

Q. And how long have you held that position?

A. Ten and a half years.

Q. Have you testified before -- Have you on prior occasions testified before the Oil Conservation Division?

A. Yes, I have.

Q. And have your credentials been accepted as an expert as a matter of record?

A. Yes.

MS. ALTOMARE: I would like to tender Mr. Williams as a practical oilman expert.

EXAMINER JONES: Any objection?

(Laughter)

1 MR. CARR: I'm sitting here, I don't know how
2 practical I can say anything --

3 (Laughter)

4 MR. CARR: I reserve the right to object later,
5 but I don't object to his general qualifications since he's
6 testified many times and been previously qualified.

7 EXAMINER JONES: Mr. Williams is qualified as
8 stated.

9 MS. ALTOMARE: I thought the rule was that you
10 had to take it easy on me since this is my first time.

11 MR. CARR: May it please the Examiner, I have no
12 objection to Mr. Williams' qualifications.

13 (Laughter)

14 EXAMINER JONES: It's like a volcano building up
15 over there.

16 MS. ALTOMARE: I know. Goodness.

17 Q. (By Ms. Altomare) All right, Mr. Williams. As
18 part of your job duties, did you receive the C-108
19 application for authority to inject Targa's South Eunice
20 gas plant, Lea County, New Mexico, that was submitted by
21 Targa in this case?

22 A. Yes, I have.

23 Q. And initially when you were reviewing that
24 Application, what were kinds of things you were reviewing
25 in that Application to evaluate and analyze, I guess?

1 A. Primarily what I look at is the casing design for
2 the new well, and then I also look at the review of the
3 wells in the area, half-mile radius, whether there's cement
4 across the zone that they're going to be injecting to or
5 whether they're going to be at that depth. And I looked
6 for any notations on any kind of freshwater zones that are
7 identified in there, and primarily it's the casing design
8 that I'm the most concerned with and the wells that are
9 surrounding it.

10 Q. Okay. And rather than having you reiterate a lot
11 of information that's already been presented, do you have
12 anything contrary to what's already been presented as to
13 what was being sought by that Application by Targa?

14 A. No, no.

15 Q. Okay, so you agree with the general synopsis of
16 the injection well and what they're seeking to do with the
17 injection well?

18 A. Yes, I do.

19 Q. Okay. Did you have any concerns after reviewing
20 the initial Application as to the casing design?

21 A. Yes, I did.

22 Q. And what were your initial concerns?

23 A. The initial concern that I had was the surface
24 casing that originally was proposed was to be set at 500
25 feet. After reviewing some of the well files in this same

1 section where the well is going to be drilled, I noticed
2 that in some of the old files back in the '50s and the
3 '60s, that they had identified freshwater sands -- or not
4 freshwater sands, protectible waters, waters that are less
5 than 10,000 parts per million TDS. And they were
6 identified at 715 feet, 750 feet and 850 feet. And I
7 thought, well, we're not actually going down deep enough to
8 take care of the waters that we have to protect.

9 And also a year ago I worked for the State
10 Engineer's office on a well that was drilled a mile and a
11 half of the plant, south -- southeast. And that well
12 identified the same water source at 950 feet. And the top
13 of the anhydrite in that particular section is 1100 feet.
14 I figure if you go 50 feet into the anhydrite, then you've
15 pretty well protected all the freshwater protectible water
16 zones that are in there.

17 Q. And just for the record, does that particular
18 water source have an identifying name?

19 A. Yes, it's called Santa Rosa.

20 Q. Okay. And I believe you heard testimony earlier
21 from Mr. Wrangham -- Am I saying that correctly?

22 MR. WRANGHAM: Yes.

23 Q. (By Ms. Altomare) -- that Targa was aware of
24 your recommendation of going 50 feet into the anhydrite so
25 that the casing would then be set at 1150 and had no

1 opposition?

2 A. Right.

3 Q. If that is the case, then do you have any further
4 concerns about the casing --

5 A. None.

6 Q. -- proposed by Targa?

7 A. No.

8 Q. Okay. What other specifications regarding the
9 structure of this well and the construction of this well
10 would you recommend?

11 A. Now one of the things I do recommend is that they
12 have at least two inches of cement between casings, between
13 the 9-5/8 and 7-inch, and also that they run either lined
14 tubing or some kind of tubing that's resistant to CO₂ and
15 resistant to H₂S. And those coatings are difficult to
16 find.

17 Q. Okay, and are these things that you have
18 discussed with any representative from Targa at any point?

19 A. I've since talked to Mr. Carr.

20 Q. Okay. Have you heard anything from any
21 representative from Targa as to whether or not they are
22 willing to accept these terms --

23 A. Yes.

24 Q. -- of your recommendation?

25 A. Yes, they are.

1 Q. Okay. Regarding the circulation of the cement,
2 what recommendations do you have with regard to --

3 A. On the production -- on the 9-5/8, set at 1150,
4 circulate that to surface. On the 7-inch, to set in sides
5 because I'm assuming they're going to run 4-1/2 or 5-1/2
6 tubing, or possibly 3-1/2. They need to circulate that
7 7-inch to surface. That's my biggest recommendation. But
8 if they aren't able to do it, at least 200 feet up inside
9 the surface casing.

10 Q. And why do you feel this is important in this
11 case?

12 A. Because it protects both the sets of well casings
13 from like the salt deterioration that will actually start
14 working on the cement, on the back side of the production
15 casing at 7-inch, and that will hopefully block any
16 migration upward.

17 Q. I'm sure that you heard testimony earlier
18 regarding the maximum pressure, testified by Mr. Wrangham,
19 his understanding that the maximum pressure of this well
20 was going to be about 600, or I think 750 --

21 A. Uh-huh.

22 Q. -- in that third. Then prior testimony in this
23 case by Mr. Gutiérrez that there was a maximum pressure of
24 2000 p.s.i. What is the standard for OCD in your district
25 for wells of this nature?

1 A. Usually we calculate from the surface down to the
2 base of wherever the bottom of the casing is set, and it's
3 .2 p.s.i. per foot, and that would be about 950 p.s.i.,
4 would be maximum.

5 Q. And what would be required of Targa if they
6 approached that maximum and needed to address that issue?

7 A. They'd have to perform a step rate test.

8 Q. Do you know of any other nearby wells or
9 facilities in the area of the proposed site that could be
10 affected by the proposed acid gas injection well in this
11 matter?

12 A. The ones I've reviewed, no.

13 Q. Okay. We've discussed a little bit about the LPG
14 wells. How important do you think it is that they be
15 plugged and abandoned prior to injection of gas in this
16 area?

17 A. They -- For Targa's sake I would plug them first,
18 because what may happen is that there are fingers, and as
19 they're drilling the well they may see pressure. So...

20 Q. So your recommendation would be -- ?

21 A. I'd plug them before I drilled the well, but you
22 could do both, basically simultaneously.

23 Q. Okay. As far as -- So you're saying you would
24 plug them prior to actual drilling?

25 A. Yes.

1 Q. What about in terms of the time frame of actually
2 injecting?

3 A. Okay, I'm not following your question.

4 Q. I'm sorry, I'm being tangled up in my own
5 questions.

6 Are there any other concerns that you -- that
7 have not been addressed, either by previous testimony, by
8 the report that was later submitted by Mr. Gutiérrez that
9 was submitted as an exhibit, which I believe you have
10 reviewed --

11 A. I have reviewed yes.

12 Q. -- or by testimony by Mr. Wrangham today?

13 A. No.

14 Q. What specific items do you think it would be
15 important to include, specifically articulate in an order
16 granting the permit in this case, with regard to the
17 construction and the engineering of this well?

18 A. I think it would be important to basically have
19 in the order where the surface casing is set, where the
20 production casing is set, the cement that's going to be
21 used, what size tubing is going to be run into the hole,
22 the size packer that will be run in, whether these packers
23 -- the packer and the tubing are metallurgically set up for
24 CO₂ injection and H₂S injection and water. That's kind of
25 a dangerous combination in terms of corrosion.

1 And just from a well-operation standpoint, part
2 of my experience is, I'm a corrosion specialist and I
3 worked on CO₂ wells over in Denver City and in Cortez,
4 Colorado. And when you get water and you mix it with the
5 CO₂ you get carbonic -- carboxylic acid. Well, you already
6 have H₂S which forms its own type of acid, which is like
7 sulfuric. So you basically have two acids, very strong
8 acids.

9 And it's better that if your tubing is either
10 coated or a special type of tubing, which in one case we
11 use 13-chrome steel, which is highly expensive. And we
12 also use several different kinds of coatings. We've tested
13 them. And at that time -- that was a long time ago --
14 Tuboscope had a coating that was probably the best for this
15 type service.

16 But there's some things that -- when you run the
17 tubing in, that you need to do differently than normal.

18 Q. Okay, so within that order granting the permit,
19 you actually consider it important to specify a specially
20 coated tubing --

21 A. Right, right.

22 Q. -- the depth of the surface casing --

23 A. Right.

24 Q. -- the 2-inch space --

25 A. Uh-huh.

1 Q. -- that you discussed, and the circulation of the
2 cement back to the surface?

3 A. Uh-huh.

4 Q. Did I miss anything?

5 A. No.

6 Q. Okay. Is there anything else that you'd like to
7 mention, or any other concerns that you have about the
8 granting of the permit in this matter?

9 A. No.

10 MS. ALTOMARE: Okay.

11 EXAMINER JONES: Mr. Carr?

12 EXAMINATION

13 BY MR. CARR:

14 Q. Mr. Williams, typically do you review the casing
15 program as proposed when someone seeks --

16 A. Yes.

17 Q. -- approval of an APD?

18 A. Yes.

19 Q. And the kinds of things you've been talking
20 about, lined tubing and cement back to the surface, those
21 are standard things that you would really require of anyone
22 proposing --

23 A. Yes.

24 Q. -- to drill a well?

25 Are those things that you can just generically

1 require for all wells when they're proposed and drilled?

2 A. Yes, for the most part, yeah.

3 Q. And is it possible that if you were out there and
4 actually drilling a well, that some of the things that
5 you're recommending might need to be changed to accommodate
6 the circumstances of the individual well?

7 A. Yeah, because there's a lot of things that can go
8 wrong during the drilling.

9 Q. When this Application originally came for hearing
10 Targa offered to, as to these kinds of questions, work with
11 the District Supervisor or the District Office to satisfy
12 the OCD --

13 A. Yes.

14 Q. -- at that time?

15 A. Uh-huh.

16 Q. In your opinion, is it more prudent to set these
17 things in an R order, all of these requirements, or simply
18 require that they be -- that the District Supervisor be
19 satisfied before the APD is approved?

20 My concern is just having to come back and amend
21 an order --

22 A. Right, yeah.

23 Q. -- when you get downhole and something changes.

24 A. No, I mean I can do it either way, I'm just
25 saying.

1 Q. You talked about the .2 pound per foot of depth
2 to the top of the injection or --

3 A. Yeah, interval.

4 Q. -- the casing, as a standard pressure limitation.
5 Would you recommend that that number be applied in this
6 case?

7 A. The 950 pounds?

8 Q. Yes, or .2 pound per foot of depth?

9 A. That's something that I'm not prepared to sit
10 here and say right now, I mean not without doing some
11 engineering work on it.

12 Q. Are you saying that the OCD's standard .2 pound
13 per foot of depth --

14 A. -- is for water, is for water.

15 Q. -- is for water?

16 A. Right.

17 Q. And so you would have to adjust that here?

18 A. Yes, you could adjust it here because of the CO₂
19 in the gas.

20 Q. And that changes the -- what, different --

21 A. Yeah, the surface pressure on it, yeah.

22 Q. Yeah. And that relates to the density of the
23 resource?

24 A. Yes.

25 Q. The Application as it stands before you -- I

1 mean, would it make sense to approve a pound limitation and
2 then have an adjustment based on step-rate tests?

3 A. Yes.

4 Q. Will that take care of the concern about the
5 difference and the density --

6 A. Yes.

7 Q. -- of the CO₂ versus water?

8 A. Yes.

9 MR. CARR: That's all I have.

10 EXAMINATION

11 BY EXAMINER JONES:

12 Q. Okay, Chris. On that surface pipe, did you see
13 any problem with thief zones on cementing down -- the 5000
14 feet to surface up there in the surrounding wells?

15 A. There's a possible -- there's always a
16 possibility of a thief zone, especially when you go through
17 the salt zone, because the salt zone can be washed out from
18 other wells around there or just from other drilling
19 applications. So that's going to be your major concern
20 when you're trying to circulate the production casing back,
21 is if you can circulate it past the salt zone.

22 Q. Are you going to specify that they just circulate
23 it and let them figure out how they're going to do it, or
24 do you specify DV tools and that kind of stuff?

25 A. I usually let them recommend it, and then if I

1 don't think it's going to work then I'll recommend a DV
2 tool or something else --

3 Q. Okay.

4 A. -- that you can stage the cement in.

5 Q. Okay. And would you recommend a bond log on
6 this well?

7 A. Yeah, a casing bond log and a cement bond log is
8 recommended. Also a temperature survey.

9 Q. Okay. Even if -- Well, if cement circulates, do
10 you still recommend the bond log?

11 A. Yes.

12 Q. Okay. And what about the surface casing down to
13 the top of the salt? If they -- if somebody goes to sleep
14 and they drill down in that salt before they try to set
15 that pipe, isn't there kind of a problem there? I mean --

16 A. It's a possibility, especially since you're going
17 to be using fresh water on that just to go down to that
18 depth. You have to be real careful. The top of the
19 anhydrite is pretty well mapped in that area, and I went
20 through the well files of every well that was around it,
21 and it looks like it's from 1100 to 1107 feet.

22 And if you go 50 feet into it you're still okay,
23 because the salt doesn't actually begin till about 1190.

24 Q. Okay. It would -- They would set a conductor out
25 there?

1 A. They don't necessarily have to set a conductor,
2 they'd set 9-5/8 just straight down to that depth, and it
3 circulates --

4 Q. That's redbeds above --

5 A. Yeah, there's some redbeds, and that's where
6 these lenses of the Santa Rosa water are, is inside the
7 redbeds.

8 Q. They have to get it done in a hurry and get that
9 casing --

10 A. Keep them from sloughing off on them inside.

11 Q. Yeah.

12 A. But they can use caustic or something to control
13 the redbeds.

14 Q. As far as the backside goes, do you want that
15 specified as diesel or something, or would you rather let
16 Targa come up with their own --

17 A. When you said that a minute ago, I was kind of --
18 What are you talking about?

19 Q. Well, at least it's less corro- -- you know --

20 A. Yeah, it's less corrosive.

21 Q. -- corrosive, and that's what they're putting in
22 some of these acid gas wells --

23 A. Yeah.

24 Q. -- on the backside, is diesel, and --

25 A. I still think cement is your best bet.

1 Q. Okay. But what I meant was --

2 A. While they're drilling?

3 Q. No, no, I'm talking about between the tubing --
4 injection tubing and the casing --

5 A. Oh, okay.

6 Q. -- the actual annulus --

7 A. Yeah. Well, you could do that. We always used
8 inhibited water --

9 Q. Okay --

10 A. -- which has --

11 Q. -- so --

12 A. -- which has -- and which I'd recommend that that
13 goes in there.

14 Q. Yeah. Now the MITs, we've had, you know, Class
15 II is required every five years. And this is an acid gas
16 well, and we've had the Artesia District tell us they don't
17 want their inspectors out there on these wells every year;
18 they want some kind of a setup on the wells that will kind
19 of maintain -- or determine whether they maintain
20 mechanical integrity, that will keep their inspectors from
21 the danger of --

22 A. You mean pressure monitoring devices?

23 Q. Something -- I guess a pressure monitoring
24 device, yeah.

25 A. Yeah. Well, you can do that. But you really

1 need somebody out there to run the pressure test.

2 Q. How often do you recommend an MIT on these acid
3 gas wells like that?

4 A. Don't know yet. Realistically, I would say
5 probably about every two to three years.

6 Q. Okay, but more than --

7 A. More than a standard well. You could do a yearly
8 test, it's really not that difficult to do. But at the
9 same time, most of our wells were on a five-year schedule.

10 Q. Okay. I think -- is this -- the wellhead on the
11 plant property itself?

12 MR. WRANGHAM: Yes.

13 Q. (By Examiner Jones) It's just a long ways away
14 from one of those sites where it's bringing in, but it's on
15 the plant property.

16 A. Uh-huh.

17 Q. So the inspector would have to come in on the
18 plant --

19 A. Uh-huh.

20 Q. -- property? Is that commonly done?

21 A. Uh-huh.

22 EXAMINER JONES: Okay, I don't have any more
23 questions.

24 MS. ALTOMARE: The only thing I wanted to clarify
25 is, I don't think that we would have any objection that --

1 if the order was written up with certain specifics, that
2 there was a caveat in there that, you know, any changes
3 just be approved and run by Chris prior to -- so that we
4 don't have to come back to address changes to the order or
5 whatever. I think the OCD's primary concern is just that
6 we have something -- some kind of structure on the record
7 and established in the order, and then from there Chris can
8 work with Targa to make sure that everything goes smoothly.

9 MR. CARR: Mr. Jones, we would ask that that be
10 in the order. And the basis for my concern was, you know,
11 we haven't had many applications for acid gas injection
12 wells, and I sense there's sort of a feel-our-way-in aspect
13 to a lot of this. When we were doing this with horizontal
14 wells and we started putting in very definite numbers and
15 requirements, we discovered after we drilled and completed
16 the well we had to come back and amend the order so it
17 matched what actually had happened in the hole.

18 And so if there would be a provision that there
19 will be lined tubing and that the cement will be -- all
20 those things, we have no objection to that. We're
21 intending to do that. We just wouldn't like for that
22 provision to limit Targa's ability to work with Mr.
23 Williams as they get in there and start to do this.

24 EXAMINER JONES: Okay. So technically, the
25 Division has not objected to this, just have concerns that

1 needed to be -- I'm just thinking about, you know, any kind
2 of communication between now and the time the order is
3 written. Would you want to be in the loop on all that,
4 anything that, anything that comes by, or --

5 MS. ALTOMARE: I think --

6 EXAMINER JONES: I need to ask Mr. Wrangham a
7 question, probably through Bill Carr, obviously, but --

8 MR. CARR: Mr. Jones, if you ask me questions
9 about this case during the very short time frame we
10 anticipate it will take to get the order, you should
11 include your counsel.

12 EXAMINER JONES: Okay. I'd like to say, Mr.
13 Wrangham, we're not -- Thanks for coming today, we
14 appreciate it. And we're not -- We're glad you're putting
15 this stuff back in the ground, instead of in the
16 atmosphere, and don't feel like you're being picked on too
17 much here, we're just --

18 MR. WRANGHAM: Okay, thank you.

19 EXAMINER JONES: But like Bill said, we're trying
20 to get our procedures going on acid gas wells in the state.
21 We've only got about five or six of them so far.

22 MR. WRANGHAM: Yeah. Sure, I understand.

23 MS. ALTOMARE: And I think the bottom line that
24 we wanted to get on the record is that the Division does
25 not oppose the approval of this permit. But again, we are

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

feeling our way around, and we want to make sure that there are certain things on the record that we can come back later and make sure that everything lines up properly.

EXAMINER JONES: Okay, thanks.

MR. CARR: Thank you, Mr. Jones.

MS. ALTOMARE: Thank you very much.

EXAMINER JONES: With that, we'll take Case 13,865 under advisement and try to get an order out as soon as possible.

(Thereupon, these proceedings were concluded at 12:38 p.m.)

* * *

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. _____ heard by me on _____

_____, Examiner
Oil Conservation Division


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
 COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL July 31st, 2007.



STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 16th, 2010