

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)
)
APPLICATION OF SDX RESOURCES, INC.,) CASE NO. 13,923
FOR APPROVAL OF A WATERFLOOD PROJECT,)
EDDY COUNTY, NEW MEXICO)
)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: WILLIAM V. JONES, Jr., Hearing Examiner

May 24th, 2007

Santa Fe, New Mexico

2007 JUN 7 AM 9 28

This matter came on for hearing before the New Mexico Oil Conservation Division, WILLIAM V. JONES, Jr., Hearing Examiner, on Thursday, May 24th, 2007, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

May 24th, 2007
Examiner Hearing
CASE NO. 13,923

	PAGE
EXHIBITS	3
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>RICHARD JORDAN</u> (Geologist)	
Direct Examination by Ms. Munds-Dry	5
Examination by Examiner Jones	12
<u>CHARLES M. MORGAN</u> (Engineer)	
Direct Examination by Ms. Munds-Dry	22
Examination by Examiner Jones	37
Examination by Mr. Brooks	46
Further Examination by Examiner Jones	51
Further Examination by Mr. Brooks	55
REPORTER'S CERTIFICATE	57

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1 (Tab 7)	7	12
Exhibit 2 (Tab 8)	9	12
Exhibit 3 (Tab 9)	10	12
Exhibit 4 (Tab 1)	23	37
Exhibit 5 (Tab 2)	25	37
Exhibit 6 (Tab 6)	24	37
Exhibit 7 (Tab 3)	27	37
Exhibit 8 (Tab 4)	28	37
Exhibit 9 (Tab 5)	34	37
Exhibit 10 (Tab 6)	35	37

* * *

A P P E A R A N C E S

FOR THE DIVISION:

DAVID K. BROOKS, JR.
 Assistant General Counsel
 Energy, Minerals and Natural Resources Department
 1220 South St. Francis Drive
 Santa Fe, New Mexico 87505

FOR THE APPLICANT:

HOLLAND & HART, L.L.P., and CAMPBELL & CARR
 110 N. Guadalupe, Suite 1
 P.O. Box 2208
 Santa Fe, New Mexico 87504-2208
 By: OCEAN MUNDS-DRY

* * *

1 WHEREUPON, the following proceedings were had at
2 8:56 a.m.:

3
4
5
6 EXAMINER JONES: And let's call Case 13,923,
7 Application of SDX Resources, Inc., for approval of a
8 waterflood project, Eddy County, New Mexico.

9 Call for appearances.

10 MS. MUNDS-DRY: Mr. Examiner, Ocean Munds-Dry
11 with the law firm of Holland and Hart, here representing
12 SDX Resources, Inc., this morning.

13 I have two witnesses.

14 EXAMINER JONES: Any other appearances?
15 Will the witnesses please stand to be sworn?
16 (Thereupon, the witnesses were sworn.)

17 MS. MUNDS-DRY: Mr. Examiner, I'd like to call
18 Richard Jordan.

19 Mr. Examiner, you may recall this Application.
20 We've sort of done this in two parts.

21 Administratively, I believe you're reviewing the
22 Application for the authorization to inject, and this
23 Application is -- this part of the Application has been
24 brought to approve the initial waterflood project.

25 EXAMINER JONES: Got it right here.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

RICHARD JORDAN,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MS. MUNDS-DRY:

Q. Would you please state your name for the record?

A. Richard Jordan.

Q. Where do you reside?

A. Midland, Texas.

Q. And by whom are you employed?

A. SDX Resources.

Q. Have you previously testified before the Division?

A. Yes, I have.

Q. And at the time of that testimony, were your credentials as an expert in petroleum geology accepted and made a matter of record?

A. Yes, they were.

Q. Are you familiar with the Application filed in this case?

A. Yes.

Q. And have you made a geologic study of the area that is subject of the Application?

A. Yes.

Q. And are you prepared to share the results of your

1 work --

2 A. Yes.

3 Q. -- with the Examiner?

4 A. Yes, I am.

5 MS. MUNDS-DRY: Mr. Jones, we would tender Mr.
6 Jordan as an expert in petroleum geology.

7 EXAMINER JONES: How do you spell your last name?

8 THE WITNESS: J-o-r-d-a-n.

9 EXAMINER JONES: Okay, Mr. Jordan is qualified as
10 an expert in petroleum geology.

11 Q. (By Ms. Munds-Dry) Mr. Jordan, will you briefly
12 summarize what SDX seeks with this Application?

13 A. To initiate a waterflood in Section 32, 17 South,
14 28 East.

15 Q. And what formation do you seek to inject in?

16 A. In the San Andres.

17 Q. And is there another waterflood over this area?

18 A. Over the area or around the area?

19 Q. Around the area.

20 A. Yes, there are, yes.

21 Q. Okay. Will you generally describe the geology of
22 the formation in this subject area?

23 A. San Andres is in general a shoaling upward
24 sequence where you -- in this area you see a transition as
25 you come up, throughout the formation, from a subtidal to

1 intertidal to supertidal deposits, where the supertidal
2 basically sealed the lower part of the San Andres, a lot of
3 the anhydrite plugging, very tight formation.

4 As you get to the middle San Andres, you'll --
5 intertidal shoreline-type facies, and at depth they get
6 more subtidal, with less dolomitization, but still
7 dolomitized as well.

8 Q. And what's the thickness of the formation in this
9 area?

10 A. Overall, 1000, 1100 foot. The pay interval we're
11 looking at is approximately 350 to 450 feet.

12 Q. Thank you. If you could please turn to SDX
13 Exhibit Number 1, which I believe is behind Tab Number 7.

14 Mr. Examiner, we're going to test your skill of
15 following us along this morning.

16 EXAMINER JONES: Okay.

17 MS. MUNDS-DRY: We're going to be kind of jumping
18 around this book a little bit.

19 Q. (By Ms. Munds-Dry) What is Exhibit Number 1?

20 A. This is a top San Andres structure map. The SDX
21 acreage in the area is depicted in yellow. And the map
22 indicates a structural ridge trending east-northeast, which
23 actually extends from the Artesia area --

24 MS. MUNDS-DRY: Mr. Examiner, I believe that's
25 behind Tab 7.

1 EXAMINER JONES: Tab 7, sorry.

2 MS. MUNDS-DRY: See, I told you we were going to
3 test you.

4 EXAMINER JONES: Already failed.

5 MS. MUNDS-DRY: And Mr. Examiner, we've also
6 brought you the larger versions of this, if you would like
7 to use those as well.

8 EXAMINER JONES: That's okay --

9 MS. MUNDS-DRY: Okay.

10 EXAMINER JONES: -- maybe not.

11 MR. BROOKS: Where is Exhibit Number 1?

12 MS. MUNDS-DRY: Go to Tab Number 7.

13 EXAMINER JONES: Tab 7.

14 MR. BROOKS: Tab 7, okay. Strange arrangement.

15 MS. MUNDS-DRY: Sorry about that.

16 EXAMINER JONES: It's all right.

17 MR. BROOKS: Okay.

18 MS. MUNDS-DRY: We'll make it lively.

19 Q. (By Ms. Munds-Dry) Mr. Jordan, go ahead.

20 A. That structural ridge serves as the locus point,
21 if you will, for a number of these fields which are stacked
22 in this area, compacting the lateral facies transition
23 which gave rise to the reservoirs, beginning with the Abo
24 all the way up to the Grayburg reservoirs in the area.

25 Q. And what does the yellow indicate here on the

1 map?

2 A. That is the SDX acreage position in the area.

3 Q. And can you show the Examiner where the initial
4 well for injection is located?

5 A. It's indicated by an orange triangle in the
6 southwest portion of Section 32.

7 Q. Thank you, Mr. Jordan.

8 If you'd please turn to Exhibit Number 2, which I
9 believe is behind Tab Number 8, and identify and review
10 that for the Examiner.

11 A. This exhibit is a stratigraphic cross-section.
12 The datum is hung on the top of the Premier sand interval,
13 which is the basal Grayburg, and depicts the relationship
14 of the San Andres in this portion of the SDX position.

15 You'll note the upper San Andres is a very tight
16 unit with the exception of that very thin Lovington sand
17 interval. If you come down, we have highlighted -- the
18 density log is off-scale, just emphasizing how tight that
19 rock is. It's highlighted in purple.

20 EXAMINER JONES: Okay.

21 THE WITNESS: Approximately 400 foot into the San
22 Andres, or halfway into the middle San Andres as we
23 designate it, you'll note we start incurring porosity.
24 It's highlighted in red in track 3 of the logs on each of
25 the cross-section wells.

1 Also indicated in the center bar is the
2 perforation intervals in each of these wells. Well
3 completion histories are noted at the base.

4 As you go down below that middle San Andres,
5 upper/lower San Andres completion interval, you'll not that
6 we get considerably tighter again, based upon the log
7 presentation.

8 If I can direct your attention to Section 9 while
9 the cross-section is still out -- It's in your book behind
10 Tab 9.

11 Q. (By Ms. Munds-Dry) Tab 9, Mr. Jordan?

12 A. I apologize, it's behind Tab 9.

13 EXAMINER JONES: Tab 9?

14 Q. (By Ms. Munds-Dry) And I believe this is what
15 has been marked Exhibit Number 3; is that correct?

16 A. This is a sidewall core report we took on the
17 Northwest State Number 7 well, which SDX drilled in
18 September of 1999. You'll note that the completion
19 interval in that well was 2472 to 2762, and that
20 encompasses the upper seven of those San Andres sidewall
21 cores. A porosity range in there from 5 percent to 8
22 percent, with permeabilities ranging from .05 millidarcies
23 to 5.8.

24 If you go below that, you not that we get
25 considerably tighter.

1 If you turn to the next page behind the core
2 analysis report, that rather ugly rock is that lower San
3 Andres that's below the completion interval. It's tight
4 wackestone, you've got fossils, a lot of which have been
5 replaced, but you can still see large fragments. This is a
6 lower-energy, tighter environment.

7 If you would -- you'll note, also, we're looking
8 at .08 millidarcies on that sample, with three, sub-four
9 percent measured in thin section on the porosity.

10 The next page is representative of the
11 completion-interval rock, the blue indicating the porosity
12 there from thin-section analysis, the difference being 9
13 percent porosity and 3.2 millidarcies.

14 So that given interval across this part of the
15 SDX acreage position, you've got a sealed, tight cap on it
16 with that supra-tidal environment, and this lower tight
17 environment below the interval, so it sets up for a fairly
18 effective potential waterflood interval.

19 Q. And I think you've summarized it pretty well
20 right now, but after you've reviewed the geology in this
21 area, what geologic conclusions do you have for this
22 project?

23 A. Well, we think it sets up, based upon the
24 stratigraphy and the structure, that this will be a fairly
25 effective waterflood and increase recovery with a minimum

1 of additional infill drilling, but utilizing a waterflood
2 operation.

3 Q. Mr. Jordan, were Exhibits 1 through 3 either
4 prepared by you or under your supervision?

5 A. Yes.

6 MS. MUNDS-DRY: Mr. Examiner, we would ask that
7 Exhibits 1 through 3 be admitted into evidence.

8 EXAMINER JONES: Exhibits 1 through 3 will be
9 admitted to evidence.

10 MS. MUNDS-DRY: And I have no further questions
11 for Mr. Jordan.

12 EXAMINATION

13 BY EXAMINER JONES:

14 Q. Mr. Jordan, these two thin sections of the pay
15 interval, they're just different views or something?

16 A. Yes, just different magnifications.

17 Q. Okay, magnifications. And --

18 A. It's much prettier under the larger one.

19 Q. Yeah. Looks pretty tight, looks -- Only 9
20 percent. This was measured nitrogen porosity, is that what
21 that was, the core porosity?

22 A. But it's done on the little sidewall, so --

23 Q. The sidewall.

24 A. Yeah.

25 Q. And how does that correspond to the log porosity

1 that you've got?

2 A. It's actually -- the core measures out a little
3 higher than what we see -- what you'd give it on log.

4 It's --

5 Q. How do you explain that?

6 A. Well, the log porosity reading about 6, 7, this
7 is, you know, 2 percent either way --

8 Q. That's --

9 A. -- it's -- yeah, it's pretty much.

10 Q. Yeah. And these -- the fossils that you can see,
11 they're just the ones that weren't dolomitized totally or
12 something?

13 A. Right, they weren't -- You know, you get into
14 brachiopods and you'll -- sometimes even out here, you'll
15 see sponge remnants and whatnot. Deeper water, less
16 reworking, so you've got some of that evident. When we
17 start seeing the larger fossil fragments, we're assuming
18 we're a little more subtidal.

19 Q. As a geologist, looking at these logs and these
20 cores and the overall geology, how do you determine this is
21 a good waterflood candidate?

22 A. Well, when we take a -- we've actually taken a
23 couple of sidewalls up in that upper stuff, just to
24 demonstrate to ourselves how tight it is.

25 Q. Okay.

1 A. There is no measurable log porosity above this
2 interval. And below it we see a -- you know, distinctive
3 facies changes indicated on the thin-section micrographs.

4 So given the fact that we're looking at, you
5 know, up to 5 millidarcies, for the San Andres that's
6 pretty good.

7 Q. Yeah.

8 A. So -- and it has worked in the area on trend in
9 the same interval.

10 Q. What kind of -- would that on a geometric-average
11 basis or a log-normal median or something -- is there a
12 statistical average for that permeability and porosity
13 numbers? Did you look at those, or --

14 A. We've tried plotting them on several reports. It
15 kind of bounces around, but it's -- you know, I'd hate to
16 hang my hat on anything on the San Andres as far as -- you
17 know, if I've got 7-percent porosity, I'm going to have 2.3
18 millidarcy, I don't think it --

19 Q. So you -- there's no correlation between the
20 porosity and the perm?

21 A. Well, yeah, the higher the porosity, usually the
22 more connected and the better the perm becomes. But every
23 once in a while you will see a situation where you've just
24 got, you know, dissolved vugs, and where it's not. So
25 there's where I get a little hesitant to --

1 Q. Yeah.

2 A. -- go push that too far.

3 Q. After looking at this, what kind of completions
4 would you say would optimum here? I mean, acid job -- big
5 acid jobs, or big frac jobs, or what?

6 A. Since I came with the fellow who did the
7 completions, let me state -- start out with an acid job and
8 then go into a frac.

9 Q. Fracs were necessary?

10 A. Yes, absolutely.

11 Q. And the -- what about this tombstone below and
12 above? Is this fractured?

13 A. No.

14 Q. Did you say something about --

15 A. There -- you'll see some healed fractures on -- I
16 believe you're referring to that one photo. You'll see
17 some, very micro. But it's more related to the re-
18 dolomitization. Above it, no. Below it, not really.

19 Q. So you think this water injection would be
20 contained in the injection interval?

21 A. Absolutely, yes.

22 Q. And how does this area relate to other areas that
23 you looked at in the general vicinity with the San Andres?

24 A. This middle -- or as we've designated, lower,
25 middle and upper-lower, but this interval extends from

1 Atoka to -- a township and a half to the west-southwest,
2 and extends for another two townships all over the edge of
3 the Burch-Keely, I believe, is the area, which would be two
4 townships to the east. You contract these zones.

5 Now there is a little bit of movement up and down
6 as to how thick the upper San Andres is, but following that
7 middle porosity unit, you can trace for approximately four
8 townships.

9 Q. Okay, so is there other waterfloods that --

10 A. Yes, there are.

11 Q. -- would be similar to this as far as rock
12 characteristics?

13 A. Yes.

14 MS. MUNDS-DRY: And Mr. Examiner, Mr. Morgan, who
15 we're going to call next, is prepared to discuss some of
16 the other waterfloods in this area.

17 EXAMINER JONES: Okay.

18 Q. (By Examiner Jones) Okay, the -- What about
19 these Premier sands and the Lovington sand up above it? Is
20 that owned by SDX, and is that production zone or --

21 A. Yes, and yes.

22 Q. Okay.

23 A. There has been Premier production. In fact,
24 there's Premier unit that the -- wait a minute, I'm trying
25 to track this down. The Artesia unit, north Artesia unit,

1 I believe, is the Premier unit.

2 Q. So these are actually waterflooded, these sands?

3 A. Above, yes. But those wells were not even
4 drilled into this section. This play is more a function of
5 the mid-'90s on. Typically, you'd have wells drilled
6 either just toeing into the San Andres, or just into the
7 Lovington --

8 Q. Okay.

9 A. -- at that depth.

10 Q. So they were just targeting the Grayburg?

11 A. Yes.

12 Q. And now you're targeting the San Andres. But
13 you're not -- I guess Mr. Morgan would tell me more about
14 the commingling. You don't intend to do any commingling
15 here between the Grayburg and the San Andres?

16 A. In this project, no.

17 Q. Oh.

18 A. No.

19 Q. Okay, what about -- what about trap here, as far
20 as -- you say it's kind of a stratigraphic-type
21 confinement. What about areally? Is there -- You probably
22 just told me. Is -- that it's kind of --

23 A. Well, normally the San Andres reservoir is -- the
24 breadth of the trap is probably four miles, five miles.
25 But with this ridge that runs from Artesia, sort of south

1 of Artesia all the way over to Vacuum, you actually are
2 sitting out in front of what normally would be the shelf,
3 and you compact it into this sort of false ridge out there,
4 false shelf, if you will.

5 So you have compacted one mile, one and a half
6 mile breadth of that reservoir --

7 Q. Okay.

8 A. -- stratigraphic trap caused by that structural
9 ridge underneath it.

10 Q. There's a ridge under -- it's in the Glorieta or
11 something, or in the Abo?

12 A. The Abo, yes.

13 Q. Is that a reef, Abo reef?

14 A. That's the Abo re- -- Empire-Abo is right here,
15 so...

16 Q. Okay. And the San Andres that's so much better
17 in the Vacuum field is -- you say it's on trend with this,
18 but it's so much better because of more dolomitization or
19 something, or -- In other words, why is this not -- this
20 doesn't look like the porosity in the Vacuum field, you
21 know --

22 A. Well --

23 Q. -- I mean --

24 A. -- I haven't worked the Vacuum. This particular
25 reservoir was bypassed for years. I mean -- yeah, I

1 believe it just started being developed in the late '90s --
2 late '80s, over in this part. Over in the Atoka area, four
3 townships to the west, it had been developed in the '40s.

4 Q. Okay.

5 A. But this had always been bypassed because it
6 didn't look very good. But it certainly has produced well.

7 Q. Okay. Well, I noticed that the initial -- I
8 guess these are IPs here --

9 A. Yes.

10 Q. -- here on the bottom?

11 A. Yes.

12 Q. They're pretty decent. Water production is
13 pretty good up there, but -- is that -- Did you look at the
14 water analysis or anything, or is that typical San Andres
15 water or --

16 A. Yes.

17 Q. Okay.

18 A. Yeah.

19 Q. And the -- If you were going to pick just one
20 little zone on any of these logs that you could get pure
21 oil and gas, could you do that and get away from the water
22 at all?

23 A. I don't -- I -- in fact, I don't think -- you're
24 better -- You want water with the San Andres. I mean,
25 you're going to get better production if you get in some

1 water, because you've got some permeability at that point.

2 Q. Okay. So it's kind of a -- it's always kind of
3 in a gradational --

4 A. Yes.

5 Q. -- contact?

6 A. Yes.

7 Q. And as far as the variation areally within the
8 proposed area to be -- Obviously we're not unitizing
9 anything here today, right? We're --

10 MS. MUNDS-DRY: No.

11 EXAMINER JONES: -- proposing a waterflood on a
12 lease?

13 MS. MUNDS-DRY: Yes.

14 EXAMINER JONES: Just a lease.

15 MS. MUNDS-DRY: Right.

16 Q. (By Examiner Jones) Okay. Across this lease,
17 which areas are better and which areas are worse? Or are
18 they all the same, pretty much?

19 A. Well, I'd have to say the wells up in the
20 northeast corner, which is where we initiated the program,
21 probably have been the best.

22 Q. Up in Section 29 and 32?

23 A. No, no, in 32.

24 Q. Okay. The best, meaning less water, more
25 porosity -- ?

1 A. They've produced more so far.

2 Q. Okay.

3 A. But they -- pretty much, they look very similar.

4 EXAMINER JONES: What do you -- I guess -- okay,
5 that -- That's all I have.

6 David, do you have questions for Mr. Jordan?

7 MR. BROOKS: I guess not. I'll hear what the
8 next witness testifies.

9 EXAMINER JONES: Okay, thanks very much.

10 Should we leave these exhibits out?

11 MS. MUNDS-DRY: I don't think we'll need them.

12 EXAMINER JONES: No more geology?

13 MS. MUNDS-DRY: No geology. We're going to
14 transition to some engineering.

15 EXAMINER JONES: Okay. Okay, am I correct to
16 assume you're asking for this injection well to be released
17 as a saltwater disposal well, or as an injector in a
18 waterflood?

19 MS. MUNDS-DRY: Let's ask Mr. Morgan that
20 question --

21 EXAMINER JONES: Okay.

22 MS. MUNDS-DRY: -- so I don't have to guess.

23 EXAMINER JONES: Okay.

24 MS. MUNDS-DRY: And Mr. Examiner, if you're ready
25 I'd like to call Chuck Morgan.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CHARLES M. MORGAN,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MS. MUNDS-DRY:

Q. Good morning. Would you please state your full name for the record?

A. It's Charles Martin Morgan.

Q. And where do you reside?

A. In Midland, Texas.

Q. And by whom are you employed?

A. By SDX Resources.

Q. And have you testified before the Oil Conservation Division?

A. Yes, I have.

Q. And at the time were your credentials made a matter of record?

A. Yes, they were.

Q. And have you -- are you familiar with the Application filed in this case?

A. Yes, ma'am, I am.

Q. And have you made an engineering study of the area?

A. Yes, I have.

Q. And are you prepared to share the results of your

1 work with the Examiner?

2 A. Pardon?

3 Q. Are you prepared to share the results of your
4 work with the Examiner?

5 A. Yes, I am.

6 MS. MUNDS-DRY: We would tender Mr. Morgan as an
7 expert petroleum engineer.

8 EXAMINER JONES: Mr. Morgan is qualified as an
9 expert petroleum engineer.

10 Q. (By Ms. Munds-Dry) Mr. Morgan, what is the
11 status of the land on which the well will be drilled? And
12 I'll ask you to refer to Tab 1, which has been marked
13 Exhibit Number 4.

14 A. It's primarily state -- well, it is all state
15 lands, as far as the minerals are concerned, and it is fee
16 surface.

17 Q. And on this Exhibit Number 4, what does the
18 yellow boundary show us?

19 A. The yellow is the boundaries of what we call the
20 NW State Lease.

21 Q. And does SDX Resources have all the necessary
22 rights to use the lands for this project?

23 A. Yes, we do.

24 Q. And if you would please turn to the next page,
25 refer to those plats and identify what these are for the

1 Examiner.

2 A. The next page is a two-mile area of review around
3 the first proposed injection well. I'll take a moment here
4 to address Will's question on whether or not we wanted this
5 as a saltwater disposal well or -- We want it as an
6 injection well in the waterflood.

7 EXAMINER JONES: Okay.

8 Q. (By Ms. Munds-Dry) Thank you for answering that
9 before I forgot.

10 A. Okay. Did I get ahead of you?

11 Q. And what's the next page?

12 A. The next one is a half-mile area of review around
13 the first injection well, which is the NW State Number 8.

14 Q. And the next page?

15 A. The next page is a copy of the notification of
16 the offset operators and the surface owner that were
17 notified for the waterflood Application and for the C-108
18 on the NW Number 8 injection well.

19 Q. And if I can ask you to flip back to Tab Number
20 6, identify what Exhibit Number 6 is for Mr. Jones.

21 A. Exhibit Number 6 is a letter that we presented to
22 Marbob and to Johnny Gray, who is the fee surface owner,
23 telling him what our plans were. And he acknowledges in
24 this letter that he has no objections to our use of the
25 surface for our waterflood operations.

1 Q. And did we receive any objections from any of the
2 offset operators that we've identified in our list back at
3 Tab Number 1?

4 A. No, I did not.

5 Q. And what is the next -- Let's just briefly
6 identify this for the Examiner. What's the next document
7 here behind Tab Number 1?

8 A. Okay, behind Tab Number 1? You're looking at a
9 list of all of the wells in the half-mile area of review
10 around the NW Number 8.

11 Q. How many wells are in that area of review? Do
12 you recall?

13 A. Let's see, about 45.

14 Q. And how many are in the injection interval?

15 A. Twenty.

16 Q. And then the next set of documents behind the
17 C-108 well data sheet?

18 A. That is a summary of all of SDX's wells in the NW
19 lease and their completion intervals and the type of
20 completions that was done on them.

21 Q. So this provides a summary for the Examiner?

22 A. Yes, ma'am.

23 Q. Mr. Morgan, would you please turn to Tab Number
24 2, which is marked as Exhibit Number 5, and review that for
25 the Examiner?

1 A. This is just a summary of the proposed waterflood
2 project, basically stating that there are 560 acres in this
3 NW lease in which SDX has drilled 20 wells that were
4 completed in the middle San Andres. It goes into -- our
5 EUR for the lease is expected to be close to 1 million
6 barrels. Current decline rate is 12 to 14 percent.
7 Estimated recovery factor on primary is going to be 10
8 percent. And our original oil in place is over 10 million
9 barrels.

10 There is also some more reservoir engineering
11 going into what we expect our secondary recovery effort to
12 yield, which is about a 1-to-1 ratio, secondary to primary.

13 Q. And I believe you've also identified the first
14 injection well --

15 A. Yes, I have.

16 Q. -- on the summary?

17 A. The NW Number 8 well is identified there, and its
18 EUR 32,000 barrels, and its original oil in place, 327,000.

19 Q. Mr. Morgan, if you go another page back, this
20 also gives your annual cash-flow report?

21 A. Yes. There's a reservoir engineering study on
22 the NW Number 8 by itself, which includes cash flow report.
23 Behind that, there's decline curves demonstrating the 12-
24 percent decline. And I went on further to include a cash-
25 flow report on the entire lease, all 20 wells.

1 There is a summary lease report which, in the
2 Power Tools program, summarizes each individual well. I
3 believe that's the third page back of the engineering work.
4 And what that does is summarize each individual well and
5 adds them all together. And if you'll notice as you go
6 along, when wells become uneconomic they drop out. And
7 there's a decline curve behind that.

8 The next part of that is what Power Tools does,
9 is create a summary lease, and it just summarizes
10 everything and treats it as one well. So you'll notice it
11 carries 20 wells throughout. It doesn't drop any out,
12 because the project does not become uneconomic. What I'm
13 demonstrating there is the EUR of the lease.

14 Down in the lower right-hand portion of these
15 cash flow summaries, you'll notice the ultimate gross, and
16 that's the EUR -- anticipated EUR for the lease in oil and
17 gas.

18 Q. Thank you, Mr. Morgan. If you'd please turn to
19 Tab Number 3, what's been marked Exhibit Number 7, and
20 identify that for Mr. Jones.

21 A. This is the C-108 that was previously submitted
22 on the NW State Number 8 well.

23 Q. And is this Application complete?

24 A. Yes, it is.

25 Q. And have you reviewed this proposed project

1 previously with the OCD?

2 A. Yes, I've spoken with Will before on it.

3 Q. When did SDX first file this Application? Do you
4 recall?

5 A. I believe it was filed in April, April 16th.

6 Q. And I believe that I indicated before to Mr.
7 Jones that part of this Application is being processed
8 administratively --

9 A. Yes.

10 Q. -- for the initial injection well?

11 A. That's correct.

12 Q. And is this the creation of a new project?

13 A. Yes, it is. I would like to address at this
14 time, if that's all right with you -- Let me see which tab
15 this is.

16 Q. Tab Number 4.

17 A. Yes, ma'am, Tab Number 4. The first part of Tab
18 Number 4 is an offset waterflood that BP is putting in, in
19 Section 33, which is basically, you know, one section away.

20 Skipping past that, there is a map behind that BP
21 Application. SDX currently operates a waterflood directly
22 above our NW lease. I'm going to take a moment here and
23 try to clarify some confusion that will probably be
24 created.

25 There is an old waterflood unit right above the

1 NW lease. It's called the northwest Artesia unit. And
2 there's a map directly behind that BP application that has
3 the northwest Artesia unit boundaries outlined in yellow.
4 It also has all of the northwest Artesia unit wells,
5 including their injection wells, spotted, and the NW State
6 wells are also spotted on there.

7 The reason I'm bringing this to your attention,
8 directly behind that map is an R order, R-4727, which was
9 granted when this was unitized as a waterflood. This
10 waterflood flooded primarily the Grayburg, actually the
11 Premier sand, basically. It did not waterflood the San
12 Andres, and most all of those wells were not drilled to the
13 San Andres.

14 Q. Do you know why that was, Mr. Morgan?

15 A. No, I'm sure at that time they were just after
16 the Premier sand which was, you know, a good waterflood
17 project.

18 In this R order, the language, they did mention
19 that they were going to inject, in the order, into the
20 Grayburg-San Andres formation. That's why I'm bringing
21 this out right now, because I didn't want to create
22 confusion later on.

23 Q. And SDX is the operator now of this waterflood?

24 A. Yes, ma'am, we are. This waterflood is also in
25 its later stages of life. We will be gradually phasing it

1 out.

2 You mentioned earlier, Mr. Jones, about
3 unitizing. At this time we're not going to pursue that.
4 The royalty owners and everybody in this area -- there's a
5 million of them. It would take probably a couple of years
6 to put a unit together right here, or even to extend the
7 boundaries of the northwest Artesia unit. It's a very
8 mature area, and the mineral owners are numerous and hard
9 to find.

10 Q. And if you could turn back to Tab 3, and we'll go
11 back to our review of the C-108 --

12 A. Okay.

13 Q. -- if you'll flip to the wellbore sketches here
14 and review those for the Examiner. I believe it's the --

15 A. Okay.

16 Q. -- one, two -- the third --

17 A. The third page --

18 Q. -- third page.

19 A. -- is the wellbore schematic of the NW State
20 Number 8. The well was drilled to 3300 feet. Our primary
21 target was the -- what we call the middle San Andres
22 perforations from 2523 to 2859. All of the wells in this
23 are that SDX drilled in the NW lease were similar to this
24 depth. Cement was circulated on both the surface and on
25 the long string on all of the wells that we drilled, and

1 they're all pretty similar to this.

2 What we propose to do is set a packer
3 approximately 75 to 100 feet above the existing perfs and
4 inject through plastic-coated tubing.

5 The next wellbore diagram is the anticipated
6 condition of the first injection well.

7 Q. And what water injection volumes does SDX
8 propose?

9 A. We're proposing to inject 500 barrels a day into
10 this well. I imagine after fill-up that will be quite a
11 bit less, probably around 300.

12 Q. And will the system be open or closed?

13 A. It will be closed.

14 Q. And will you be injecting under pressure?

15 A. Yes, we will.

16 Q. What's your proposed average injection pressure?

17 A. The average injection pressure will be less than
18 500 pounds.

19 Q. And if a higher pressure is needed, will SDX
20 justify the higher pressure amount by a Division-witnessed
21 step rate test?

22 A. Yes.

23 Q. And are there plugged and abandoned wells in the
24 area of review?

25 A. Yes, there are.

1 Q. If you will please turn to the next page and
2 review that for the Examiner?

3 A. The next page is a schematic of the Aspen 32
4 State C Number 1, which is a plugged well within the half-
5 mile area of review.

6 Q. And this is the only well that exists within the
7 half-mile area of review --

8 A. It's the only plugged well in the half-mile area
9 of review that penetrated the injection zone.

10 Q. And have you reviewed the data available on this
11 well within -- and other wells within the area of review
12 for this waterflood project and satisfied yourself that
13 there's no remedial work required on any of the wells to
14 enable SDX to safely operate this project?

15 A. Yes.

16 Q. And if you would please turn to the next page and
17 describe the formation water in the proposed injection
18 zone?

19 A. The formation water that will be injected is
20 primarily produced San Andres water from the same
21 formation, ranging in chlorides from 160,000 to 180,000.
22 We have no plans to inject any fresh water.

23 Q. And this report shows the -- this is the water
24 analysis done for the area?

25 A. Yes.

1 Q. And are there any freshwater zones in the area?

2 A. There are limited zones of fresh water within the
3 area. BP actually identified a freshwater well in their
4 waterflood project that I believe is further than a mile
5 away. It's going to be real close to being within a mile,
6 but I think it's outside the mile.

7 Q. And I believe that's in Section 33?

8 A. Yes.

9 Q. In your opinion --

10 A. There are --

11 Q. I'm sorry.

12 A. There are no freshwater wells that I know of in
13 Section 32.

14 Q. In your opinion, will the injection of waters
15 proposed by SDX pose a threat to any freshwater supplies in
16 the area?

17 A. No.

18 Q. And have you examined the available geologic and
19 engineering data on this reservoir, and as a result of that
20 examination have you found any evidence of open faults or
21 other hydrologic connections?

22 A. No, I have not.

23 Q. And I believe you've mentioned this, but in case
24 you want to -- I think we should go back to Tab Number 4
25 and discuss the -- you were discussing the active

1 waterflood in the Grayburg. If you'll turn back to Tab
2 Number 4 --

3 A. Okay.

4 Q. -- and identify, just -- if you'll discuss the BP
5 project for Mr. Jones.

6 A. All right, the first several pages behind Tab 4
7 is the order that was issued for BP's waterflood in Section
8 32. It's their Washington 33 waterflood project. They're
9 proposing to waterflood the Queen, Grayburg and San Andres
10 intervals.

11 Q. And if you would then please turn to Tab Number 5
12 and identify Exhibit Number 9 for the Examiner.

13 A. Behind Tab Number 5 is just a brief summary of
14 what we consider to be an analog waterflood. It's the
15 Atoka-San Andres unit located in Sections 10 through 15 of
16 18-26. And this was one of the few waterfloods where just
17 the middle San Andres was waterflooded. And I included a
18 little bit of reservoir work on that to show the type of
19 recovery that they were able to achieve with their
20 waterflood.

21 Q. Where is this waterflood in relation to SDX's
22 proposed project?

23 A. It's probably about ten miles east of us, and a
24 little bit south -- excuse me, west. It's about ten miles
25 west of us and a little bit south.

1 Q. And the second page, what does this show?

2 A. The second page is a cum curve, just showing the
3 cums of the San Andres unit, Atoka-San Andres unit. Behind
4 that I have an actual decline curve. The Atoka-San Andres
5 unit was unitized, I believe, in '68, and active flooding
6 started in about 1970, which is pretty convenient because
7 that's basically when all of your production data is
8 available on the computer programs, so I've included the
9 decline curve.

10 If you'll notice, during the height they were
11 able to cut their decline rate down to about percent, and
12 towards the end they -- in 1990 they had some interruptions
13 in their injection. I don't know if they were -- had some
14 mechanical problems or why they ceased injection, but their
15 decline rate kicked back up to about 5 percent at that
16 time.

17 The next page is another decline curve with an
18 injection curve on it.

19 Q. And did you expect similar results from this
20 Atoka-San Andres unit to the SDX-proposed project?

21 A. Yes, we did.

22 Q. Or perhaps better?

23 A. Hopefully better, yes, ma'am.

24 Q. Great. If you could turn to Tab Number 6, second
25 page, is Exhibit Number 10 an affidavit of notice

1 indicating that notice was given in accordance with
2 Division Rules, as well as two affidavit of publications
3 and the notice letter and the return receipt green cards
4 that were sent to all offsets and the surface owner?

5 A. Yes.

6 Q. And did SDX also give notice of this Application
7 when it first submitted this Application to the Division?

8 A. Yes, we have a copy of that in here where we did
9 notice the surface owner and the offset operators. And
10 after conversation with Mr. Jones we did resubmit that,
11 because we had used an old address.

12 MS. MUNDS-DRY: And Mr. Jones, you'll notice
13 there's two affidavit of publications. The legal notice
14 was published again to provide some corrected information.

15 EXAMINER JONES: Okay.

16 Q. (By Ms. Munds-Dry) Will approval of this
17 Application be in the best interests of conservation, the
18 protection of correlative rights and the prevention of
19 waste?

20 A. Yes.

21 Q. And were SDX Exhibits 4 through 10 either
22 prepared by you or compiled under your direction or
23 supervision?

24 A. Yes, they were.

25 MS. MUNDS-DRY: We would move the admission of

1 Exhibits 4 through 10 into evidence.

2 EXAMINER JONES: Exhibits 4 through 10 will be
3 admitted.

4 MS. MUNDS-DRY: And I have no further questions
5 for Mr. Morgan.

6 EXAMINATION

7 BY EXAMINER JONES:

8 Q. Okay. Mr. Morgan, the State Land Office, what
9 did they say about this?

10 A. I have not talked to them yet.

11 Q. Are they -- but they're your only royalty owner;
12 is that right?

13 A. As far -- No, there are other -- there other
14 royalty owners in the lease.

15 Q. But -- Okay. So it's not all state lands, then,
16 there's some other --

17 A. Are we talking about overriding royalties or
18 royalty interests? I'm --

19 Q. Well, I'm no landman, but I --

20 A. These are all State leases. There are no fee
21 leases in here, so the State is the only royalty owner.

22 Q. Okay. And where are all these leases? I mean,
23 which -- Is there different tracts?

24 A. This is all one lease.

25 Q. Okay, it's all one lease?

1 A. Yes, sir.

2 Q. And it's a state lease, it's all one lease --

3 A. Yes.

4 Q. -- but there's some overriding royalty interest
5 owners?

6 A. Yes, that's correct.

7 Q. Okay, and Johnny Gray personally owns all the
8 surface here?

9 A. Yes.

10 Q. Not Marbob, Johnny Ray?

11 A. Johnny -- or John R. Gray, LLC.

12 Q. John R. Gray, LLC.

13 A. Yes, sir.

14 Q. I think I've heard of him.

15 But tell me about the northwest part of Section
16 32.

17 A. I have to look at that map again under Tab --

18 Q. It looks like -- Do you guys have a landman on
19 staff, or are you the landman also?

20 A. We use contract landmen when we need to.
21 Otherwise, we do it ourselves. You want to know about the
22 northwest part?

23 Q. Of Section 32.

24 A. Okay.

25 Q. Is that -- one operator owns that, as far in the

1 middle San Andres?

2 A. Yes.

3 Q. Who is that?

4 A. That would be SDX.

5 Q. Oh, you guys -- you guys own that, northwest of
6 Section 32?

7 A. Oh, okay, I see what you're talking about. There
8 are two 40-acre tracts, which would be the south half of
9 the northwest quarter. Is that what you're looking at?

10 Q. Okay, just the whole quarter --

11 A. The north half of that quarter is owned by SDX.

12 Q. Okay.

13 A. If you notice --

14 Q. I did, I saw something about --

15 A. -- the Enron State Number 1 and Number 2 wells,
16 those are owned and operated by SDX.

17 Q. Okay.

18 A. Below that, Marbob, BP and several other people
19 own the south half.

20 Q. So it's basically Marbob, BP and other people?

21 A. I think there's several other people.

22 Q. As far as the controlling interests go?

23 A. Yes.

24 Q. Well, how do you -- What is the current well
25 spacing for production wells out here?

1 A. The current well spacing is 40-acre spacing. We
2 have done some infill drilling, with mixed results.

3 Q. Okay. Okay, so that -- the Northwest State
4 Number 8, that's just converting one of the 40-acre wells;
5 is that right?

6 A. That's correct.

7 Q. So you'd have an 80-acre inverted fivespot
8 pattern; is that right?

9 A. Basically. We have future plans to convert the
10 Number 5 also. We'd like to see how the formation
11 responds.

12 Q. So basically this is -- starting out with one
13 well, you're just testing to see what's the direction of
14 permeability and --

15 A. I would consider this a pilot, yes, sir.

16 Q. So you don't know for sure if you want to drill
17 20-acre spacing, 40-acre fivespots yet.

18 A. That's correct.

19 Q. Okay.

20 A. If you'll notice up in the northeast corner of
21 Section 32, we have done some infill drilling.

22 Q. Okay.

23 A. Mixed results.

24 Q. Okay. But Mr. Jordan said he thought that area
25 was the best area?

1 A. Yes.

2 Q. Okay. So this well, you expect the -- this well
3 could possibly get your production rate back up to the
4 initial production rate on the surrounding wells?

5 A. I would hope that it would, yes. And at best it
6 would alter our current decline rate. Twelve to 14 percent
7 is pretty steep. If we could arrest that down to 3
8 percent, similar to what you saw in the Atoka-San Andres
9 Unit, we would be pleased with that.

10 Q. Okay. The wells that you would convert, would
11 they all be on the interior of the unit, or would you
12 propose any on the exterior of these -- of this lease,
13 to --

14 A. They would --

15 Q. -- confine the injection, for instance?

16 A. I would say they would be primarily on the
17 interior. BP is currently putting in injectors in 33 on
18 that side of us, which would be the east side, and I'm
19 hoping that will take care of everything over there.

20 Q. Yeah.

21 A. This would be more of an extension.

22 Q. Yeah. Except the Premier and those other
23 Grayburg sands are a part of another waterflood; is that
24 right?

25 A. That's correct.

1 Q. Did you say that?

2 A. Yes.

3 Q. Okay. And that's the northwest Artesia unit?

4 A. That's the northwest Artesia unit. If you look
5 at the tab -- Where was that tab? It's in 3, isn't it?

6 Q. Or --

7 MS. MUNDS-DRY: Four, in the middle of those
8 orders, maybe?

9 THE WITNESS: Yes, ma'am.

10 EXAMINER JONES: Okay.

11 THE WITNESS: In the middle of 4. If you'll
12 compare that map to the map in Tab 1, you'll notice that
13 the NWA unit sits right above us, but it's not exactly the
14 same shape and size --

15 EXAMINER JONES: Okay.

16 THE WITNESS: -- but it's pretty similar. And
17 that was put in, I believe -- Depco put that in. Harold
18 Kersey later operated it, and we bought it from Kersey's
19 heirs.

20 Q. (By Examiner Jones) So you guys operate that?

21 A. Yes.

22 Q. And it's -- so -- and it's got a kind of a hole
23 in it for the northwest of the southeast; is that right?
24 That Jeffers Number 1?

25 A. Jeffers Number 1, yes. Mr. Jeffers held that 40

1 out of the unit. It is not in the unit.

2 Q. But he's got a production well there?

3 A. Yes, he does. And we also own the San Andres
4 rights. His production well is strictly to the Premier.
5 We have -- The Jeffers Number 1 on this map is an SDX San
6 Andres producer.

7 Q. Okay.

8 A. And it's part of our NW lease.

9 Q. Okay. And this unit also excludes that Marbob-,
10 BP- and others-operated northwest of Section 32?

11 A. Yes, the south half of the northwest quarter.

12 Q. Okay. What's the well -- These triangles are the
13 injection wells on this one?

14 A. On this one, the three triangles are the
15 injection wells currently active --

16 Q. Three --

17 A. -- in the northwest Artesia unit.

18 Q. Okay. And there is no injection wells over to
19 the west of there, is there? I don't see any west of that.

20 A. There -- At one time there were --

21 Q. Okay.

22 A. -- but they're now inactive. Most of them have
23 been converted to producers.

24 Q. Okay. Now what do you see as the primary reason
25 for forming a waterflood unit here, besides just in the

1 area that you're going to waterflood? I mean, why would
2 you want to include those other areas? Just because
3 they're part of the lease, is that the deal? Like down in
4 Section 6, that -- I guess you don't want to split a lease,
5 is that --

6 A. Down in Section 6 is part of the NW lease, and we
7 have middle San Andres producers there. We just want to
8 include it in the waterflood.

9 Q. Do you think you'll ever waterflood it down
10 there? And how would you, if you do?

11 A. Well, you -- you know, you might get a response
12 from one of your injectors that close.

13 Q. I do like the fact that you're confining your
14 production to one zone instead of doing the BP push, you
15 know, on all those zones.

16 A. Yes, sir, that's one of the reasons I included
17 the completion summary in there, where you can see that all
18 of these wells are perforated in about a 400- to 500-foot
19 interval that we call the middle San Andres.

20 Q. Okay, 400 to 500 feet --

21 A. Interval.

22 Q. It's not 1500 feet, like some of the --

23 A. The entire San Andres interval is that thick,
24 1500 feet or so, but the interval that we've confined our
25 perms to is 400 to 500 feet. That's the -- There's kind of

1 a porosity streak through the middle. It's about 500 foot
2 down into the San Andres, and then there's probably 500
3 feet below us that's pretty tight.

4 Q. Yeah. What direction do you think your water's
5 going to go? I'll keep hammering engineering questions
6 here, I guess.

7 A. Well, I would anticipate that it would probably
8 go west, go updip.

9 Q. Okay, okay. And you've put down saltwater
10 saturation at 40 percent. What would be your -- Is that
11 your current saturation, or is that your irreducible?

12 A. That's log-calculation SWS.

13 Q. That's the current?

14 A. Yes, sir. And production runs out there anywhere
15 from 40 to 60 percent. So it actually calculates pretty
16 close.

17 EXAMINER JONES: Okay, I think there's a whole
18 lot of land questions here that I am not asking, and they
19 probably -- Maybe I'll punt this over to David here.

20 MR. BROOKS: Well, thank you.

21 I guess I'll start out with the notice issues --
22 the notice question. Let's see, which tab was the notice
23 information behind?

24 MS. MUNDS-DRY: Tab 6, Mr. Brooks.

25 MR. BROOKS: Thank you.

EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. BROOKS:

Q. Okay, this is the list of the people to whom you gave notice, correct?

A. That we did notify?

Q. Yes.

A. Yes, sir.

Q. This is -- I'm looking at the list that's on the page behind the publication affidavit.

Okay, let's see. We talked about the owners of -- we talked about the south half of 32 --

A. Yes.

Q. -- BP and Marbob and others you mentioned. Now are there existing San Andres wells on that --

A. No, sir, there are no wells.

Q. Okay. So then if there are other working interest owners, how come you didn't notify them, if there's not an operated well on that -- San Andres well in that area?

A. I'm assuming that that's a pretty complex land issue right there.

Q. These others, though, they're also working interest owners. You're not talking about royalty owners?

A. That's correct.

Q. Okay.

1 A. And I would hope that our public notice would
2 take care of that for us.

3 Q. Okay, you move up to Section 29 to the north.
4 Who has the lease on that?

5 A. The -- If my memory serves me right, we have the
6 lease in the southwest quarter of 29.

7 Q. Southwest would be SDX.

8 A. Yes, sir. And I am not certain, but I believe
9 that the 40-acre tract, which would be the southwest of the
10 southeast right there, I think that is operated by Edge.
11 I'm not certain.

12 Q. Okay. And everything else in 29 -- in the south
13 half of 29 would be SDX?

14 A. Yes, sir.

15 Q. Okay. Then we go over to -- I guess it's 28
16 that's in the corner there, in the angle there?

17 A. Yes.

18 Q. In the south -- No, that's 29. Oh, oh, no, I
19 see, it's 29 all the way across here. Now -- but the edge,
20 is that in the -- Where is that? You said -- you told me,
21 but I didn't get it down. What --

22 A. I was talking about this 40-acre tract, which
23 would be located right here, which is the southwest of the
24 southeast of 29.

25 Q. Southwest of the southeast.

1 A. I believe that's correct.

2 Q. You didn't notify them?

3 A. No, we did not.

4 Q. Okay. And then BP, you said, had the acreage in
5 33?

6 A. Yes, that's correct.

7 Q. And who's the owner up in 28? The southwest
8 corner of 28 -- yeah, the southwest corner of 28?

9 EXAMINER JONES: I think it's Marbob.

10 THE WITNESS: I believe you're right, it looks
11 like Marbob on the map.

12 Q. (By Mr. Brooks) Marbob, okay. Now then, going
13 down here into 32, this Jeffers well, that's -- SDX owns
14 the San Andres rights in that well, you said?

15 A. Yes, sir, in -- yes, sir, that's correct.

16 Q. And you've got two SDX producers designated in
17 the east half, so SDX owns also the east half?

18 A. Yes, that's correct.

19 Q. Okay. What about the southwest quarter of the
20 southeast quarter?

21 A. We do not own that, and I do not know who does.

22 Q. And down in Section 5, who has the lease down
23 there?

24 A. Looks like BP has a lot of it. The rights are
25 stratified. I do not know who would own the shallow part

1 of it.

2 Q. Now I may sound ignorant with some of the
3 questions I'm asking, but I'm not an engineer or a
4 geologist, I'm just a lawyer, so probably a lot of things I
5 don't know. You know, I'm asking for education as much as
6 anything else.

7 When you inject water -- Well, first of all, let
8 me establish -- I think I'm clear on this. The only
9 injector you presently propose is the Number 8, correct?

10 A. That's correct.

11 Q. Do you have future plans to put in additional
12 injection wells within this area?

13 A. We have future plans to put in one additional one
14 at this time, which would be the Number 5.

15 Q. Okay.

16 A. It's indicated on this map.

17 Q. And that's all you plan to do?

18 A. Currently, yes, sir.

19 Q. Yeah. Now, you're asking for an order that would
20 designate this entire lease as a waterflood project,
21 correct?

22 A. That's correct.

23 Q. So that you -- and you understand that when you
24 have a designated waterflood project, then you can add
25 additional wells by administrative application and

1 procedure --

2 A. Yes, sir.

3 Q. -- right, and you don't have to have another
4 hearing?

5 A. Yes, sir, that's correct.

6 Q. Okay. Now, how far -- when water is injected
7 into the San Andres formation in the manner in which you
8 plan to do in this unit, how far do you anticipate it to
9 travel within the formation?

10 A. I would anticipate less than a half mile.

11 Q. Okay, and you have testified that the primary
12 direction of movement is going to be west?

13 A. That's correct.

14 Q. And why would that be?

15 A. Because that's updip.

16 Q. Okay, and why does it move updip? I may be very
17 naïve here, but can you give us some 101 explanation here?

18 A. That's just basically the way water behaves in
19 the formation.

20 Q. Yeah, okay. And so if the water traveled into
21 another -- or outside the boundaries of the waterflood
22 project and into other ownership, what would the effect be?
23 If there were other wells, I suppose it may increase the
24 production from those wells --

25 A. Yes, sir.

1 Q. -- as well?

2 A. I'm assuming they would achieve some pressure
3 maintenance.

4 Q. Yeah. But there aren't any wells in the south
5 half of the northwest quarter, in the San Andres, correct?

6 A. Let me look at that on the map.

7 Q. I thought that's what you told me.

8 A. You're talking about Section 31?

9 Q. Yeah.

10 A. In the south half of -- That's correct.

11 Q. Okay. And the wells, of course, up in the north
12 half are your wells, SDX wells?

13 A. That's correct.

14 MR. BROOKS: Okay, I guess that's all my
15 questions.

16 FURTHER EXAMINATION

17 BY EXAMINER JONES:

18 Q. I think if we're going to do the waterflood here,
19 we need to have a notice to the state land office --

20 A. Okay.

21 Q. -- and to the overriding royalty interest owners,
22 of this lease.

23 MR. BROOKS: It looks like -- I have not checked
24 the notice rule. It would seem to me that we need to have
25 notice -- it would seem to me that the notice requirements

1 for adjacent leases may not have been entirely complied
2 with, but I'd have to check the rule to see exactly what it
3 requires.

4 Q. (By Examiner Jones) I think David's right on
5 that. I was under the impression -- See, our Rule 701 has
6 changed, and if there is no designated operator in that
7 south -- let's see, the southwest of the southeast, for
8 that -- for instance, that location, all the lessees should
9 be noticed, so you have to do a land takeoff on that --

10 A. Okay.

11 Q. -- just for the injection well alone, and --

12 MR. BROOKS: And you'd also have to notify all
13 the working interest owners in the south half of the
14 northwest quarter, because --

15 EXAMINER JONES: Yeah.

16 MR. BROOKS: -- you don't have an operator there.

17 Q. (By Examiner Jones) Yeah. And I think one of
18 the deals is, if you convert some of these wells that
19 somebody might have no right in, that they don't have an
20 override in the offset producer, you know, that kind of a
21 thing --

22 A. Right.

23 Q. -- well, you might affect their correlative
24 rights in that respect. And so to form the waterflood, we
25 definitely need to notice everybody down through the

1 revenue interest level, so that includes the State Land
2 Office and overriding royalties of this lease. And that --
3 So that's just the notice issue that we've got.

4 Otherwise, you know, the fact that this is kind
5 of a -- ideally on a waterflood, as you know as an
6 engineer, if you have a big area where you can concentrate
7 wells and --

8 A. Yes, sir.

9 Q. -- and here you've got this -- you've got this
10 lease that kind of goes in the northeast quarter and the
11 northwest -- or the southwest quarter, so then you've got
12 your northwest quarter and your southeast quarter missing.
13 Maybe there's no way around that. But did you -- You said
14 you didn't want to contact those people to try to include
15 them in this project?

16 A. That wasn't what I mean to say. I just meant
17 that we have not contacted --

18 Q. It would take two years, you said, something like
19 that.

20 A. Well, as far as royalty owners, issues on some of
21 that, it would take some time. We would hope our public
22 notice in the paper would take care of a lot of that.

23 Q. As far as converting that Number 8, I think that
24 one is pretty much ready to go as a saltwater disposal
25 well --

1 A. All right.

2 Q. -- and you might get some benefit out of it one
3 way or the other, but you still need to notice those people
4 within a half mile, as in that Rule 701 is written, because
5 it's been rewritten --

6 A. Okay.

7 Q. -- so --

8 MS. MUNDS-DRY: We can review that rule, Mr.
9 Examiner. I was under the impression that it was leasehold
10 operators within a half mile.

11 I didn't realize we needed to go down to that
12 level, but we'll certainly --

13 EXAMINER JONES: It is leasehold, if there is
14 leasehold operators in the middle San Andres.

15 MS. MUNDS-DRY: Okay.

16 THE WITNESS: We can re-notice and re-submit that
17 to you at a future date.

18 MS. MUNDS-DRY: We would ask, then, if we could
19 continue the case. I guess we would need four weeks --

20 EXAMINER JONES: Yeah.

21 MS. MUNDS-DRY: -- and then we can --

22 MR. BROOKS: I guess that -- I'm sorry.

23 EXAMINER JONES: Go ahead.

24 MR. BROOKS: I guess there's one other question I
25 didn't ask you.

FURTHER EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. BROOKS:

Q. Because there's some undrilled tracts in here, what effect would the waterflood have on an undrilled tract? Now I understand if that's another tract that had a well on it, it might improve the production to that well, the same as it would the wells that are the target of it.

But what about the undrilled tract? Would it affect the productive prospects of somebody that wanted to drill on a tract -- adjacent tract that had not been drilled?

A. It could conceivably affect it, either through increasing the formation pressure or, worst-case scenario, it could sweep the production.

Q. Could cause it to move, to migrate?

A. Yes, sir. The distance from these two injectors in that San Andres, I don't anticipate that happening.

MR. BROOKS: Okay, thank you. That's all I have.

EXAMINER JONES: Okay.

MS. MUNDS-DRY: That concludes our presentation, Mr. Jones.

EXAMINER JONES: It's agreeable to continue it for four weeks?

MS. MUNDS-DRY: Yes, please.

EXAMINER JONES: So I think that's for July the

1 21st; is that right?

2 MR. BROOKS: Right.

3 EXAMINER JONES: Okay, we'll continue this case
4 until -- June 21st.

5 MR. BROOKS: June 21st, you're right. I'm not
6 thinking.

7 MS. MUNDS-DRY: And I was going to --

8 EXAMINER JONES: Unless you --

9 MS. MUNDS-DRY: -- believe you about --

10 EXAMINER JONES: want July.

11 MS. MUNDS-DRY: -- the July.

12 No, I'll be having a baby, hopefully, then.

13 EXAMINER JONES: Okay, we'll just -- we'll try to
14 catch you right before that.

15 Okay, that's it for that one.

16 MR. BROOKS: Okay, how about a brief recess?

17 EXAMINER JONES: Let's take a brief recess until
18 -- 15 minutes.

19 MR. BROOKS: Okay.

20 (Thereupon, these proceedings were concluded at
21 10:07 a.m.)

22 * * *

23 I do hereby certify that the foregoing is
24 a complete record of the proceedings in
25 the Examiner hearing of Case No. _____
heard by me on _____

Oil Conservation Division
STEVEN T. BRENNER, CCR
(505) 989-9317


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
 COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL May 28th, 2007.



STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 16th, 2010