

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)

APPLICATION OF DAN A. HUGHES COMPANY,)
L.P., FOR APPROVAL OF A UNIT AGREEMENT,)
HIDALGO COUNTY, NEW MEXICO)

CASE NO. 2007 NOV 5 AM 11 40

RECEIVED
ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: WILLIAM V. JONES, Jr., Technical Examiner
CAROL LEACH, Legal Examiner

November 1st, 2007

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, WILLIAM V. JONES, Jr., Technical Examiner, Carol Leach, Legal Examiner, on Thursday, November 1st, 2007, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

STEVEN T. BRENNER, CCR
(505) 989-9317

10/5/11 km

I N D E X

November 1st, 2007
Examiner Hearing
CASE NO. 14,022

	PAGE
EXHIBITS	3
APPEARANCES	4
APPLICANT'S WITNESSES:	
<u>LARRY HUNNICUTT</u> (Landman)	
Direct Examination by Mr. Carr	7
Examination by Mr. Bruce	17
Examination by Examiner Jones	18
Examination by Examiner Leach	27
<u>GARY L. KORNEGAY</u> (Geologist)	
Direct Examination by Mr. Carr	32
Examination by Mr. Bruce	43
Examination by Examiner Jones	44
Further Examination by Mr. Bruce	54
Further Examination by Examiner Jones	56
<u>JOHN H. KREMERS</u> (Landman; vice president, Dan A. Hughes Company, LP)	
Direct Examination by Mr. Carr	60
Examination by Examiner Jones	62
REPORTER'S CERTIFICATE	66

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	9	17
Exhibit 2	9	17
Exhibit 3	10	17
Exhibit 4	10	17
Exhibit 5	11	17
Exhibit 6	11	17
Exhibit 7	16	17
Exhibit 8	37	42
Exhibit 9	38	42
Exhibit 10	40	42
Exhibit 11	41	42

* * *

A P P E A R A N C E S

FOR THE DIVISION:

CAROL LEACH
General Counsel
Energy, Minerals and Natural Resources Department
1220 South Saint Francis Drive
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

HOLLAND & HART, L.L.P., and CAMPBELL & CARR
110 N. Guadalupe, Suite 1
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: WILLIAM F. CARR

FOR HARVEY E. YATES COMPANY:

JAMES G. BRUCE
Attorney at Law
P.O. Box 1056
Santa Fe, New Mexico 87504

* * *

1 WHEREUPON, the following proceedings were had at
2 9:48 a.m.:

3 EXAMINER JONES: Okay, let's call Case Number --
4 First of all, Carol Leach is here with me as Legal Examiner
5 today.

6 And let's call Case Number 14,022, Application of
7 Dan A. Hughes Company, L.P., for approval of a unit
8 agreement, Hidalgo County, New Mexico.

9 Call for appearances.

10 MR. CARR: May it please the Examiner, my name is
11 William F. Carr with the Santa Fe office of Holland and
12 Hart, L.L.P. We represent Dan A. Hughes Company, L.P., in
13 this matter, and I have two witnesses.

14 EXAMINER JONES: Other appearances?

15 MR. BRUCE: Mr. Examiner, Jim Bruce of Santa Fe,
16 representing Harvey E. Yates Company. I have no witnesses.

17 EXAMINER JONES: Okay, will the witnesses please
18 stand to be sworn?

19 (Thereupon, the witnesses were sworn.)

20 EXAMINER JONES: First of all I forgot to ask,
21 are there any other appearances in this case?

22 Okay, go ahead, Mr. Carr.

23 MR. CARR: May it please the Examiner, the
24 Application before you today is for approval of a voluntary
25 unit agreement in Hidalgo County, New Mexico.

1 As the testimony will show, we've been working on
2 this unit for approximately four years, and it encompasses
3 82,622 acres of state and fee lands in southwestern New
4 Mexico. We had originally planned to submit this case to
5 you by affidavit, but our time frame is very short. We
6 have to have an order, State approval and a well drilling
7 before January 1st. And if that does not occur we have
8 23,000 acres of oil and gas lease rights that will expire
9 on that date.

10 When there was -- the Division advised it was not
11 holding a hearing on the 15th and there was only one
12 hearing in December, we became concerned that if there was
13 additional information that you needed after our
14 presentation by affidavit, we could find ourselves in a
15 situation where we would quickly be in one of those fire
16 drills where we were pushing for an order and going to the
17 Land Office and trying to get the well started to hang on
18 to this acreage.

19 And so what we did was, we decided to bring the
20 case to you today and present it with witnesses so if you
21 have any questions, everyone is here who can respond to any
22 concern you may have. We're also going to submit a
23 proposed order to you on the form that has been recently
24 used to approve voluntary agreements by the Division.
25 We'll submit it also in PDF format so that hopefully it

1 will facilitate this.

2 And so with that, I'd like to call our first
3 witness, Larry Hunnicutt, who is our land witness.

4 LARRY HUNNICUTT,
5 the witness herein, after having been first duly sworn upon
6 his oath, was examined and testified as follows:

7 DIRECT EXAMINATION

8 BY MR. CARR:

9 Q. Would you state your name for the record, please?

10 A. I'm Larry Hunnicutt.

11 Q. Mr. Hunnicutt, where do you reside?

12 A. I reside in Dallas, Texas.

13 Q. By whom are you employed?

14 A. I'm employed by Stonebridge Energy, of which I'm
15 an owner with Gary Kornegay.

16 Q. And what is the relationship of Stonebridge
17 Energy and Dan A. Hughes Company, L.P.?

18 A. Stonebridge Energy is an exploration company
19 engaged in exploration activity in the United States. We
20 were actually brought into the project by the predecessor
21 of Dan Hughes to develop a land strategy, geology and
22 geophysics, and we have done that since 2003.

23 Q. Have you previously testified before the New
24 Mexico Oil Conservation Division?

25 A. I have.

1 Q. And at that time were your expert -- were your
2 credentials as an expert in petroleum land matters accepted
3 and made a matter of record?

4 A. They were.

5 Q. Are you familiar with the Application filed in
6 this case?

7 A. I am.

8 Q. Are you familiar with the proposed Hueco South
9 Exploratory Unit, including the status of the lands in the
10 proposed unit area?

11 A. I am.

12 MR. CARR: We tender Mr. Hunnicutt as an expert
13 in petroleum land matters.

14 EXAMINER JONES: Any objection?

15 MR. BRUCE: No, sir.

16 EXAMINER JONES: Mr. Hunnicutt is qualified as an
17 expert in petroleum land matters.

18 Q. (By Mr. Carr) Mr. Hunnicutt, would you briefly
19 summarize for Mr. Jones what it is that Dan A. Hughes
20 Company seeks with this Application?

21 A. The Hughes Company, as I refer to them, seeks to,
22 with this Application, seek approval of the Hueco South
23 Unit. It's a voluntary unit and containing about 82,622
24 acres, and -- for the drilling of the well on the unit on
25 or before December 31st of this year.

1 Q. Have you prepared exhibits for presentation here
2 today?

3 A. I have.

4 Q. Could you identify and review what has been
5 marked as Hughes Exhibit Number 1?

6 A. Yes, that is the form of operating agreement.
7 It's the state/fee exploratory unit agreement, containing
8 the appropriate provisions, naming Dan A. Hughes as
9 operator, and also with the working interest owners denoted
10 on the signature page.

11 Q. Is Exhibit Number 2 a copy of the plat that shows
12 the boundary of the proposed unit area?

13 A. It is.

14 Q. What is the status of the acreage?

15 A. The red line indicates the boundary, which is --
16 which encompasses the 82,622 acres. If you'll note, all of
17 the leases in white there are state leases, the ones that
18 are hatched with red are fee.

19 This plat denotes the lessees, the legal
20 descriptions and ownership of those leases.

21 Q. What percentage of the land is State of New
22 Mexico land?

23 A. Approximately 95.5 percent of it is state lands,
24 which is 78,942.60 acres.

25 Q. And how many fee acres are there?

1 A. There are 3680, representing about 4.4 percent of
2 the unit area.

3 Q. Could you identify and review for Mr. Jones
4 Exhibit 3?

5 A. Yes, Exhibit 3 is actually Exhibit B to the unit
6 agreement, and it describes the lands, the leases, by
7 serial number and expiration date, also sets out the lessee
8 of record, and it comprises, as you see, the total of 145
9 tracts that comprise the unit.

10 Q. And 144 of those tracts are state leases; is that
11 correct?

12 A. That is correct.

13 Q. Let's go to Exhibit Number 4, and I would ask you
14 to identify that for the Examiner.

15 A. Exhibit 4 is actually Exhibit C to the unit
16 agreement, and it shows the participants in the unit, being
17 Dan A. Hughes Company, Fort Worth Operating Company, Yates
18 Petroleum Corporation and Harvey E. Yates Company, sets out
19 their net acres and also their unit participation.

20 Q. What percentage of the working interest is
21 voluntarily committed to the unit agreement?

22 A. At this time it is 94-percent committed.

23 Q. And who has committed?

24 A. Dan A. Hughes Company, obviously, and Fort Worth
25 Operating Company.

1 Q. Harvey E. Yates Company has not?

2 A. That's correct.

3 Q. And Yates Petroleum Corporation has not?

4 A. That's correct.

5 Q. Are you continuing to talk to those companies?

6 A. We are in discussions with both companies, land
7 personnel and have extended an invitation, of course, to
8 share some technical data with them. And my understanding,
9 they're vetting the documents and reviewing the technical
10 presentation.

11 Q. Would you identify what's marked Exhibit Number
12 5?

13 A. Yes, these are letters that we prepared in our
14 office, inviting Yates Petroleum and Harvey E. Yates to
15 contribute their leases, as denoted on Exhibit B, and to
16 invite them to participate in the unit and participate in
17 the initial well.

18 Q. And have you provided the unit agreement and
19 joint operating agreement to each of these companies for
20 their review?

21 A. We have.

22 Q. Would you identify what has been marked as
23 Exhibit Number 6?

24 A. Exhibit Number 6 is a letter from the State Land
25 Office by the Commissioner, granting preliminary approval

1 of our expanded unit. And it was received -- our proposal
2 had been made of October the 1st, our letter of preliminary
3 approval is dated October 15th, '07.

4 Q. Mr. Hunnicutt, could you explain to the Examiner
5 the basis for the selection of this unit boundary?

6 A. Yes, and in that I may say about the setting,
7 we're about 150 miles west of El Paso and maybe 120 to 130
8 miles east of Tucson. You have the Animas Mountains, and
9 you have the Big Hatchet Mountains, many people are aware
10 of, and the Alamo Hueco Mountains.

11 And between them you have the Playas Valley, and
12 this unit actually is in the Playas Valley. And it was
13 constructed around the preliminary 2-D seismic data that we
14 had acquired, which gave quite a vivid illustration of the
15 potential of Permo-Pennsylvanian-age reefs, all the way
16 through Cretaceous reefing, and the unit was designed
17 around that in accordance with working with the Land
18 Office, and --

19 Q. The boundary was really selected, was it not,
20 based on a combination of land as well as geological
21 considerations?

22 A. That's -- absolutely.

23 Q. Have you worked with the BLM in this area?

24 A. We have. As you will know, there are no federal
25 lands in this unit. Most of the federal lands in this part

1 have been withdrawn or have been suspended from being
2 posted, as we have tried to nominate lands in this area
3 over the last couple, three or four years.

4 I think I've met with BLM five times since
5 January. They're very aware of the unitization, we've
6 worked closely with them on the development of our 3-D
7 project, which is coming on in the first quarter of next
8 year, and they certainly are aware of this unit and, I
9 might say, the unit that's north of this.

10 Q. In fact, on the eastern side of the proposed unit
11 area --

12 A. Uh-huh.

13 Q. -- there are BLM-designated wildlife and
14 environmentally sensitive areas; isn't that correct?

15 A. That's correct. The Big Hatchet Mountains
16 actually is an established wilderness study area, it has
17 been for a number of years. The Alamo Hueco area is an
18 area of critical environmental concern. I have been told
19 that it is being considered for elevation to a wilderness
20 study area. But the lands that are in and adjacent to this
21 continue to be of a lot of interest to the BLM.

22 And the lands that are adjacent to our unit,
23 while not in the mountain system, were elected to be
24 suspended. They just elected not to put those up when we
25 nominated them.

1 Q. So on the eastern side of the unit area, the
2 federal lands are not included because they have withheld
3 those from leasing?

4 A. That's correct.

5 Q. And the state lands on the eastern side are
6 included?

7 A. That's correct.

8 Q. The State wants their acreage in, the federal
9 government wants their acreage out?

10 A. Yes, sir.

11 Q. And that's why we have the boundaries such as we
12 do?

13 A. It is.

14 Q. In these negotiations, have you acquired federal
15 leases off to the north and east of the proposed unit?

16 A. We have. As recently as the first quarter of
17 this year we were able to obtain about 4800 acres of
18 federal leases up in the northwest quarter of the unit.
19 That is fee surface, federal minerals, and that was after
20 maybe a couple of years of working with them in terms of
21 what we were doing up here seismically, we were able to
22 finally get those posted, and we bid on them and were
23 successful.

24 Q. And have you agreed with the BLM that if, in
25 fact, the efforts in the South Hueco Unit are successful

1 you will expand the unit and offsets to the north --

2 A. Right.

3 Q. -- to pick up these recently acquired federal
4 units?

5 A. We have. And in fact, I've been in discussions
6 with them the last couple weeks, as late as Friday. We now
7 have a formal meeting with them set for November the 8th in
8 Las Cruces. They're aware of the Hueco South Unit, they've
9 seen the exhibit -- or the unit boundary for the Big
10 Hatchet North Unit, and we'll begin that process in earnest
11 on the 8th.

12 Q. At this point in time can you say that you've
13 acquired all the lands that are available for inclusion in
14 the unit area?

15 A. We have.

16 Q. You have a number of leases expiring soon; is
17 that correct?

18 A. That's correct.

19 Q. How many?

20 A. Well, it's just under 23,000 acres that expires
21 January 1st of '08.

22 Q. Do you request that the order be expedited in
23 this case?

24 A. I most definitely do.

25 Q. Is it your target to have the unit in place by

1 the 1st of December?

2 A. It is.

3 Q. And then are you prepared to drill the initial
4 test well during the month of December?

5 A. We are.

6 Q. Is Hughes Exhibit Number 7 a proposed order
7 approving this Application?

8 A. It is.

9 Q. And does Dan A. Hughes Company seek to be
10 designated operator of the unit?

11 A. Yes, sir.

12 Q. Does this agreement, your unit agreement, provide
13 for the periodic filing of plans of development?

14 A. It does.

15 Q. And will the Hughes Company file these plans with
16 the Oil Conservation Division at the same time they file
17 them with the New Mexico State Land Office?

18 A. Yes, sir.

19 Q. What horizons are being unitized?

20 A. All horizons.

21 Q. Will you call a geological witness to review that
22 portion of the case?

23 A. I'm sorry?

24 Q. Will Hughes call a geological witness to review
25 that portion of the case?

1 A. Yes, they will. Gary Kornegay will give a
2 presentation of geology.

3 Q. Were Exhibits 1 through 7 prepared by you or
4 compiled at your direction?

5 A. Yes, sir.

6 MR. CARR: May it please the Examiner, at this
7 time we'd move the admission into evidence of Dan A. Hughes
8 Company Exhibits 1 through 7.

9 | EXAMINER JONES: Any objection?

10 MR. BRUCE: No objection.

11 EXAMINER JONES: Exhibits 1 through 7 will be
12 admitted.

13 MR. CARR: That concludes my direct examination
14 of Mr. Hunnicutt.

15	EXAMINATION
----	-------------

16 BY MR. BRUCE:

17 Q. I just have one question. On your Exhibit 3, Mr.
18 Hunnicutt --

19	A. Uh-huh.
----	------------

20 | Q. -- going to page 14 --

21 | A. Let me get there, please.

22	Q. Sure.
----	----------

23 | A. Page -- ?

24 | Q. Page 14.

25 | A. 14, yes.

1 Q. Do I take it there's just one fee lease?

2 A. That's correct.

3 Q. Okay. I was confused by the splitting of the
4 acreage.

5 A. It's all one lease.

6 MR. BRUCE: Thank you, that's all I have.

7 EXAMINATION

8 BY EXAMINER JONES:

9 Q. Mr. Hunnicutt --

10 A. Yes.

11 Q. -- you're the land witness, right?

12 A. Correct, I have a land background, yes, sir.

13 Q. But you're the managing partner --

14 A. -- of Stonebridge Energy.

15 Q. Stonebridge?

16 A. Uh-huh.

17 Q. Okay. Where are those 23,000 acres located that
18 will expire January the --

19 A. Well, they're primarily located through the
20 center portion of the unit.

21 Q. The heart of the unit.

22 A. The heart of the unit, quite frankly. And these
23 acres are all described on Exhibit B. We did not prepare
24 an exhibit showing exactly those legal descriptions, but
25 we'd be glad to submit that if you would need it, for the

1 expiring leases, the January 1st ones.

2 Q. Where will you drill your first well?

3 A. Say when?

4 Q. I'm sure --

5 A. Yeah.

6 Q. -- we'll talk about that later, but --

7 A. Gary is going to go through that, but it's
8 actually in Section 26, in the southwest quarter of the
9 southwest quarter --

10 Q. Okay.

11 A. -- and an APD has been filed.

12 Q. With our District 4; is that right?

13 A. Correct, correct.

14 Q. Okay.

15 A. And a contract for -- a drilling contract has
16 been signed, and so we are --

17 Q. Okay.

18 A. -- off and running with this.

19 Q. Okay. And what -- on these state units, what is
20 the drilling obligations? You have to drill a well every
21 six months, is that it, or something?

22 A. You do. You have to drill the well within 60
23 days of your order, and --

24 Q. Spud it.

25 A. -- and you have to spud it, and you are required

1 to drill until you establish commercial production, you
2 have to drill a well every six months.

3 Q. Every six months, okay.

4 A. Uh-huh.

5 Q. Until you establish commercial --

6 A. Commercial production.

7 Q. Okay. And what is your primary -- You say all
8 geologic structures, so whatever happens you will produce
9 it, but what is your -- I guess we'll talk about that.

10 A. I'll be glad to do the geology.

11 Q. You seem pretty good at it.

12 MR. CARR: Mr. Examiner, on the drilling
13 obligations, we have to have the unit in place and we must
14 have a well drilling by the end of next month --

15 EXAMINER JONES: Does that count --

16 MR. CARR: -- so that at the end -- so when those
17 -- if not, those leases will not be maintained.

18 EXAMINER JONES: Okay.

19 MR. CARR: And then we have to then file annual
20 reports.

21 Q. (By Examiner Jones) Okay. Does that mean that
22 you have to have -- can you go out there and set the
23 surface pipe with a small rig, and does that constitute
24 spudding the well when --

25 MR. CARR: It would.

1 THE WITNESS: That would.

2 Q. (By Examiner Jones) Okay. Can you talk more
3 about the -- so this is ringed by -- Well, that sounds like
4 that's more geology, so...

5 Well, how about surface? Can you talk about the
6 surface out there? What's it like? It's in a big basin,
7 right?

8 A. It is. It's actually the Playas Valley. And I
9 liken it, being from southeastern New Mexico, to looking a
10 lot like it does around Carlsbad.

11 Q. Oh.

12 A. Very similar. And this may be a little more lush
13 because of some farming activities down here.

14 Q. Where are they farming?

15 A. It's flat as this table. You can see completely
16 across the Playas Valley, and actually you can stand at
17 this point right here adjacent to the Alamo Hueco
18 Mountains, on the surface, and see Phelps-Dodge's smelter
19 that's 20 miles from there, that smokestack. That came
20 down, by the way, four or five months ago. You may have
21 seen that in the paper, but --

22 Q. That's over in Arizona, isn't it? Or is it --

23 A. No, actually the smelter is up off of this map,
24 it's actually about 20 miles up here --

25 Q. Okay.

1 A. -- and it's being decommissioned by Phelps-Dodge,
2 and the stack itself is a landmark in New Mexico. It was
3 taken down about six months ago.

4 Q. Okay. Can you talk about any of your competitors
5 out here, or are you guys the dominant player, I guess?

6 A. Well, that would be fair to say. Actually
7 between Fort Worth Operating Company and Dan Hughes, who
8 are the major contributors to this unit, they hold about
9 173,000 acres of state and federal leases --

10 Q. Okay.

11 A. -- in Hidalgo County. So there's been an
12 extensive -- by Gary and our geophysicist, an extensive
13 effort made to discover and open up a new basin. The
14 Pedregosa Basin has no production. This is a true frontier
15 wildcat. We have very limited well control, even though
16 the well control we have, I think Gary will tell you, is
17 quite substantial in terms of quality of logs and data from
18 it.

19 So where competition really is, is very sparse --
20 as that would relate to most places that we would be
21 involved in.

22 Q. Yeah. If it's gas that you find, how would you
23 get it out of here?

24 A. Well, actually Phelps-Dodge Corporation, who is
25 decommissioning this refinery, owns a pipeline, a 6-inch

1 pipeline, that comes from El Paso from the south, and it
2 was to the smelter. That's 20 miles. That pipeline is
3 actually in fairly good shape. We've done some work on it.

4 We have been in continuing negotiations with
5 Phelps-Dodge, and Dan A. Hughes recently was in those
6 negotiations able to sign a comprehensive surface-use
7 agreement, actually one of the most impressive ones I've
8 seen, that sets out all the incurrences or disturbances
9 that might happen on the surface, all the way from seismic
10 to pits, roads. They've met with the tenants and --
11 Phelps-Dodge and the surface tenants out here, so that
12 surface-use agreement is in place.

13 The other part of that was an oil and gas lease
14 which they were able to record, I guess it's been
15 probably -- August the 25th, I think, it was signed.

16 Now in those ongoing negotiations we're talking
17 about this use of this pipeline. It can certainly be
18 reversed. We've had some discussions with El Paso. And of
19 course from the location we are to where the pipeline --
20 where we would hit the pipeline, is 13 miles. And it is
21 all -- it's about 120 to 150 feet of sediments, it's not
22 rocky there. We've done a little bit of work understanding
23 that, and we could actually go straight from here, straight
24 to there, and you could walk a direct line to that line.

25 So that's really what our hope is, and certainly,

1 as you would realize, we need to be successful with the
2 initial well and maybe be drilling additional wells before
3 we could come to that point of -- unless we use some kind
4 of a coiled temporary pipeline system, which we have
5 examined, we've costed out, we've talked to the
6 manufacturers. Like everybody else, it's nine months to
7 twelve months to get it on location. But quite frankly,
8 the guy can -- they can install it in two days when it gets
9 there.

10 So we're providing for that.

11 Q. That's interesting --

12 A. Uh-huh.

13 Q. -- I didn't know that was even an option.

14 The --

15 A. It's called Flex Steel, by the way.

16 Q. Okay.

17 A. Uh-huh.

18 Q. The pressures you would use for your natural gas,
19 if you did find it, or whatever gas you would find, what
20 would you power them with? Is there electricity out there?

21 A. There is electricity out there, and I haven't
22 really addressed that issue directly but my guess is that
23 there is electrical lines.

24 You do have the highway, Highway 10, above you
25 about 40 miles. But you have a highway that comes down all

1 the way to Antelope Wells, which is on the border of Mexico
2 and the United States. Essentially our leases are right
3 there. That county-maintained road is very high quality.
4 And along it you have telephone lines and electrical lines.

5 So in regards to this being a remote location --
6 all of us have had some experience in that -- this is
7 actually going to be fairly easy for a frontier play,
8 because you've got Deming, which is about a 50 -- well,
9 about a 60-, 75-minute drive. I know that the crews that
10 we've talked to will bivouac there, we won't have to build
11 a camp, and most of those resources are out there.

12 Q. What about -- So you're going to call this
13 southwest -- no, no, Dan A. Hughes Company. What operating
14 history do they have, does Dan A. Hughes have? Are they an
15 operator in New Mexico?

16 A. They are not an operator in New Mexico, but Dan
17 A. Hughes Company is a -- was founded by Dan A. Hughes, and
18 he's a gentleman distinguished in our industry in Texas,
19 Louisiana, they also have international production. They
20 have a complement of technical people that we deal with,
21 geologists, geophysicists, land people, very efficient
22 accounting group, contracts group.

23 I might just introduce Mr. Henry -- John --
24 excuse me, John, I said -- Kremers, who's the vice
25 president of Dan A. Hughes Company.

1 Q. Okay.

2 A. They've taken an active role in coming into New
3 Mexico, understanding our regulations, conferring often
4 with us in our negotiations with the State Land Office for
5 preliminary approval, and have been most acceptable, bonded
6 all the way through, and they're ready to do.

7 I might say, they do own interest, working
8 interest in New Mexico, in southeastern New Mexico --

9 Q. Okay.

10 A. -- and -- but certainly they are well -- we're
11 very impressed with them. And they are the kind of
12 operator, with the kind of projects that they have done,
13 that fits an exploratory effort of this nature, and
14 magnitude, by the way.

15 Q. Okay. So they would have a -- they would have
16 development operations out here and set up shop somewhere
17 in Deming or some -- Lordsburg or someplace, if this all
18 works out, and have people -- Now where do you get your
19 rigs, where do you get your workover rigs?

20 A. Well, this particular rig is coming out of
21 Artesia, it's a Patterson rig.

22 As far as deploying people, I know that they have
23 an office in Houston, an office in Beeville, Texas. My
24 guess is that they will make strategic decisions about that
25 based on the outcome of this well, and Gary will tell you

1 what the expectations are.

2 Q. He'll tell us what the outcome will be.

3 A. Yeah, he will.

4 EXAMINER JONES: Okay. Carol, do you any
5 questions?

6 EXAMINATION

7 BY EXAMINER LEACH:

8 Q. You talked about a surface-use agreement. What's
9 -- Who controls most of the surface, and what is its use
10 currently?

11 A. Actually, within the unit -- and please forgive
12 me if I'm off a little bit here --

13 Q. Sure.

14 A. -- but I would say that Phelps-Dodge controls --
15 of the unit, I'm trying to think of through the -- I know
16 the State of New Mexico has three sections of surface, I
17 know the BLM has eight sections of surface but no minerals,
18 and the remainder of that is Phelps-Dodge. So if you look
19 at Phelps-Dodge operation from the smelter, all the way to
20 the Mexican border, you're really talking about somewhere
21 in the neighborhood of 600,000 to 650,000 acres of surface
22 that they have up here.

23 Q. And they're not doing anything with it?

24 A. Well, there are tenants, there is a farming
25 operation -- actually two farming operations out there,

1 there's a dairy operation out there. We are familiar with
2 the surface tenants, have met with the surface tenants.
3 Our crew has done several field trips out there and the
4 geologists have cracked rocks and walked mountains, but we
5 have met with all of those. We always pre-inform them
6 before we come, we're very respectful of what they're
7 doing.

8 We also work pretty closely with Border Patrol
9 there. As you know, this is a very sensitive area. So we
10 always advance -- we tell them in advance when we're coming
11 in. We actually fax them information with respect to where
12 we're going to be, identify the vehicles we're going to be
13 in, and clear it with the surface tenants.

14 And quite frankly, the way it's worked out, what
15 we do is, we go to one of the surface tenants' home there,
16 and we kind of bivouac there, kind of muster our forces,
17 and he usually takes us on some of the more precarious
18 backroads into the Alamo Hueco Mountains and Big Hatchet
19 Mountains where we can get back in and actually get access
20 to the rocks.

21 So we've had a lot of help there, we sure have.

22 Q. Did the BLM raise any issues about whether
23 drilling in this area would affect the wildlife and things
24 they're concerned about in their protected areas?

25 A. I might tell you that we're permitting a 3-D

1 survey. It's 39 sections, it's going to be roughly in the
2 top portion of it. So I have talked to -- in the
3 discussions -- normally, you would file a notice of intent
4 with the BLM and go through a process, the NEPA process.

5 Q. Uh-huh.

6 A. We were able, in this situation, to be granted a
7 categorical exclusion to that. And a categorical
8 exclusion, as you know, eliminates you from the NEPA
9 process, so you don't go through the EA and the various
10 maturations of the reports that have to be written,
11 emanating out of that environmental assessment.

12 So that being said, they did make field visits,
13 though. And the BLM wildlife specialist in Las Cruces
14 spent about a day out there, he did call me, gave me a
15 brief rundown. The archaeologist has been site, the --
16 John Besse, who was heading up the team on the federal
17 acreage also was on site. They all went.

18 And so essentially when you look at the resource
19 management plan that applies to this area, you find there's
20 not a lot of things to be really concerned about.

21 Now in the mountains, of course, and in the
22 foothills there are more concerns about the jaguar, the
23 lion, there actually is a cactus bat. But again, they did
24 quite a bit of work understanding where we were going to
25 be. You do have natural habitat in terms of yuccas,

1 cactus, and we have worked with them in detail to
2 understand exactly where we were going, where we're not
3 going. So we have had very good cooperation with them.

4 And in fact, as we go into this next unit
5 proposal, we're going in there with the expectation that
6 it's going to be exactly the same format we've had.
7 They've all been on site, found no reason to not grant us a
8 categorical exclusion, which is quite a significant
9 statement in itself.

10 Q. This is just any kind of restrictions on the
11 drilling or seasons or anything like that?

12 A. They did not. I think I should mention, though,
13 that we actually nominated a lot of this land, and the
14 resource management plan here is long in the tooth, so to
15 speak, and they probably will address that at some point,
16 as you would know.

17 But in that, when we were working with BLM, they
18 were in -- based on the nominations that we were making and
19 other people were making, which we didn't know, but we knew
20 that there were other parties, they were interested in
21 putting together some preliminary scoping of kind of what
22 was going on.

23 In that, the Las Cruces office eventually
24 appealed to the State BLM for funding, to see if they
25 couldn't do more extensive work in this area so that we

1 could get these leases up. Well, that effort did not come
2 about. So in essence what you see in federal lands out
3 there are either withdrawn, formally withdrawn, or they're
4 in suspense, where we've nominated them, they just will not
5 post them.

6 So that has -- and really, which hasn't hurt our
7 project to the extent that we have -- we've built it around
8 state lands, purposely built it around state lands, and --
9 for obvious reasons. And in so doing, the BLM has been
10 very accommodating to us in terms of -- But I think it's
11 because we have made such an effort to keep them informed.
12 I mean, we have been -- I have been in the Santa Fe office,
13 I know, a half a dozen times in two years, and in the Las
14 Cruces office, like I say, five or six this year, and
15 innumerable phone calls, conversations with them, e-mails.
16 We're just trying to work with them the best we can.

17 Q. When you were gathering the leases and things,
18 did you learn anything about the water resources in the
19 area, the groundwater? Or should we wait for that question
20 till a little later?

21 A. Well, I'll defer to Gary on that, but I will say
22 there's a -- I'm told there's an abundance of fresh water
23 in this area, but I'm told it's also fairly deep. But
24 we're mindful of it, in fact we had a conversation about
25 that with the operator just recently, and we're going to

1 understand it a lot better before we start drilling.

2 Phelps-Dodge also, as you can well imagine, is
3 very interested in the water issue. They have -- I know I
4 can count five fairly large water wells, not right in this
5 vicinity but in this basin. So we've been on those wells
6 with them, and -- all that electricity, quite frankly,
7 that's where it's going.

8 EXAMINER JONES: Okay. Any other questions?

9 Okay, thank you, sir.

10 THE WITNESS: Thank you.

11 EXAMINER LEACH: Thank you.

12 MR. CARR: May it please the Examiner, at this
13 time we would call Gary Kornegay.

14 GARY L. KORNEGAY,
15 the witness herein, after having been first duly sworn upon
16 his oath, was examined and testified as follows:

17 DIRECT EXAMINATION

18 BY MR. CARR:

19 Q. Would you state your name for the record, please?

20 A. My name is Gary Lee Kornegay.

21 Q. Mr. Kornegay, where do you reside?

22 A. I reside in Houston, Texas.

23 Q. And by whom are you employed?

24 A. I am employed by Stonebridge Energy, I'm an owner
25 in that company.

1 Q. Have you previously testified before the New
2 Mexico Oil Conservation Division?

3 A. No, I have not.

4 Q. Could you review for the Examiner your
5 educational background and your work experience?

6 A. I graduated from the University of Wyoming with
7 my bachelor's of science in geology in 1973, and got my
8 master's in geology, master's of science in geology, in
9 1976.

10 I have worked for Skelly Oil for a summer in
11 1975, and from 1976 to 1992 was employed by Pennzoil
12 Company and worked in our Denver office as well as our
13 Houston office as a staff geologist and ultimately ended my
14 term there as the regional manager of the western division.

15 And then from that point I owned a point, KB
16 Resources, and ultimately have been independent and am
17 currently now with Stonebridge Energy.

18 Q. Are you familiar with the Application filed in
19 this case?

20 A. Yes, I am.

21 Q. Have you made a geological study of the area that
22 is the subject of this Application?

23 A. Yes, I have.

24 Q. Are you prepared to share the results of your
25 study with the Examiner?

1 A. Yes, I am.

2 MR. CARR: We tender Mr. Kornegay as an expert
3 witness in petroleum geology.

4 EXAMINER JONES: Any objections?

5 MR. BRUCE: No.

6 EXAMINER JONES: Mr. Kornegay is qualified as an
7 expert petroleum geologist.

8 Q. (By Mr. Carr) Could you explain what is the
9 primary objective in this proposed unit?

10 A. The primary objective is going to be the Percha
11 shale, which is equivalent to the Woodford. We're going to
12 make a shale gas play, it's going to be in the thermo-
13 maturation window of where we're exploring, in the mid- to
14 late-gas window. TAI, which is thermal alteration index,
15 is 3 to 4 in the area that we're going to be drilling.

16 We anticipate TOCs that range from low numbers of
17 .88 to as high as 1.56, and in some places we've even seen
18 it up to 2.25 percent. Original TOCs would exceed 2.5 and
19 maybe as high as 7 percent. So there's been a significant
20 amount of gas generated out of the Percha shale, and we're
21 anticipating that there will be a significant in-place
22 reserve number.

23 Q. Has this formation been tested in this area?

24 A. It was drilled by the Humble well but was not
25 tested. It was penetrated by the Humble well.

1 Q. Where would be the closest production from this
2 formation?

3 A. The closest production from the Percha, at least
4 tests of that, will be in the Midland Basin that's
5 approximately 225 to 250 miles to the east.

6 Q. Are there secondary objectives in the unit area?

7 A. Yes, there are. We're very excited about some
8 reef objectives, Pennsylvanian-Permian in age. The
9 Horquilla formation will be the primary objective. It is
10 equivalent to the Wolfcamp, Cisco, all the way through to
11 the Morrow, Atoka, Strawn horizons.

12 We also have some Permian-age reefs that are --
13 occur in the area, and those would be the Epitaph and the
14 Concha formations here, which is equivalent to San Andres,
15 Wolfcamp and -- I mean, not Wolfcamp -- Bone Springs and
16 Abo sections.

17 Q. Could you just describe for the Examiner the
18 regional setting for the unit?

19 A. What we're exploring is the Pedregosa Basin.
20 It's a large basin that extends down into Mexico, and
21 roughly 250 square miles of that Basin is located in the
22 US, primarily in southeast Arizona and southwest New
23 Mexico.

24 The area that we're concentrating on and focused
25 in is in Hidalgo County, New Mexico, west of the Big

1 Hatchet Mountains and west of the Abo Mountains.

2 The Big Hatchet mountains are great control
3 points for us because we do have outcrops that involve all
4 of the formations that we've got for objectives there, and
5 we have integrated all of that data into our study.

6 Q. You indicated there had been a Humble well
7 drilled in the area. Where is that, and what did it
8 produce?

9 A. The Humble well was drilled on the east side of
10 the proposed unit in Section 25 of 35 -- I'm sorry, of 32
11 South, 17 West. And that well was drilled to a depth of
12 14,585. It was drilled in 1958, and they ran logs, they
13 tested the Epitaph, which is a Permian-age unit. They did
14 recover 85 MCF a day, and there's rumor that it did flow as
15 high as 500 MCF. We have not been able to confirm that
16 rumor, but it's an exciting show.

17 Q. Mr. Kornegay, what is the basis for your
18 geological interpretation? What information did you
19 utilize?

20 A. We utilized all the -- we utilized proprietary
21 and public information, we used all the geologic
22 information that's been available from the State, there was
23 geochemical studies that were made by Sam Thompson and --
24 We have integrated everything we could, surface geology,
25 gravity, magnetism and seismic. The seismic is

1 proprietary, but we are willing to share the interpretation
2 of that data.

3 Q. Have you contracted for additional seismic work
4 in the area?

5 A. Yes, we are in the process of shooting and
6 permitting a 3-D right now. We were hoping to have that
7 3-D available prior to drilling. We are not going to be
8 able to have that available for our drilling efforts, but
9 we will drill on the basis of our 2-D data.

10 Q. Let's go to what's been marked Hughes Exhibit 8.

11 A. Okay.

12 Q. Take that out, identify it, and review it for Mr.
13 Jones.

14 A. Exhibit 8 is a map illustrating the distribution
15 of the Percha shale throughout the unit. The unit outline
16 is the black boxy unit on here. There are two different
17 colors on this.

18 They've got black and white. I'll trade you
19 color. Let me give you a color one, and I'll trade you.

20 EXAMINER JONES: Okay, thank you.

21 THE WITNESS: The colors are very appropriate for
22 Hallowe'en --

23 EXAMINER JONES: Yeah.

24 THE WITNESS: -- but the colors represent the
25 distribution of the Percha shale. The Percha shale is a

1 pervasive unit through the area. We see it in an outcrop,
2 and every well that has penetrated to the depth of the
3 Percha has Percha shale in it. It ranges in thickness from
4 300 to 350 feet in thickness. The TOCs, I mentioned --
5 TOCs and thermal maturities I mentioned earlier.

6 What we're trying to illustrate on this map is
7 the laterally pervasive nature of this unit. It becomes
8 deeper as we go to the east and is shallower to the west.
9 There are a number of structural features that are in the
10 are, and the Percha shale was simply a laterally extensive
11 bed across the area.

12 The light orange on this map represents those
13 depths below 8000 feet where we would encounter the Percha
14 shale, and the dark orange are those areas above 8000 feet.

15 Our initial target, we would like -- that we're
16 going to drill, we will be drilling the Percha at depths
17 above 8000 feet.

18 Q. (By Mr. Carr) And in your opinion, is this shale
19 present throughout the unit area?

20 A. Yes, it is.

21 Q. Potentially productive throughout the unit area?

22 A. Absolutely.

23 Q. Let's go to what has been marked Hughes Exhibit
24 Number 9, and I'd ask you to review that for the Examiner.

25 A. Exhibit Number 9 has a number of things on it.

1 The first is, the colors on here represent the reef tracts
2 that we can observe on seismic and that we have been able
3 to infer from outcrop data as well.

4 There is some gravity and magnetics that indicate
5 we definitely have a basinal sequence in here, and the
6 reefs are developed within that basinal context.

7 The blue on this map represents the oldest
8 occurring reefs that we see. Those are Pennsylvanian in
9 age. The purple is Permian-age reefs, what we've
10 interpreted to be Permian age. And the green are
11 Cretaceous-age reefs that we see.

12 The Cretaceous-age reefs are outcropping
13 immediately to the east of the Humble well, so we have
14 those in great context, we can work that into our system.
15 And the Big Hatchet mountains are slightly to the
16 northwest, and those reefs that are developed in the Big
17 Hatchet Mountains are the same age reefs that we see
18 developed in subsurface here.

19 They are confirmed by seismic data. We have
20 two -- three lines that are shot in the area. We have two
21 lines shot by Harvey data -- we have Harvey data in here
22 that we've reprocessed -- and that data, the north-south
23 line is represented by the blue line running up through the
24 center of the map. And then there's an east-west line
25 represented by a blue line that's diagonal here.

1 There's a GSI line that's diagonal through the
2 area northwest- -- I mean northeast-southwest through the
3 area, and that's a GSI line of lesser quality than the
4 Harvey data.

5 The Harvey data is very dramatic in the reef
6 development, and that's why our location, our initial
7 location, is placed there, directly on that line, on one of
8 the Permian-age reefs, the Abo-age reefs.

9 Q. If we look at the reef distribution as mapped, is
10 it your opinion that these reefs are potentially productive
11 throughout the unit area?

12 A. Yes, it is. The additional objectives in here,
13 there's onlapping beds, there's truncated beds, and there's
14 depositional terminations at the -- in equivalent beds to
15 the -- equivalent-age beds to the reef sections that
16 develop potential traps throughout the entire region.

17 Q. Would you refer to what's been marked Hughes
18 Exhibit Number 10 and review that for the Examiner, please?

19 A. Exhibit Number 10 is an AFE generated by Dan
20 Hughes Company for the initial well to be drilled. That
21 well will be located in the southwest southwest of Section
22 26 of 32 South, 17 West.

23 As you can see from the numbers here, we're
24 anticipating a dryhole cost of \$439,000, completion cost of
25 \$272,000, for a total cost -- well cost, of \$711,000.

1 Q. And how soon do you plan to spud the well?

2 A. The well is scheduled to spud December 15th, and
3 as mentioned earlier, we have Patterson rig available for
4 that.

5 Q. Is Hughes Exhibit 11 a written summary of your
6 geological presentation?

7 A. Yes, it is. I have summarized the geologic --
8 regional geology, the geologic depositional histories, et
9 cetera, for all that we've done in this area.

10 Q. And what conclusions have you reached from your
11 geological study of this area?

12 A. Number one, that we do have pervasive plays that
13 we can make. We're very excited about the potential in
14 this area. Those pervasive plays would cover the entire
15 unit area as we've got it proposed.

16 Our initial well will evaluate at least two,
17 maybe three, of the most prominent objectives, and it would
18 be an efficient way of developing these reserves in this
19 part of the country.

20 Q. If you are able to develop these reserves under a
21 unit plan, in your opinion will that result in the most
22 efficient development of the reserve?

23 A. Yes, it would. The remote nature of this, it's
24 important that you get scale and scope.

25 Having this in a single unit, a single operator

1 facilitates getting large-scale operations in this area.

2 So yes, it would, it would protect the correlative rights
3 of mineral lease owners.

4 Q. And if you develop this area under a unit plan,
5 will that also enable the Dan A. Hughes Company to minimize
6 surface disturbance?

7 A. Yes, it would.

8 Q. In your opinion will approval of this Application
9 be in the best interest of conservation, the prevention of
10 waste and the protection of correlative rights?

11 A. Yes.

12 Q. Were Exhibits 8 through 11 prepared by you?

13 A. Yes, they were.

14 MR. CARR: May it please the Examiner, at this
15 time I'd move the admission into evidence of Hughes
16 Exhibits 8 through 11.

17 EXAMINER JONES: Any objection?

18 MR. BRUCE: No objection.

19 EXAMINER JONES: Exhibits 8 through 11 will be
20 admitted.

21 MR. CARR: And that concludes my direct
22 examination of Mr. Kornegay.

23 EXAMINER JONES: Okay, go ahead.

24 MR. BRUCE: I just have a couple of questions at
25 this point, I may have a couple more later.

EXAMINATION

BY MR. BRUCE:

Q. But is it fair to say, Mr. Kornegay, that what you're saying is, there's three to four zones that would be potentially productive across the entire unit area?

A. Yes, there are.

Q. And the deepest -- in your write-up you talk about the Ordovician through Mississippi age. What would be the deepest?

A. The deepest potential horizon in here is the El Paso, which is equivalent to the Ellenburger. It is Ordovician in age. There's also Montoya above that.

In drilling this, we decided not to go to that depth initially but try to evaluate the Percha shale. That has the -- for a regionally extensive unit, the Percha shale represents the best option.

Q. Across the unit, what would be the depth of, say, the Ellenburger?

A. It's going very radically across the unit. In the Humble well, the Ellenburger is at -- I think it's close to 13,100 feet. I've got it on the map here. El Paso, the El Paso is 13,214 to the top of it. And it will be as shallow as 6000 feet on the very western edge.

Q. Okay, that's what I was wondering, yeah.

A. Yeah, it varies radically across.

1 MR. BRUCE: I might have a couple more later, but
2 I pass the witness to you, Mr. Examiner.

3 EXAMINATION

4 BY EXAMINER JONES:

5 Q. Okay. This is real interesting, and I'll bet
6 it's a real fine play for a geologist.

7 A. Oh, it's exciting, it's exciting.

8 Q. I bet. Well, why since the '50s hasn't somebody
9 else done something?

10 A. The seismic data that we obtained, the Harvey
11 data, had been shot on a proprietary basis by Harvey. He
12 died, and the data was never marketed. So we were able to
13 find it, and we found it in his widow's garage.

14 And we got the data and it is amazing, the
15 quality of that data. It was shot in '82 and it has
16 excellent quality. We did reprocess it and take out some
17 of the noise, and there were some issues with the data, but
18 we've got that resolved. You know, we've got it migrated
19 properly, and those reefs are dramatic. They are dramatic.

20 Q. And the whole source is the Percha for
21 everything?

22 A. No, there are -- Sam Thompson's report, he
23 identified a number of potential sources, and there are
24 indigenous sources in the Horquilla, as well as up in the
25 Epitaph and the Cretaceous sections. So this is truly a

1 frontier play and very exciting. We can potentially open
2 up a whole new area.

3 The Cretaceous, does it have some coals and --

4 A. We did not -- we did not find any coals in the
5 outcrop, and it does not appear that at least the section
6 which drilled in the Humble well has any coal. We are not
7 anticipating coal sequences in this area.

8 Q. That Percha, is it -- As far as actually trying
9 to develop a shale, you know, the Michigan's got that shale
10 with the -- Are you going to have to do some horizontal
11 drilling in this?

12 A. It may come to that. But as we all know, the
13 Barnett has been something that's been exploited
14 extensively with vertical drilling. Horizontal drilling
15 has enhanced that recovery.

16 We're not exactly sure what we're going to do or
17 what we'll encounter in terms of the shale gas content.
18 All the samples, everything that we've got, have been old
19 samples, have been on the shelf for decades. So all your
20 gas content numbers, anything that you can do to really
21 enhance your reserve numbers, they're just not available.
22 And the outcrop is the same way.

23 But we are excited about the TOCs and the
24 relative thermal maturity and projecting what those
25 original TOCs were -- that's total organic carbon, for

1 anybody. The TOCs would represent a significant volume of
2 gas has been generated and expelled in this area. So we're
3 hopeful that there's a tremendous amount of that still in
4 place in the shale.

5 Q. Now how warm -- how hot was the gradient?

6 A. I think the bottomhole temperature in the El Paso
7 well was like 312, something like that. But there is a --
8 it has fairly high thermal maturities in the deeper
9 portions. But what we have found is, there's Tertiary and
10 Quaternary volcanics in the area, volcanism, and that
11 locally -- local proximity to those is where we get the
12 much higher thermal maturities. And it appears that those
13 sediments that are somewhat removed from those high thermal
14 maturity areas are relatively normal thermal maturity,
15 so...

16 Q. Okay.

17 A. But we do anticipate that most of the objective
18 horizons will encounter gas, dry gas.

19 Q. Okay. Do you think you might encounter some CO₂
20 along with this? Or -- hopefully not too much.

21 A. The possibilities with carbonates are always
22 there. We have no idea what to expect in terms of what
23 those hydrocarbons might be and their composition.

24 Q. So you've got a source rock and you've got -- Now
25 as far as your traps go, you think those reefs are decent

1 traps?

2 A. Yes, they -- We see on the seismic good evidence
3 that they are sealed. We also have a Tertiary sedimentary
4 layer that appears to seal the units as well, so -- and
5 there's onlapping, there's a lot of things going on that --
6 There are just a multitude of potential traps --

7 Q. Okay.

8 A. -- within the area.

9 Q. So what is your risk factor on your first well?

10 A. Well, we'd like to --

11 Q. Commercial discovery risk factor?

12 A. You know, it is a risky -- risky venture. And
13 you know, with all risky ventures you need to have
14 something -- enough momentum to make it worth doing.

15 Q. Uh-huh.

16 A. And Dan Hughes is an aggressive -- They're a
17 wildcatter, they're well known for their successes in
18 wildcatting. So we're excited about them operating the
19 well, and as a risk -- You know, I hate throwing out the
20 numbers because they're -- they're risky --

21 Q. Yeah.

22 A. -- you know, it's a very risky venture.

23 Q. Okay. As far as that, Dan Hughes would be the
24 operator of the well, as far as the drilling operator also?

25 A. Yes, yes.

1 Q. Okay, so -- but do you know how -- Obviously
2 they've got an AFE here, and you've probably looked it
3 over. Only \$70,000 to mobilize a rig over here, and --
4 that's demob and mob, I guess?

5 A. Now some of these numbers -- the contract with
6 Patterson and everything are relatively new, so some of
7 these numbers may vary.

8 Q. Yeah.

9 A. This was -- I think this is a month or so old.
10 But yeah, some of those numbers are going to change.

11 Q. Yeah. Now who turned this in to our District 4
12 -- Did you guys, Stonebridge, do that, or did Dan Hughes?

13 MR. HUNNICUTT: We did not submit it to District
14 4, Dan Hughes did.

15 Q. (By Examiner Jones) Dan Hughes did. So Dan
16 Hughes is the one that will have the bonds and all that?

17 A. Right.

18 Q. And they'll have to go through any restrictions
19 District 4 has on all the -- the rules and regulations, I
20 guess.

21 So you're not really prepared to talk, yourself,
22 about the design of the first well, or are you? I mean, as
23 far as --

24 A. What our objectives are and protecting the ground
25 waters, we're going to set surface casing to a depth that's

1 sufficient to protect the groundwaters.

2 And the drilling ahead of the well, obviously we
3 are going to be encountering -- there is no well in this
4 area that has encountered the reefs the way we think
5 they're developed out here.

6 Q. Okay.

7 A. So we're drilling something entirely new here.

8 Q. Uh-huh.

9 A. So in drilling the reef sections, we're -- you
10 know, you could potentially have huge lost circulation
11 zones. So we're going to be -- that may inhibit our
12 ability to get to the Percha shale. But it's designed to
13 go to the Percha shale and be able to test that. We will
14 work at getting all the data we can out of the Percha shale
15 and test the reefs as we go down, or any objective horizon.

16 Q. Okay. Do you have -- electric logs and
17 mudlogging, do you plan -- and when do you want to start it
18 in the well?

19 A. Okay, the electric logs we'll run from -- we'll
20 have gamma-ray neutron -- or gamma-ray at least, from
21 surface to TD. We will have neutron density, lithodensity,
22 PE curves up to the base of the surface casing. We'll have
23 the electric logs, and at this point we're anticipating
24 that those will be induction logs. The induction logs were
25 what was run in the Humble well, and that worked fine. So

1 the salinities and such are --

2 Q. -- low.

3 A. -- low, so we should be able to get by with an
4 induction log.

5 The other thing that would be a nice log to have
6 would be a dipole sonic, and from that we can tell stress
7 regimes, a number of different things. But I anticipate
8 that the reef reservoir is going to be so dramatic, if it's
9 anything like the outcrop we're going to have tremendous
10 reservoir properties, and that those will be displayed
11 perfectly with a neutron density tool and a PE combination.

12 Q. Okay.

13 A. So more traditional logging suite. The sonic, we
14 will get a good tie to our seismic. It's right on the
15 seismic line, so we would generate a synthetic off that
16 sonic and have a much better tie than what we've got with
17 the Humble well.

18 Q. Do you have a lot stress faults out here?

19 A. There are faults, there's an interesting section.
20 Down to the base of the reef section, it is relatively
21 undisturbed, but there is an undisturbed basinal sequence
22 in here which has surprised many people, and that -- Below
23 that, though, is a very faulted horizon. So we get a
24 number of faults below that, and that's where on the map we
25 get the large structural feature at the center of the unit,

1 and some of the other structures that appear are below our
2 Mississippian horizon.

3 Q. Okay. Did you -- I guess I better keep asking
4 some questions here. Were you involved in setting --
5 designing the surface -- setting depth, or was that --

6 A. I think that was generated by Dan Hughes, but
7 yes, I did have some input into that.

8 Q. Okay, and you decided 500 feet because --

9 A. Well, the Tertiary section has -- most of the
10 wells -- Larry talked about how it was deep. That's
11 relative to land guys.

12 Q. Okay.

13 A. It's really actually fairly shallow. Most of the
14 wells are in 200 feet or -- they're relatively shallow
15 wells out here that they're getting their surface waters.

16 Q. Okay.

17 A. We can adjust that surface casing to any depth
18 that's required. What we were hoping to do, though, is get
19 as much of the section logged as we could --

20 Q. Uh-huh.

21 A. -- to tie in seismic and everything else so that
22 we get a very good synthetic tie. So we'd like to keep
23 that as shallow as we can, to get a good log sequence up to
24 the base of that surface casing.

25 Q. But you do have water-well -- drilling records

1 from water-well --

2 A. Yes.

3 Q. -- drillers out here?

4 A. Yeah.

5 Q. And if you encounter something below that, you
6 can maybe see it on your induction log, your gamma-ray
7 or --

8 A. Well, we know where the wells are and what
9 they've been --

10 Q. Okay. But this first well that was drilled in
11 the old days, boy, you must not have very good logs on
12 that?

13 A. They have an old electric log, and there's a
14 gamma-ray neutron log on that well, and it's a pretty good
15 quality log --

16 Q. Okay.

17 A. -- for the old -- 1958 vintage.

18 Q. Okay.

19 A. And we do have some younger -- newer wells in the
20 area. There's some Cockrell wells to the north that we've
21 integrated into our study. We've also integrated some
22 wells out of Mexico into our study. We have some wells off
23 to the northeast that we've integrated as well.

24 Q. Okay. Are you going to sit on the well yourself?

25 A. I hope to.

1 Q. And you'd have a mudlogging -- two men
2 mudlogging?

3 A. We want to have a 24-hour surveillance, two-man
4 mudlogging unit. And through that -- I mean, as an
5 exploratory well, we'd want them on early, and we'll just
6 see what we get, and plan to test -- thoroughly test the
7 well, any shows.

8 Obviously, you make decisions at the time of
9 drilling whether it's something that merits a test or not,
10 but we will be testing any and every objective that does
11 merit a test.

12 Q. But you'll drill with fluid, you won't drill with
13 air?

14 A. Right.

15 Q. And it won't be oil-based mud?

16 A. No.

17 Q. Okay. And what kind of surface pits and
18 facilities are you planning on using? Do you know?

19 A. That I do not.

20 Q. Okay.

21 A. No.

22 EXAMINER JONES: Okay, I think I better pass it
23 on to Carol here. We're --

24 MR. BRUCE: Could I ask a couple more?

25 EXAMINER JONES: Sure, go ahead.

FURTHER EXAMINATION

BY MR. BRUCE:

Q. The Hearing Examiner asked you about carbon dioxide. Is there any chance of helium?

A. That's another possibility. We have no idea what to expect in the composition of the gas. You know, other nearby -- McElmo Dome has a lot of CO₂ and some helium and stuff like that. It's in a carbonate environment.

However, I think that thermal maturity level is a little bit different than what we're anticipating here, so I am hopeful our CO₂ volume is low.

Q. And are there any igneous sills or extrusives present in the unit?

A. There are igneous -- the Alamo Mountains are igneous lava flows. Not within the unit, there hasn't been anything reported. The seismic does not appear to have any sills in it. There is a well to the north of here that encountered a sill. It's the Cockrell well. There's a Cockrell well that they've encountered a sill.

But as you move away from those, your thermal maturity seems to be within normal ranges of a -- you know, we're in mid- to late-gas window through this area.

Q. What about the alluvium out here? What's the thickness?

A. Okay, that -- depending on your velocities that

1 you use on your data, we're anticipating that that's going
2 to be between 500 to 700, maybe 1000 feet at the most --

3 Q. Okay.

4 A. -- at any particular place. And that varies as
5 we move deeper into the Basin, it thickens and it thins
6 towards the margins. We're towards the margins, and that
7 alluvium, which is going to be the groundwater horizon, is
8 thinner to the west side of the area.

9 Q. That brings up one final question. Maybe you're
10 not the one to ask this, but would -- the 3-D seismic
11 you're talking about, is that going to be a unit expense
12 shared by the working interest owners, the consenting
13 working interest owners?

14 A. The 3-D.

15 MR. HUNNICUTT: To answer your question, I don't
16 think that they've made a determination of that yet. They
17 have AFE'd it. As far as I know, there's been no
18 determination of that.

19 MR. BRUCE: Okay, that's all I have, Mr.
20 Examiner.

21 EXAMINER JONES: These are all one-eighth royalty
22 state leases. Now the BLM, would they have -- are they, in
23 fact, just now still one-eighth leases, or are they doing
24 one-sixth --

25 MR. HUNNICUTT: I'm sorry?

1 EXAMINER JONES: If it was -- who would have been
2 BLM land? Would they have done still one-eighth leases, or
3 would they have done one-eighth -- or one-sixth leases?

4 MR. HUNNICUTT: These are one-eighth.

5 EXAMINER JONES: One-eighth, okay.

6 MR. HUNNICUTT: They would have been on the
7 exploratory form --

8 EXAMINER JONES: Okay.

9 MR. HUNNICUTT: -- one-eighth.

10 FURTHER EXAMINATION

11 BY EXAMINER JONES:

12 Q. I guess I should just flesh this out a little
13 bit. Those mountains to the west and the east, they
14 outcrop the formation -- some of them outcrop in the Alamo,
15 you said, and the Big Hatchet or the Little Hatchet?

16 A. (By Mr. Kornegay) Right, in the Big Hatchet
17 Mountains, which are immediately to the west and
18 northwest --

19 Q. Okay.

20 A. -- we have outcrops that range all the way from
21 the El Paso -- it's a beautiful section, you can walk that
22 entire section. It's pretty rugged terrain in a couple
23 places, but you can walk all the way through to the
24 Cretaceous --

25 Q. Okay.

1 A. -- and that sequence is exposed on the western
2 side.

3 There's another mountain range, the Little
4 Hatchet Mountains are to the north. Those also have some
5 exposure as well. But we've got a great outcrop sequence.

6 Q. Okay. Do you have a strat section that you
7 generated yourself with --

8 A. Yeah.

9 Q. -- the names of all these --

10 A. Yes, I do.

11 Q. -- strange names --

12 A. I failed to bring that with me, but I can get
13 that for you easily.

14 Q. Could you please send it through Mr. Carr, maybe?

15 A. I will do that.

16 Q. And now -- so these formations are going to be --
17 through time, just like most basins, they're getting
18 recharged --

19 A. Right.

20 Q. -- from the mountains surrounding the Basin; is
21 that right?

22 A. (Nods)

23 Q. So some of them may or may not -- they're going
24 to be different salinities as you go down?

25 A. Right. We anticipate -- and you can see a

1 profile, what appears to be a salinity profile, in the
2 Humble well, and it is fresher water towards the surface
3 and higher salinities as you go deeper. But it appears
4 that that salinity increases relatively rapidly as we go
5 deeper.

6 Q. Okay. These faults, are they running the length
7 of the Basin?

8 A. They appear to be, and --

9 Q. Are they sealing faults?

10 A. We hope they're sealing.

11 Q. Okay.

12 A. But remember that a lot of the section that we're
13 going to be looking at in this -- in our initial well
14 program, is going to be relatively undisturbed by the
15 faults, which is an exciting thing. That's always been
16 kind of the knock against the Pedregosa Basin, is that it
17 was a tectonically active basin, and the first concern is
18 destruction of trap. How do you preserve a trap in
19 something that's very tectonically active? Well, we have
20 found an undisturbed portion of the Pennsylvanian-Permian-
21 Cretaceous section, that appears undisturbed. It's
22 exciting.

23 Q. So you're going to have sands and shales?

24 A. It's going to be dominantly carbonate.

25 Q. Carbonate.

1 A. Yeah, we're going to be dominantly in the
2 carbonates. The Humble well is more in the marine side of
3 that carbonate sequence --

4 Q. Okay.

5 A. -- and all of these rocks that we're going to be
6 exploring for are more towards the marginal marine and reef
7 development sequence.

8 EXAMINER JONES: The reef, okay. Okay, I don't
9 have any more questions.

10 MR. CARR: Mr. Examiner, Henry Kremer [sic] with
11 the Dan A. Hughes Company is here, and he has advised me
12 that to determine the proper depth for the surface casing
13 and to protect fresh waters, they intend to drill a water
14 well first to establish the appropriate event.

15 He is present and would be willing to take the
16 stand if you would like to question him on that, but that
17 is how they intend to establish the depth of the water for
18 the purpose of having an active casing program.

19 EXAMINER JONES: If he takes the stand, can I ask
20 him more questions than that?

21 MR. CARR: You probably can, but I don't know
22 what he might answer.

23 EXAMINER JONES: Okay, I would think that would
24 be good. Do you have any more questions of this witness?

25 MR. CARR: At this time, then, we'd call Mr.

1 Kremer.

2 EXAMINER JONES: Okay. Mr. Kremer, would you
3 please stand to be sworn?

4 (Thereupon, the witness was sworn.)

5 EXAMINER JONES: Okay.

6 J.H. (HANK) KREMERS,

7 the witness herein, after having been first duly sworn upon
8 his oath, was examined and testified as follows:

9 DIRECT EXAMINATION

10 BY MR. CARR:

11 Q. Would you state your name for the record, please?

12 A. It's John Henry Kremers.

13 Q. Mr. Kremer, where do you reside?

14 A. Beeville, Texas.

15 Q. And by whom are you employed?

16 A. Dan A. Hughes Company, L.P.

17 Q. And what -- Have you previously testified before
18 the New Mexico Oil Conservation Division?

19 A. I have not.

20 Q. Could you review your educational experience and
21 background as it relates to the oil and gas industry for
22 Mr. Jones?

23 A. Certainly. I graduated from the University of
24 Texas with a petroleum land management degree, I have
25 worked five years for Conoco followed by 26 years working

1 for Dan A. Hughes Company.

2 I have been involved primarily in land functions.
3 I have acted as a land manager for 23 of the 26 years and
4 now I am vice president of land for Dan A. Hughes Company.

5 Q. Are you familiar with the Application filed in
6 this case?

7 A. Yes, I am.

8 Q. Are you familiar with the proposed South Hueco
9 Unit?

10 A. Yes, I am.

11 Q. Are you familiar with the Dan A. Hughes Company's
12 plans for the initial development of this unit area?

13 A. Yes, most of them.

14 Q. And since we haven't had a chance to talk, if you
15 -- I want to advise you that if you get into an area where
16 you don't know, that's an acceptable answer.

17 But you are familiar with how Dan A. Hughes plans
18 to go about drilling --

19 A. Yes.

20 Q. -- the initial well?

21 A. Yes.

22 MR. CARR: I would tender Mr. Kremer as an expert
23 in petroleum land matters.

24 EXAMINER JONES: Objection?

25 MR. BRUCE: No.

1 EXAMINER JONES: Mr. Kremer is qualified as an
2 expert in petroleum land matters.

3 Q. (By Mr. Carr) Could you review for Mr. Jones how
4 it is that you plan to determine the water table in the
5 area of the initial well --

6 A. Yes.

7 Q. -- for the purpose of determining an appropriate
8 casing program?

9 A. In attempting to permit the well, we have -- your
10 District Office has advised that they have no log records
11 whatsoever in this area. We have undertaken a brief
12 attempt to find some logs to show where the water tables
13 are. We have been unsuccessful to date. We will do some
14 more here in the next couple weeks. But in the absence of
15 that, what we will do is drill the water well, log it,
16 establish it, and then get the casing program at that
17 point.

18 EXAMINER JONES: Okay, and the water -- Okay.

19 MR. CARR: I have no further questions of this
20 witness.

21 MR. BRUCE: I have no questions.

22 EXAMINATION

23 BY EXAMINER JONES:

24 Q. Okay. Mr. Kremer, as far as the water wells
25 you're going to drill, are you going to drill them with the

1 -- just -- are they rotary -- water wells, are they cable-
2 tool drilling?

3 A. I don't feel I could answer that, I really --

4 Q. Okay.

5 A. -- can't at this juncture. There are water wells
6 in the area --

7 Q. Okay.

8 A. -- and we are attempting -- we will attempt,
9 through Phelps-Dodge, to ascertain if they have logs. We
10 have not done so. This is evolving as we speak.

11 Q. Okay.

12 A. What I passed on is news from this morning. But
13 we are prepared to drill the well first and log it as
14 necessary, in compliance with whatever regulations your
15 District Office --

16 Q. Okay, so you're going to localize the wells
17 around it, so you know better where to set the --

18 A. Exactly.

19 Q. -- surface pipe --

20 A. Exactly.

21 Q. -- with water well drillers that are experienced
22 in the area?

23 A. Absolutely. Everything -- Nothing is going to be
24 brought from Texas at all, it's all going to be local.

25 Q. As far as the rig and everything, and the setup

1 on the rig, do you know anything about that?

2 A. No, not really.

3 Q. Care to say anything about it?

4 A. No.

5 EXAMINER JONES: Okay, that was the main purpose.

6 Thank you, Mr. Kremer.

7 Carol, did you --

8 MS. LEACH: No, thanks.

9 MR. CARR: May it please the Examiner, that
10 concludes our presentation in this case.

11 EXAMINER JONES: Okay. Mr. Bruce, do you have
12 anything --

13 MR. BRUCE: I have --

14 EXAMINER JONES: -- else to say --

15 MR. BRUCE: -- nothing in this matter.

16 EXAMINER JONES: -- about this?

17 Okay, can we go off the record just a second?

18 (Off the record at 11:06 a.m.)

19 (The following proceedings had at 11:07 a.m.)

20 EXAMINER JONES: Okay, let's go back on the
21 record, and we'll take Case 13,022 under advisement.

22 MR. CARR: Thank you, Mr. Examiner, and you're
23 aware of the tight time frame?

24 EXAMINER JONES: I'm --

25 MR. CARR: We will --

1 EXAMINER JONES: You know, I've heard that a lot
2 lately.

3 MR. CARR: We'll be providing the information
4 that you requested from Mr. Kornegay immediately, and if
5 you have any questions please call us.

6 EXAMINER JONES: And that's a PDF file you sent?

7 MR. CARR: Isn't that what you've asked for in
8 the past?

9 EXAMINER JONES: Actually, I would rather have a
10 Word file.

11 MR. CARR: We'll send you a word file.

12 EXAMINER JONES: We don't have converters at the
13 State.

14 MR. CARR: Thank you very much.

15 (Thereupon, these proceedings were concluded at
16 11:08 a.m.)

17 * * *

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL November 2nd, 2007.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 16th, 2010