

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY )  
THE OIL CONSERVATION DIVISION FOR THE )  
PURPOSE OF CONSIDERING: )

CASE NO. 13,976

APPLICATION OF MCKAY OIL CORPORATION TO )  
AMEND THE SPECIAL RULES AND REGULATIONS )  
FOR THE WEST PECOS SLOPE-ABO GAS POOL, )  
CHAVES COUNTY, NEW MEXICO )

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID K. BROOKS, Jr., Hearing Examiner  
WILLIAM V. JONES, Jr., Technical Examiner

August 23rd, 2007

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID K. BROOKS, Jr., Legal Examiner, WILLIAM V. JONES, Jr., Technical Examiner, on Thursday, August 23rd, 2007, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

STEVEN T. BRENNER, CCR  
(505) 989-9317

RECEIVED  
2007 SEP 6 PM 2:22

## I N D E X

August 23rd, 2007  
Examiner Hearing  
CASE NO. 13,976

	PAGE
EXHIBITS	3
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>JAMES L. SCHULTZ</u> (Landman)	
Direct Examination by Mr. Bruce	5
Examination by Examiner Jones	13
Examination by Examiner Brooks	13
<u>JOHN HORN</u> (Geologist)	
Direct Examination by Mr. Bruce	15
Examination by Examiner Jones	42
Examination by Examiner Brooks	51
<u>CHARLES W. SANDERS</u> (Engineer)	
Direct Examination by Mr. Bruce	51
Examination by Examiner Jones	56
REPORTER'S CERTIFICATE	63

\* \* \*

## E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	5	42
Exhibit 2	6	12
Exhibit 3	7	12
Exhibit 4	7	12
Exhibit 5	-	12
Exhibit 6	-	12
Exhibit 7	10	12
Exhibit 8	10	12

\* \* \*

## A P P E A R A N C E S

## FOR THE APPLICANT:

JAMES G. BRUCE  
Attorney at Law  
P.O. Box 1056  
Santa Fe, New Mexico 87504

\* \* \*

1 WHEREUPON, the following proceedings were had at  
2 9:39 a.m.:

3 EXAMINER BROOKS: At this time we call Case  
4 Number 13,976, Application of McKay Oil Corporation to  
5 amend the special rules and regulations for the West Pecos  
6 Slope-Abo Gas Pool, Chaves County, New Mexico.

7 Call for appearances.

8 MR. BRUCE: Mr. Examiner, Jim Bruce of Santa Fe,  
9 representing the Applicant. I have three witnesses. I  
10 would ask that we take a short break; one of the witnesses  
11 wants to set up the PowerPoint.

12 EXAMINER BROOKS: Okay, shall we -- Let's have  
13 the witnesses sworn if they're present.

14 MR. BRUCE: They are.

15 EXAMINER BROOKS: We have a witness missing. We  
16 can swear them after the break.

17 Do you have all the witnesses present?

18 MR. BRUCE: Yes, I do.

19 EXAMINER BROOKS: Okay, would each of the  
20 witnesses stand and identify your -- state your name?

21 MR. SCHULTZ: My name is Jim Schultz.

22 MR. HORN: My name is John Horn.

23 MR. SANDERS: My name is Charles Sanders.

24 EXAMINER BROOKS: Swear the witnesses, please.

25 (Thereupon, the witnesses were sworn.)

1 EXAMINER BROOKS: Very good. We will take a  
2 10-minute recess, and at the end of that time we will  
3 re-convene, and I will summon the Technical Examiner since  
4 I think his assistance may be needed in this case.

5 (Thereupon, a recess was taken at 9:42 a.m.)

6 (The following proceedings had at 10:00 a.m.)

7 EXAMINER BROOKS: Okay, we are ready to proceed,  
8 I believe. Let the record reflect that we are resuming  
9 consideration of Case Number 13,976, the Application of  
10 McKay Oil Corporation to amend the special rules and  
11 regulations for the West Pecos Slope-Abo Gas Pool, and that  
12 William Jones has joined us as a Technical Examiner.

13 You may proceed, Mr. Bruce.

14 MR. BRUCE: Mr. Examiner, first of all I've put  
15 before you some exhibits. Exhibit 1 contains hard copies  
16 of the PowerPoint presentation, and what is on the wall  
17 right now is one of those exhibits.

18 Our first witness, Mr. Schultz, will be  
19 testifying from Exhibits 2 through 8.

20 JAMES L. SCHULTZ,  
21 the witness herein, after having been first duly sworn upon  
22 his oath, was examined and testified as follows:

23 DIRECT EXAMINATION

24 BY MR. BRUCE:

25 Q. Mr. Schultz, could you please state your full

1 name for the record?

2 A. My full name is James Lynn Schultz.

3 Q. And where do you reside?

4 A. Out of Roswell, New Mexico.

5 Q. What is your profession?

6 A. I'm an independent petroleum landman.

7 Q. And what is your relationship to the McKay Oil  
8 Corporation in this case?

9 A. I'm a contract landman.

10 Q. Have you previously testified before the  
11 Division?

12 A. Yes, I have.

13 Q. And were your credentials as an expert petroleum  
14 landman accepted as a matter of record?

15 A. Yes, they were.

16 Q. And are you familiar with land matters involved  
17 in the West Pecos Slope-Abo Gas Pool?

18 A. Yes, I am.

19 MR. BRUCE: Mr. Examiner, I'd tender Mr. Schultz  
20 as an expert petroleum landman.

21 EXAMINER BROOKS: He is so qualified.

22 Q. (By Mr. Bruce) Mr. Schultz, what is Exhibit 2?

23 A. Exhibit 2 is a list of the lands within the Pecos  
24 Slope-Abo West area.

25 Q. The plat on the wall, what does that reflect?

1           A.    That reflects the acreage that is controlled by  
2 McKay Oil Corporation within the Pecos Slope-Abo West area.

3           Q.    And what we're focusing on here with the McKay  
4 acreage is primarily the northern part of the West Pecos --

5           A.    Yes.

6           Q.    What is Exhibit 3?

7           A.    Exhibit 3 is the pooling order which established  
8 the rules and regulations for the West Pecos Slope-Abo.

9           Q.    This is a gas pool. What is the well spacing?

10          A.    The well spacing is two wells per 160, being no  
11 closer than 660 from an outside boundary line and 10 from  
12 an inside boundary line.

13          Q.    And in this case what is McKay seeking? And I  
14 refer you to Exhibit 4.

15          A.    McKay is requesting that four wells be allowed  
16 per each proration unit, or 160 quarter section, whether  
17 they are vertical or horizontal wells. They are also  
18 requesting that the wells be located no closer than 330  
19 feet from a section line and 10 feet from a quarter quarter  
20 section line, of course subject to the Division provisions,  
21 Rule 111, which deals with horizontal wells.

22                It's also asking for an administrative procedure  
23 for exceptions to the drilling density provision of the  
24 amended pool rules, and also a buffer zone within the  
25 amended pool rules which will allow a quarter -- will not

1 apply to a quarter section adjoining any Division-  
2 designated Abo gas pool.

3 Q. Now with respect to the four wells per well unit,  
4 four wells per quarter section, does McKay request that --  
5 I don't know if I should say this in the negative. McKay  
6 is not requesting that it be one well per quarter quarter  
7 section --

8 A. No.

9 Q. -- is that correct?

10 A. No, it's just four wells within a proration unit.

11 Q. Even if there could be two or three wells on the  
12 same quarter quarter section?

13 A. Yes.

14 Q. And McKay does have technical witnesses who will  
15 discuss the drainage and other reasons for this, will it  
16 not?

17 A. Yes.

18 Q. Secondly, item (c), the administrative procedure.  
19 Does McKay envision that there may be instances or  
20 opportunities where more than four wells might be allowed  
21 per -- might be desired per quarter section?

22 A. Yes, on a case-by-case basis.

23 Q. Okay. What is Exhibit 5?

24 A. Exhibit 5 is a list of the other operators within  
25 the Pecos Slope-Abo West area.



1 Q. And so this is a rather large pool, but there are  
2 very few operators?

3 A. Yes.

4 Q. Now one of them that you had listed was Mercury  
5 Exploration Company. Do they still own interest in the  
6 pool?

7 A. No, they had one well called M&M Well, and they  
8 sold it back in 2002 to Pecos Production Company, which is  
9 part of Pecos River Operating, Inc.

10 Q. Okay. So the Mercury Exploration interest is now  
11 owned by Pecos Operating?

12 A. Yes.

13 Q. Have you had contacts with the other operators in  
14 the pool?

15 A. Yes, I have.

16 Q. Do any of them object at this point to the  
17 Application?

18 A. In talking with the other operators, MEW has  
19 signed a letter of ratification or consent to the new pool  
20 rules that we've applied for, and the same thing with Pecos  
21 River Operating Company, has also provided us a letter of  
22 support for the proposed rule changes.

23 Q. Okay.

24 A. And then I also have talked with representatives  
25 of Yates Petroleum, and they told me that they were not

1 going to object to our request.

2 Q. Okay. But they did not sign a letter?

3 A. No.

4 Q. And finally, notice was given to the interest  
5 owners of -- or I should say the other operators of this  
6 hearing, was it not?

7 A. Yes, it was.

8 MR. BRUCE: And Mr. Examiner, Exhibit 8 is the  
9 affidavit of notice. I will note that on the last page I  
10 did not receive the green card back yet from Pecos River  
11 Operating. However, they did sign a letter stating they  
12 did not object to the Application.

13 EXAMINER BROOKS: Okay, is that letter in the  
14 record, in evidence?

15 MR. BRUCE: Yes, it's the second page of Exhibit  
16 7.

17 EXAMINER BROOKS: Thanks.

18 Q. (By Mr. Bruce) Mr. Schultz, as part of your  
19 duties on behalf of McKay and other operators, have you had  
20 to deal with obtaining surface locations and other matters  
21 related to the drilling of a well?

22 A. I've probably staked and permitted around 400,  
23 450 wells, both federal, state and fee.

24 Q. And over the years, over more recent years, has  
25 it been more difficult to obtain surface locations in

1 southeast New Mexico?

2 A. Yes, it has.

3 Q. And what are the two main reasons for problems  
4 with obtaining surface locations?

5 A. There's problems with topography, being within  
6 floodplain areas and things like that, drainage areas, and  
7 also archaeology. In this particular area in the West  
8 Pecos Slope-Abo, archaeology is seen as being prevalent  
9 because of the different arroyos that run through there,  
10 and I guess Native Americans used to sit up on these little  
11 hills overlooking these little arroyos and would actually  
12 make tools and things, so they left sites there, and  
13 they're quite numerous in this area.

14 And then a third thing most recently which has  
15 come about, which I guess has slowed down the process of  
16 getting locations is the new New Mexico Surface Owners  
17 Protection Act.

18 Q. Okay. Now on the wall is a plat, and Mr. Horn  
19 will go into this in more -- will also discuss this. But  
20 as part of the plans for further development of this pool,  
21 does McKay propose to use a single drillpad to drill  
22 several wells?

23 A. Yes, they've actually staked and want to apply  
24 for multiple wells off a single wellpad.

25 Q. And is the plat on the wall a reflection of one

1 of those proposals?

2 A. Yes.

3 Q. And some of these wells, as the next witness will  
4 discuss, will be horizontal wells, will they not?

5 A. Yes.

6 Q. By using one wellpad for several wells, will that  
7 minimize the surface impact of the wells being drilled in  
8 the Pecos Slope?

9 A. Yes, it will.

10 Q. In your opinion, will the -- Oh, and I might say,  
11 in that Section 35 and Section 34, does that reflect  
12 numerous arroyos and other relief which would limit well  
13 location out in this area?

14 A. Yes, it does.

15 Q. In your opinion, is the granting of this  
16 Application in the interests of conservation and the  
17 prevention of waste?

18 A. Yes, it is.

19 Q. And were Exhibits 2 through 8 either prepared by  
20 you, under your supervision, or compiled from company  
21 business records?

22 A. Yes, they were.

23 MR. BRUCE: Mr. Examiner, I'd move the admission  
24 of Exhibits 2 through 8.

25 EXAMINER BROOKS: 2 through 8 are admitted.

1 MR. BRUCE: I have no further questions of the  
2 witness.

3 EXAMINER BROOKS: I don't believe I have any  
4 questions of this witness.

5 Do you have any, Mr. Jones?

6 EXAMINATION

7 BY EXAMINER JONES:

8 Q. The multiple wells from a single pad, would you  
9 intend to deviate those wells to different bottomhole  
10 locations?

11 A. Yes, depending on their geology, it would pick  
12 and choose which directions would, I guess, attempt to  
13 increase their overall pay or the reserves they would  
14 encounter in going those directions, and I'll let Mr. Horn  
15 go into that area.

16 EXAMINER BROOKS: I guess I do have a question.

17 EXAMINATION

18 BY EXAMINER BROOKS:

19 Q. You understand that -- What I understand you're  
20 asking for in this is that you can have four wells per  
21 spacing unit, and they can be located anywhere in the  
22 spacing unit, correct?

23 A. Yes, sir.

24 Q. And you would understand that unless otherwise  
25 specified in the Rules, the Division would interpret a

1 horizontal well as being located in each spacing unit in  
2 which that well was perforated or in which it was open,  
3 regardless of -- even though it penetrated several  
4 different units?

5 A. Yes, sir, I do. And I think there's certain  
6 other areas where you're looking at this, that you may have  
7 to go into a project area, as opposed to just looking at a  
8 set proration unit, being a standard quarter section, in  
9 order to completely drain the reserves that are available  
10 out there.

11 EXAMINER BROOKS: Right.

12 Did you have any further questions?

13 EXAMINER JONES: I did, actually.

14 EXAMINER BROOKS: Go ahead.

15 EXAMINER JONES: Do you know of any other  
16 Division or Commission Rules that are similar to this as  
17 far as number of wells per spacing unit, but not allocating  
18 them to each quarter? So is this a precedent-setting  
19 thing?

20 MR. BRUCE: Mr. Examiner, to a certain extent  
21 yes, although with horizontal drilling I suppose you're --  
22 perhaps like the Parallel Petroleum cases, where they're  
23 having -- the one that was dismissed today, where they're  
24 having two horizontal wells on a well unit. That at time  
25 might kind of be the same, although that's a different

1 situation with a different spacing.

2 But yes, I do not know of any.

3 EXAMINER BROOKS: Okay, thank you.

4 MR. BRUCE: Call Mr. Horn to the stand.

5 JOHN HORN,

6 the witness herein, after having been first duly sworn upon  
7 his oath, was examined and testified as follows:

8 DIRECT EXAMINATION

9 BY MR. BRUCE:

10 Q. Would you please state your name and city of  
11 residence for the record?

12 A. My name is John Corbett Horn. City of residence  
13 would be Littleton, Colorado.

14 Q. And who do you work for and in what capacity?

15 A. I'm the owner of a geological consulting group,  
16 Orion International, Ltd.

17 Q. Okay. And what is your profession by trade?

18 A. Profession by trade is geologist.

19 Q. In these exhibits not only McKay Oil is mentioned  
20 but Rock Resources, LLC. What is your relationship to  
21 those entities?

22 A. I'm a consultant to Rock Resources, who provides  
23 technical assistance to McKay Oil, the operator of the  
24 McKay Oil properties.

25 Q. Have you previously testified before the

1 Division?

2 A. No, I have not. I have testified before other  
3 states' divisions, but not New Mexico.

4 Q. Would you please summarize your educational and  
5 employment background for the Examiner?

6 A. I have a bachelor's, master's, and a PhD in  
7 geology. I've taught at the University of South Carolina  
8 and the Colorado School of Mines, have started and run a  
9 consulting company, geological consulting company called  
10 RPI International, then worked -- started a geological  
11 consulting branch for Interra Information Technologies as  
12 well as for Norwest Quest Engineering to provide geological  
13 input into reservoir analysis and engineering simulations  
14 of reservoirs.

15 Q. And as a result of that did you also become  
16 familiar with basic reservoir engineering matters?

17 A. Yes, I have built reservoir models, geologic  
18 models, for reservoir simulations virtually most places of  
19 the world, from the North Sea to Bolivia to several  
20 Canadian and US reservoir properties.

21 Q. And for Rock Resources and McKay Oil, did you  
22 perform a geological evaluation of the West Pecos Slope-Abo  
23 Gas Pool?

24 A. I have prepared a geological evaluation -- it is  
25 still an ongoing evaluation, a long-term ongoing evaluation



1 -- to compare geologic properties to engineering properties  
2 to try to define the controls on gas distribution within  
3 the Abo formation.

4 Q. And are you familiar with the geologic matters  
5 related to this Application?

6 A. Yes, I am.

7 MR. BRUCE: Mr. Examiner, I'd tender Mr. Horn as  
8 an expert petroleum geologist.

9 EXAMINER BROOKS: He is so qualified.

10 Q. (By Mr. Bruce) Mr. Horn, if you could go back to  
11 the top of your presentation and perhaps start off with the  
12 objectives that McKay Oil seeks as a result of this pool  
13 rules hearing.

14 A. Yes, today in the PowerPoint that I've prepared  
15 for the hearing today, essentially I'm trying to address  
16 two main issues, of which there's a third related issue  
17 that needs to be brought in.

18 One is the spacing -- well spacing within the Abo  
19 field and trying to determine the most efficient well  
20 spacing to increase the efficiency of gas gathering in the  
21 field.

22 Related to that is looking at horizontal wells  
23 versus the vertical well spacing within the field. To do  
24 that, we will look at the drainage areas. What are the  
25 present drainage areas associated with the cumulative

1 production in the field, as well as the estimated ultimate  
2 recovery of the gas from different wells in the field, and  
3 looking at what that drainage area will be.

4 The second issue which I think is one that we've  
5 already mentioned is the mitigation of surface disruption  
6 and discussing these deviated well locations as we go  
7 through here.

8 And as Jim Schultz mentioned, the importance of  
9 using the limited surface opportunities that are available  
10 in some of the areas where we have topography problems  
11 and/or archaeological problems, to try to maximize the gas  
12 recovery in those areas but minimize the surface damage  
13 done, both from the standpoint of drilling off of single  
14 wellpads but also reducing the amount of gathering  
15 destruction by putting in gathering systems that --  
16 increasing the efficiency of gathering systems.

17 And then finally, just what has -- are the McKay  
18 Oil and Rock Resources groups doing to develop the future  
19 potential of the Pecos West field?

20 Q. Okay, why don't you move on briefly to your next  
21 couple of frames and just discuss the gas in place and  
22 drainage calculations?

23 A. Yes, to understand what I've done in here, there  
24 are two basic formulas that are basic engineering formulas  
25 that come out of the *Petroleum Handbook* published by the

1 Society of Professional Engineers.

2 One is to try to define the original gas in  
3 place. And to do that simple formula, the EUR is over the  
4 recovery factor, and the recovery factor from that *Handbook*  
5 for the Abo is given as 65 percent, is the average recovery  
6 factor. And so I used that number, which actually boosts  
7 the original gas in place in there.

8 The estimated ultimate recovery, I -- instead of  
9 doing the decline-curve analysis that would be the most  
10 standard engineering approach in this case -- and where we  
11 are in most of the production curves in these fields, we're  
12 down to about a 2-percent per year decline.

13 What I did was, I extended the production, took  
14 the last year's production, extended it out flat for 10  
15 years. That's more -- that gives us a higher estimated  
16 ultimate recovery than you would get from a normal decline  
17 curve analysis. I did that, one, to be conservative in the  
18 estimates that end up in what the ultimate drainage area  
19 would be. I also did that to take into account some of the  
20 things that are being done in the field itself to enhance  
21 recovery in existing wells and try to take that into  
22 account in this manner.

23 The second was to try to come up with the area of  
24 drainage, the ultimate area of drainage in there. There is  
25 the original gas-in-place calculation that I showed you how

*Prodn  
Curves*

1 we gathered that from the previous formula.

2 Also the formation volume factor, which is based  
3 on the depth and the pressures of the reservoir, and I used  
4 .016 again as a number that's directly out of the charts in  
5 the *Petroleum Handbook*.

6 The porosity in percentages of 100 are measured  
7 off of the logs of the individual wells that were examined  
8 to come up with these drainage areas.

9 The height of the pay is the net pay thickness of  
10 gas crossover, again from the logs of the individual wells.

11 The water saturations, the average use for the  
12 Abo is 35 percent. Although in this area we produce little  
13 water, I went ahead and used that 35-percent number since  
14 that was an established number based on a large number of  
15 analyses.

16 Q. Would that also give you a conservative estimate?

17 A. It gives you a conservative estimate of the  
18 estimated ultimate.

19 Q. Go ahead, Mr. Horn. Oh, one thing, Mr. Horn. As  
20 you're going through this, if the Examiners have any  
21 questions on a particular exhibit, would you ask that they  
22 ask those questions at this time?

23 A. Yeah, I believe that whenever a question comes up  
24 it's better to ask it at that time, so don't feel that  
25 you're going to make me upset by interrupting, that's fine.

1 I think it gives a better give and take, if you have  
2 questions as they come up.

3 EXAMINER BROOKS: Well, if you prefer that, Mr.  
4 Horn and Mr. Bruce, I will do so. I'm not an engineer, Mr.  
5 Jones is. I'll have to start with the very basic things to  
6 be sure I understand where you're going.

7 I understand the slide with the G equals EUR over  
8 RF --

9 THE WITNESS: Right.

10 EXAMINER BROOKS: -- I think that's fairly  
11 transparent. But I'm going to have to go through these.

12 Now what is the ultimate purpose -- what factor  
13 are you solving for with these equations?

14 THE WITNESS: The ultimate goal is to determine  
15 what will be the maximum area of drainage of an individual  
16 well.

17 EXAMINER BROOKS: So A is the factor you're  
18 solving for --

19 THE WITNESS: Yes.

20 EXAMINER BROOKS: -- in these equations?

21 All right, G is the gas in place. That's what  
22 you've computed on the previous slide?

23 THE WITNESS: That's correct.

24 EXAMINER BROOKS: And 43,560 is the number of  
25 acres per square mile?

1 MR. BRUCE: Number of square feet per acre.

2 THE WITNESS: Number of square feet per acre.

3 EXAMINER BROOKS: Square feet per acre --

4 THE WITNESS: Yes.

5 EXAMINER BROOKS: -- I'm sorry. Of course, acres  
6 per square mile is 640. That's the number of square feet  
7 per acre. I'm even more ignorant than I thought I was.

8 So A is the factor you're solving for.

9 THE WITNESS: That's correct.

10 EXAMINER BROOKS: H is the net pay, and you  
11 determined that by averaging from the wells that you had  
12 logs on?

13 THE WITNESS: No, actually I did it on an  
14 individual well basis, using the logs on those individual  
15 wells of where you had gas crossover and good porosity in  
16 the well, to calculate the height of the pay within there.

17 EXAMINER BROOKS: So you're going to have a  
18 different -- you're going to have an individual area of  
19 drainage for each well, as opposed to an average area of  
20 drainage --

21 THE WITNESS: That's correct.

22 EXAMINER BROOKS: -- for the entire field?

23 THE WITNESS: That's correct.

24 EXAMINER BROOKS: Okay. And what is this Greek  
25 symbol? I didn't --

1 THE WITNESS: That's the porosity symbol.

2 EXAMINER BROOKS: Okay, that's what it means,  
3 but --

4 THE WITNESS: It's feet, is the symbol.

5 EXAMINER BROOKS: Okay, and that is -- that's the  
6 porosity, which is a percentage?

7 THE WITNESS: Yes.

8 EXAMINER BROOKS: And  $S_w$  is the water  
9 saturation, so 1 minus  $S_w$  is the percentage that's not  
10 water saturated --

11 THE WITNESS: That's correct.

12 EXAMINER BROOKS: -- correct? So what you're --  
13 here you're calculating the volume of the reservoir that is  
14 pore space and not water saturated?

15 THE WITNESS: That's correct.

16 EXAMINER BROOKS: That's what's above the line?

17 THE WITNESS: Yes.

18 EXAMINER BROOKS: Okay, what is the  $B_{gi}$ ?

19 THE WITNESS: That's the compressibility of the  
20 gases, and that's related to the depth and the pressure.

21 EXAMINER BROOKS: Okay, can you explain that a  
22 little bit more in lay terms?

23 THE WITNESS: There are a series of charts that  
24 have been developed that show how -- the relationship  
25 between depth of burial and compressibility of the gas.

1 The pressure on the gas as you bury it -- At surface it's  
2 14.7 pounds --

3 EXAMINER BROOKS: Right.

4 THE WITNESS: -- and the further you bury it, the  
5 higher the pressure gets and the more the gas is compressed  
6 down.

7 EXAMINER BROOKS: Okay. So this factor is  
8 intended to adjust that to show the volume of space  
9 occupied by a given quantity of gas at a particular  
10 pressure --

11 THE WITNESS: Yes.

12 EXAMINER BROOKS: -- and at a particular depth?

13 THE WITNESS: Yes.

14 EXAMINER BROOKS: Okay. And is that specific for  
15 this formation, or is that a generic --

16 THE WITNESS: That's specific for this formation  
17 and this depth.

18 EXAMINER BROOKS: Okay. So then the lower  
19 formula is the upper formula solved out -- re-expressed to  
20 solve for A?

21 THE WITNESS: Yes.

22 EXAMINER BROOKS: Okay, I think I understand it.  
23 I'll let you go on.

24 THE WITNESS: Okay.

25 EXAMINER BROOKS: Unless Mr. Jones has some



1 questions on this, and it's all basic for him to have  
2 questions.

3 EXAMINER JONES: Actually not, I was going to ask  
4 Mr. Horn real quickly --

5 EXAMINER BROOKS: Please do.

6 EXAMINER JONES: -- you still -- you started RPI;  
7 is that right?

8 THE WITNESS: Yes.

9 EXAMINER JONES: Do you still own it?

10 THE WITNESS: I still own the studies, yes.

11 EXAMINER JONES: Okay. Well, I don't want to  
12 pry, but do you know Dr. Crafton, then? RPI International,  
13 we're talking about?

14 THE WITNESS: Yes.

15 EXAMINER JONES: Yeah, I'm familiar with his  
16 work, Colorado School of Mines --

17 THE WITNESS: Uh-huh.

18 EXAMINER JONES: -- on the -- and anyway, I guess  
19 specifically, the 65 percent for the Abo, is that -- for  
20 the recovery factor, is that -- is that -- did you talk to  
21 any other professionals with these other companies in this  
22 field to see if they like that number also?

23 THE WITNESS: No, I didn't. I got that out of  
24 the calculations for all the Abo reservoirs in the  
25 southeastern New Mexico area.

1 EXAMINER JONES: Okay. But a lot of them are not  
2 as tight as this, right?

3 THE WITNESS: That's correct. So if anything,  
4 this is a fairly high recovery factor.

5 EXAMINER JONES: Okay.

6 THE WITNESS: And the effect of that is that it  
7 gives you more gas in place.

8 EXAMINER JONES: Okay, thanks a lot.

9 THE WITNESS: This is -- we've discussed this --  
10 or Jim Schultz discussed this before and I don't  
11 necessarily need to go any further into it, just showing  
12 the acreage position that McKay Oil has in the Pecos West-  
13 Abo field.

14 Putting it into a more general context, this  
15 western acreage is shown up here in the northwest part of  
16 here. This is a structure map, originally created by  
17 Broadhead from New Mexico Tech in 1993, and he showed a  
18 general structure of structural dips from west to east  
19 through the field, getting deeper to the eastern part of  
20 the acreage position.

21 To focus in on that and come back again to that  
22 west Abo acreage, you're north of the faults in there. You  
23 have a gentle dip to the east. We're looking on the order  
24 of about 100 feet per mile, which is about a degree of dip.  
25 94 feet per mile is a degree of dip in there. So very

1 gently dipping structural position from the standpoint of  
2 the acreage in that western area.

3 One of the real problems in dealing with this  
4 McKay acreage has been the lack of rock information. It's  
5 already apparent, I've had to go outside the area to start  
6 to bring in the parameters of the Abo sands. And one of  
7 the first things that was done was to drill a corehole here  
8 -- that was one of the first coreholes in this area -- to  
9 try to get more detailed rock information.

10 And here's just an example of one of the Abo  
11 sandstones. It doesn't show in this lighting very well,  
12 but it's a very fine-grained sandstone. The lower part of  
13 the sandstone has bedding in it, suggesting fairly high-  
14 energy conditions. As you come up through the sandstone  
15 you start to pick up burrows.

16 But probably the most important thing that really  
17 stood out when we looked at these cores was that the  
18 sandstone itself -- and the bottom of that sandstone is  
19 down at the bottom of this particular figure -- was how red  
20 the sandstones were and how much iron was in the  
21 sandstones.

22 And when you start to go back through how the  
23 completions were treated in this area, that was never even  
24 considered because people didn't realize that there was a  
25 lot of iron in the sandstones. And as a result, they would

1 go in and they would apply acids that -- and they had some  
2 iron problems.

3 And subsequent to cutting this core we went back  
4 and started to look at some of the perforations and found a  
5 lot of iron oxides in there that were clogging perforations  
6 and preventing some production of gas in there because of  
7 the clogging of the perforations.

8 The other thing we saw was the quality of the  
9 seals. Here in this particular core you can see the  
10 shales. The shales are very tight and provide very  
11 excellent seals between the sands in here. So in many  
12 cases one of the things they did was go in and do very  
13 broad-interval fracs, and that created problems because  
14 most of the frac fluids would go to the zones that could  
15 take it the easiest. And so even though there was gas in  
16 other zones, they may not have actually produced that gas.

17 So it was kind of an eye-opener to see what had  
18 been missed, largely because of the lack of rock data.

19 Q. (By Mr. Bruce) So that enabled you to look at  
20 what problems there may be and help devise a program to  
21 overcome those problems?

22 A. That's correct, and in the -- As you'll see later  
23 on in the presentation, that helped us to start to develop  
24 strategies of how to improve production in the field, which  
25 is one of the reasons why I went to that flat EUR for the

1 last 10 years, to try to come up with, hopefully, a more  
2 realistic number that will actually produce more out of  
3 individual wells.

4 When we start comparing porosity to permeability  
5 -- and this is out of that core -- the thing that really  
6 stands out is that we're dealing with very low  
7 permeabilities. And in fact, when I show you a summary of  
8 the rock properties for the Abo, we're really at the lower  
9 end of the permeabilities that we looked at in here. And  
10 very few of the permeabilities actually get much above a  
11 tenth of a millidarcy in here.

12 Q. Mr. Horn, the footage figures up in the upper  
13 left, what do they reflect?

14 A. Those are the footages of the different sands  
15 that were cut in the core. And you can see the diamond,  
16 blue-colored sands. That's where a lot of the better  
17 permeabilities are -- if you can call them better; they're  
18 less than a millidarcy in there -- but also some of the  
19 better porosities are out of that sand.

20 Now this is a summary of the Abo sandstone  
21 parameters. The depths come off of the structure maps.

22 The range of pay thickness is directly off the  
23 individual logs. This is a summary of all the individual  
24 logs, so the pay thickness ranges from four to 35 feet,  
25 with an average of 22 feet.

*perm  
ability*

*pay  
thickness*

1 In doing the calculations for the drainage areas,  
2 obviously you have to use the individual wells in there.

3 The ranges of porosities again are also  
4 calculated off of the individual logs, and those porosities  
5 are done on individual wells, and again that helps cause  
6 some of the variation you see in the drainage areas. The  
7 average porosity is 15 percent.

*avg  
porosity*

8 And again, I had to go outside the area to come  
9 up with the permeabilities. And many of these are  
10 calculated permeabilities, but we saw a range of from .1  
11 millidarcy to 5 millidarcies, with an average of 2.3. And  
12 those, as you could see from the core, are probably kind of  
13 optimistic. But that -- being optimistic means that when I  
14 calculated the drainage areas on the estimated ultimate  
15 drainage areas, that actually I was suggesting it was  
16 draining a larger area than in fact it probably is.

*permeabil  
ities*

17 Water saturations range from zero to 40 percent.  
18 We used an average of 35 percent.

*water  
saturation*

19 Another factor that we'll get into is, the  
20 horizontal wells -- and I kind of threw this slide in here  
21 to just give a brief feel for what you're completing in a  
22 vertical well, you're completing the sand right around that  
23 vertical well, whereas in a horizontal well you're  
24 completing the length of the horizontal, and so you have  
25 much longer contact of the wellbore in the sandstone, the

1 reservoir sandstone, in the horizontal well.

2 Q. Go back to that --

3 A. Yeah.

4 Q. -- exhibit for a minute. Just for informational  
5 purposes, the bend in the horizontal well, approximately  
6 what is the distance of that bend?

7 A. The distance from the vertical to the horizontal  
8 where you're going to complete the well in part depends on  
9 the rate of build of your curve out to your horizontal.  
10 But in the west Abo play it ranges from 600 feet to 700  
11 feet away from the vertical wellbore or the surface  
12 location.

13 EXAMINER BROOKS: That's a lateral distance --

14 THE WITNESS: Yes --

15 EXAMINER BROOKS: -- in your curve?

16 THE WITNESS: -- yes.

17 Q. (By Mr. Bruce) Go ahead, Mr. Horn.

18 A. And you can see again, when you are drilling at a  
19 horizontal you have that build in there, and you don't  
20 really complete the horizontal leg until you get out into  
21 the reservoir itself, and then you do a series of stage  
22 fracs at drilling breaks in there, and you can use smaller-  
23 size fracs because you don't want to frac out a zone in  
24 there, whereas in a vertical well you get into the  
25 reservoir and you try to get maximum frac lengths to try to

1 encompass a large area of the reservoir.

2           The other thing about the Abo is that it's a  
3 multiple-pay reservoir. There are several different sand  
4 intervals. As we saw in that core, there were at least  
5 three different sandstone intervals in that cored zone of  
6 the Abo.

7           Here's another example from the South Four Mile  
8 Draw Well where we have three main intervals in the Abo.  
9 Originally the idea was that people would go in and do a  
10 broad interval frac in there and frac the whole thing. One  
11 of the things that we'll see is, we're coming back and  
12 doing limited-entry re-fracs in this area.

13           Where we do have multiples and we still want to  
14 do horizontals, we always have the capability of coming  
15 back and doing multi-laterals out of a single wellbore.

16           And when we look at a regional cross-section  
17 across that west Abo acreage, we can see that even though  
18 you can be the structurally highest point in there, you  
19 have no reservoir-quality sands. Where you have gas  
20 crossover is shown here in the pink.

21           But you can see the lateral continuity of the  
22 sands in here is very irregular. And so the sandstone  
23 intervals that you penetrate in one well will be different  
24 than the sandstone intervals you penetrate in a well right  
25 next door to it.

*Lack of  
continuity*



1           So it becomes imperative to understand how to go  
2 in and complete these sandstones. As I mentioned, this is  
3 a good example of where they've done these large, broad-  
4 interval fracs in here, and sometimes with good success but  
5 sometimes not with such great success. We have very -- you  
6 can see here, the very gentle dips from west to east across  
7 the acreage.

8           This is the -- a map of the total gas sandstones  
9 or gas-charges sandstones in the Abo in that Pecos west  
10 area. And in this particular diagram -- or map, isopach  
11 map, we can also see the drainage areas of the individual  
12 wells. You can see some have very excellent areas of  
13 drainage, others have very poor areas of drainage, and part  
14 of that is due to the sandstone quality. But the thing  
15 that really stands out in here is that two wells per 160  
16 acres is not adequately draining the Abo gas reservoir in  
17 this West Pecos field area.

18           Now we're going to focus on two areas here and  
19 look at it in more detail. One is up in here to look at  
20 the effect of horizontal wells, and then down here in the  
21 south in the Cactus Federal area to look at the potential  
22 of doing these S-location wells.

23           EXAMINER BROOKS: Okay, now you said you could  
24 see the drainage areas of individual wells on here. How  
25 are they depicted?

*Present  
spacing  
not  
drainage*

1           THE WITNESS: They're depicted by these pink  
2 areas surrounding the wells. And at this scale it's hard  
3 to tell the details of that. The next slide is going to  
4 come in and focus in on that northern area, right in here,  
5 so you can see that in a little more detail.

6           Here's the example of that northern area with the  
7 two horizontals that have been drilled in here, and the --  
8 here you have a case of 160 acres where you have two wells  
9 in there that are not very adequately draining that area in  
10 there.

11          Q.    (By Mr. Bruce) And you're looking at Section 22,  
12 correct?

13          A.    Yes. And in Section 15 and 22 here, the inner  
14 circle that you see surrounding the wells -- the inner  
15 circle is the drainage at this point in time, based on the  
16 cumulative production from that well. It's the area that's  
17 been drained at this point in time.

18                By calculating the estimated ultimate recovery  
19 for that well, the outer area is the ultimate drainage  
20 area. Some of the wells are very near to what they're  
21 going to drain, based on the rock characteristics of that  
22 well. Other wells, such as this well which has fairly  
23 little cum, ultimately is going to drain a much larger area  
24 in there. A little better quality sand.

25          Q.    And again, when you made your calculations,

1 because of the -- certain figures you used for  
2 permeability, et cetera, water saturation, in your  
3 estimation the drainage that you put forth on this map  
4 would probably be actually smaller than what is represented  
5 on this plat?

6 A. It's more conservative than what probably is the  
7 case. Actually, the drainage area would start to pull in,  
8 because the permeability is actually quite a bit lower,  
9 based on our core information.

10 Q. And as a result, as you stated, two wells per 160  
11 just aren't adequately developing this field?

12 A. That's correct.

13 Q. And another matter, does this data also support  
14 the request to have a 330-foot setback rather than the  
15 current 660-foot setback from the quarter-section line?

16 A. Yes, it does.

17 Q. Go ahead.

18 A. And another important factor here that we've  
19 talked about -- or talked about in the objectives, was the  
20 effect of horizontal wells in here. And one of the  
21 requests that had been made to produce the horizontal well  
22 in Section 22 was to shut down the other two wells in that  
23 two-wells-per-160-acre area, and yet there will be no  
24 overlap and no drainage interference between those existing  
25 wells and where those horizontal wells are, even at their

*Data supports  
330  
setback*

1 estimated ultimate recoveries.

2 And so I think this particular slide shows two  
3 things. One is the fact -- the effect that the horizontal  
4 wells aren't going to interfere -- the existing horizontal  
5 wells aren't going to interfere with the drainage of the  
6 surrounding vertical wells. And the second thing I think  
7 it shows fairly well is that the vertical wells of two  
8 wells per 160 acres are not adequately draining the  
9 reservoir, we don't have a very good efficiency of recovery  
10 in the reservoir as it stands right now with those two  
11 wells per 160 acres.

12 Just to illustrate that a different way is --  
13 adds on the thickness of the sands that are encountered in  
14 those wells, and again we can see -- the attempt is to  
15 place the horizontal wells where we're going to encounter  
16 and can drill into the thickest reservoir in the area. And  
17 if we take that northern area here, one of the things that  
18 we do prior to the drilling is put together a wellbore  
19 design to try to figure out where we're going to be  
20 encountering the reservoir.

21 And also an important point is the fact that you  
22 don't get into your reservoir sandstone until you're  
23 between 600 and 700 feet away from the vertical surface  
24 location of the well.

25 The second area is to move south down to the

1 Cactus Federal area, where we have the high topography.  
2 One of the things we want to do is be able to capture the  
3 gas from the main Abo sandstone reservoir in that area, but  
4 minimize the surface damage because of the topography and  
5 the archaeological problems in that area.

6 The next two slides give a feel for that area.  
7 The blue line in here -- ultimately I'll show you a cross-  
8 section through three existing wells that give you a feel  
9 for the sandstones that we will be drilling for in that  
10 area. What you see here is the Tanner -- the Tanner fee  
11 surface location, with the idea of drilling a number of S  
12 locations out from there to try to capture the gas, plus  
13 one horizontal, and again to try to stay away from any  
14 interference for any already-existing vertical well.

15 This is the drainage area of the Tanner fee well  
16 right now, but we will be going vertical over in these  
17 areas here, so we will be well away from the drainage area  
18 of that surface pad in there.

19 And we showed you this example when Jim Schultz  
20 was talking about why we're looking at these already-  
21 existing pads and already-permitted surface locations. We  
22 have to permit these other locations out here, but we can  
23 drill them off of here. We already have an existing  
24 pipeline to that well -- that pad, and so we could be  
25 bringing that gas to that single pad without having to

1 build additional pipeline and causing further disruption at  
2 the surface.

3 So we're trying to mitigate the surface damage in  
4 parts of the field where there are concerns from the  
5 standpoint of archaeology or surface topography.

6 And this is just a little diagram to help you  
7 visualize the three dimensions, what we're discussing, and  
8 we'll be using these deviated holes, but not encountering  
9 the sandstone until we get back to a vertical. That's why  
10 it's called S, because you start vertical, go out at an  
11 angle, and then come back down vertical. And also show the  
12 single horizontal that will come out of that.

13 Now we can monitor each well individually. We'll  
14 have separate gas-metering systems so that from the  
15 standpoint of figuring who's owed what money for each well,  
16 you'll have a separate meter for each well at that location  
17 there. So that's not going to be a problem.

18 And this is that cross-section I mentioned,  
19 showing from northwest to southeast, the fact that you have  
20 a very thick gas chart sandstone in that area. And with  
21 the surface topography problems plus the archeological  
22 problems, we wouldn't really have a good way to capture all  
23 that gas without doing this type of an approach.

24 Just a couple of sundry slides, I'm about  
25 finished here.

1           In the McKay acreage in the Abo area there are  
2   162 wells that have been completed. 149 are on line. 13  
3   of those wells are in the eastern acreage and not in this  
4   western acreage, so that number goes down to 149 wells that  
5   have been completed and 136 in the western acreage.

6           There's already over 80 miles of pipeline with  
7   two compressors and six boosters in the area. We're trying  
8   to minimize the amount of more surface disruption as we  
9   drill more wells in there by using these lower surface  
10  areas.

11          From what we've found so far, we've been  
12  repairing and increasing the efficiency of the gathering  
13  system. We found that we could go in and clean some of the  
14  perforations and increase production.

15          We've been in the process of starting to  
16  recomplete under-performing wells where we've done these  
17  broad-interval fracs in the past, and come back and do  
18  limited-entry fracs.

19          They're in a drilling program at the present time  
20  to improve gas recovery.

21          And one of the things we're requesting today is  
22  to increase to four wells per 160 acres, to increase the  
23  efficiency in the gas recovery.

24          From a completion standpoint we've found that the  
25  limited-entry fracs in the multiple-sandstone reservoirs

1 are more efficient in improving production.

2 We're going back in and re-frac'ing some of those  
3 intervals that were bypassed in the past.

4 We're doing staged fracs along the horizontal  
5 legs, when we get to that.

6 And then ultimately we probably will come back to  
7 you and talk about drilling parallel horizontals and then  
8 coming back and doing simultaneous stage fracs of those  
9 horizontal legs to try to get cross-linking between there.  
10 But that's for the future.

11 EXAMINER BROOKS: Okay, what do you mean by  
12 limited-entry fracs?

13 THE WITNESS: Okay, instead of going in and  
14 perforating and frac'ing a real broad interval across three  
15 or four sands at one time, limited entry you set a series  
16 of bridge plugs, and you start with your lowest porous  
17 sand, do a limited entry into that sand, frac that, get  
18 that producing, then go to the next one and go to the next  
19 one, each one individually, instead of a big, broad  
20 interval all at once.

21 EXAMINER BROOKS: Okay, and what do you mean by  
22 staged fracs?

23 THE WITNESS: Staged fracs, you're going in --  
24 when you're drilling your horizontals, oftentimes you'll  
25 get drilling breaks where you'll get kicks. And so what



1 you do is, you set -- essentially doing the same thing,  
2 you're setting a bridge plug and you're staging a frac  
3 along one drilling break. Then you come and do the next  
4 one, and so on.

5 EXAMINER BROOKS: And that's what you've got  
6 illustrated back here on some of these cartoons?

7 THE WITNESS: Yes, that's correct.

8 EXAMINER BROOKS: Okay, go ahead.

9 Q. (By Mr. Bruce) And what are your conclusions,  
10 Mr. Horn?

11 A. Essentially what we've found is that the two  
12 wells per 160 acres do not adequately drain the gas in the  
13 Abo reservoir, so we're requesting an increase to four  
14 wells per 160 acres that would more efficiently recover the  
15 gas from the Abo sandstone reservoirs, and we're looking at  
16 doing multiple wells from a single pad to reduce surface  
17 disturbance.

18 Q. In your opinion is the increased density  
19 requested by McKay Oil Essential to the further development  
20 of this pool?

21 A. I think it's very important to the further  
22 development, to more efficiently recover the gas from the  
23 Abo sandstone reservoirs.

24 Q. Was Exhibit 1 the presentation prepared by you?

25 A. Yes, it is.

1 Q. And in your opinion is the granting of this  
2 Application in the interests of conservation and the  
3 prevention of waste?

4 A. Yes, it is.

5 MR. BRUCE: Mr. Examiner, I'd move the admission  
6 of McKay Exhibit 1.

7 EXAMINER BROOKS: Exhibit 1 is admitted.

8 MR. BRUCE: I have no further questions of the  
9 witness.

10 EXAMINER BROOKS: Okay. Well, I -- the questions  
11 that I have asked cover most of the concerns that I have at  
12 this point. I think I'll turn it over to Mr. Jones.

13 EXAMINATION

14 BY EXAMINER JONES:

15 Q. Dr. Horn, the -- what was the original pressure  
16 in the Abo reservoir, and how has it changed over the  
17 years?

18 A. Strangely enough, in this West Pecos area the  
19 original pressure is about 1100 pounds, based on some work  
20 that Broadhead had originally done, had completed in this  
21 area. It's still about 1000 pounds, so there's been little  
22 or no change in the reservoir pressure.

23 Q. In order to determine the pressure out there, how  
24 long would you have to run a pressure-transient test?

25 A. It depends on who you talk to. I'm sorry, I

1 don't mean to be flip in that answer. In a normal  
2 reservoir, a 48-hour pressure buildup test would be one of  
3 the standards that you would use. In such a tight  
4 reservoir you'll get answers up to, You need to shut it in  
5 for a month.

6 Q. Okay.

7 A. So I mean, it -- that's the kind of range that  
8 you're looking at.

9 Q. Okay.

10 A. And since nobody's really done that in this  
11 area --

12 Q. Oh, okay.

13 A. -- I -- yeah, that's a -- I mean, they've done a  
14 48-hour test, but nobody's shut it in for 30 -- you know,  
15 30 days and checked the pressure buildup.

16 Q. Okay.

17 A. So there isn't a good answer at this time.

18 Q. Okay, that's what I kind of thought you might  
19 say, but the -- so these are -- the permeability you were  
20 talking about when you said it was 2.3, that would be an  
21 arithmetic average --

22 A. Yes.

23 Q. -- of the existing points --

24 A. Yes.

25 Q. -- and not some kind of a abnormal geometric

1 average? That would be lower than that, probably, wouldn't  
2 it?

3 A. Yes. In fact, I -- and I don't want to take from  
4 Charles Sanders' testimony, but in discussions we had  
5 yesterday his calculations came out to 1.8.

6 Q. Okay.

7 A. And I mean, I'm taking away from what he's going  
8 to say.

9 Q. Okay. It sounds like you're real knowledgeable  
10 about engineering and everything, so I guess I'll wait on  
11 some of those. But you're -- the Abo reservoir, is it  
12 alternating sands and shales?

13 A. Yes.

14 Q. So what kind of environment would that have been  
15 set down in?

16 A. The work that Broadhead did in here was  
17 excellent, and he's basically showing a fluvial-dominated,  
18 braided delta building out from the northwest to the  
19 southeast. I believe that he was correct in that.

20 In the individual sand, in the core what you see  
21 is high-energy, flashy discharge-type of sands in the lower  
22 part of the sand, giving way to burrowing in the upper  
23 part, suggesting that this discharges out and then -- into  
24 the marine environment, and then the marine waters come  
25 back over the top and the burrowing organisms come in in

1 the upper part. So I have no disagreement with Broadhead's  
2 original interpretation in this area.

3 Q. Is the reservoir pretty fractured? And what  
4 direction would the fractures be?

5 A. That's a \$64 question. I suspect they are. Do I  
6 know they are? No, I don't. There has not been the kind  
7 of remote sensing work that would be necessary to do that.  
8 Seismic in the area has not been utilized, because there's  
9 a lot of dissolution that occurs in the shallower part of  
10 the section, which absorbs the energy from the seismic. So  
11 you get very little in the way of seismic reflectors in  
12 here to be able to pick out things like block movements of  
13 the basement and faults and that.

14 So you're limited to the drilling data. And  
15 where you have a change in dip slightly, is that because of  
16 a fault or is that just because it draped over some  
17 basement feature? You can interpret it either way and be  
18 just as likely correct.

19 Could it be improved? Yes, we could fly a high-  
20 resolution aeromagnetic survey over the area, and from that  
21 you could start to begin to pick up the fracture  
22 orientations. Then you'd have to come back and ultimately  
23 compare your production to what you were seeing from  
24 fracture trends to try to determine which ones were open  
25 and which ones were closed in there, because obviously some

1 of them are going to be closed.

2           There has also been reported shear movement in  
3 this area, and off of the shears which might themselves be  
4 tight fractures you get Reidels that come off at about a  
5 30-degree angle that tend to be open, and those might be  
6 areas of higher production due to the fracture intensity.  
7 At this point in time we don't know. Hopefully in the  
8 future we'll have a better idea.

9           Q.   Where's the granite out here? How --

10          A.   The depth to granite goes from right around 3000  
11 feet in the extreme eastern, northeastern part of the area,  
12 and if we go over all the way to the eastern acreage that  
13 McKay has, it's down below 5000 feet. So you're coming off  
14 of the Pedernal uplift in that area, and that's probably  
15 the ultimate source of the sands in the Abo.

16          Q.   Okay. How deep is the -- I mean, what's the  
17 bottom sedimentary rock in this area? Just going down  
18 through the Mississippian and then hit granite, is that  
19 what you're saying?

20          A.   I doubt there's any Mississippian in this area.  
21 I think you're too far up on the northwest shelf. There's  
22 questionably -- maybe some Wolfcamp carbonates get into the  
23 eastern part of the area, but whether they get all the way  
24 to the west Abo area I'm not sure. There are in places  
25 evidences of granite wash, right on top of the granite

1     itself, and there seems to be significant topography on the  
2     granite.

3           Q.     But these wells -- you're not looking at any  
4     zones above or below the Abo, you're just talking about Abo  
5     today?

6           A.     That's correct.

7           Q.     You're not looking at the need to downhole  
8     commingle some vertical wells, even though you might drill  
9     them on some strange -- or different, I should say --  
10    spacing? You won't need that out here, you'll just need  
11    the Abo; is that right?

12          A.     That's what we're talking about today.

13          Q.     Okay. And the horizontal wells, as far as the  
14    direction you would drill them, since you really don't --  
15    Now the fracture orientation identification in using the  
16    surface seismic now has come along in recent years. Have  
17    you guys used that out here? Has any of the operators used  
18    it to determine the direction that these artificial --  
19    these fractures are going?

20          A.     Are you referring to dipole sonics --

21          Q.     No, actually --

22          A.     -- or dipole tomology?

23          Q.     -- actually the surface where you frac -- you  
24    artificially hydraulically fracture a well, and you use  
25    these --

1 A. Oh, surface monitoring of the --

2 Q. -- which way it goes, yeah.

3 A. Yeah, that has not been done out here.

4 Q. So how do you know which direction to put your  
5 horizontal wells?

6 A. That's a good question right now.

7 Q. Okay.

8 A. I don't know that we have a real good answer for  
9 you, other than Broadhead chose a series of northeast shear  
10 systems in here --

11 Q. Okay.

12 A. -- and if we look at the United States as a  
13 whole, or North America as a whole, there tends to be a  
14 northeast system and a northwest system. I suspect there  
15 is a significant northwest system. Is it open? I don't  
16 know. But there's probably a northwest and a northeast  
17 system, and there are probably Reidels if you have shear  
18 movements in here.

19 Q. Okay. But you want the capability in this order,  
20 requested order, to do horizontal or vertical wells? You  
21 guys are not committing to do horizontals?

22 A. That's correct.

23 Q. And that's because you really don't know exactly  
24 how well they're going to do in certain areas?

25 A. The horizontals at this point in time are still a



1 bit experimental, and one of the things that will be done  
2 in the future is to acquire other remote-sensing techniques  
3 like aeromagnetism to try to help in determining the  
4 optimum directions.

5 The other part that still needs to be done, that  
6 we haven't completed is, are there orientations of better-  
7 producing wells that might be related to fracture systems  
8 in there that would also help to identify that.

9 Q. Speaking of that, in a lot of systems that have a  
10 lot of heterogeneity you might drill 10 wells, and one well  
11 would pay out all the rest of them, you know, because it  
12 just happened to hit that big fracture. Well, by drilling  
13 some of your wells and not maintaining a rule that you have  
14 to drill one in every quarter, are you giving up some of  
15 your statistical data-gathering here, or chances of even  
16 hitting that fracture?

17 A. I can't say unequivocally, but I think there's  
18 been enough of drilling already that if you had the sweet-  
19 spot well that hit the open fracture, it probably would  
20 have been found at this time.

21 That's not to say, though, that there still  
22 aren't open fractures, they just may not be the glory hole,  
23 so to speak, where you're going to drain a huge area in  
24 there.

25 Q. And you were talking -- one last question --

1 about the meters in -- Were you talking about downhole  
2 meters inside wells, or are you talking about surface  
3 meters?

4 A. No, no, surface, because we're talking about  
5 drilling off a single pad. We're not drilling one well  
6 with all these --

7 Q. Not multiple laterals?

8 A. No, it's a series of just moving the rig  
9 slightly --

10 Q. Okay.

11 A. -- so that you have a different meter at the  
12 surface for each of those wells.

13 Q. And you can afford to do that, rather than just  
14 getting some kind of a unitization agreement or something  
15 where you just drill multi-laterals?

16 A. In the -- in analyzing the initial costs of  
17 getting different surface locations and different surface  
18 pads, going through all the archaeology, going through all  
19 the exceptions that have to be completed, to even hope to  
20 get that, it's probably less expensive.

21 And then add the gathering system savings onto  
22 it, we feel that it will be economic.

23 Q. Okay.

24 A. Can you guarantee it? No.

25 EXAMINER JONES: Okay. Well, thanks a lot.

1 THE WITNESS: Sure.

2 EXAMINATION

3 BY EXAMINER BROOKS:

4 Q. So you're actually drilling a different hole from  
5 the surface for each of your laterals?

6 A. Yes.

7 EXAMINER BROOKS: Okay, that's all. Thank you.

8 THE WITNESS: Thank you.

9 EXAMINER JONES: Nice presentation.

10 EXAMINER BROOKS: You may call your next witness.

11 MR. BRUCE: Call Mr. Sanders to the stand.

12 CHARLES W. SANDERS,

13 the witness herein, after having been first duly sworn upon  
14 his oath, was examined and testified as follows:

15 DIRECT EXAMINATION

16 BY MR. BRUCE:

17 Q. Would you please state your name for the record?

18 A. Charles William Sanders.

19 Q. And where do you reside?

20 A. Albuquerque, New Mexico.

21 Q. What is your profession?

22 A. I'm a petroleum engineer.

23 Q. Have you previously testified before the Division  
24 as a petroleum engineer?

25 A. Yes, I have.

1 Q. And were your credentials as an expert accepted  
2 as a matter of record?

3 A. Yes, sir.

4 Q. And do you have a number of years' experience in  
5 the Pecos Slope-Abo field?

6 A. Yes, since about 1980.

7 Q. Okay, and so you are familiar with engineering  
8 matters related to the West Pecos Slope-Abo?

9 A. Yes, sir.

10 MR. BRUCE: Mr. Examiner, I tender Mr. Sanders as  
11 an expert petroleum engineer.

12 EXAMINER BROOKS: So qualified.

13 Q. (By Mr. Bruce) Mr. Sanders, why don't you start  
14 off with your experience in the Pecos Slope-Abo? When did  
15 that begin and who were you working for at the time?

16 A. Well, I was an operator in a company by the name  
17 of Sanders Petroleum Corporation, of which --

18 Q. And were you a principal of that company?

19 A. -- of which Mr. McKay was a partner.

20 Q. Okay.

21 A. And he asked me to be the operator for his new  
22 acreage acquisition in the East Pecos Slope-Abo.

23 Q. And what year was that?

24 A. 1980. I think we didn't get actually started  
25 till 1981, with the drilling.

1 Q. And were you responsible for a number of wells  
2 drilled in the East Pecos Slope-Abo?

3 A. We drilled around 10 or 11 wells there.

4 Q. Okay. And then when did you move over to the  
5 West Pecos Slope Abo?

6 A. 1985.

7 Q. Now you said McKay Oil Corp. was the operator  
8 drilling those wells. Did Sanders Petroleum Corp. serve as  
9 the drilling and completion consultant?

10 A. On the east side, Sanders Petroleum was the  
11 operator. Mr. McKay got set up with his insurance and all  
12 as an operator, and he began our drilling campaign on the  
13 West Pecos Slope-Abo as McKay Oil, and I was working for  
14 him as a consultant.

15 Q. Okay, what type of work did you do for him?

16 A. In the beginning, I designed the drilling  
17 operations, the completion procedures, the frac jobs and  
18 all that.

19 Q. Now were the West Pecos Slope-Abo wells initially  
20 completed the same way as in the East Pecos Slope?

21 A. Very much the same. We usually used a 30-pound  
22 linear gel or a 30-pound crosslinked gel. If the pay zone  
23 would stand the pressure, of course, the thicker  
24 crosslinked gel would generate more pressure. And if your  
25 zone was well developed enough to where you could use that

1 you would get a wider fracture, a more efficient fracture  
2 without breaking out of the zone.

3 Of course, that was our primary consideration.  
4 We always patterned our gel -- sometimes we used even a 20-  
5 pound linear gel if we had a very tight zone to treat. So  
6 the amount of frictional resistance, of course, was a prime  
7 factor because we knew what the frac-out pressure would be,  
8 and we always stayed below that frac-out pressure. So the  
9 particular zone that we were frac'ing would be limited to  
10 the zone that we were putting our money in.

11 Q. Now after the initial wells were drilled by McKay  
12 Oil in the West Pecos Slope-Abo, did you do an engineering  
13 study in those wells?

14 A. Yes, sir, that -- He had drilled a number of  
15 wells before I did the study. Now this study was in  
16 connection with a new drilling program that he had started,  
17 and about 17 wells had been drilled, and he asked me to do  
18 a study on how these wells were performing and how they  
19 would result in estimated ultimate recoveries.

20 Q. And what types of numbers did you have for these  
21 wells?

22 A. Well, it was pretty disappointing in some ways.  
23 We had all the way from 3000 MCF total ultimate recovery up  
24 to 759,000 MCF. The average for the 17 wells was 116,000  
25 MCF per well. So -- And only three of the wells calculated

1 over 100,000 MCF recovery per well, and nine of the wells  
2 calculated less 50,000 MCF per well.

3 Q. And did the results of your study then result in  
4 further drilling, but differences in how you were drilling  
5 and completing the wells in the future?

6 A. I think the study had helped us to be very  
7 careful in utilizing our regional maps that we had made on  
8 porosity feet of pay, permeability feet of pay and so forth  
9 where we had all that contoured. And we tried to stay and  
10 drill within those trends. Of course it didn't always work  
11 out that way, because we had a lot of heterogeneity there,  
12 the little channels petering out and not being continuous  
13 when we had hoped they would be continuous.

14 Q. So you agree with Mr. Horn that many of the zones  
15 are discontinuous from well to well?

16 A. Yes.

17 Q. And that the permeability in this area is quite  
18 low?

19 A. Quite low, yes.

20 Q. And when you're looking at these wells and their  
21 drainage areas, do you generally agree with Mr. Horn's  
22 figures that he just presented a while ago?

23 A. That what?

24 Q. About his drainage figures? Do you --

25 A. Yes, yes. I see the same spread, you know, the

*Lack of  
continuity*

*low  
perm*

1 small circles and the big circles, and you have a pattern,  
2 a variation there, that we saw in this early study.

3 Q. And so you would agree with Mr. Horn that more  
4 than two wells per well unit are necessary to adequately  
5 drain the reservoir in this area?

6 A. Yes, sir. I don't think you can adequately  
7 drain, drilling with the pattern that we're now using.

8 Q. In your opinion is the granting of this  
9 Application in the interests of conservation and the  
10 prevention of waste?

11 A. Yes, sir.

12 MR. BRUCE: Mr. Examiner, that's all the  
13 questions I have of this witness.

14 EXAMINER BROOKS: Thank you.

15 Again, I think I'll defer to Mr. Jones.

16 EXAMINER JONES: Okay, I'll be brief this time, I  
17 promise.

18 EXAMINATION

19 BY EXAMINER JONES:

20 Q. Mr. Sanders, so if you were looking at the  
21 difference between volumetrically calculated reserves on  
22 each well and the decline analysis reserves on each well,  
23 do you see a need to infill drill?

24 A. Yes, sir.

25 Q. Okay.



1           A.    On my studies I used -- I always use the decline-  
2 curve method.

3           Q.    Okay, I noticed you've got some real low numbers.

4           A.    Yes.

5           Q.    Now you didn't do a volumetric study, just the --  
6 Dr. Horn showed us one, I guess, that -- his bubbles would  
7 be your volumetric?

8           A.    Yes. No, I didn't go that far.

9           Q.    Okay. Now if -- since you guys together, the  
10 team, have done that, does this show that this area has  
11 preferential need for more wells versus other areas in the  
12 Pecos Slope?

13          A.    Yes, sir, it's tighter, the sands are tighter.  
14 The sand grains are smaller, which results in lower  
15 permeability, so there's a great contrast between the east  
16 Abo slope and the west Abo slope. The more silty material  
17 and finer the grains, of course, will show up both on your  
18 neutron density porosity log and on your resistivity log.  
19 And I did a lot of my permeability determination using  
20 those four logs, in addition to the flow tests and the AOFs  
21 that we had taken, we could determine the original  
22 effective permeability and how much that would increase  
23 over the natural permeability.

24          Q.    Okay, that's -- It sounds like that's your  
25 argument, and it's a good argument.

*difference  
from  
other  
Pecos  
slope  
areas*

1           The gathering pressures out there, are you  
2 familiar with those as related to the west Pecos slope  
3 versus the eastern side? Are they any --

4           A.    The surface gathering pressures?

5           Q.    Yeah, surface gathering.

6           A.    Quite a bit of difference. A good example would  
7 be on our Number 1 well on the east slope, the Samedan  
8 Number 2. We had not pump stations, compressor stations or  
9 anything in there at that time. Transwestern had just laid  
10 a line through there, so we tied in directly to their 600  
11 p.s.i. line, and that well paid out in 43 days, so we had  
12 some pretty good surface pressures there.

13          Q.    It sounds like it.

14          A.    My point is, we were bucking a terrific pipeline  
15 pressure.

16          Q.    These horizontal wells, what direction would you  
17 drill them in, or would it just depend on the area, which  
18 area?

19          A.    Yes, sir, it would. I have not been involved in  
20 that, I've merely seen the studies. Since Rock Resources  
21 took over, they have done all of the studying here. And I  
22 have seen the reports and I fully agree that -- with John's  
23 report, that additional study needs to be made to determine  
24 which direction to drill, because if you're going to frac,  
25 of course, you want your direction and your -- with your

1 fracture.

2 Q. So you're drilling difficulty is sometimes  
3 related to the direction you drill also; is that correct?  
4 I mean, how -- Is it not going to be a problem to drill  
5 horizontals out here?

6 A. Well, they're doing pretty good so far. In fact,  
7 better than I thought because, you know, I'm an old  
8 vertical man myself --

9 Q. Okay.

10 A. -- a vertical old man, and I've only drilled two  
11 deviated wells in my life. So I'm not an expert in that  
12 field.

13 Q. Okay. Speaking of that, the vertical wells, the  
14 fracturing of the vertical wells, did you do staged fracs  
15 out there, or down-the-casing staged fracs, or how -- how  
16 would you change that in the future, or would you do the  
17 same thing?

18 A. We did stages fracs, especially where we had,  
19 say, one good zone below and another good zone above, or  
20 maybe there were two zones above. We'd frac the lower one,  
21 set a bridge plug, then frac the upper zone. If we had a  
22 number of different zones, we'd use limited entry. Whereas  
23 the better zones would have fewer perforations, the weak --  
24 or the poorer zones, with the higher resistance to flow,  
25 we'd put a lot of perforations in them. And of course

1 that's all done automatically with a limited-entry program  
2 that we own --

3 Q. Okay.

4 A. -- that would calculate all that for us. Try to  
5 get the same reach with each zone. But if you don't do  
6 that and you just frac everything at once, all your frac is  
7 going to go to the best zone --

8 Q. Okay.

9 A. -- and your weaker zones, your poorer zones, will  
10 not get much of the frac, if any.

11 Q. Were you able to frac down casing and just set a  
12 more capable wellhead on your well, frac down casing?

13 A. Yes, sir, we generally frac right straight down  
14 the casing.

15 Q. What pressures did you -- was you breaking down?  
16 You said you knew the pressures. Did it just depend on the  
17 area where you were at --

18 A. It would --

19 Q. -- as far as height growth?

20 A. It would vary. Usually 300 or 400 pounds higher  
21 than what the fracture pressure would be, because the  
22 cement sheath and all that, you've got to break through all  
23 that. And your perforation nodes are full of fine  
24 particles, and generally we have to go 300 or 400 p.s.i.  
25 higher than what we would expect.

1           And on a number of wells we've had to spot the  
2 acid and leave them set on the perforations overnight  
3 before we could even break them down.

4           Q.    Oh.

5           A.    Come back the next morning and the well would be  
6 on a vacuum, and then we would continue, further frac.

7           Q.    Were you going for long frac lengths, or were you  
8 going for wide-propped short fracs?

9           A.    The optimum, just by going by what the program  
10 would tell us, you get more and more fallout of your sands,  
11 the further out you go. And about the optimum is around  
12 800, 900 feet. If you try to go further than that you'll  
13 be pumping fluid, but all the sand will be falling out and  
14 you won't get proppant out that far.

15          Q.    900 feet frac lengths?

16          A.    800, 900 feet.

17          Q.    800, 900.

18          A.    800 to 900.

19          Q.    Have you studied the Jones field up in Wyoming?  
20 Do you know if this is anywhere similar to that?

21          A.    The Jones field? No, sir. I've frac'd wells in  
22 the Kitty field, but that's in the old days when we frac'd  
23 everything with seat-of-the-pants technology.

24               EXAMINER JONES: It sounds like it was pretty  
25 sophisticated. That's all I've got, thank you.

1 EXAMINER BROOKS: I have no questions, thank you.

2 MR. BRUCE: That's all I have, Mr. Examiner.

3 EXAMINER BROOKS: Very good. Case Number 13,976  
4 will be taken under advisement.

5 (Thereupon, these proceedings were concluded at  
6 11:28 a.m.)

7 \* \* \*

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 13976  
heard by me on 8-23-07  
*David K. Brooks*, Examiner  
Oil Conservation Division

## CERTIFICATE OF REPORTER

STATE OF NEW MEXICO    )  
                                  )   ss.  
COUNTY OF SANTA FE    )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL August 28th, 2007.



STEVEN T. BRENNER  
CCR No. 7

My commission expires: October 16th, 2010