

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)
APPLICATION OF POGO PRODUCING COMPANY)
TO INSTITUTE A COOPERATIVE TERTIARY)
RECOVERY PROJECT AND TO QUALIFY THE)
PROJECT FOR RECOVERED OIL TAX RATE,)
LEA COUNTY, NEW MEXICO)

CASE NO. 13,581

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: WILLIAM V. JONES, JR., Hearing Examiner

October 20th, 2005

Santa Fe, New Mexico

2005 NOV 3 PM 5 45

50/3/11 KCM

This matter came on for hearing before the New Mexico Oil Conservation Division, WILLIAM V. JONES, JR., Hearing Examiner, on Thursday, October 20th, 2005, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

October 20th, 2005
Examiner Hearing
CASE NO. 13,581

	PAGE
EXHIBITS	3
APPEARANCES	4
APPLICANT'S WITNESSES:	
<u>LESLYN M. WALLACE</u> (Landman)	
Direct Examination by Mr. Bruce	5
Examination by Examiner Jones	14
<u>GLENN H. CURRY</u> (Geologist)	
Direct Examination by Mr. Bruce	17
Examination by Examiner Jones	23
<u>DAN STOELZEL</u> (Engineer)	
Direct Examination by Mr. Bruce	31
Examination by Examiner Jones	41
REPORTER'S CERTIFICATE	48

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	6	14
Exhibit 1A	7	14
Exhibit 2	7	14
Exhibit 3	8	14
Exhibit 4	9	14
Exhibit 5	10	14
Exhibit 6	11	14
Exhibit 7	11	14
Exhibit 8	12	14
Exhibit 9	12	14
Exhibit 10	18	23
Exhibit 11	19	23
Exhibit 12	20	23
Exhibit 13	22	23
Exhibit 13A	22	23
Exhibit 14	32	41
Exhibit 15	37	41
Exhibit 16	39	41
Exhibit 17	40	41

* * *

A P P E A R A N C E S

FOR THE DIVISION:

GAIL MacQUESTEN
Deputy General Counsel
Energy, Minerals and Natural Resources Department
1220 South St. Francis Drive
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

JAMES G. BRUCE
Attorney at Law
P.O. Box 1056
Santa Fe, New Mexico 87504

* * *

1 WHEREUPON, the following proceedings were had at
2 9:10 a.m.:

3 EXAMINER JONES: At this time let's call Case
4 13,581, Application of Pogo Producing Company to institute
5 a cooperative tertiary recovery project and to qualify the
6 project for recovered oil tax rate, Lea County, New Mexico.

7 Call for appearances.

8 MR. BRUCE: Mr. Examiner, Jim Bruce of Santa Fe,
9 representing the Applicant. I have three witnesses.

10 EXAMINER JONES: Any other appearances in this
11 case?

12 Will the witnesses please stand to be sworn?

13 (Thereupon, the witnesses were sworn.)

14 LESLYN M. WALLACE,

15 the witness herein, after having been first duly sworn upon
16 her oath, was examined and testified as follows:

17 DIRECT EXAMINATION

18 BY MR. BRUCE:

19 Q. Would you please state your name and city of
20 residence for the record?

21 A. Leslyn Wallace, Midland, Texas.

22 Q. Who do you work for and in what capacity?

23 A. I'm a district landman for Pogo Producing
24 Company.

25 Q. Have you previously testified before the

1 Division?

2 A. Yes, sir, I have.

3 Q. And were your credentials as an expert petroleum
4 landman accepted as a matter of record?

5 A. Yes, sir, they were.

6 Q. And are you familiar with the land matters
7 involved in this Application?

8 A. Yes, I am.

9 MR. BRUCE: Mr. Examiner, I'd tender Ms. Wallace
10 as an expert petroleum landman.

11 EXAMINER JONES: Ms. Wallace is qualified as an
12 expert petroleum land manager.

13 Q. (By Mr. Bruce) Would you first please identify
14 Exhibit 1 and describe the land involved in this
15 Application.

16 A. Exhibit 1 is an illustration or a plat of the
17 acreage which we are seeking approval for the tertiary
18 recovery project. The acreage is outlined with a hached
19 line, and it is the 13th enlargement of the Delaware sand
20 participating area within the Cotton Draw Unit.

21 The south half of Section 16, which has the hach
22 marks on it, is also acreage that we seek the Application
23 to be approved, but it is not a part of the participating
24 area, nor is it a committed tract to the Cotton Draw Unit.

25 Q. And besides seeking the tertiary recovery

1 project, Pogo also seeks to qualify the project for the
2 recovered oil tax rate, does it not?

3 A. Yes, it does, sir. And the acreage is owned 100
4 percent by Pogo Producing Company.

5 Q. And so this would be a -- rather than a statutory
6 unitization, this would be a cooperative carbon dioxide
7 flood, would it not?

8 A. Yes, sir, it would.

9 Q. On this exhibit, within the participating area,
10 there are some circled numbers. What are those numbers?

11 A. Those represent the tracts within the
12 participating area, and those tracts -- the participation
13 factors for those tracts are determined based on surface
14 acres.

15 Q. Okay. We also have Exhibit 1A as a land plat.
16 Is this simply showing some leasehold ownership in the
17 area?

18 A. Yes, it is, it's a copy of a Midland Map Company
19 map, and it shows the leasehold ownership within a half
20 mile and two miles outside the boundary of the
21 participating area in the Monsanto State Lease in the south
22 half of Section 16.

23 Q. Okay. Let's move on to the unit, just very
24 briefly. What is Exhibit 2?

25 A. Exhibit 2 is a copy of the unit agreement for the

1 Cotton Draw unit that was dated April 21st, 1958, and
2 originally when the unit was approved, it covered some
3 35,000 acres.

4 Q. It has since been contracted to what, something
5 like 10,000 or 12,000 acres?

6 A. That is correct, I think it's about 12,000 acres.

7 Q. But this unit agreement is still in effect?

8 A. Yes, sir, it is.

9 Q. And under this unit agreement -- This was an
10 exploratory unit?

11 A. It was a federal exploratory unit, yes, sir.

12 Q. Okay. And in exploratory units participating
13 areas are formed and production is shared on an acreage
14 basis; is that correct?

15 A. That is correct, and that's shown under Section
16 11, page 13, in the unit agreement itself.

17 Q. Okay, and that's -- Section 11 is the
18 participation after discovery, and that pertains --
19 Sections 11 and 12 pertain to the formation of
20 participating areas, do they not?

21 A. That's correct.

22 Q. What is Exhibit 3?

23 A. Exhibit 3 is a copy of the unit operating
24 agreement for the Cotton Draw unit that is still in place,
25 but when it was originally executed there were about a

1 dozen parties that participated and joined in the unit
2 operating agreement at the time. 16

3 Q. And as you said, now not only within the Delaware
4 participating area but in the south half of Section 1, Pogo
5 is the sole working interest owner in the injection
6 interval; is that correct?

7 A. That is correct.

8 Q. What is Exhibit 4?

9 A. Exhibit 4 is a copy of the application for the
10 13th and the final enlargement of the Delaware sand
11 participating area within the Cotton Draw Unit. And if
12 you'll note on the back page of this application, there is
13 160 acres --

14 Q. Excuse me, the -- Mr. Examiner, the final page of
15 that exhibit.

16 A. Yeah, the final page of Exhibit 4.

17 Q. Which is a land plat.

18 A. The land plat, yes.

19 It shows approximately 160 acres. It's the south
20 half of Section 16, to be within the participating area.

21 But Exhibit B of the application lists that lease
22 as well, but it does state that that lease was never
23 committed to the Cotton Draw Unit. Therefore, the
24 production that's coming from that lease is shared on a
25 lease basis only, and it is not apportioned or shared by

1 the participating area.

2 Q. Okay. So even though the PA, the participating
3 area, allegedly covered part of the south-half, Section 16
4 lease, none of the production from the south half of
5 Section 16 is allocated to the rest of this acreage?

6 A. That is correct.

7 Q. And by the same token, none of the production
8 from the participating area is allocated to the south half
9 of Section 16?

10 A. That is correct.

11 Q. And this last expansion was done in 1962?

12 A. Yes, effective April 1st, 1962.

13 Q. And the engineer is going to discuss this later
14 in more detail, but at this point production is marginal on
15 these leases, isn't it?

16 A. Yes, sir, it is.

17 Q. Certainly a stripper status?

18 A. Stripper status, yes, sir.

19 Q. What is Exhibit 5?

20 A. Exhibit 5 is the order approving the Cotton Draw
21 Unit. It was Order R-1186, and it was approved June 4th,
22 1958. And again, the Cotton Draw Unit originally covered a
23 little over 35,000 acres.

24 Q. Subsequent to the formation of the unit and
25 subsequent to the last enlargement of the participating

1 area, were waterflood projects approved for the Delaware in
2 this pool?

3 A. Yes, sir, they were.

4 Q. And is that reflected in Exhibit 6?

5 A. Yes, Exhibit Number 6, there are actually two
6 orders. Order R-3313 is the approval for waterflood of the
7 Delaware sand under that Monsanto State Lease, which is the
8 south half of Section 16. And then Order R-3314 is the
9 approval of a waterflood for the Delaware sand under the
10 Cotton Drawn unit participating area, the 13th enlargement,
11 as is shown on Exhibit 1.

12 Q. And the waterflooding continues in these project
13 areas to this date, does it not?

14 A. Yes, sir, it does.

15 Q. Okay. What does Exhibit 7 reflect?

16 A. Exhibit 7 is our illustration showing who the
17 different offset owners are within a half mile of the
18 boundaries of the participating area and the Monsanto State
19 Lease.

20 And the colors obviously show on the legend who
21 the offset owners are that were required to receive notice
22 of this Application.

23 And there is an error on this map. If you look
24 at Section 17, the northeast quarter should have been
25 colored, but it is owned by Chevron, and Chevron did

1 receive notice of the Application.

2 Q. And written notice was given of this hearing to
3 all of the offset operators, was it not?

4 A. Yes, sir, it was.

5 Q. And is that reflected in Exhibit 8?

6 A. Yes, Exhibit 8 is the copy of the notice that was
7 provided to all the offset owners.

8 Q. And all of the offset owners have valid addresses
9 had valid addresses, and notice was received?

10 A. Yes, sir, that's correct.

11 MR. BRUCE: Finally, Mr. Examiner, Exhibit 9 is a
12 notice that was allegedly published in the Hobbs newspaper;
13 I never received the affidavit of notice. I published this
14 just in case. For a couple of days we didn't have an
15 address for Eugene H. Perry, although we did find an
16 address later on.

17 And I would request permission, whenever I
18 receive the affidavit of publication, to make that part of
19 the record.

20 EXAMINER JONES: Okay.

21 Q. (By Mr. Bruce) Now just a couple of final
22 questions, Ms. Wallace.

23 Because there's already a unit agreement in place
24 and an operating agreement in place, you do not propose
25 altering the participation which has been in place now for,

1 what, 40-some years under the PA?

2 A. That is correct, sir.

3 Q. And with respect -- and -- Another question. The
4 PA is -- Who are the lessors under the participating area?

5 A. Sorry, I should have covered that. The lessors
6 are the federal government and the State of New Mexico
7 and --

8 Q. There are no fee leases?

9 A. There are no fee leases, no.

10 Q. Okay. And with respect to this Application, the
11 federal government and the state government were noticed
12 also?

13 A. Yes, they were.

14 Q. And representatives of Pogo have spoken with both
15 the state and federal government representatives, and they
16 have not objected to this Application?

17 A. That is correct.

18 Q. Finally, with respect to that Monsanto State
19 Lease, did Pogo approach the State Land Office about how to
20 handle that, whether to expand the unit or to leave it as
21 is, and did they not --

22 A. Yes, we did, and they advised us it would be best
23 to leave it as it was.

24 MR. BRUCE: And that way, Mr. Examiner,
25 production would just be allocated on a lease --

1 THE WITNESS: -- on a lease basis.

2 MR. BRUCE: -- on a lease basis.

3 EXAMINER JONES: Okay. For that lease?

4 THE WITNESS: For that lease.

5 MR. BRUCE: For that lease.

6 Q. (By Mr. Bruce) Were Exhibits 1 through 9
7 prepared by you or under your supervision?

8 A. Yes, they were.

9 Q. And in your opinion, is the granting of this
10 Application in the interests of conservation and the
11 prevention of waste?

12 A. Yes, sir, it is.

13 MR. BRUCE: Mr. Examiner, I'd move the admission
14 of Pogo's Exhibits 1 through 9.

15 EXAMINER JONES: Pogo Exhibits 1 through 9 will
16 be admitted to evidence.

17 EXAMINATION

18 BY EXAMINER JONES:

19 Q. So you're going to leave that lease out, but is
20 there going to be injection wells on that lease?

21 A. Yes, sir, there will be injection wells. But the
22 production from that lease will just be contained -- or the
23 revenues from production on that will just be shared by the
24 owners of that -- the royalty and the override under that
25 lease.

1 Q. Okay. What about the royalty burden? Is it
2 consistent throughout this area, one-eighth royalty?

3 A. The royalty is one-eighth on all the leases, yes,
4 sir.

5 Q. State and federal leases?

6 A. State and fed.

7 Q. Are some of the leases better than others -- I
8 mean, some of the tracts better than others? I guess
9 that's immaterial at this point, because you're not
10 proposing --

11 MR. BRUCE: I think you could ask the geologist
12 there --

13 EXAMINER JONES: Geologist.

14 MR. BRUCE: -- and they could tell you --

15 EXAMINER JONES: Okay.

16 Q. (By Examiner Jones) This was a long time ago,
17 the latest PA change on this.

18 A. Right.

19 EXAMINER JONES: I know I worked for Texaco, but
20 I don't recognize this. 1962, I think. Long time ago.

21 (Laughter)

22 THE WITNESS: Way before your time.

23 (Laughter)

24 MR. BRUCE: Texaco did own interest in here until
25 just a few years ago.

1 THE WITNESS: Right.

2 MR. BRUCE: They sold out just -- I don't
3 remember the exact date, but they just sold out their
4 interest.

5 EXAMINER JONES: Oh.

6 MR. BRUCE: Five years ago --

7 THE WITNESS: Five -- eight -- eight to ten years
8 ago, yes.

9 Q. (By Examiner Jones) Real good gas wells, there's
10 a few good gas wells in here. Are they included --

11 A. No, sir.

12 Q. -- below this unit?

13 A. Not -- not in this participating area.

14 Q. It's just Delaware only?

15 A. That's correct.

16 Q. And you noticed everybody within a half mile?

17 A. A half mile, yes, sir.

18 MR. BRUCE: And that was, of course, primarily
19 for the injection --

20 EXAMINER JONES: Injection applications, okay.
21 Gail, do you have any questions?

22 MS. MacQUESTEN: I don't have any questions,
23 thank you.

24 EXAMINER JONES: Okay, thanks, Ms. Wallace.

25 THE WITNESS: Thank you.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

GLENN H. CURRY,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. BRUCE:

Q. Will you please state your name for the record?

A. Glenn Curry.

Q. And where do you reside?

A. Midland, Texas.

Q. Who do you work for and in what capacity?

A. I work for Pogo Producing Company as senior geologist.

Q. Have you previously testified before the Division?

A. Yes, sir.

Q. And were your credentials as an expert petroleum geologist accepted as a matter of record?

A. Yes, sir, they were.

Q. And are you familiar with the geology involved in this Application?

A. Yes, I am.

Q. Mr. Examiner, I tender Mr. Curry as an expert petroleum geologist.

EXAMINER JONES: Mr. Curry, you spell your name C-u-r-r-y?

1 THE WITNESS: Yes, sir, that's correct.

2 EXAMINER JONES: Mr. Curry is qualified as an
3 expert petroleum geologist.

4 Q. (By Mr. Bruce) Mr. Curry, could you identify
5 Exhibit 10 and discuss the -- maybe a little bit of the
6 history of the development of this reservoir?

7 A. Okay. Exhibit 10 is a structure map on top of
8 the Ramsey sand, which is the primary reservoir in this
9 Paduca field. The field is located in Lea County, eight
10 miles north of the Texas border and two miles east of the
11 Eddy County line. It's in Township 25 South, Range 32
12 East.

13 It was discovered in 1960, and subsequently it
14 was drilled -- 56 wells were drilled on 40-acre spacing.
15 As I said, the primary producing reservoir is the Ramsey
16 sand. It's a member of the Bell Canyon formation.

17 Minor production was recovered from the Olds
18 sand, which is slightly deeper than the Ramsey.

19 It produced under primary recovery from 1960
20 until 1968, and at that time it was -- the waterflood
21 began. And since that time it's continued to produce under
22 waterflood. The production to date is over 14 million
23 barrels of oil and 15 BCF of gas.

24 The field is a -- typical of many Delaware sand
25 traps in the Basin. It's a northeast-southwest-trending

1 turbidite sand channel and it's overlying a structural
2 nose. On Exhibit 10 you can see that generally the
3 regional dip is to the east, and there's a structural nose
4 evident -- it crosses in the north part of Section 21 and
5 plunges to the east-southeast.

6 And the -- Exhibit 11 --

7 Q. Before you go on to that, you mentioned what has
8 been recovered to date. What percentages of oil have been
9 recovered in primary and secondary production?

10 A. Well, the original estimate -- well, the oil-in-
11 place estimate is 61 million barrels of oil. Primary was 6
12 million, secondary 8 million, so primary is about 10
13 percent and secondary about 13 percent of the original oil
14 in place. So that leaves a lot of reserves behind.

15 Q. Let's move on to your exhibits, maybe together 11
16 and 12 and you can describe the --

17 A. Sure.

18 Q. -- primary producing zone.

19 A. Okay, Exhibit 11 is a net sand isopach of the
20 Ramsey sand, and it demonstrates that the sand reservoir
21 trends from the northeast to the southwest. It continues
22 both in the north and south directions. And on the updip
23 western edge you have a pinchout of pay. To the east and
24 southeast you have a pinchout or an oil-water contact that
25 bounds it on the east side.

1 Both north and south, the sand does continue past
2 the field limits, but it's bound by the oil-water contact
3 in both directions. So it's a pretty typical stratigraphic
4 sand trap.

5 Q. And these plats are based solely on well control
6 in the area, correct?

7 A. That's correct. Exhibit 12 is a type log. It's
8 taken from a recently drilled well, the Pogo Monsanto State
9 10, and that location is in the southeast of 16. And that
10 well -- Well, I have a density neutron log here, and I have
11 shaded in porosity greater than 20 percent, and I have --
12 the Ramsey sand in this well is 83 feet gross and about 50
13 feet of pay greater than 20 percent. The Olds is 58 feet
14 gross and 32 feet greater than 20.

15 I have a blue bar indicated on the left side of
16 the type log, which is the proposed stratigraphic interval
17 that we are wanting to inject CO₂ in.

18 Q. Approximately how many productive acres are in
19 this reservoir?

20 A. The productive area is approximately 2300 acres.

21 Q. What type of porosity and permeability are you
22 looking at in this reservoir?

23 A. Okay, the oil in place is calculated for the
24 Ramsey sand only. We consider the Olds a minor
25 contributor. The permeability is much less in the Olds

1 sand, so the numbers I'm about to tell you relate to the
2 Ramsey sand.

3 The porosity in the pay ranges from 15 to 28
4 percent, with an average of 24 percent.

5 The permeability, based from several core
6 studies, varies from 1 to 100 millidarcies, with about a
7 20-millidarcy average. And the pay thickness of net sand
8 greater than 20 percent porosity varies from zero to 72
9 feet, with an average pay thickness of about 30, 30 feet.

10 The original water saturation ranged from about
11 35 to 70 percent, with the average water saturation of
12 about 45 percent. Many of the initial wells that were
13 completed in the field did have 100-percent oil or very low
14 water cuts, so...

15 And of course the reservoir engineer will cover
16 this more thoroughly, but our estimated tertiary target is
17 another 12 million barrels of oil, which would represent
18 about 20 percent of our estimated original oil in place.

19 Q. And is the reservoir continuous across the
20 participating area and the separate Monsanto State Lease?

21 A. Yes, sir, it is.

22 Q. And with respect -- and this goes to the
23 injection application -- is there any faulting in this area
24 which could connect freshwater sources with the injection
25 interval?

1 A. No, sir.

2 Q. Let's move on to your Exhibit 13, and discuss a
3 little bit the proposed development plan with respect to...

4 A. Okay. Well, Exhibit 13 is a base map with our
5 acreage and the producing wells shown. I've indicated with
6 a triangle the proposed locations for future injection
7 wells. As I said earlier, the field is developed on 40
8 acres, and we intend to bring that down to 20-acre spacing
9 with the drilling of injection wells.

10 We have it represented in a table, which is
11 Exhibit 13A, which is simply a list of the locations and
12 their footages, represents 57 well locations, of which all
13 but two are new drills.

14 Actually, there's two conversions planned. One
15 conversion is the new well, the Monsanto State 10, which is
16 the type log, so it's essentially a new well. Really just
17 only one conversion. All the injection wells will have new
18 casing and new cement, et cetera.

19 Q. Now, Exhibit 13 lists the footages for the
20 injection wells. Might some of these change in the future?

21 A. Yes, sir, I'd like to say that it's a preliminary
22 pattern, preliminary plan. We're still doing some studies.
23 Particularly, we're trying to understand the fracture
24 direction. We've employed Pinnacle Technologies to do a
25 fracture study in this new well. We're going to have an

1 array of geophone tiltmeters around the well. We're going
2 to induce a frac hydraulically and try to determine the
3 azimuth of frac propagation.

4 And based on that study and other subsurface
5 study, we may want to change the orientation of some of
6 these wells and move them. I would say this is the maximum
7 number of injectors that we would drill. If we choose to
8 eliminate some or even propose horizontal injectors rather
9 than verticals, the number of wells may be reduced. But
10 until we finish our study we won't know exactly how to
11 place these and how to set up the play.

12 Q. Were Exhibits 10 through 13A prepared by you or
13 under your supervision?

14 A. Yes, sir.

15 Q. And in your opinion is the granting of this
16 Application in the interests of conservation and the
17 prevention of waste?

18 A. Yes, sir, it is.

19 MR. BRUCE: Mr. Examiner, I'd move the admission
20 of Pogo's Exhibits 10 through 13A.

21 EXAMINER JONES: Pogo Exhibits 10 through 13A
22 will be admitted to evidence.

23 EXAMINATION

24 BY EXAMINER JONES:

25 Q. Mr. Curry, what direction do you think the

1 fractures are going?

2 A. Well, sir, I may refer that question to our
3 reservoir engineer, because he's done a little more work on
4 it. In the past history of the waterflood, there was some
5 breakthrough in an east-west direction --

6 Q. Okay.

7 A. -- so we're conscious of that. But we'd like
8 to -- we know that the pressure regimes have changed in the
9 field through the years, and we just want to know how is it
10 today.

11 Q. How is it regionally, though? I mean, as a
12 geologist, how -- in other fields, in other -- even down in
13 the Geraldine Ford stuff down in Texas, does that have any
14 kind of linearity to it?

15 A. It's generally an east-west or northeast-
16 southwest, I believe. Of course Dan may correct me on
17 that. He's studied it a lot more and talked to a lot
18 more --

19 EXAMINER JONES: He says he's not going to.

20 (Laughter)

21 Q. (By Examiner Jones) He's wanting you to commit.

22 A. Yeah. Well, we certainly want to avoid --

23 Q. -- breakthrough.

24 A. We want to try to be -- have our injection
25 parallel to that trend so we don't have breakthrough --

1 Q. Okay.

2 A. -- prematurely. And we're just trying to do our
3 homework, nail it down before we spend all this money.

4 Q. Yeah, it looks like you're going to spend a lot
5 of money here.

6 A. Lot of money.

7 Q. Lot of money. As far as isolating these
8 injection wells from the salt zone, what have you got? 200
9 feet? 250 feet from the salt? So you're not worried about
10 it getting up in the salt. You're going to have all new
11 injection wells --

12 A. All new --

13 Q. -- good cementing --

14 A. -- good cement, right.

15 Q. As far as that Olds sand, you don't expect it to
16 take much CO₂?

17 A. Well, as an example, the permeability in this
18 well, the type log -- you know, the average perm in the
19 Ramsey is 20 millidarcies, average perm in that Olds sand
20 is like 3 millidarcies. So we think preferentially it's
21 going to be hard to treat --

22 Q. Yeah.

23 A. -- hard to process with CO₂. And apparently it's
24 contributed some in the waterflood, but a minor amount
25 compared to the Ramsey.

1 Q. Okay. And we hope we get some added reserves
2 from the Olds. We definitely are going to drill through it
3 and evaluate it. We know that the oil-water contact for
4 the Olds is -- it doesn't extend all the way across the
5 field. The best production is on the west half of the
6 field, so we know it won't be a target all the way across.

7 Q. Okay.

8 A. But we're not going to neglect it, we're going to
9 try to exploit it if possible. And we haven't -- but of
10 course our -- all of our economics and all of our
11 justification for the project is based on the Ramsey, which
12 is the primary objective.

13 Q. Okay, it looks like you're going to a smaller
14 spacing on your actual overall well count?

15 A. Yes, sir.

16 Q. As a geologist, do you agree with the -- is that
17 needed as far as -- not from a reservoir-engineering
18 standpoint, but from a discontinuity/heterogeneity
19 standpoint in the reservoir?

20 A. Well, the depositional environment is the deep-
21 water marine turbidite sands, which is really a series of
22 multiple sand flows, gravity flows, of very fine sand.
23 Generally, it's a sand-rich environment where each flow is
24 in contact with the other, and there may or may not be
25 continuity through there. We've seen examples of both

1 where you have continuity for some distance, and maybe in a
2 direction normal to that it might not be that continuous.
3 So we feel it's necessary to drill 20-acre spacing to get
4 better efficiency in processing the rock.

5 Q. Okay. Does this turbidite marine fine-grain
6 sands -- does that have any sort of coarsening-upward
7 characteristics on it, or --

8 A. Well, sir, it is a very, very fine sand. I've
9 examined cores, and you seldom get above a 175-micron grain
10 size. This is -- You know, we're probably 20 to 25 feet
11 from the -- 20 to 25 miles from the source rock. We're in
12 deep marine. It doesn't have enough velocity to carry
13 large grain sizes. So your range of grain sizes from clay
14 size to upper silt, lower very fine grain.

15 Q. Okay.

16 A. So you do have some coarsening-downward
17 sequences, but generally it's pretty homogeneous. You'll
18 have silty, shaly sands, separated with suspension deposits
19 of clay-size material, which may or may not be a barrier.
20 Sometimes they're not barriers, they're just baffles that
21 slow the --

22 Q. Oh.

23 A. -- it impedes the permeability and
24 transmissibility. So it's a big pile of sand --

25 Q. Okay. Where's the source of the oil?

1 A. It's the platform 25 miles northeast. It's well
2 documented that -- this particular channel is mapped over
3 about a 25-mile area, and it's periodic pulses of sand that
4 go down this defined channel, and they just fill in and
5 slide and plow into each other and just fill this channel
6 valley full of this silt sand.

7 Q. Where would be the best example of the best
8 Ramsey sand in the -- is it -- would it be down in the
9 Geraldine Ford field, or would it be -- is this one of the
10 best ones that a person could find?

11 A. Well, it's a pretty nice sand. You know, we're
12 up in the -- about 20- to 28-percent porosity. That's
13 pretty good. The permeability looks pretty good. So it's
14 a pretty nice project.

15 Q. Okay.

16 A. It compares with the other fields that have been
17 waterflooded and CO₂-flooded. There's problems with this
18 kind of sand.

19 Q. Now, do you -- Do logs tell you anything, or do
20 you have to core this stuff?

21 A. We're fortunate in this field that the earlier
22 operators -- I think there's about 32 cores cut in this
23 field. We have reports on about 20 of them, so we have
24 that porosity and perm data.

25 The logging suite used out here in the past was

1 sonic logs. The resistivity logs are not as common. So --
2 But since we do have enough core data, we have a pretty
3 feel for the porosity. By the time we drill it out and run
4 modern logs, we'll have a lot better data. We intend to
5 core three or four more wells and do some lab work on --

6 Q. Whole cores?

7 A. Yes, sir, we have one whole core on this new
8 well, and we're currently doing studies on it. We've
9 identified the mineralogy and the clays, and we're doing
10 some special core-analysis studies in the lab currently --

11 Q. Okay.

12 A. -- and --

13 Q. Okay.

14 A. -- I'm stealing Dan's thunder --

15 Q. Yeah.

16 A. -- here. He can really help you with that. But
17 we think it's a good project.

18 Q. Okay. You must be willing to spend some money
19 now.

20 I guess the biggest question I've got is, you
21 said it was -- to the east you have increasing water
22 saturation.

23 A. Well, I was discussing the boundaries of the
24 field, what defines the field limits. And as you can see
25 on the -- we do have field pinchout limits in most areas.

1 However, up in the northeast, you have kind of a splay of
2 sand that goes past, over into Section 14, so...

3 Q. In the Ramsey?

4 A. Yes, sir, this is a Ramsey map.

5 Q. Okay.

6 A. So what I was saying is, the boundary to the east
7 is either a pinchout of sand, or you encounter the oil-
8 water contact as you proceed downdip.

9 Q. Okay. So if you CO₂ -- I think I remember you
10 can CO₂-flood areas higher in water saturation than you can
11 successfully waterflood.

12 So are you considering expanding this to the west
13 a little bit?

14 A. To the west?

15 Q. To the east, I'm sorry.

16 A. To the east? No, sir.

17 Q. So that would be --

18 A. We're just going to go with --

19 Q. -- going to go with what you've got?

20 A. -- go with what we've got.

21 Q. Yeah.

22 A. And flood that.

23 EXAMINER JONES: Okay, that's all I have. Gail,
24 do you --

25 MS. MacQUESTEN: No questions.

1 EXAMINER JONES: Thanks a lot, Mr. Curry.

2 DAN STOELZEL,

3 the witness herein, after having been first duly sworn upon
4 his oath, was examined and testified as follows:

5 DIRECT EXAMINATION

6 BY MR. BRUCE:

7 Q. Could you please state your name for the record?

8 A. Yes, sir, my name is Dan Stoelzel.

9 Q. Could you spell your last name for the Examiner?

10 A. That's spelled S-t-o-e-l-z like zebra -e-l.

11 Q. Where do you reside?

12 A. I reside in Midland, Texas.

13 Q. Who do you work for and in what capacity?

14 A. I'm a district reservoir engineer for Pogo
15 Producing Company.

16 Q. Have you previously testified before the
17 Division?

18 A. No, I have not.

19 Q. Could you please summarize your educational and
20 employment background?

21 A. Yes, sir, I got my bachelor's degree at Texas
22 Tech University in 1985, master's degree in petroleum
23 engineering from Colorado School of Mines. I've been
24 working in the industry since 1987, mostly as a reservoir
25 engineer. The last ten years or so of my career has been

1 pretty much strictly in the Permian Basin west Texas-New
2 Mexico area.

3 Q. How long have you been employed by Pogo?

4 A. A little over a year.

5 Q. And does your area of responsibility at Pogo
6 include this part of southeast New Mexico?

7 A. Yes, sir.

8 Q. And are you the engineer in charge of the CO₂
9 flood for this project?

10 A. Yes, I am.

11 MR. BRUCE: Mr. Examiner, I'd tender Mr. Stoelzel
12 as an expert engineer.

13 EXAMINER JONES: Mr. Stoelzel is qualified as an
14 expert petroleum engineer.

15 MR. BRUCE: You first -- Let's go through the
16 C-108, the injection Application, first, which is marked
17 Exhibit 14.

18 Mr. Examiner, if you'll look at the -- it's
19 paper-clipped together. There's a few different sections,
20 and if you took off the biggest paper clip, it might be
21 easiest to go through it that way.

22 The first exhibit is a -- or the first section of
23 this is a land plat, Mr. Stoelzel. What does that reflect?

24 A. This just reflects the area of interest with
25 boundaries showing offset acreage, and I think the red line

1 represents the half-mile radius for the injection permit
2 reasons --

3 Q. Okay --

4 A. -- you know, reasons.

5 Q. -- and so you looked at all wells within that red
6 line?

7 A. Yes, I have.

8 Q. Okay. Let's move on to the second section, which
9 is item Roman numeral VI of the C-108, the wells in the
10 area of review. Could you just briefly go through that and
11 discuss whether there are any wells that need remedial work
12 before injection begins?

13 A. Most of these wells -- Currently there are about
14 12 active injectors and about 12 active producers. There
15 are several shut-in producers, but the majority of the
16 wells are either TA'd or P-and-A'd. And most of them were
17 P-and-A'd were done under the regulations -- when Texaco
18 operated the field, they P-and-A'd quite a few back in the
19 1980s and again back in the mid-1990s and, you know, set
20 cement plugs and whatnot, according with the rules.

21 We've reviewed all the wells, and we feel like
22 they've all been P-and-A'd appropriately, and currently
23 there are no problem wells.

24 Q. Okay. And behind this section is -- all of the
25 -- the thickest section of this contains information on all

1 the plugged and abandoned wells, does it not?

2 A. Correct.

3 Q. And again, your review shows that they're all
4 properly plugged and abandoned?

5 A. That is correct.

6 Q. And from what you've seen, there's no chance of
7 any migration of fluids that would violate Division rules?

8 A. No, sir.

9 Q. Could you discuss the typical wellbore for your
10 proposed injectors?

11 A. Yes, one of the last pictures in the thick packet
12 would be a pretty straightforward completion. Surface
13 casing would be set around 750 feet, which will protect all
14 the surface fresh waters. And both casing strings, surface
15 as well as a production string, will be cemented to
16 surface.

17 Q. And this is the type of program that was used on
18 the recently drilled Monsanto 10 State --

19 A. That is --

20 Q. -- or Monsanto State Number 10 well; is that
21 correct?

22 A. That is correct, yes.

23 Q. Now, on this well plat it shows -- or well
24 schematic, it shows the wells being drilled to
25 approximately 5000 feet. Again, you are in the upper

1 Delaware at that depth?

2 A. That is correct.

3 Q. And what is the approximate base of the Delaware?

4 A. The base of the entire Delaware section is at
5 about 8500 feet, but the injection interval for the CO₂
6 project is defined under various leases but generally goes
7 down to about 5000 feet, which gets you through the Ramsey
8 and Olds sections.

9 Q. Okay. Above the Ramsey sand, are there any
10 productive intervals in this area?

11 A. No, sir, there are not. The anhydrites are
12 pretty much right above.

13 Q. Could you go over the items 7, 8 and 9 of the
14 C-108 with respect to the operational data, and discuss the
15 injection rates, et cetera?

16 A. Yeah, where is that? Yeah, we're proposing,
17 currently, rates of 1000 barrels of water a day and/or 1000
18 -- you know, 1 million standard cubic feet of CO₂ a day, or
19 2 million -- 1 to 2 million, I believe, for a vertical
20 well, vertical injector, injection pressures not to exceed
21 500 for the water and estimated to be about 900 pounds for
22 the CO₂ injectors.

23 Q. And is there a stimulation program proposed for
24 these wells?

25 A. For the injectors, we're still evaluating that,

1 and that's going to be based on the stiltmeter study we're
2 doing. If we do -- In the past these producers have been
3 frac'd, but the fracs are generally very small, on the
4 order of 15,000 to 20,000 pounds, and I think they
5 generally frac'd them to basically hook up the sands near
6 the wellbore. It wasn't necessarily frac'd for extension
7 to get rate. And if we do frac any of the injectors, it
8 would certainly be on that order, just to connect up sands.

9 But currently we're evaluating that, you know,
10 and that's an ongoing science project right now, as it
11 were.

12 Q. With respect to the injected water, where does
13 that come from?

14 A. Most of it is produced water from the flood. If
15 we do need makeup water, we have a freshwater well that we
16 can mix in with the produced water and treat accordingly,
17 but we don't anticipate the need for very much makeup
18 water.

19 Q. Where is the nearest freshwater well in this
20 area?

21 A. I believe it's about six miles away, and Pogo
22 also owns that well, and it's currently being used by the
23 local ranchers out there to water their cattle. And that's
24 also included in the exhibits. There's a --

25 Q. And a --

1 A. -- water analysis --

2 Q. -- freshwater analysis --

3 A. Right.

4 Q. -- is included?

5 A. Yes.

6 Q. You mentioned there's about a dozen producing
7 wells out there. What is the production?

8 A. The current production for the entire area, which
9 includes the Cotton Draw Unit and Monsanto State Lease, is
10 between 50 and 60 barrels a day right now. So you're
11 looking at less than five barrels a day on average, per
12 producer.

13 Q. Okay. They are definitely stripper wells under
14 the various regulations?

15 A. Definitely stripper, it's a worn-out old
16 waterflood. There's not much left in conventional recovery
17 methods, that's for sure.

18 Q. Okay. Let's discuss the cost of this project.
19 Could you identify Exhibit 15 for the Examiner?

20 A. Certainly, Exhibit 15 is a very brief rundown of
21 what we estimate to be capital costs and returns from the
22 CO₂ flood. Capital costs amount to about \$35.5 million,
23 which includes a CO₂ trunk line, workovers, drill wells,
24 and about \$13 million in recycle facilities.

25 We anticipate, as Glenn mentioned earlier,

1 recovering about 12 million barrels from the CO₂ total
2 gross, and I've thrown a little bit of NGL recovery in
3 there that we'd probably get from the recycle facilities.
4 You know, when you factor in the lease operating expense
5 and the capital, you know, your incremental value, a little
6 over 400 million barrels, we anticipate.

7 Q. On the project cost you have pipeline, fairly
8 substantial item. There is no CO₂ pipeline in this area;
9 is that correct?

10 A. That is correct. There's a supply line about
11 seven miles south of this area that supplies the El Mar and
12 used to supply the Ford Geraldine, and I think it supplies
13 a little bit of CO₂ gas to the East Ford Unit, and that's
14 operated by Kinder Morgan. As it stands now, though, we've
15 contacted them and they have no supply capacity remaining
16 to that area.

17 So we are currently investigating other sources
18 of supply CO₂ further north. We're in discussions with
19 both Kinder and ExxonMobil, who are the two major
20 suppliers, and we're looking at various options to capture
21 that CO₂ from some of the larger supply lines to the north.

22 Q. So a substantially long pipeline will have to be
23 built?

24 A. That is correct, and that cost is not in here,
25 the \$4.5 million pipeline cost is just a trunkline to

1 probably tap into that system.

2 Q. Okay. Let's go into your anticipated recoveries,
3 maybe just go to Exhibits 16 and 17 together --

4 A. All right.

5 Q. -- and discuss historic production and what you
6 anticipate or hope to recover.

7 A. Very well. The Exhibit 16 is a fairly busy plot
8 showing historical production from oil, gas, water, as well
9 as water injection. As you can see, the production started
10 in late 1960, early 1961. In 1968 it was unitized for
11 waterflood, and that's when they started injecting water,
12 you can see by the light blue line.

13 You see a bump in production toward the end of
14 1970, and that is partially due to waterflood response, but
15 as I went through the records the operator at the time,
16 which I believe is Texaco, put in a fairly comprehensive
17 stimulation program where they went in and frac'd most of
18 their producers, because they had previously just been
19 stimulated with acid. And so some of that jump from about
20 1000 barrels a day to about 2500, 2600 barrels a day is due
21 to workover stimulation.

22 And then as you go into 1973-74 time frame, you
23 another little bump, and I think that's probably more
24 representative of the true waterflood response, because if
25 you look at the GOR plot, you know, you don't -- you fully

1 collapse your gas sometime in late 1975-76. That's where
2 the GOR tends to level off. So I feel like from that point
3 on it's probably more representative of waterflood
4 response.

5 And then if you go to Exhibit 17, the last plot,
6 it shows kind of the tail end of primary -- or secondary
7 production, rather, with what I anticipate to be the
8 tertiary CO₂ response. We plan on having CO₂ available in
9 late 2006 or early 2007, and we anticipate about a three-
10 or four-year response period, with the peak response
11 coming, you know, sometime in probably 2009 or 2010 at, oh,
12 close to 5000 barrels a day, and then declining from there.

13 Q. Will the tertiary project result in an increase
14 in the amount of crude oil ultimately recovered from the
15 reservoir?

16 A. Yes, sir, it will.

17 Q. And in your opinion, is it prudent to apply
18 enhanced recovery techniques to maximize ultimate recovery
19 of oil from the pool?

20 A. Yes, sir.

21 Q. And in your opinion, is the CO₂ project
22 economically and technically feasible at this time?

23 A. At this time all indications are, it should be a
24 very good CO₂ project.

25 Q. Were Exhibits 14 through 17 prepared by you or

1 under your supervision?

2 A. Yes, sir.

3 Q. And in your opinion, is the granting of this
4 Application in the interests of conservation and the
5 prevention of waste?

6 A. Yes, it is.

7 MR. BRUCE: Mr. Examiner, I'd move the admission
8 of Exhibits 14 through 17.

9 EXAMINER JONES: Exhibits 14 through 17 will be
10 admitted to evidence.

11 EXAMINATION

12 BY EXAMINER JONES:

13 Q. What did you get your master's -- what was your
14 option in the master's program?

15 A. It's a master of science, I did do thesis work.

16 Q. Did you specialize in a certain -- reservoir
17 engineering?

18 A. Actually, my thesis project pertained to
19 waterflood experimentation, and some tertiary-type studies.

20 Q. I just wondered, it seems like you're really
21 doing your homework here. Is your team the one that had to
22 sell it to management, sell this project to management?

23 A. Pretty much the team is me for CO₂ flood at Pogo
24 right now, so it better work.

25 MR. CURRY: We're right behind you.

1 MS. WALLACE: We're right behind you.

2 (Laughter)

3 Q. (By Examiner Jones) Guess you've got a lot going
4 here. I won't belabor this a whole lot, but your
5 injection-withdrawal ratio right now, as far as -- Are you
6 worried about losing any CO₂ out of zone?

7 A. That is a concern. I think there's more of a
8 concern of losing it out the channel to the north and
9 south. And I plan to set up, you know, water blanket
10 injection wells to kind of close off those escape paths, as
11 it were, use water injectors. Because we're drilling all
12 new injector wells, we -- you know, in a CO₂ flood
13 obviously you don't want to lose any of it, it's pretty
14 expensive stuff. So we're going to try as best we can to
15 contain the injection within the flood intervals.

16 And that's another reason why we're pretty much
17 -- well, every one of our injection wells is going to be a
18 new drill, so we know we'll have cement and casing
19 integrity.

20 Q. Did you run a model to get this prediction, or do
21 you just base it on a certain percentage original in place
22 and --

23 A. It's actually a model, but it's an analog model.
24 We're currently doing the science. I plan to run a
25 simulation, but that's probably going to be sometime next

1 year before that's completed.

2 But to get the ball rolling and to get a first
3 look at CO₂ requirements, I actually developed an analog
4 model based on the CO₂ response from the Two Freds field,
5 which is probably the most successful Ramsey sand CO₂ flood
6 currently. And I --

7 Q. Where's that one at?

8 A. That's actually down in Texas, in Loving and Ward
9 Counties. I think it's about 60 miles -- pretty much due
10 south of the Paduca field. And it was an old waterflood
11 that was CO₂-flooded back in 1974, one of the first CO₂-
12 floods in the Permian Basin. And it was very successful.

13 And I believe it could have been more successful,
14 but they were using CO₂ from tail gas coming from some of
15 the processing plants in the area, and in the 1980s, going
16 into the late 1980s, into the 1990s, those plants started
17 to drop off in, you know, production processing. So they
18 lost a lot of their CO₂ supply.

19 Q. This processing of CO₂, are you going to recycle
20 your gas stream, or are you going to --

21 A. Yes, we --

22 Q. -- strip it out?

23 A. -- we -- probably -- you know, I've got some CO₂
24 experience. Before I worked with Pogo I worked with OXY
25 and was involved in some of their floods. And typically

1 what the industry is leaning towards now is, when you start
2 to get enough contaminated gas coming from your production
3 system, you just turn it back around and re-inject it, you
4 know, blood, guts and feathers, until you reach a point
5 where you can no longer -- you endanger maintaining
6 miscibility. And at that point you probably -- you have to
7 go and put in some sort of NGL-recovery-type facilities to
8 pull some of those hydrocarbons out of the produced gas
9 stream.

10 And that's sort of what we're planning. We'll
11 probably initially just go with recycle, and at some point
12 we'll have to start stripping out the NGLs to, you know,
13 purify up the CO₂ stream, as it were. And that's all --
14 hopefully, we'll be a little bit more -- the timing of all
15 that, hopefully, will come out of some of the more detailed
16 studies I plan to do.

17 Q. As far as those detailed studies, the special
18 core analysis, are you going to get your capillary pressure
19 curves and your --

20 A. Yes, sir, we're --

21 Q. -- saturation --

22 A. -- we've got all that going with the new core
23 we've cut, and we plan to do that with the -- Like Glenn
24 said, I think we've got three or four more wells planned to
25 cut some cores. We're just waiting on the permits to be

1 approved.

2 Q. When would have been the best time to start CO₂
3 in this flood to get the best recovery out of this
4 reservoir?

5 A. That's a good question. You know, there's
6 various studies that have shown that some rocks will
7 recovery incrementally more under CO₂ flood before you get
8 too far into a waterflood, and some studies showing that,
9 you know, recovery -- ultimate recoveries aren't that much
10 affected, you know, if you're at the later stages of a
11 waterflood. And from what I remember, those cases were
12 typically carbonate floods where companies have gone in and
13 CO₂-flooded old waterflood carbonate reservoirs, recoveries
14 don't seem to be affected.

15 But in sandstones, from what I remember in the
16 literature, it's now believed, I think, that if you start
17 your CO₂ floods a little bit earlier you might gain
18 incrementally more reserves. So -- We're kind of past that
19 point out here, so we're going to obviously live with what
20 we get.

21 And that's another reason we're drilling new
22 injectors, to help sweep efficiencies and to overcome some
23 of that if we can.

24 Q. Okay, so -- And the pattern is going to be a 20-
25 acre well-spacing; is that right?

1 A. Yes.

2 Q. Forty-acre fivespots?

3 A. Yeah -- we're looking at various options;
4 fivespots are where we're going now.

5 But we feel that, based on what we see with the
6 fracture work -- and when we say "fractures", we don't see
7 any evidence, *per se*, in the core of natural fracturing,
8 but we do know that there's probably induced fracturing,
9 because -- You know, if you can see by the curve here, if
10 you look at the IWR plot, through the -- all through the
11 1970s and into the mid-1980s, you know, you've got IWRs, in
12 some cases more than two to one. And I feel that probably
13 there's quite a bit of induced fractures coming from those
14 old injectors, and we want to try and manage the flood such
15 that we, you know, avoid those and go parallel to those as
16 best we can.

17 And so -- So I say 20-acre wells. You know, it
18 probably will be something like that, but the exact pattern
19 alignments, it might be more of a line drive versus a
20 fivespot and that sort of thing.

21 Q. Or even possibly horizontal injections?

22 A. We're looking at that, yes.

23 Q. So you've still got a lot of studying to do, it
24 looks like.

25 A. Right, right.

1 Q. And you'll have a full staff of equipment
2 engineers and --

3 A. Yup, yup, our operations group is trying to get
4 that staff in place right now, actually.

5 Q. Okay. Well, the graph that you're projecting for
6 CO₂, that would be the projected qualification for the EOR,
7 or the tax credit --

8 A. (Nods)

9 EXAMINER JONES: Okay, I think that's about the
10 only questions I should be asking at this point.

11 Okay, thank you very much, Mr. Stoelzel.

12 MR. BRUCE: I have nothing further in this
13 matter, Mr. Examiner.

14 EXAMINER JONES: Thank you, Mr. Bruce.

15 With that, we'll take Case 13,581 under
16 advisement, and good luck with your project.

17 MR. STOELZEL: Thank you.

18 (Thereupon, these proceedings were concluded at
19 10:10 a.m.)

20 * * * I do hereby certify that the foregoing is
21 a complete record of the proceedings in
22 the Examiner hearing of Case No. _____
23 heard by me on _____

24 _____ Examiner
25 _____
Conservation Division


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
 COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL October 28th, 2005.



STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 16th, 2006