

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION COMMISSION

IN THE MATTER OF THE HEARING CALLED BY )  
THE OIL CONSERVATION COMMISSION FOR THE )  
PURPOSE OF CONSIDERING: )  
)

APPLICATION OF THE NEW MEXICO OIL )  
CONSERVATION DIVISION FOR REPEAL OF )  
EXISTING RULE 50 CONCERNING PITS AND )  
BELOW GRADE TANKS AND ADOPTION OF A )  
NEW RULE GOVERNING PITS, BELOW GRADE )  
TANKS, CLOSED LOOP SYSTEMS AND OTHER )  
ALTERNATIVE METHODS TO THE FOREGOING, )  
AND AMENDING OTHER RULES TO MAKE )  
CONFORMING CHANGES; STATEWIDE )  
)

CASE NO. 14,015

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

COMMISSION HEARING

BEFORE: MARK E. FESMIRE, CHAIRMAN  
JAMI BAILEY, COMMISSIONER  
WILLIAM OLSON, COMMISSIONER

Volume XV - December 4th, 2007

Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Commission, MARK E. FESMIRE, Chairman, on Tuesday, December 4th, 2007, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

STEVEN T. BRENNER, CCR  
(505) 989-9317

RECEIVED  
2008 FEB 8 PM 3 07

## C U M U L A T I V E    I N D E X

Monday, October 22nd, 2007 (Volume I)  
 Commission Hearing  
 CASE NO. 14,015

PAGE

## OPENING STATEMENTS:

By Mr. Brooks	13
By Mr. Jantz	27
By Ms. Belin	30

\* \* \*

Monday, November 5th, 2007 (Volume II)  
 Commission Hearing  
 CASE NO. 14,015

EXHIBITS	42
----------	----

APPEARANCES	43
-------------	----

## DIVISION WITNESSES:

<u>GLENN VON GONTEN</u> (Senior Hydrologist, Environmental Bureau, NMOCD) Direct Examination by Mr. Brooks	54
--	----

<u>WAYNE PRICE</u> (Environmental Bureau Chief, NMOCD) Direct Examination by Mr. Brooks	58
--	----

## PUBLIC COMMENTS:

<u>HON. PAUL BANDY</u> (New Mexico State Legislature, District 3: Aztec, Bloomfield, Blanco) Direct Testimony	111
---	-----

<u>HON. JAMES STRICKLER</u> (New Mexico State Legislature, District 2: Farmington and rural San Juan County) Direct Testimony	118
Examination by Commissioner Bailey	124

(Continued...)

## PUBLIC COMMENTS (Continued):

<u>HON. CANDY SPENCE EZZELL</u> (New Mexico State Legislature, District 58, southern Chaves County)	
Direct Testimony	126
Examination by Chairman Fesmire	129
<u>HON. DAN FOLEY</u> (Republican Whip, New Mexico House of Representatives)	
Direct Testimony	130
<u>DANA MCGARRH</u> (small business owner, Farmington, New Mexico)	
Unsworn Position Statement	145
<u>MIKE EISENFIELD</u> (San Juan Citizens Alliance)	
Direct Testimony	150
Cross-Examination by Ms. Foster	152
<u>DEENA ARCHULETA</u> (Wilderness Society)	
Unsworn Position Statement	157
<u>JOHNNY MICOU</u> (Drilling Santa Fe)	
Unsworn Position Statement	160
<u>OSCAR SIMPSON</u> (New Mexico Wildlife Federation, National Wildlife Federation)	
Unsworn Position Statement	162

## DIVISION WITNESSES (Resumed):

<u>WAYNE PRICE</u> (Environmental Bureau Chief, NMOCD)	
Direct Examination (Resumed) by Mr. Brooks	165
<u>GLENN VON GONTEN</u> (Senior Hydrologist, Environmental Bureau, NMOCD)	
Direct Examination (Resumed) by Mr. Brooks	176
<u>WAYNE PRICE</u> (Environmental Bureau Chief, NMOCD)	
Direct Examination (Resumed) by Mr. Brooks	204
<u>WAYNE PRICE</u> (Environmental Bureau Chief, NMOCD) and <u>GLENN VON GONTEN</u> (Senior Hydrologist, Environmental Bureau, NMOCD) (Resumed)	
Cross-Examination by Mr. Carr	207
Cross-Examination by Mr. Hiser	227
Cross-Examination by Ms. Foster	248

(Continued...)

## PUBLIC COMMENTS:

<u>BILL HAWKINS</u> (BP America Production Company) Unsworn Position Statement	288
---	-----

REPORTER'S CERTIFICATE	290
------------------------	-----

\* \* \*

Tuesday, November 6th, 2007 (Volume III)  
Commission Hearing  
CASE NO. 14,015

EXHIBITS	296
----------	-----

APPEARANCES	297
-------------	-----

## MOTIONS:

To compel (by IPANM)	302
For alternative dispute resolution (by IPANM)	309
To strike IPANM's prehearing statement, witnesses and exhibits (by OCD)	312

## DIVISION WITNESSES (Continued):

<u>WAYNE PRICE</u> (Environmental Bureau Chief, NMOCD) and <u>GLENN VON GONTEN</u> (Senior Hydrologist, Environmental Bureau, NMOCD) (Resumed)	
Examination by Ms. Belin	321
Examination by Mr. Jantz	324
Examination by Commissioner Bailey	328
Examination by Commissioner Olson	346
Examination by Chairman Fesmire	356
Further Examination by Commissioner Bailey	362
Further Examination by Chairman Fesmire	363
Further Examination by Commissioner Olson	363
Redirect Examination by Mr. Brooks	365
Recross Examination by Mr. Hiser	370

(Continued...)



## DIVISION WITNESSES (Continued):

WAYNE PRICE (Environmental Bureau Chief, NMOCD)  
(Resumed)

Direct Examination by Mr. Brooks	373
Cross-Examination by Ms. Foster	400
Cross-Examination by Mr. Hiser	404
Examination by Ms. Belin	416
Examination by Commissioner Bailey	417
Examination by Commissioner Olson	419
Examination by Chairman Fesmire	419

GLENN VON GONTEN (Senior Hydrologist,  
Environmental Bureau, NMOCD) (Resumed)

Direct Examination by Mr. Brooks	421
Voir Dire Examination by Ms. Foster	425
Direct Examination (Resumed) by Mr. Brooks	427
Cross-Examination by Mr. Carr	527

REPORTER'S CERTIFICATE	538
------------------------	-----

\* \* \*

Wednesday, November 7th, 2007 (Volume IV)  
Commission Hearing  
CASE NO. 14,015

EXHIBITS	546
----------	-----

APPEARANCES	548
-------------	-----

## DIVISION WITNESSES (Continued):

GLENN VON GONTEN (Senior Hydrologist,  
Environmental Bureau, NMOCD) (Resumed)

Cross-Examination by Ms. Foster	568
Cross-Examination by Mr. Hiser	625
Examination by Mr. Frederick	653
Examination by Commissioner Bailey	656
Examination by Commissioner Olson	663

(Continued...)

## DIVISION WITNESSES (Continued):

EDWARD J. HANSEN (Hydrologist,  
Environmental Bureau, NMOCD)  
Direct Examination by Mr. Brooks 675

GLENN VON GONTEN (Senior Hydrologist,  
Environmental Bureau, NMOCD) (Resumed)  
Examination by Chairman Fesmire 689  
Redirect Examination by Mr. Brooks 700  
Examination (Continued) by Chairman Fesmire 706  
Further Examination by Mr. Carr 709  
Further Examination by Ms. Foster 714  
Further Examination by Mr. Hiser 720  
Further Examination by Mr. Frederick 721  
Further Examination by Commissioner Olson 722

EDWARD J. HANSEN (Hydrologist,  
Environmental Bureau, NMOCD) (Resumed)  
Direct Examination (Resumed) by Mr. Brooks 729  
Cross-Examination by Mr. Hiser 765  
Cross-Examination by Ms. Foster 771  
Examination by Mr. Frederick 777  
Examination by Dr. Neeper 783  
Examination by Commissioner Bailey 786  
Examination by Commissioner Olson 793  
Examination by Chairman Fesmire 799  
Redirect Examination by Mr. Brooks 802  
Recross-Examination by Ms. Foster 806  
Recross-Examination by Mr. Hiser 807  
Further Examination by Mr. Frederick 812

REPORTER'S CERTIFICATE 816

\* \* \*

(Continued...)

Thursday, November 8th, 2007 (Volume V)  
 Commission Hearing  
 CASE NO. 14,015

EXHIBITS 824

APPEARANCES 826

DIVISION WITNESSES (Continued):

BRAD JONES (Environmental Bureau, NMOCD)  
 Direct Examination by Mr. Brooks 830

PUBLIC COMMENTS:

KEITH JOHNSON (City Manager, City of Bloomfield;  
 County Commissioner, San Juan County; task force  
 member)  
 Direct Testimony 1049  
 Examination by Commissioner Bailey 1055  
 Examination by Commissioner Olson 1056  
 Examination by Chairman Fesmire 1056

REPORTER'S CERTIFICATE 1060

\* \* \*

Friday, November 9th, 2007 (Volume VI)  
 Commission Hearing  
 CASE NO. 14,015

EXHIBITS 1070

APPEARANCES 1072

DIVISION WITNESSES (Continued):

BRAD JONES (Environmental Bureau, NMOCD)  
 Direct Examination (Continued)  
 by Mr. Brooks 1076

(Continued...)

## PUBLIC COMMENTS:

JOHNNY MICOU (Drilling Santa Fe)  
Unsworn Position Statement 1162

ZANE GALLOWAY (President, ORE Systems,  
San Juan County, New Mexico)  
Direct Testimony 1163  
Examination by Mr. Brooks 1167  
Examination by Ms. Foster 1168  
Examination by Mr. Baizel 1169  
Examination by Chairman Fesmire 1171

IRVIN BOYD (Lea County)  
Unsworn Position Statement 1178

## OPENING STATEMENT:

By Mr. Carr 1181

## INDUSTRY WITNESSES:

DANIEL B. STEPHENS (Hydrogeologist)  
Direct Examination by Mr. Carr 1183  
Cross-Examination by Mr. Brooks 1216  
Cross-Examination by Mr. Frederick 1268

## PUBLIC COMMENTS:

IRVIN BOYD (Lea County)  
Unsworn Position Statement 1303

JOHN OBERLY (In-Line Plastics)  
Direct Testimony 1312  
Examination by Mr. Brooks 1316  
Examination by Ms. Foster 1317  
Examination by Chairman Fesmire 1320

(Continued...)

## INDUSTRY WITNESSES (Resumed):

DANIEL B. STEPHENS (Hydrogeologist)

Examination by Dr. Neeper	1322
Examination by Commissioner Bailey	1338
Examination by Commissioner Olson	1343
Examination by Chairman Fesmire	1363
Redirect Examination by Mr. Hiser	1374
Recross-Examination by Mr. Frederick	1383
Recross-Examination by Mr. Brooks	1384
Further Examination by Commissioner Olson	1390

REPORTER'S CERTIFICATE	1395
------------------------	------

\* \* \*

Tuesday, November 13th, 2007 (Volume VII)  
 Commission Hearing  
 CASE NO. 14,015

EXHIBITS	1407
----------	------

APPEARANCES	1409
-------------	------

## OGAP WITNESSES:

THEO COLBORN (Environmental Health Analyst)

Direct Examination by Mr. Jantz	1415
Cross-Examination by Mr. Hiser	1432
Cross-Examination by Mr. Carr	1450
Cross-Examination by Ms. Foster	1452
Examination by Dr. Neeper	1470
Redirect Examination by Mr. Jantz	1471
Recross-Examination by Mr. Hiser	1475
Recross-Examination by Ms. Foster	1477
Examination by Commissioner Olson	1479
Examination by Chairman Fesmire	1480
Further Examination by Mr. Jantz	1485

MARY ELLEN DENOMY (Oil and Gas Accountant)

Direct Examination by Mr. Jantz	1487
Voir Dire Examination by Ms. Foster	1489
Direct Examination (Resumed) by Mr. Jantz	1491
Cross-Examination by Mr. Carr	1508
Cross-Examination by Ms. Foster	1526

(Continued...)

## PUBLIC COMMENTS:

<u>TWEETIE BLANCETT</u> (Blancett Ranches, San Juan County)	
Direct Testimony	1537
<u>AMY TREMPER</u> (Galisteo Basin)	
Unsworn Position Statement	1539
<u>ANN MURRAY</u> (Village of Cerrillos)	
Unsworn Position Statement	1541
<u>STEVE SUGARMAN</u> (Galisteo Basin)	
Unsworn Position Statement	1542
Transcript of various voices on CD-ROM presented by Tweetie Blancett	1544
<u>TWEETIE BLANCETT</u> (Blancett Ranches, San Juan County)	
Direct Testimony (Resumed)	1549
Examination by Commissioner Bailey	1549
Examination by Commissioner Olson	1550
<u>DAVID BACON</u>	
Unsworn Position Statement	1551

## OGAP WITNESSES (Resumed):

<u>MARY ELLEN DENOMY</u> (Oil and Gas Accountant) (Resumed)	
Cross-Examination by Ms. Foster	1554
Examination by Dr. Neeper	1579
Examination by Commissioner Bailey	1581
Examination by Chairman Fesmire	1583
Redirect Examination by Mr. Jantz	1596
Recross-Examination by Mr. Hiser	1602
Recross-Examination by Ms. Foster	1604

## DIVISION WITNESSES (Continued):

<u>BRAD JONES</u> (Environmental Bureau, NMOCD)	
Cross-Examination by Ms. Foster	1611
Cross-Examination by Mr. Hiser	1686

(Continued...)

## PUBLIC COMMENTS:

<u>PAUL THOMPSON</u> (Independent producer and consulting engineer, Farmington, New Mexico)	
Direct Testimony	1703
Examination by Mr. Brooks	1707
Examination by Mr. Hiser	1708
Examination by Mr. Carr	1708
Examination by Dr. Neeper	1710
Examination by Chairman Fesmire	1711
 <u>BUTCH MATTHEWS</u> (M&R Trucking, Inc., Farmington, New Mexico)	
Direct Testimony	1713
Examination by Mr. Brooks	1715
Examination by Ms. Foster	1716
Examination by Dr. Bartlett	1718
Examination by Chairman Fesmire	1719
 <u>BARRY WIELAND</u> (Weatherford International, Farmington, New Mexico)	
Direct Testimony	1722
 <u>JIMMY CAVE</u> (Cave Enterprises, Farmington, New Mexico)	
Unsworn Position Statement	1725
 <u>COLLEEN MCCANN</u>	
Unsworn Position Statement	1726
 <u>STEVE TALBOT</u> (Cerrillos)	
Unsworn Position Statement	1727
 <u>TOM AAGESON</u>	
Unsworn Position Statement	1727
 <u>CAROL AAGESON</u>	
Unsworn Position Statement	1729
REPORTER'S CERTIFICATE	1733

\* \* \*

(Continued...)

Wednesday, November 14th, 2007 (Volume VIII)  
 Commission Hearing  
 CASE NO. 14,015

EXHIBITS 1747

APPEARANCES 1750

NMCCAW WITNESS:

DONALD A. NEEPER, PhD (Soil physics)  
 Direct Examination by Ms. Belin 1754

PUBLIC COMMENTS:

KENDALL LIVINGSTON (Sweatt Construction Company,  
 Artesia, New Mexico)  
 Direct Testimony 1862  
 Examination by Ms. Foster 1869  
 Examination by Chairman Fesmire 1870

RACHEL JANKOWITZ (Habitat specialist,  
 New Mexico Department of Game and Fish)  
 Unsworn Position Statement 1872

DWAYNE MEADOR (Landowner and dirt contractor,  
 northwest region)  
 Direct Testimony 1875  
 Examination by Chairman Fesmire 1879

MIKE LEONARD (Key Energy Services, Inc.,  
 Aztec, New Mexico)  
 Direct Testimony 1882  
 Examination by Mr. Brooks 1884  
 Examination by Ms. Foster 1885  
 Examination by Commissioner Bailey 1887  
 Examination by Chairman Fesmire 1888

DANNY SEIP (Blue Jet, Inc.,  
 Farmington, New Mexico)  
 Direct Testimony 1890  
 Examination by Commissioner Olson 1894  
 Examination by Chairman Fesmire 1895

(Continued...)



## PUBLIC COMMENTS (Continued):

RON FELLABAUM (San Juan Casing Service, LLC,  
Farmington, New Mexico)

Direct Testimony	1896
Examination by Commissioner Olson	1899
Examination by Chairman Fesmire	1900

## NMCCAW WITNESS (Continued):

DONALD A. NEEPER, PhD (Soil physics)

Examination by Mr. Brooks	1903
Examination by Mr. Hiser	1924
Examination by Ms. Foster	2006
Examination by Mr. Carr	2012
Examination by Commissioner Bailey	2018
Examination by Commissioner Olson	2021
Examination by Chairman Fesmire	2031
Redirect Examination by Ms. Belin	2032
Further Examination by Mr. Hiser	2034

## PUBLIC COMMENTS:

MARLYN WALTNER (Raven Industries,  
Sioux Falls, South Dakota)

Direct Testimony	2036
------------------	------

## REPORTER'S CERTIFICATE

2053

\* \* \*

(Continued...)

Thursday, November 15th, 2007 (Volume IX)  
 Commission Hearing  
 CASE NO. 14,015

EXHIBITS 2068

APPEARANCES 2071

DIVISION WITNESSES (Continued):

BRANDON POWELL (Environmental Specialist,  
 Aztec District 3 office, NMOCD)

Direct Examination by Mr. Brooks	2076
Cross-Examination by Mr. Hiser	2096
Cross-Examination by Mr. Carr	2088
Cross-Examination by Ms. Foster	2109
Examination by Mr. Jantz	2121
Examination by Commissioner Bailey	2123
Examination by Commissioner Olson	2126
Examination by Chairman Fesmire	2128
Further Examination by Commissioner Olson	2130
Redirect Examination by Mr. Brooks	2130
Recross-Examination by Ms. Foster	2133

MIKE BRATCHER (Field Supervisor,  
 Artesia District 2 office, NMOCD)

Direct Examination by Mr. Brooks	2137
Cross-Examination by Mr. Hiser	2160
Cross-Examination by Mr. Carr	2161
Cross-Examination by Ms. Foster	2172
Examination by Mr. Jantz	2185
Examination by Commissioner Bailey	2189
Examination by Commissioner Olson	2191
Examination by Chairman Fesmire	2198
Redirect Examination by Mr. Brooks	2202
Recross-Examination by Ms. Foster	2203

BRAD JONES (Environmental Bureau, NMOCD) (Resumed)

Cross-Examination (Continued) by Mr. Hiser	2206
Cross-Examination by Mr. Carr	2324
Further Examination by Mr. Hiser	2351

REPORTER'S CERTIFICATE 2355

\* \* \*

(Continued...)

Friday, November 16th, 2007 (Volume X)  
 Commission Hearing  
 CASE NO. 14,015

EXHIBITS 2371

APPEARANCES 2374

DIVISION WITNESSES (Continued):

BRAD JONES (Environmental Bureau, NMOCD) (Resumed)  
     Cross-Examination (Continued) by Mr. Carr 2378  
     Examination by Mr. Jantz 2390  
     Examination by Commissioner Bailey 2391  
     Examination by Commissioner Olson 2413

PUBLIC COMMENTS:

SCOTT TAYLOR (Cerrillos)  
     Unsworn Position Statement 2481

RANDY T. HICKS (Hydrogeologist, R.T. Hicks  
 Consultants, Ltd., Albuquerque, New Mexico)  
     Direct Testimony 2482  
     Examination by Commissioner Olson 2489

DIVISION WITNESSES (Continued):

BRAD JONES (Environmental Bureau, NMOCD) (Resumed)  
     Examination (Continued)  
         by Commissioner Olson 2491  
     Examination by Chairman Fesmire 2512  
     Redirect Examination by Mr. Brooks 2516  
     Recross-Examination by Ms. Foster 2528  
     Further Examination by Commissioner Olson 2546

CARL J. CHAVEZ (Environmental Engineer, NMOCD)  
     Direct Examination by Mr. Brooks 2551

REPORTER'S CERTIFICATE 2608

\* \* \*

(Continued...)

Monday, November 26th, 2007 (Volume XI)  
 Commission Hearing  
 CASE NO. 14,015

EXHIBITS 2620

APPEARANCES 2624

DIVISION WITNESSES (Continued):

CARL J. CHAVEZ (Environmental Engineer, NMOCD)  
 Direct Examination (Continued)  
     by Mr. Brooks 2627  
 Cross-Examination by Mr. Carr 2630  
 Cross-Examination by Ms. Foster 2659  
 Examination by Commissioner Bailey 2696  
 Examination by Commissioner Olson 2702  
 Examination by Chairman Fesmire 2723  
 Redirect Examination by Mr. Brooks 2726  
 Recross-Examination by Ms. Foster 2723

OPENING STATEMENT:

By Ms. Foster 2738

IPANM WITNESSES:

SAMUEL SMALL (Petroleum engineer,  
 environmental engineer)  
 Direct Examination by Ms. Foster 2744  
 Cross-Examination by Mr. Baizel 2798  
 Cross-Examination by Ms. Belin 2814  
 Cross-Examination by Mr. Brooks 2826

REPORTER'S CERTIFICATE 2859

\* \* \*

(Continued...)

Tuesday, November 27th, 2007 (Volume XII)  
 Commission Hearing  
 CASE NO. 14,015

EXHIBITS 2878

APPEARANCES 2882

IPANM WITNESSES:

SAMUEL SMALL (Petroleum engineer,  
 environmental engineer) (Continued)  
     Cross-Examination (Continued)  
         by Mr. Brooks 2884  
     Examination by Commissioner Bailey 2899  
     Examination by Commissioner Olson 2903  
     Examination by Chairman Fesmire 2913  
     Redirect Examination by Ms. Foster 2942  
     Recross-Examination by Mr. Brooks 2952  
     Further Examination by Commissioner Olson 2956

AL SPRINGER (Engineer)  
     Direct Examination by Ms. Foster 2959

PUBLIC COMMENTS:

EDUARDO KRASILOVSKY (Eldorado, New Mexico)  
     Unsworn Position Statement 2989

AVI SHAMA (Professor of management, retired,  
 University of New Mexico)  
     Direct Testimony 2991  
     Examination by Ms. Foster 2997

IPANM WITNESSES (Continued):

AL SPRINGER (Engineer) (Resumed)  
     Direct Examination (Continued)  
         by Ms. Foster 3000  
     Cross-Examination by Mr. Brooks 3013  
     Examination by Commissioner Bailey 3015  
     Examination by Commissioner Olson 3017  
     Examination by Chairman Fesmire 3018

(Continued...)

## IPANM WITNESSES (Continued):

TYSON FOUTZ (Engineer)

Direct Examination by Ms. Foster	3024
Cross-Examination by Mr. Brooks	3037
Examination by Commissioner Olson	3045
Examination by Chairman Fesmire	3050
Redirect Examination by Ms. Foster	3064

THOMAS E. MULLINS (Engineer)

Direct Examination by Ms. Foster	3066
----------------------------------	------

REPORTER'S CERTIFICATE	3134
------------------------	------

\* \* \*

Friday, November 30th, 2007 (Volume XIII)  
 Commission Hearing  
 CASE NO. 14,015

EXHIBITS	3154
----------	------

APPEARANCES	3158
-------------	------

## IPANM WITNESSES (Continued):

THOMAS E. MULLINS (Engineer)

Direct Examination (Continued) by Ms. Foster	3160
Cross-Examination by Mr. Jantz	3176
Cross-Examination by Mr. Brooks	3184
Cross-Examination by Dr. Neeper	3212
Examination by Commissioner Bailey	3222
Examination by Commissioner Olson	3230

## PUBLIC COMMENTS:

MURIEL FARIELLO (Vice president, Water Users  
 Association for Ranchitos de Galisteo, Galisteo,  
 New Mexico)

Unsworn Position Statement	3267
----------------------------	------

(Continued...)

## PUBLIC COMMENTS (Continued):

<u>AMY TREMPER</u> (Galisteo Community Association, Galisteo, New Mexico)	
Unsworn Position Statement	3267
<u>KIM SORVIG</u> (Santa Fe County resident; Research Associate Professor, School of Architecture and Planning, UNM)	
Direct Testimony	3269
<u>LARRY SCOTT</u> (Lynx Petroleum)	
Direct Testimony	3279
Cross-Examination by Mr. Brooks	3283
Examination by Ms. Foster	3286
Examination by Commissioner Olson	3287
Examination by Chairman Fesmire	3289
Further Examination by Commissioner Olson	3293

## IPANM WITNESSES (Continued):

<u>THOMAS E. MULLINS</u> (Engineer) (Continued)	
Examination by Chairman Fesmire	3294
Further Examination by Mr. Brooks	3319
<u>JOHN BYROM</u> (President, D.J. Simmons, Inc., Farmington New Mexico; President, IPANM)	
Direct Examination by Ms. Foster	3327
Cross-Examination by Mr. Jantz	3382

REPORTER'S CERTIFICATE	3401
------------------------	------

\* \* \*

Monday, December 3rd, 2007 (Volume XIV)  
 Commission Hearing  
 CASE NO. 14,015

EXHIBITS 3423

APPEARANCES 3428

IPANM WITNESSES (Continued):

JOHN BYROM (President, D.J. Simmons, Inc.,  
 Farmington New Mexico; President, IPANM) (Continued)

Cross-Examination by Dr. Neeper	3433
Cross-Examination by Mr. Brooks	3446
Examination by Commissioner Bailey	3468
Examination by Commissioner Olson	3469
Examination by Chairman Fesmire	3492
Further Examination by Commissioner Olson	3522

INDUSTRY WITNESSES (Resumed):

BRUCE A. BUCHANAN, PhD (Soil physics,  
 soil sciences and reclamation)

Direct Examination by Mr. Hiser	3524
Direct Examination (Rebuttal) by Mr. Hiser	3570
Cross-Examination by Dr. Neeper	3612
Cross-Examination by Mr. Brooks	3633
Cross-Examination by Mr. Jantz	3635
Examination by Commissioner Bailey	3639
Examination by Commissioner Olson	3654
Examination by Chairman Fesmire	3662
Further Examination by Commissioner Olson	3679
Redirect Examination by Mr. Hiser	3682
Recross-Examination by Mr. Brooks	3687
Recross-Examination by Mr. Jantz	3690
Further Examination by Commissioner Bailey	3690

(Continued...)



## PUBLIC COMMENTS:

JASON SANDEL (Vice president for health, safety and environment, Aztec Well Servicing, Triple-S Trucking, and affiliated companies, Aztec, New Mexico; city counselor, City of Farmington, New Mexico)

Direct Testimony	3692
Examination by Dr. Neeper	3705
Examination by Ms. Foster	3706

\* \* \*

Tuesday, December 4th, 2007 (Volume XV)  
Commission Hearing  
CASE NO. 14,015

EXHIBITS	3734
----------	------

APPEARANCES	3739
-------------	------

## IPANM WITNESSES (Resumed):

JOHN BYROM (President, D.J. Simmons, Inc., Farmington New Mexico; President, IPANM) (Resumed)  
Redirect Examination by Ms. Foster 3743

## INDUSTRY WITNESSES (Resumed):

R. ERIC PEASE (Civil engineer)

Direct Examination by Mr. Hiser	3747
Voir Dire Examination by Mr. Jantz	3759
Voir Dire Examination by Chairman Fesmire	3764
Examination by Ms. Foster	3765
Cross-Examination by Dr. Neeper	3767
Cross-Examination by Mr. Brooks	3777
Examination by Commissioner Bailey	3790
Examination by Commissioner Olson	3791
Examination by Chairman Fesmire	3799
Redirect Examination by Mr. Hiser	3804

(Continued...)

## INDUSTRY WITNESSES (Continued):

BEN THOMAS (Toxicologist)

Direct Examination by Mr. Hiser	3809
Voir Dire Examination by Mr. Jantz	3810
Direct Examination (Resumed) by Mr. Hiser	3815

## PUBLIC COMMENTS:

TOM DUGAN (Petroleum engineer;

President, Dugan Production Corporation)

Direct Testimony	3856
------------------	------

JOHN ROE (Petroleum engineer,

Dugan Production Corporation)

Direct Testimony	3859
Examination by Commissioner Olson	3870
Examination by Ms. Foster	3875

## INDUSTRY WITNESSES (Continued):

BEN THOMAS (Toxicologist) (Resumed)

Direct Examination (Rebuttal) by Mr. Hiser	3877
Cross-Examination by Mr. Jantz	3881
Cross-Examination by Mr. Brooks	3902
Cross-Examination by Dr. Neepor	3933
Examination by Commissioner Bailey	3950

## PUBLIC COMMENTS:

CAREN COWAN (Executive director, New Mexico

Cattle Growers' Association)

Direct Testimony	3956
Examination by Ms. Foster	3962
Examination by Mr. Brooks	3964
Examination by Commissioner Bailey	3965
Examination by Commissioner Olson	3966
Examination by Chairman Fesmire	3968

REPORTER'S CERTIFICATE	3971
------------------------	------

\* \* \*

## E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	163	163
Exhibit 2	163	163
Exhibit 3	2736	-
Exhibit 4	(58)	205
Exhibit 5	(61)	205
Exhibit 6	(94)	205
Exhibit 7	-	-
Exhibit 8	421	-
Exhibit 9	(373)	399
Exhibit 10	(383)	399
Exhibit 10A	(385)	399
Exhibit 11	(176)	205
Exhibit 12	178	205
Exhibit 13	427	511, 527
Exhibit 13A	430	-
Exhibit 13B	430, 432, 832	834
Exhibit 13C	(345), 433	511
Exhibit 14	428, 449, 511	-
Exhibit 15	449	511
Exhibit 16	457, 459	511
Exhibit 17	450, 458, 484	511
Exhibit 18	484	511
Exhibit 19	676	764
Exhibit 20	677, 764	764
Exhibit 21	679	764
Exhibit 22	-	1159
Exhibit 23	842	1159
Exhibit 24	844, 846, 1109, 1156	1159
Exhibit 25	846, 1157	1159
Exhibit 26	1158	1159

(Continued...)

## E X H I B I T S (Continued)

Applicant's (Continued)	Identified	Admitted
Exhibit 27	847, 1158	1159
Exhibit 28	(2551), 2626	2629
Exhibit 29	(2554), 2628	2629
Exhibit 30	2626, 2628	2629
Exhibit 31	(admitted on behalf of OGAP)	
	-	2574
Exhibit 32	2095	2096
Exhibit 33	2138	2160
Exhibit 34 (identical with OGAP Exhibit 11)	2827	-

\* \* \*

Industry	Identified	Admitted
Exhibit 1	1184, 1212	1216
Exhibit 2	1187, 1212	1216
Exhibit 3	1213	1216
Exhibit 4	3527	3528
Exhibit 5	3530	3569
Exhibit 6	3568	3569
Exhibit 7	3815	3816
Exhibit 8	3816, 3852	3854
Exhibit 9	3852	-
Exhibit 10	1213, 3749, 3852	3764
Rebuttal Exhibit 5A	3610	3611
Page 1	3571	3611
Page 2	3581	3611
Page 3	3582	3611
Page 4	3587	3611
Page 5	3590	3611
Page 6	3601	3611

\* \* \*

(Continued...)

## E X H I B I T S (Continued)

OGAP	Identified	Admitted
Exhibit 1	1417	1417
Exhibit 2	1489	1490
Exhibit 3	1418, 1420	1486
Exhibit 4	-	-
Exhibit 5	1491	1607
Exhibit 6	1491	1607
Exhibit 7	1491	1607
Exhibit 8	1491	1607
Exhibit 9	1492	1607
Exhibit 10	1492	1607
Exhibit 11	1492	1607
Exhibit 12	-	1607

\* \* \*

NMCCAW	Identified	Admitted
Exhibit 1	1757	1861
Exhibit 2	1758	1861
Exhibit 4	1861	1861

\* \* \*

IPANM	Identified	Admitted
Exhibit 1	-	-
Exhibit 2	-	-
Exhibit 3	-	-
Exhibit 4	3074	3176
Exhibit 5	3121	3176
Exhibit 6	(3065)	-
Exhibit 7	(3065)	-
Exhibit 8	3161	3176
Exhibit 9	3164, 3168	3176

(Continued...)

## E X H I B I T S (Continued)

IPANM (Continued)	Identified	Admitted
Exhibit 10	3170	3176
Exhibit 11	-	-
Exhibit 12	-	-
Exhibit 13	2749	2951
Exhibit 14	-	-
Exhibit 15	-	-
Exhibit 16	-	-
Exhibit 17	-	-
Exhibit 18	-	-
Exhibit 19	-	-
Exhibit 20	-	-
Exhibit 21	-	-
Exhibit 22	2961	3012
Exhibit 23	-	-
Exhibit 24	-	-
Exhibit 25	-	-
Exhibit 26	-	-
Exhibit 27	-	-
Exhibit 28	-	-
Exhibit 29	-	-
Exhibit 30	-	-
Exhibit 31	-	-
Exhibit 32	3330	3361
Exhibit 33	-	-
Exhibit 34	-	-
Exhibit 35	-	-
Exhibit 36	-	-
Exhibit 37	23	-

\* \* \*

Additional submissions by the Division, not offered or  
admitted:

Identified

OCD's Requested Changes to 9/21/07 proposal,  
11/7/07 558

e-mail from David Brooks to Kelly O'Donnell,  
10/22/07 559

\* \* \*

## A P P E A R A N C E S

## FOR THE COMMISSION:

CHERYL BADA  
Assistant General Counsel  
Energy, Minerals and Natural Resources Department  
1220 South St. Francis Drive  
Santa Fe, New Mexico 87505

## FOR THE DIVISION:

DAVID K. BROOKS, JR.  
Assistant General Counsel  
Energy, Minerals and Natural Resources Department  
1220 South St. Francis Drive  
Santa Fe, New Mexico 87505

FOR NEW MEXICO OIL AND GAS ASSOCIATION; CONOCOPHILLIPS COMPANY; DUGAN PRODUCTION CORPORATION; and ENERGEN RESOURCES CORPORATION; and an INDUSTRY COMMITTEE comprised of BP America Production Company, Inc.; Benson-Montin-Greer Drilling Corporation; Boling Enterprises, Ltd.; Burlington Resources Oil and Gas Company; Chesapeake Energy Corporation; Chevron USA, Inc.; ConocoPhillips Company; Devon Production Company; Dugan Production Corporation; Energen Resources Corporation; Marathon Oil Company; Marbob Energy Corporation; Merrion Oil & Gas Corporation; Occidental Permian, which includes OXY USA, Inc., and OXY USA WTP Limited Partnership; Samson Resources Company; J.D. Simmons, Inc.; Williams Production Company, LLC; XTO Energy, Inc.; and Yates Petroleum Corporation:

HOLLAND & HART, L.L.P., and CAMPBELL & CARR  
110 N. Guadalupe, Suite 1  
P.O. Box 2208  
Santa Fe, New Mexico 87504-2208  
By: WILLIAM F. CARR

(Continued...)



## A P P E A R A N C E S (Continued)

FOR INDEPENDENT PETROLEUM ASSOCIATION OF NEW MEXICO:

KARIN V. FOSTER  
Independent Petroleum Association of New Mexico  
Director of Governmental Affairs  
17 Misty Mesa Ct.  
Placitas, NM 87043

FOR NEW MEXICO INDUSTRY COMMITTEE  
and YATES PETROLEUM CORPORATION:

JORDEN, BISCHOFF & HISER, P.L.C.  
7272 E. Indian School Rd., Suite 360  
Scottsdale, AZ 85251  
By: ERIC L. HISER

FOR CONTROLLED RECOVERY, INC.:

HUFFAKER & MOFFETT, L.L.C.  
155 Grant  
Santa Fe, New Mexico 87501  
P.O. Box 1868  
Santa Fe, New Mexico 87504-1868  
By: MICHAEL J. MOFFETT  
and  
GREGORY D. HUFFAKER, Jr.

FOR NEW MEXICO OIL AND GAS ACCOUNTABILITY PROJECT:

New Mexico Environmental Law Center  
1405 Luisa Street, Suite 5  
Santa Fe, New Mexico 87505  
BY: ERIC JANTZ  
and  
BRUCE BAIZEL

\* \* \*

## ALSO PRESENT:

JOHN BARTLIT, PhD

DONALD A. NEEPER, PhD

New Mexico Citizens for Clean Air and Water

\* \* \*

1 WHEREUPON, the following proceedings were had at  
2 9:02 a.m.:  
3  
4  
5  
6

7 CHAIRMAN FESMIRE: At this time we will reconvene  
8 Case Number 14,015.

9 Let the record reflect that it is 9:00 a.m. on  
10 Tuesday, December 4th, 2007.

11 Let the record also reflect that all three  
12 Commissioners, Commissioner Fesmire, Bailey and Olson are  
13 all present, therefore a quorum of the Commission is  
14 present.

15 I believe through an agreement yesterday we had  
16 decided that we would complete the examination of Mr.  
17 Byrom, starting with his redirect examination by Ms.  
18 Foster; is that correct?

19 MS. FOSTER: Yes, sir, that's correct.

20 CHAIRMAN FESMIRE: Mr. Byrom, would you please  
21 take the stand, please?

22 MR. BYROM: Yes, sir.

23 CHAIRMAN FESMIRE: And you understand that you've  
24 been previously sworn in this case?

25 MR. BYROM: Yes, sir.

1 MS. FOSTER: May I proceed, Mr. Chairman?

2 CHAIRMAN FESMIRE: You may, ma'am.

3 MS. FOSTER: Thank you.

4 JOHN BYROM (Resumed),

5 the witness herein, having been previously duly sworn upon  
6 his oath, was examined and testified as follows:

7 REDIRECT EXAMINATION

8 BY MS. FOSTER:

9 Q. Good morning, Mr. Byrom.

10 A. Good morning.

11 Q. Okay, during much of your cross-examination as  
12 well as your direct testimony, you showed several graphs  
13 concerning marginal production in the San Juan Basin,  
14 correct?

15 A. That's correct.

16 Q. What percentage of these marginal wells are  
17 actually drilled by independent operators?

18 A. I don't have an exact number, but generally the  
19 independents are producing -- or drill more of the marginal  
20 wells, just because they have less of the premium acreage  
21 to begin with.

22 Q. Now in response to Mr. Brooks's cross-examination  
23 questions, were you present with -- were you present for  
24 Mr. Carl Chavez's testimony?

25 A. Yes, I was.

1 Q. And concerning his estimates on the additional  
2 amount of trucking for closed-loop systems?

3 A. Yes, I was.

4 Q. And were you present for Mr. Sam Small's  
5 testimony --

6 A. Yes.

7 Q. -- concerning the same issue?

8 A. Yes, I was.

9 Q. Okay, and do you recall the numbers that were  
10 highlighted by Mr. Chavez and the additional number of  
11 trucks, closed-loop system?

12 A. I think Mr. Chavez even mentioned as high as 100  
13 or 80, something in that range.

14 Q. Okay, and that was for one closed-loop system?

15 A. That's correct.

16 Q. Okay.

17 A. And the dig-and- -- I mean the hauling away  
18 also --

19 Q. Okay.

20 A. -- of the cuttings.

21 Q. Now I believe in your testimony you also stated  
22 that you believe that there'd be approximately a 30-percent  
23 amount of reduction in drill -- in wells?

24 A. Yes, there's a potential for that.

25 Q. Okay. And -- but the number of trucks that will

1 be coming off closed-loop systems, will that offset the  
2 amount of -- the reduction in drilling that's going to  
3 occur?

4 A. Yeah, in that scenario if there was a 30-percent  
5 reduction in drilling, then I think, looking at the number  
6 of trucks, that each well would be having to -- an  
7 additional number of truck trips for the dig-and-haul or  
8 the closed-loop, either one, would more than offset that  
9 by, I would think, a significant margin.

10 Q. Okay. So then the end result is that there would  
11 be more trucks on the road?

12 A. Yes.

13 Q. And now are you involved at all in your company  
14 with safety issues?

15 A. Yes, I am.

16 Q. Okay, and did you hear Mr. Jason Sandel's  
17 testimony yesterday?

18 A. Yes, I did.

19 Q. Okay, and do you also have those same concerns  
20 concerning safety issues?

21 A. Well, I think anybody is going to have those same  
22 concerns with safety issues, definitely, I think, with the  
23 -- if you are doing closed-loop, then you've got more  
24 complex equipment on the location, so that's one potential  
25 area.

1           You have more personnel on the location, and then  
2           having to deal with additional truck traffic, once again,  
3           that goes back to highway stats, which I'm not necessarily  
4           that familiar with, but certainly that is a concern.

5           MS. FOSTER: All right, I have no further  
6           questions of Mr. Byrom. Thank you, Mr. Chairman.

7           CHAIRMAN FESMIRE: Is there any recross on the  
8           subject of the redirect examination?

9           MR. BROOKS: Not from us, Mr. Chairman.

10          MR. JANTZ: No, Mr. Chairman.

11          CHAIRMAN FESMIRE: Okay. From the Commissioners?  
12          Mr. Byrom, thank you very much.

13          MR. BYROM: Okay, thank you.

14          CHAIRMAN FESMIRE: I believe the next witness,  
15          we've decided, is Mr. Eric Pease? Is that correct?

16          MR. HISER: That is correct, Mr. Chairman.

17          CHAIRMAN FESMIRE: Mr. Pease, would you come  
18          forward, please?

19          Mr. Pease, would you raise your right hand and be  
20          sworn, please?

21          (Thereupon the witness was sworn.)

22          CHAIRMAN FESMIRE: And let the record reflect  
23          that this is not Ms. Foster's witness, this is Mr. Hiser's  
24          witness.

25          MR. HISER: Thank you, Mr. Chairman.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

R. ERIC PEASE,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. HISER:

Q. Mr. Pease, could you state your name for the record, please?

A. My name is Eric Pease.

Q. And who are you employed by?

A. I'm employed by Daniel B. Stephens and Associates.

Q. And could you tell us a little bit about your educational and professional background, please?

A. Yes, I have a bachelor of science degree in civil engineering, a master of science degree in civil engineering, a professional engineering license in the State of New Mexico, and I have about eight years' experience in private consulting and then four years' experience with the federal government.

Q. And what was your experience with the federal government?

A. I worked for the Corps of Engineers, Albuquerque District.

Q. Thank you. And so as part of that education and professional background, do you do the compilation of civil



1 engineering estimates in terms of impacts of various  
2 projects?

3 A. Yes.

4 MR. HISER: Mr. Chairman, we would tender Mr.  
5 Pease as an expert in civil engineering.

6 CHAIRMAN FESMIRE: Mr. Pease, where did you get  
7 your degrees?

8 THE WITNESS: I received my degrees from the  
9 University of New Mexico.

10 CHAIRMAN FESMIRE: Both your BS and MS?

11 THE WITNESS: Yes, sir.

12 CHAIRMAN FESMIRE: Okay. Is there any objection  
13 to -- I'm sorry, Mr. Hiser, an expert in exactly which  
14 field?

15 MR. HISER: Civil engineering.

16 CHAIRMAN FESMIRE: Civil engineering. Is there  
17 any objection to Mr. Pease being accepted as a witness --  
18 as an expert in civil engineering?

19 MR. BROOKS: No, Mr. Chairman, there's not from  
20 us.

21 CHAIRMAN FESMIRE: Let the record reflect that  
22 there was no objection. He will be so admitted.

23 Q. (By Mr. Hiser) Mr. Pease, were you asked to  
24 serve as the project manager and compiler of the report for  
25 Daniel B. Stephens on the effects of the proposed pit rule?

1 A. Yes, I was.

2 Q. Okay. And does Exhibit 10 reflect the results of  
3 that work? }

4 A. I assume that this report is Exhibit 10?

5 Q. Yes, New Mexico industry committee Exhibit Number  
6 10.

7 And on this it says the Effects of NMOCD Proposed  
8 Rule -- it says 53. Is that actually meant to be the  
9 proposed pit rule that we're presently discussing?

10 A. It should be proposed Rule 50.

11 Q. Okay --

12 CHAIRMAN FESMIRE: Which is really proposed Rule  
13 17.

14 Q. (By Mr. Hiser) 17, okay. But this is meant to  
15 reflect the rule that's presently under consideration by  
16 the Commission, is it not?

17 A. Yes, it is.

18 Q. Okay, thank you. Now on page i of the -- there's  
19 a table of contents for your report, and in that you have a  
20 -- thing, and it talks about four specific items: Landfill  
21 Capacity and Drilling/Reserve Pit Material Volumes, Air  
22 Pollutants, Highway Pavement and Traffic Accidents. Is  
23 that meant to be the scope of the work that you were asked  
24 to conduct?

25 A. Yes, it is.

1 Q. And so what you did is, you took some materials  
2 and you then provided engineering estimates as to the  
3 impacts related to those things, which we'll go through in  
4 just a minute; is that correct?

5 A. That is correct.

6 Q. Okay. If we turn to page number 1 of your report  
7 -- and perhaps we'll wait just a moment here, it looks like  
8 Commissioner Olson is looking for his copy. I hate to lose  
9 a Commissioner along the way.

10 A. Are you on page 1 of the body --

11 Q. Page 1 of the report, as opposed to the executive  
12 summary.

13 A. Okay.

14 MR. HISER: So Arabic numeral 1.

15 Exhibit 10 is attached to Ben Thomas's report,  
16 Commissioner Olson.

17 COMMISSIONER OLSON: Oh, I see it. Okay.

18 Q. (By Mr. Hiser) Great. If we turn to page 1,  
19 pages 1 through about 3, if you're to evaluate landfill  
20 capacity, could you tell us what you did in this part of  
21 the report?

22 A. Yes, the first part of the report just addresses  
23 potential capacity of landfills, and the figure of course  
24 shows the landfills that we were aware of when the report  
25 was constructed, where they're located within the state.

1 Q. And how did you determine the landfills that  
2 potentially could accept pit waste?

3 A. I determined those, I called the OCD and spoke to  
4 a fellow up there and just asked what landfills in the  
5 state were permitted to accept this residue.

6 Q. And so they provided you with these four  
7 facilities; is that correct?

8 A. That is correct.

9 Q. Okay. And since you prepared this report have  
10 you learned that there may be additional facilities that on  
11 a temporary basis could accept pit waste?

12 A. Yes.

13 Q. And would that have influenced how you wrote this  
14 report?

15 A. It would have influenced some of the calculations  
16 in terms of distances traveled, but I don't think that it  
17 would have affected the ultimate conclusions of the report.

18 Q. And at this time is it your understanding that  
19 those additional facilities have the ability to accept that  
20 material into the future, or only a limited time period?

21 A. I'm under the understanding that it's a temporary  
22 measure.

23 Q. Okay. And you were -- in writing this report,  
24 were you looking at the immediate impacts, or were you  
25 looking at sort of mid-term impacts of the proposed rule,

1 like, say, three to five years out?

2 A. Long-term, yes.

3 Q. Okay. What did you conclude about the capacities  
4 and the amount or volume of material that would be  
5 disposed?

6 A. Well, the amounts of material, I received that  
7 information from the technical committee. And in terms of  
8 what the landfills could accept, most of the landfills that  
9 spoke with felt like they could indeed accept all the waste  
10 that would be brought to them.

11 Q. So at this time it did not appear that landfill  
12 capacity was necessarily an issue with the permitted --  
13 four permitted landfills?

14 A. No.

15 Q. Okay. And by the technical committee, do you  
16 mean a group of industry committee members that provided  
17 you information based on their operations?

18 A. Yes.

19 Q. And from that volume information, did that then  
20 lead to the next section of your report which is titled,  
21 Air Pollutants Resulting from Increased Truck Traffic?

22 A. Yes.

23 Q. Okay. And how did you go about developing the  
24 air emissions impacts of the proposed rule?

25 A. We had -- I was just one of about three authors

1 on this paper, and so I had a couple technical experts  
2 employed.

3 One technical expert, her name was Brenda  
4 Ramanathan, and she did the analysis on air pollutants.  
5 And she -- based on the miles traveled, she determined what  
6 type of pollutants would be released into the air from the  
7 truck traffic, using just standard EPA emissions.

8 Q. Okay. And did not, in fact, Ms. Ramanathan use  
9 that based on NMED environmental -- or the Air Quality  
10 Bureau's factors and the EPA model for calculating road  
11 emissions?

12 A. That is correct, yes.

13 Q. And those figures are summarized in Table 3; is  
14 that correct?

15 A. That is correct.

16 Q. And so to summarize, they show a range of  
17 emissions and the top of that table reflects dust  
18 emissions. And is my understanding correct that that would  
19 be from the dust being picked up by truck traffic?

20 A. That is correct.

21 Q. And then below that is projected tailpipe and  
22 tire-wear emissions. What do those emissions reflect?

23 A. Those emissions reflect what are termed mobile  
24 sources. So it's coming from the exhaust of the truck, et  
25 cetera, and then tires when they wear down emit some

1 particulates into the air as well.

2 Q. And the last would be greenhouse gas emissions,  
3 and that would be mostly carbon dioxide, and where would  
4 those come from?

5 A. Those come from just the -- resulting from the  
6 combustion of the engine.

7 Q. And is this a standard methodology that's used  
8 and well accepted within the civil engineering community?

9 A. Yes.

10 Q. The next section of the report then proceeded on  
11 to look at the effect on highway pavement. And tell us a  
12 little bit about the methodology that you employed in  
13 calculating the impact on the pavements and roadways?

14 A. The work on the highway was done by another  
15 technical expert. His name is Gordon McKeen. And what  
16 Gordon did is, given the estimated mileage and the  
17 estimated haul volumes that we received from the committee,  
18 he analyzed three different types of roads that might be  
19 affected, due to the hauling of the waste to these  
20 landfills.

21 And based on fully loaded trucks -- I think he  
22 assumed a volume of 14 cubic yards -- he calculated a  
23 weight for each truck. Now that's typically converted to  
24 what's called an equivalent single axle load, and that's  
25 what pavement design engineers use to determine the stress

1 on the pavement.

2 And so just based on the mileages and the weights  
3 of those trucks, he calculated the extra wear that would be  
4 felt by the pavements.

5 Q. And then did he contact the New Mexico Department  
6 of Transportation to obtain some road gradings for the  
7 various classes of roadways in New Mexico?

8 A. Yes, he did.

9 Q. And as a result of gathering that information,  
10 what was the conclusion that was reached in terms of  
11 potential highway pavement impacts and highway impacts?

12 A. He concluded that, especially near the landfills,  
13 that there would be significant additional stress on these  
14 pavements that might require some attention by the State.

15 Q. And didn't that in fact -- did they conclude that  
16 we might exceed in a relatively small number of years the  
17 pavement -- or the road capacity of the highways in the  
18 immediate vicinity of those four landfills?

19 A. Yes.

20 Q. And that conclusion is basically set forth at the  
21 bottom of page 9 and the top of page 10 of the report; is  
22 that correct?

23 A. That is correct.

24 Q. And then the next thing that you looked at was,  
25 with this increase in traffic was there a possibility for



1 accidents that might occur?

2 A. Yes.

3 Q. And what methodology -- well, let me back up  
4 before I go to that. Was the method that was used by  
5 McKen Engineering standard and accepted in the civil  
6 engineering community?

7 A. Yes.

8 Q. Moving on, then, to the traffic accident report  
9 that was done, what was the methodology that was used here  
10 for trying to calculate the potential accident impact of  
11 the increased truck traffic volume?

12 A. Well, we list in the report two sets of  
13 statistics. One was calculated by Gordon McKen, and he  
14 used statistics based on the National Center for Statistics  
15 and Analysis. And just based on the number of truck miles  
16 that were going to be traveled, he compared that to  
17 different types of accidents and fatalities.

18 Q. And then there was also an additional analysis  
19 that was aimed more specifically at the type of truck that  
20 would be used in this hauling, was there not?

21 A. Yes.

22 Q. And what was that conclusion and how was it -- or  
23 what data set was it based on?

24 A. The data set, that was prepared by Professor Hall  
25 at University of New Mexico civil engineering department.

1 Q. And what did Professor Hall conclude?

2 A. He used the same mileages that Gordon McKeen  
3 uses, but his statistics -- he came up with statistics that  
4 are a little higher in terms of accidents.

5 Q. And his conclusions were what?

6 A. His conclusions are listed, really, on page 11 of  
7 the report, which is the .85 to 2.53 fatalities per year,  
8 and then there's a 13.9 to 41 injuries per year, and the 35  
9 to 104 property damage only accidents.

10 Q. Okay. And were the methodologies that were used  
11 by McKeen and by Professor Hall standard and accepted  
12 within the civil engineering community?

13 A. Yes.

14 Q. Okay. Now a number of the factors in this report  
15 are based upon estimates of volume and traffic -- and  
16 travel distance, are they not?

17 A. They are.

18 Q. And so if there was to be some adjustment in the  
19 travel distance, that might have some impact on the number  
20 on a more or less linear basis?

21 A. Yes, it would.

22 Q. And would that reflect on -- would that  
23 fundamentally change the conclusions presented in this  
24 report if those numbers were to be adjusted somewhat up or  
25 down?

1 A. No.

2 Q. So there would still -- it would be your  
3 testimony that we would still expect to see some increase  
4 in air emissions, some amount of damage to the roadways and  
5 some number of traffic accidents as a result of the  
6 proposed rule?

7 A. Yes.

8 Q. Does this report fairly and accurately reflect  
9 the work that was done by you or by the people that were  
10 working by you as part of this project?

11 A. Yes, it does.

12 MR. HISER: Okay, thank you.

13 Mr. Chairman, we would move the admission of  
14 industry committee Exhibit Number 10.

15 CHAIRMAN FESMIRE: Any objection?

16 MR. BROOKS: No objection, Mr. objection, Mr.  
17 Chairman.

18 MS. FOSTER: No objection.

19 MR. JANTZ: Not -- I object as well. I would  
20 like to cross-examine the witness on some of this  
21 information as well.

22 CHAIRMAN FESMIRE: You'd like to take the witness  
23 on voir dire to determine the admissibility of the report?

24 MR. JANTZ: Yes, Mr. Chairman.

25 CHAIRMAN FESMIRE: Okay. Mr. Hiser, do you

1 object to that?

2 MR. HISER: No.

3 CHAIRMAN FESMIRE: Okay. Mr. Jantz, why don't  
4 you go ahead and do that.

5 MR. JANTZ: Thank you.

6 VOIR DIRE EXAMINATION

7 BY MR. JANTZ:

8 Q. Good morning, Mr. Pease.

9 A. Good morning.

10 Q. My name is Eric Jantz. I'm representing the Oil  
11 and Gas Accountability Project.

12 I just want to take -- ask you a few questions  
13 about your background.

14 You say you have an education in civil  
15 engineering and that you are a certified engineer in New  
16 Mexico; is that right?

17 A. I'm a licensed engineer --

18 Q. Licensed engineer.

19 A. -- yes.

20 Q. What does a civil engineer do, exactly?

21 A. Civil engineering encompasses quite a few  
22 different disciplines, and that might include steel design,  
23 concrete design, transportation, water issues,  
24 environmental issues, geotechnical issues.

25 Q. And what's been your experience, work experience?

1           A.    Well, I -- the consulting firms that I've worked  
2   for were all environmental firms. My expertise is more in  
3   soil mechanics and geotechnical engineering.

4           Q.    Okay. And in your eight years of private  
5   consulting, has that been the main focus of your expertise?  
6   Soil mechanics, you said?

7           A.    Soil mechanics, yes, and environmental  
8   engineering.

9           Q.    And what does environmental engineering entail?

10          A.    Environmental engineering entails everything from  
11   releases into the environment, like petroleum contamination  
12   in the soil or water or even air emissions like we're  
13   talking about today.

14          Q.    So you've done hydrological modeling?

15          A.    Yes.

16          Q.    You've done air modeling?

17          A.    I've not done air modeling, no.

18          Q.    Haven't done air modeling?

19          A.    No.

20          Q.    What about your four years with the Corps of  
21   Engineers? What did you do there?

22          A.    I was -- at the Corps of Engineers I was in the  
23   geotechnical section, and so in geotechnical we're  
24   responsible for pavement design, road design, airport  
25   runway design, and then also foundations, drilling. We're

1 responsible for the dams around the state, also in southern  
2 Colorado, part of Texas, all of New Mexico. Levees, of  
3 course.

4 Q. Right, sure. So going back to your experience  
5 with air modeling or lack thereof --

6 A. Uh-huh.

7 Q. -- what exactly -- can you describe exactly your  
8 experience with dealing with air emissions?

9 A. I don't have much experience dealing with air  
10 emissions, and that is why for this portion of the report,  
11 then, we brought on Brenda Ramanathan that did all of the  
12 air emissions analysis.

13 Q. Did you directly supervise Ms. Ramanathan?

14 A. I was a compiler of the reports. I didn't  
15 directly supervise her, she was subcontracted to me and I  
16 compiled the report --

17 Q. Okay.

18 A. -- and Brenda did the analysis.

19 Q. What about Mr. McGee --

20 A. McKeen.

21 Q. McKee?

22 A. McKeen.

23 Q. McKeen.

24 A. Yes.

25 Q. With an "n".

1 A. Yes. M-c and then K-e-e-n.

2 Q. Okay, got you. Did you directly supervise Mr.  
3 McKeen's work?

4 A. No, I didn't directly supervise their work.  
5 They're experts.

6 I received their work, compiled it, and of course  
7 I checked it and then brought it all together in the report  
8 that we have here today.

9 Q. And what about Professor Hall?

10 A. Professor Hall I did not deal with directly. He  
11 was actually -- he was contacted by Gordon McKeen. And so  
12 Professor Hall and Gordon McKeen worked together.

13 Q. Okay. And you say that the statistical analysis  
14 that Mr. McKeen did -- the conclusions that Mr. McKeen  
15 reached, based on his statistical analysis with respect to  
16 traffic accidents, was different than the conclusion that  
17 Professor Hall reached? Did I understand that correctly?

18 A. Yes, you did.

19 Q. Okay. And are you able to say why that's the  
20 case? I mean, did you check their numbers, go through the  
21 statistical analysis as well?

22 A. No, I just checked their calculations, and Gordon  
23 McKeen felt very comfortable with the deterioration of the  
24 pavements, but he thought that he should have some  
25 assistance on the fatalities.

1           So he did one simple analysis using various  
2 statistics, and then he approached Professor Hall at UNM  
3 who I think did a little more thorough analysis, used some  
4 different statistics and maybe some different truck types.

5           Q.    Okay.  So let me see if I get this right.

6           In terms of the contents of this report, you were  
7 directly responsible only for dealing -- calculating the  
8 landfill capacity part; is that correct?

9           A.    That's what I worked on, yes.

10          MR. JANTZ:  Okay, thank you.  Nothing further.

11          CHAIRMAN FESMIRE:  I believe Commissioner Olson  
12 has a couple of questions.

13          COMMISSIONER OLSON:  I've got one.

14          CHAIRMAN FESMIRE:  Would you like to --

15          MS. FOSTER:  Mr. Chairman, I'm sorry, I was a  
16 little bit confused.  I thought that this line of questions  
17 was just to have the exhibit admitted to evidence.  We will  
18 have the opportunity to --

19          CHAIRMAN FESMIRE:  Yes, ma'am.

20          MS. FOSTER:  -- question this witness -- Thank  
21 you.

22          CHAIRMAN FESMIRE:  We're just talking about voir  
23 dire on the admissibility of the exhibit.

24          MS. FOSTER:  Thank you.

25          COMMISSIONER OLSON:  Well, I don't have anything



1 on the admissibility.

2 I have a question on the report itself, so I'm  
3 not sure if that's -- this is an appropriate time --

4 VOIR DIRE EXAMINATION

5 BY CHAIRMAN FESMIRE:

6 Q. Mr. Pease, would -- I notice that Professor  
7 Hall's portion of the report is signed, but it's not  
8 sealed; is that correct?

9 A. Yes, Commissioner, that is correct.

10 Q. Would you have been able to -- under your seal,  
11 would you have been able to seal this report if you'd been  
12 asked to do that?

13 A. I could -- I believe, if I felt that it was --  
14 everything was just and I agreed with the calculations,  
15 yes, that I could seal everything under my name, and then I  
16 would thus be responsible for it.

17 Q. You're turning into a lawyer here. The question  
18 was, can you seal this report under your seal now? Are you  
19 in enough of a responsible author- -- a position of  
20 responsible authority and enough responsibility for this  
21 report to tell us as a registered professional engineer  
22 that everything in there is valid?

23 A. Yes.

24 CHAIRMAN FESMIRE: Okay. The Exhibit 10 will be  
25 admitted for the purposes of this hearing.

1 Mr. Hiser, would you continue, please?

2 MR. HISER: Actually, we don't have any  
3 additional questions of this witness, and we'd be happy to  
4 tender him for cross.

5 CHAIRMAN FESMIRE: Okay. Ms. Foster, do you have  
6 anything of this witness?

7 MS. FOSTER: I do.

8 EXAMINATION

9 BY MS. FOSTER:

10 Q. Now sir, have you read through the provisions of  
11 this rule in preparation for your testimony here?

12 A. No --

13 Q. All right --

14 A. -- I have not.

15 Q. Now when you spoke to the NMOCD concerning the  
16 landfills, which landfills did they relate to you?

17 A. I don't recall which landfills they were. They  
18 related -- I'm trying to recall this.

19 I believe it was three of them, and then I called  
20 the owners of the landfill and asked them if they accepted  
21 this type of residue, and they said yes, and oh, by the  
22 way, there's one more.

23 And so I believe I received the names of three of  
24 them from the OCD, and then the fourth one by talking to  
25 the owners of the landfills.

1 Q. Okay. Now were any of those landfills in  
2 southeast New Mexico?

3 A. Yes, they're all in southeast New Mexico.

4 Q. Okay. And were any of those landfills in Sierra  
5 or Otero County?

6 A. Oh, goodness... No.

7 Q. No, okay.

8 Now the special provisions section of the rule  
9 actually states that no pits will be allowed in Sierra or  
10 Otero County, right? That means that there will be closed-  
11 loop drilling in both of those counties.

12 Could you estimate how many -- in your opinion,  
13 would a drive from Sierra County or Otero County be greater  
14 than 100 miles to those landfills?

15 A. I -- interestingly enough, no, I can't answer  
16 that. I'm not sure where those counties in relation to  
17 this map that I have here. I apologize.

18 MS. FOSTER: Okay, I have no further questions.

19 CHAIRMAN FESMIRE: Mr. Jantz, do you have any  
20 questions of this witness?

21 MR. JANTZ: No, Mr. Chairman.

22 CHAIRMAN FESMIRE: Dr. Neeper?

23 DR. NEEPER: Yes, we have some questions.

24 CHAIRMAN FESMIRE: Why don't you go ahead and ask  
25 your questions?

## CROSS-EXAMINATION

BY DR. NEEPER:

Q. Good morning, Mr. Pease.

A. Good morning.

Q. I know we met earlier, but I will again introduce myself. I'm Don Neeper, I'm authorized to speak on behalf of New Mexico Citizens for Clean Air and Water.

A. Okay.

Q. I'm a physical scientist by trade, not a legal professional.

I understood you to say this morning that this report was prepared before you understood what would be the correct hauling distances to landfills; is that correct?

A. It was prepared using average distances. And those were given to us by the committee, so we didn't actually calculate those at Daniel B. Stephens. We used the numbers that were provided to us.

Q. But you did assume in preparation of this report that, for example, wastes from the northwest might be hauled to landfills in the southeast; is that correct?

A. That is correct, yes.

Q. So would that mean that the estimates that you have here of such things as carbon dioxide emissions would be wrong?

A. It's -- I wouldn't say that they would be wrong,

1 they would be adjusted depending on the mileages.

2 Q. Well, adjusted. Now you've come into this  
3 hearing --

4 A. Uh-huh.

5 Q. -- and given a number, and this is a pretty solid  
6 number that I think propagates into the testimony of other  
7 witnesses. Can you provide us with the correct number?

8 A. There is no correct number. Everything based in  
9 this report is based on averages and statistics, and that's  
10 why in the report you see minimum distances traveled up to  
11 maximum distance traveled. It could be any range in there.  
12 So there is no correct number.

13 Q. Well, we could derive an estimate just using very  
14 simple arithmetic, could we not, and come up with at least  
15 a reasonable guess?

16 A. There's -- there's an estimate here that is based  
17 on some sound information and sound statistics. Now you  
18 can -- you can --

19 Q. But you just told us the information was wrong.

20 A. No, I did not say the information was wrong. I  
21 said that the information was based on averages. And  
22 there's decent averages, there's founded averages, and then  
23 of course if you just wanted to make up a number you could  
24 do that, and the probability of that being near the truth  
25 is probably very low, so...

1 Q. But if you assume the haul distance from the  
2 northwest to the southeast --

3 A. Uh-huh.

4 Q. -- the probability of that being true is  
5 apparently very low too; is that not correct?

6 A. No, that is not correct, because the haul  
7 distance is the haul distance. I mean, there's a distance,  
8 and we took an average, so we said okay, if the values are  
9 coming from this section of the state we'll average what  
10 the distance is down to this portion of the state. That's  
11 perfectly legitimate.

12 Q. I'll approach the question one more time. Your  
13 averages include hauling from the northwest to the  
14 southeast; is that correct?

15 A. Yes.

16 Q. And you have since preparing the report  
17 understood that such hauling would not be necessary; is  
18 that correct?

19 A. No.

20 Q. Okay, thank you. We'll go on to other questions.

21 In the assumptions in your Table 5a you derived  
22 -- or presented some volumes of solids to be hauled. In  
23 obtaining those volumes, were the pit wastes diluted with  
24 clean soil or other material, or did you assume simply the  
25 solid waste that would come out of the pit without

1 dilution?

2 A. Those values were determined -- the volumes were  
3 given to us by the committee. And then those volumes were  
4 reduced, assuming a 40-percent water content. The  
5 densities were reduced.

6 Q. I'll try to clarify the question.

7 A. Okay.

8 Q. A committee provided you with a volume that would  
9 come from the pit or from somewhere, and then you reduced  
10 that volume by 40 percent, namely, you assumed you would  
11 have to haul 60 percent of that volume?

12 A. No, no, I apologize, I didn't -- we didn't -- it  
13 wasn't the volume that we reduced. We received a volume of  
14 material that would have to be hauled. And then we also  
15 received an approximate dry weight of the solid material.

16 Now -- then Gordon McKeen assumed that having  
17 drilling mud in it, that it would have a volumetric water  
18 content of about 40 percent.

19 So we didn't consider just solid material, we  
20 reduced the weights of that, if you will, and we converted  
21 from volume to weight to accommodate the presence of the  
22 water.

23 Q. I understand.

24 A. Okay.

25 Q. You essentially added back the water to the dry

1 material, water that would probably naturally be there  
2 somehow?

3 A. Yes.

4 Q. But you do not know if the volume that you have  
5 used represents exactly the pit waste or if it represents  
6 the pit waste diluted by one or two or three times its  
7 volume with dry soil material?

8 A. No, I -- we just -- we received a density, an  
9 estimated unit weight, and then we added in a particular  
10 water content reducing that density down to about 112  
11 pounds per cubic foot.

12 Q. Do you know if any other witness would be able to  
13 tell us where these volumes came from and whether we're  
14 hauling the dry soil or whether we're hauling just pit  
15 waste?

16 A. No, the volumes came from the technical  
17 committee. They provided us this information.

18 Q. I keep hearing numbers in this proceeding of,  
19 somebody else gave me the numbers.

20 A. That's correct.

21 Q. I'm looking for who is responsible for the number  
22 and where did the number come from? What is the number?

23 CHAIRMAN FESMIRE: Dr. Neeper, perhaps Mr. Hiser  
24 can clear that up. Who is the technical committee?

25 MR. HISER: Mr. Chairman, the technical committee



1 is a group of representatives designated by members of the  
2 New Mexico industry committee. It was chaired by Dennis  
3 Newman, and they came up with the average volume based on  
4 the depth of the wells -- the depth of the wells that would  
5 be dug, and that's summarized towards the end of this  
6 report where it shows a number of the assumptions that were  
7 used by the industry committee in coming up with that which  
8 were then provided as the volume estimates to Mr. Pease.

9 CHAIRMAN FESMIRE: So the technical committee has  
10 nothing to do with the people that were appointed to the  
11 task force or anything else --

12 MR. HISER: No.

13 CHAIRMAN FESMIRE: Okay.

14 MR. HISER: So the technical committee was an  
15 internal thing to the industry committee.

16 CHAIRMAN FESMIRE: Okay. Will any members of the  
17 technical committee be presented for cross-examination?

18 MR. HISER: It had not been our intent to do  
19 that. I suppose we could to some extent -- I'd have to  
20 talk with my boss, but -- if it becomes very necessary.

21 But I think that if you look in the back of this  
22 report you'll see that it talks about the depths and gives  
23 volumes and all that, which should answer most of Mr.  
24 Neeper's questions.

25 CHAIRMAN FESMIRE: Okay. I think it would be

1 important to have a witness testify to that, because other  
2 than that this witness is just saying, I used the numbers  
3 given to me and I ran through this academic exercise. And  
4 I think we need to establish where those numbers came from  
5 and the accuracy of those numbers.

6 MR. HISER: Well, I -- Mr. Chairman, with  
7 respect, that's -- typically anything that an expert can do  
8 is to get information from the underlying industry sources,  
9 and that's what essentially was done in this case. So I  
10 don't see that this differs very much from the work of any  
11 other expert in terms of that.

12 If it's the pleasure of the Commission that we do  
13 that, I don't know that we have any industry  
14 representatives who are necessarily authorized to speak.  
15 So it'll take us a little bit of time, if you want us to  
16 pursue that, to see if we can get that approval to do.

17 CHAIRMAN FESMIRE: Well, Mr. Hiser, I think it's  
18 up to you, but I think there is a -- you know, a gap in the  
19 credibility here if that's not presented. But it's up to  
20 you.

21 MR. HISER: Well --

22 CHAIRMAN FESMIRE: If your witness is going to  
23 say, I don't know where those numbers came from, we haven't  
24 examined those numbers, but I did it right when they came  
25 to me, that's one argument. It's entirely up to you and

1 your client.

2 MR. HISER: Well, I think the witness can  
3 probably speak as to whether, based on his experience, the  
4 numbers are reasonable for what they were portrayed to be,  
5 and we could do that. And I will talk with the industry  
6 committee and see what its pleasure is and report back to  
7 the Commission.

8 CHAIRMAN FESMIRE: Okay. Dr. Neeper, go ahead  
9 and continue, please.

10 Q. (By Dr. Neeper) Thank you. As you probably  
11 know, sometimes the contents of pits are mixed with dry  
12 soil to make them more dry. Is there any technical reason  
13 why the original, just wetter material could not be hauled,  
14 thereby reducing the required volume for hauling?

15 A. I -- again, with the materials that came from the  
16 pits, I used the volumes that were provided. And we  
17 assumed that the maximum moisture content that they would  
18 have would be about 40 percent. And so we reduced the  
19 density to that. That was done by Gordon McKeen, and that  
20 was the number that he used to calculate weights to  
21 determine detriment of pavement.

22 Q. I'll try to rephrase the question.

23 A. Okay.

24 Q. If I have some wastes in my pit and I'm an  
25 operator --

1 A. Yes.

2 Q. -- let's hypothesize, and they are solid but very  
3 muddy, of a consistency I could squish almost between my  
4 fingers, except for the chunks of cuttings that might come  
5 out, would there be any legal or mechanical reason why that  
6 material could not be put in a truck and hauled in that  
7 form?

8 A. If -- from my understanding, if -- I mean, if --  
9 it could be hauled in that form, as long as it's not  
10 leaking out of the truck at all. I mean, you don't -- you  
11 would have to have maybe -- if it behaved in a fluid  
12 manner, you might have to have some kind of impermeable  
13 barrier on the inside of the truck.

14 Q. But from an engineering point of view, there  
15 isn't a reason why it couldn't be hauled?

16 A. Not that I'm aware of.

17 Q. All right. You have testified that there is  
18 expected damage to the roads from the truck traffic that  
19 would be generated as a result of this rule.

20 Am I correct in understanding that all trucks pay  
21 taxes, presumably to cover their use of the roads in New  
22 Mexico, and would these trucks not pay the same taxes?

23 A. That, I don't understand how the roads are funded  
24 with taxes, no. I'm more of a technical expert, I'm sorry.

25 Q. I'll try to rephrase the question then. Do you

1 know of any reason why these trucks would not be paying  
2 taxes to cover their damage to the roads, the same as all  
3 other trucks crossing the state presumably pay their fair  
4 share of highway --

5 A. I wouldn't -- no, I would not know why.

6 Q. You have used in your estimates a truck with a  
7 14-yard capacity.

8 A. Yes.

9 Q. Is there a technical reason why one could not use  
10 a 20-yard-capacity truck?

11 A. No, the volume of the truck, if that was  
12 available, you could change that volume and thus change  
13 some of those calculations in terms of number of trips.

14 Q. I'll revisit that question. So if we were to  
15 assume use of a 20-yard truck instead of a 14-yard truck,  
16 we should be able to reduce the number of trips and the  
17 number of emissions and perhaps even costs by something  
18 like the ratio of 14 to 20; is that correct?

19 A. You would -- you would be able to reduce it, yes.

20 DR. NEEPER: Thank you, no further questions.

21 CHAIRMAN FESMIRE: Mr. Brooks?

22 MR. BROOKS: Thank you. May it please the  
23 Commission.

24 CHAIRMAN FESMIRE: Do you want to get back into  
25 sync, or are you going to do this from the left seat?

1 MR. BROOKS: Well, I --

2 CHAIRMAN FESMIRE: I know that you're very  
3 compulsive about this kind of thing.

4 (Laughter)

5 MR. BROOKS: Well, I don't really care. I think  
6 I can just sit here, Mr. Chairman, if that's acceptable. I  
7 used to fly airplanes from the left and right seat  
8 interchangeably, so I guess I can cross-examine.

9 CROSS-EXAMINATION

10 BY MR. BROOKS:

11 Q. Good morning, Mr. Pease.

12 A. Good morning, sir.

13 Q. I want to understand in a somewhat nontechnical  
14 way what you have done here. Basically, is not what you  
15 have done to compute a number of additional truck miles  
16 that will be driven because of this rule, in your opinion,  
17 and then used that number to compute all the other things  
18 that you believe would be a consequence of that?

19 A. I didn't -- we didn't compute the truck miles, we  
20 used the truck miles that were estimated by the committee.  
21 And from those, yes, we determined the pollutants that  
22 might be emitted from those trucks and the damage to the  
23 pavement, and then analyzed as well some of the statistics  
24 in terms of accidents and fatalities on the highways.

25 Q. But everything you conclude is basically a

1 function of how many additional trucks will be on the road  
2 and how many additional miles they'll drive?

3 A. That is correct, yes.

4 Q. Okay. I want to call your attention to page -- I  
5 think it's page 2, actually, of your report, although I  
6 took it out of the report -- this map --

7 A. Yes.

8 Q. -- and Mr. Simmons -- I mean, Mr. Pease, I'm  
9 really obliged to you for furnishing us this map. When  
10 this proceeding is over I'm going to take this map out and  
11 hang it on my wall, because it gives me a real easy, ready  
12 reference for finding anything in southeast New Mexico.  
13 And I have other maps, but this one is a lot easier to use.  
14 So I'm obliged to you, producing this map for us.

15 But that aside, you have marked four landfills on  
16 this map, correct?

17 A. Yes.

18 Q. The Sundance Parabo in Lea County, Controlled  
19 Recovery and Lea Landfill over in western Lea County, and  
20 then the Gandy Marley landfill up in Chavez County,  
21 correct?

22 A. Yes.

23 Q. These were the four that you were told about by  
24 the Oil Conservation Division?

25 A. I believe I was told about three of these from

1 the Oil Conservation Division, and the fourth one I found  
2 out about from talking to the owners of these other  
3 landfills.

4 Q. Now did you assume that all of the waste  
5 generated from oil and gas production anywhere in New  
6 Mexico would be hauled to one of these four landfills?

7 A. I did assume that, yes.

8 Q. What inquiries did you make to determine if there  
9 were any other landfills that might be available?

10 A. I -- as I mentioned, I called OCD and asked them  
11 which certified landfills there were, and then I called  
12 these owners and asked them if they knew of any. And I  
13 came to the conclusion that these were the only four.

14 Q. And you did not contact the New Mexico  
15 Environment Department about landfills?

16 A. I don't recall, that, sir. I --

17 Q. And you did not -- Well, you said you talked to  
18 some landfills, right?

19 A. I'm sorry?

20 Q. You said you talked to some landfill operators;  
21 did I hear you say --

22 A. Well, the owners of some of these, yes.

23 Q. But those were these landfills, not other --

24 A. Yes.

25 Q. -- landfills?



1           A.    No.  No, it was these.

2           Q.    In other words, you did not make any  
3    investigation as to whether or not any of the solid waste  
4    landfills in the state that are permitted by the  
5    Environment Department and not by OCD would be available as  
6    repositories for oil and gas waste?

7           A.    No, I looked into that and I determined that  
8    these four landfills could take this type of residue at the  
9    time that this report was written.

10          Q.    Well, my question is, did you look into the  
11    availability of other landfills?

12          A.    No, I was -- I didn't think that other landfills  
13    could receive this type of waste.

14          Q.    So you assumed that other landfills would not be  
15    available?

16          A.    Yes, when I prepared this report, I did.

17          Q.    Now are you aware -- I know you responded to Ms.  
18    Foster's question, you said that you had not made a study  
19    of the rule, the proposed rule, for the purposes of this --

20          A.    Right, that's correct.

21          Q.    Are you aware that the proposed rule only  
22    requires the hauling of waste to landfills if the well in  
23    question is within a 100-mile radius of an approved  
24    disposal facility?

25               MS. FOSTER:  I would object to that statement,

1 Mr. Chairman.

2 CHAIRMAN FESMIRE: I'll overrule the objection.

3 MS. FOSTER: Okay. Can I give you my basis for  
4 my objection?

5 CHAIRMAN FESMIRE: Sure.

6 MS. FOSTER: Okay. Pursuant to the special  
7 provisions section of the rule, which I believe is part of  
8 this hearing, which I asked this witness about, about Otero  
9 and Sierra Counties, it's very clear that under that rule  
10 the 100-mile -- the 100-mile rule is not part of that  
11 provision of the rule. So therefore Mr. Brooks' statement  
12 that, Are you aware that you only have to haul if you're  
13 outside of the 100-mile radius?, is inaccurate.

14 CHAIRMAN FESMIRE: Okay, Mr. Brooks, why don't  
15 you go ahead and clarify that Rule 21 might be an exception  
16 to your statement and proceed with your questioning.

17 Q. (By Mr. Brooks) Okay, let me restate my  
18 question.

19 Are you aware that with the exception of wells  
20 that might be located in Otero and Sierra Counties --

21 CHAIRMAN FESMIRE: -- which are not part of this  
22 rule --

23 MR. BROOKS: -- that --

24 MS. FOSTER: Well, Mr. Chairman, again --

25 CHAIRMAN FESMIRE: Ms. Foster, it was overruled.

1 MS. FOSTER: Well, again --

2 CHAIRMAN FESMIRE: Would you like to make another  
3 objection?

4 MS. FOSTER: Oh, yes, I would. Just so the  
5 record is clear, it's my understanding that yes, we are  
6 here for Rule 17. However, the Division did give us  
7 several other rules which are impacted by this proceeding,  
8 Rule 21 being one of them. So therefore it should be part  
9 of this discussion.

10 MR. BROOKS: Well, it is --

11 MS. FOSTER: Your statement, Mr. Chairman, that  
12 this is not part of -- Rule 21 is not part of this  
13 hearing --

14 CHAIRMAN FESMIRE: Rule 21 -- Is there any  
15 provision of the proposed changes that will involve Rule  
16 21, Mr. Brooks?

17 MR. BROOKS: Yes, Mr. Chairman, there is, because  
18 there's a cross-reference in Rule 21. Rule 21 presently  
19 says that no permits for pits will be issued under  
20 19.15.2.50, NMAC, and we're going to -- we propose to  
21 change it to say no pits -- no permits will be issued in  
22 those areas under 19.15.17 NMAC.

23 CHAIRMAN FESMIRE: So there's no functional  
24 difference, it's just --

25 MR. BROOKS: No, it's simply a change in cross-

1 reference, because we have a history in OCD, unfortunately,  
2 of having archaic cross-references in our rules, and in  
3 putting this rule together we made an effort to avoid -- to  
4 make corrections that would avoid doing that.

5 MS. FOSTER: Well --

6 CHAIRMAN FESMIRE: Well, Ms. Brooks, I think Mr.  
7 Foster -- I mean, Ms. Foster, I think Mr. Brooks clarified  
8 his question to point out the difference in Rule 21.

9 MS. FOSTER: Well, then Mr. Brooks is incorrect.  
10 If I could read from Rule 21, it specifically states in  
11 section B, The Division shall not issue permits for pits  
12 located in the selected areas. It does not say about any  
13 pits under this rule. It specifically states no pits will  
14 be allowed.

15 It does not -- In other words, there's not --

16 CHAIRMAN FESMIRE: And how does Mr. Brooks'  
17 question not address that when he said with the exception  
18 of that part of Sierra and Otero Counties covered by Rule  
19 21?

20 MS. FOSTER: Because I want to clarify your  
21 statement, Mr. Chairman, that Rule 21 is part of this  
22 discussion here, because the closed-loop -- since closed-  
23 loop will be mandated in Sierra and Otero Counties --

24 CHAIRMAN FESMIRE: Ms. Foster, I don't think  
25 that's the rule. I think the rule says that no pit will be

1 allowed --

2 MS. FOSTER: No pit --

3 CHAIRMAN FESMIRE: -- in section 21 -- I mean in  
4 Rule 21; is that correct?

5 MS. FOSTER: That's right.

6 CHAIRMAN FESMIRE: Okay.

7 MS. FOSTER: But I -- if I understand Mr.  
8 Brooks's statement just now, I believe that he stated that  
9 it was going to be -- that it was just a procedural process  
10 where anywhere in a statute that Rule 50 is referred is now  
11 going to be changed to Rule 17. That is not quite the  
12 case.

13 CHAIRMAN FESMIRE: Ms. Foster, I overruled your  
14 objection.

15 MS. FOSTER: Okay, thank you.

16 CHAIRMAN FESMIRE: Okay. Mr. Brooks, continue,  
17 please.

18 Q. (By Mr. Brooks) Okay. Mr. Pease, with the  
19 exception of Otero and Sierra Counties, are you aware that  
20 the proposed rule only requires the hauling of oil and gas  
21 waste to landfills if the well in question is located  
22 outside of a 100-mile radius from a --

23 CHAIRMAN FESMIRE: Mr. Brooks --

24 MR. BROOKS: -- approved landfill?

25 CHAIRMAN FESMIRE: Mr. Hiser?

1 MR. HISER: I would, I guess, have to make a  
2 similar objection to Ms. Foster's, which is that in fact  
3 the rule actually says that it also has to meet a series of  
4 closure criteria before you could actually dispose of that  
5 waste, and that's a necessary part of this rule, as well.

6 So if a pit doesn't meet those closure criteria,  
7 it can't be closed in place and would still require being  
8 hauled.

9 CHAIRMAN FESMIRE: I'll sustain that objection.  
10 Mr. Brooks, would you rephrase your question again, please?

11 Q. (By Mr. Brooks) Okay, I'll try again.

12 Are you aware that the requirement of hauling  
13 that -- that waste be hauled to a landfill from an oil and  
14 gas pit or a closed-loop system, applies only to wells  
15 located outside of a 100-mile radius from an approved  
16 facility, with the exception of Otero and Sierra Counties,  
17 and with the exception of waste that does not meet  
18 treatment standards?

19 Because of the objections I've had to make that a  
20 very complicated and convoluted question, but are you aware  
21 of those provisions of the rule?

22 A. No, I'm not.

23 Q. And did you assume that waste would be hauled to  
24 landfills from anywhere in the state, regardless of the  
25 distance to the nearest landfill?

1 A. Yes.

2 Q. And did you come up with distances as much as 400  
3 miles or so, that you used in your calculations?

4 A. Yes.

5 Q. Okay. Now, are you -- did you familiarize  
6 yourself with where wells are located in the State of New  
7 Mexico?

8 A. No.

9 Q. Did someone provide you some figures on that  
10 subject?

11 A. No, they -- the committee that I've spoken of  
12 provided us -- I did see a map that showed the wells  
13 situated around the state, and then just from each quarter  
14 of the state we were given volumes of material and  
15 distances, and that's what I used to base my calculations  
16 on.

17 Q. Okay. And a very large volume of that waste  
18 comes from northwestern New Mexico, right?

19 A. I -- Give me a second, I can tell you, sir.

20 Q. Please.

21 A. Yes.

22 Q. And northwestern New Mexico, for the most part,  
23 is going to be more than 100 miles from any of these  
24 facilities you've located on the map on page 2 of your  
25 report, is it not?

1 A. Yes.

2 Q. Thank you. What level of drilling activity did  
3 you assume for purposes of this report?

4 A. I didn't assume anything about drilling, sir.

5 Q. Well, if you're going to have some figures on  
6 hauling waste from pits, doesn't it have to assume a  
7 certain number of pits to have any validity?

8 A. Well --

9 Q. Or at least a range of numbers of pits?

10 A. If you look on the report, Appendix A, the first  
11 table, this is the information that was provided to us.  
12 And so we just took that information and performed the  
13 calculations that I described to you earlier. I didn't  
14 make any assumptions that involved anything to do with the  
15 drilling pits, et cetera.

16 Q. So your assumption is based on the fact -- on  
17 somebody'd providing you with some hypothetical number of  
18 amount of pit waste that will be generated, and not on  
19 anything -- any figures that you've computed or examined to  
20 determine that?

21 A. That's correct.

22 Q. Very good, thank you. Now I believe that's most  
23 of what I have to ask you, but I have one more question.

24 Your assumptions about -- Well, maybe I have some  
25 more than that, but I'll ask this one first.



1           Your assumptions about emissions, would that be  
2 based on the present portfol- -- the present portfolio of  
3 trucks that might be available now?

4           A.    It was based -- I believe in that section of the  
5 report she had based it on data up through 2004.

6           Q.    And it doesn't take into consideration whether or  
7 not there might be improvements in vehicle efficiency in  
8 the future that might reduce that amount of emissions?

9           A.    Not in the future, no.

10          Q.    Okay. Let me review some questions here, and  
11 then I will...

12                Now this is based just on truck traffic, it would  
13 be -- doesn't have anything to do with the type of  
14 material, your conclusions are not dependent in any way on  
15 the type of material hauled; is that correct?

16          A.    That's correct.

17          Q.    So whether they were hauling waste from wells or  
18 whether the trucks were hauling machinery to drill wells,  
19 it wouldn't make any difference so far as your calculations  
20 are concerned?

21          A.    It would make a difference in terms of the  
22 assumptions that we made that the 14-cubic-yard truck was  
23 full, and so that had specific weights associated with it  
24 and thus a certain number of trips.

25                And so if the weight of the load changed, then

1 that might change the number of trips, deterioration on the  
2 pavements, or the air emissions is a function of the number  
3 of trips as well.

4 Q. But for a given truck weight and a given number  
5 of trips, your assumptions have nothing to do with what the  
6 particular type of cargo on that truck is?

7 A. I would like just a second to answer that,  
8 please.

9 Q. Okay, you may have it.

10 A. No.

11 Q. They do not, correct?

12 A. Correct.

13 Q. Now just going back to what I asked you about  
14 northwestern New Mexico, you assumed that there were no  
15 landfills available in northwestern New Mexico?

16 A. That is correct.

17 Q. But you would not think it reasonable, would you,  
18 to assume that if there was a landfill available in  
19 northwestern New Mexico, that a -- that could take this  
20 type of waste, that an operator would truck it 400 miles to  
21 southeast New Mexico instead of disposing of it at a  
22 landfill within a few miles of the well site?

23 A. No, that's correct.

24 Q. And so to the extent that you assume that that  
25 would happen, and assuming such landfills exist in

1     northwestern New Mexico, your report is flawed, right?

2             A.     No, the general -- the number of trips involved  
3     in transporting is going to add pollutants to the  
4     atmosphere and is going to damage the roads. And so the  
5     amount of that might vary some, but the conclusions of the  
6     report do not change.

7             Q.     Between a 400-mile trip and a 40-mile trip, the  
8     amount that -- of difference is going to be substantial, is  
9     it not?

10            A.     It may.

11            MR. BROOKS: Thank you. I'll pass the witness.

12            CHAIRMAN FESMIRE: Commissioner Bailey?

13                               EXAMINATION

14     BY COMMISSIONER BAILEY:

15            Q.     I'm looking at Table ES-1 on page ES-3. It  
16     appears as though the only financial figures you have are  
17     for the first line for the annual business impact.

18                    Although we cannot put a value on a human life,  
19     did you try to apply any financial figures to the repair  
20     and maintenance of these roads that would be borne by the  
21     citizens of the state?

22            A.     No, I did not.

23            Q.     In your discussions with the privately held  
24     landfills and landfarms down in the southeast, was there  
25     any indication that they would hold the line on disposal

1 costs or, since they are -- since they have the ability to  
2 hold the entire southeastern industry hostage to their  
3 facilities for disposal, was there an indication that they  
4 would raise their prices to whatever they could charge?

5 A. There was no indication of that, no.

6 COMMISSIONER BAILEY: That's all I have.

7 CHAIRMAN FESMIRE: Commissioner Olson?

8 EXAMINATION

9 BY COMMISSIONER OLSON:

10 Q. Yes, Mr. Pease, I guess just following up on Mr.  
11 Brooks, it looks like from your calculations -- I don't  
12 know, it says page 1, but I think there's a few page 1's  
13 here, of Appendix A. You're looking at -- at 1400, I  
14 guess, wells per year. That's what your calculations are  
15 based on?

16 A. Yes, Commissioner.

17 Q. And so this is assuming that all wastes are dug  
18 and hauled to a landfill from every well drilled?

19 A. I -- These numbers I just used from my  
20 calculations, Commissioner, so I didn't perform these  
21 calculations that you see on this page. This page is the  
22 information that was provided to us that we used to perform  
23 our calculations.

24 Q. Well, I'm just trying to understand your  
25 calculations. Is your calculation based upon wastes from

1 every well that's drilled in the state being dug and hauled  
2 to a landfill?

3 A. I believe it is, yes.

4 Q. Do you understand that the rule doesn't require  
5 that -- even as proposed by the Division with the 100-mile  
6 radius, doesn't require all wells to be dug and hauled to a  
7 landfill?

8 A. No.

9 Q. Okay. And so that would affect your calculations  
10 -- if some sites, based on what are siting criteria, and  
11 even the radius, I guess, would be allowed to be buried on  
12 site, that would affect these calculations, then?

13 A. Yes.

14 Q. And is there any estimate of the costs -- well, I  
15 guess, I'll back up. I guess you weren't here for  
16 testimony from the Division, then, that there are disposal  
17 options in the San Juan Basin, there are some facilities up  
18 there that it could go to?

19 A. No, I as not here for that.

20 Q. And I think even -- you weren't here for the  
21 testimony, then, of Sam Small, who's also assuming that  
22 wastes would be disposed of at facilities in the San Juan  
23 Basin?

24 A. I was not here for that either.

25 Q. And I believe Mr. Small, for the -- testified on

1     behalf of IPANM, was estimating a maximum of 100 miles for  
2     a hauling distance as a worst-case scenario.

3             What would be the -- Is there any way you could  
4     give an estimate of what the change in these figures would  
5     be by using a 100-mile maximum hauling distance?

6             A.    I would not want to speculate on that unless I  
7     redid these calculations, no, but there -- the distances  
8     that we did assume are listed on this table, the shortest  
9     and the longest, then, from each section of the state.

10            Q.    Right, but I'm thinking, particularly for the  
11     northwestern New Mexico --

12            A.    Yes.

13            Q.    -- the IPANM assumed a maximum hauling distance  
14     of 100 miles, which would be a 100-mile radius for where  
15     you would be required to haul wastes, so it seems to me  
16     that in your -- I'm looking at page 1 of Appendix A, down  
17     in the middle, the fourth table down, it's got transport  
18     distances and its using the northwest, shortest mileage of  
19     350 miles and a longest of 450.

20            If you had a longest of 100, as the IPANM had  
21     used, then the shortest could be, I guess, as short as, you  
22     know, several miles, depending on where it's located.  
23     Probably -- it's probably not an average for shortest, but  
24     that's going to significantly change the numbers for costs  
25     for northwestern New Mexico, isn't it?

1           A.    Yes, sir, it will have a significant change on  
2   some of the parameters we estimated in terms of pollutants  
3   in such.

4                   The reason I was hesitant to give you an answer,  
5   though, is, the deterioration of the pavements is an  
6   accelerated value.  So a road that's already deteriorated  
7   is going to deteriorate much more rapidly than one that is  
8   not deteriorated, so I don't know if there's a straight  
9   linear analysis on that portion of the miles traveled.

10          Q.    But there's going to be significantly less  
11   deterioration with the shorter hauling distance --

12          A.    There will be --

13          Q.    -- of roads?

14          A.    There will be less deterioration.

15          Q.    And --

16          A.    And Commissioner -- I'm sorry, can I add, though,  
17   that --

18          Q.    Sure.

19          A.    -- it's the -- it's really the number of trips in  
20   terms of that that's significant.  So when a truck is  
21   loaded, this equivalent single-axial [sic] load, which  
22   represents a single-axial load with 18 kips on it, that is  
23   what the design engineers use to determine the  
24   deterioration of the pavement.  So really, it's --

25                   CHAIRMAN FESMIRE:  Mr. Pease, you're talking

1 civil engineering. You're going to have to explain what  
2 kips are.

3 THE WITNESS: That's 1000 pounds, I apologize.

4 CHAIRMAN FESMIRE: Okay.

5 THE WITNESS: Yeah. And so really, in terms of  
6 the deterioration of the pavement it'll be a function of  
7 the number of trips and the number of times that a truck  
8 passes over a particular location.

9 Q. (By Commissioner Olson) But -- maybe I don't  
10 understand that. It seems to me that if you're traveling a  
11 shorter distance, you're affecting less roadway then.

12 A. It would be less roadway, but if I took a  
13 particular stretch of roadway that was outside of a  
14 landfill --

15 Q. Uh-huh.

16 A. -- and I considered the number of trips that went  
17 into that landfill with a certain weighted truck, that  
18 would determine the deterioration of the pavement. So the  
19 distance traveled is going to have more of an effect on the  
20 air pollutants and the emissions.

21 But for each -- each section of pavement is only  
22 going to feel the effect of a truck driving over it a  
23 number of times.

24 Q. Yeah, I guess -- Well, maybe I'm confused. It  
25 seems like if you're using four -- say -- just say 400



1 miles for --

2 A. Uh-huh.

3 Q. -- argument, you'd be affecting that whole 400-  
4 mile stretch of highway?

5 A. Yes, you'll be affecting more pavement.

6 Q. More pavement.

7 A. Yes.

8 Q. So if the distance is less, then the effect on  
9 the pavement is less too, because you're affecting less  
10 miles of pavement, so the actual cost in highway miles is  
11 actually less than highway road mileage?

12 A. Yes, there -- I think the difference is, there  
13 will be less pavement sections affected.

14 Q. Right, which is less overall impact on roadways,  
15 right?

16 A. The less -- I think we're differing -- the less  
17 number of roads will be affected.

18 Q. Uh-huh.

19 A. Yes.

20 Q. And following up, I guess, on a question of Dr.  
21 Neeper, I just want to make sure I understand that -- is  
22 this -- it's assuming a dig-and-haul of all wastes, but I  
23 guess I'm confused. Is this going along lines of -- Mr.  
24 Sam Small testified that usually they're taking out, you  
25 know, six inches, a foot, whatever, of clean soil

1 underneath as they're doing this dig-and-haul.

2 Is that -- these numbers represent waste plus  
3 soil, or just the actual wastes that's in the pit?

4 A. I apologize, Commissioner, but on that I'm not  
5 exactly clear. Like I said, those volumes of that material  
6 were provided to us, and then we, from that, calculated  
7 weights and number of trips, et cetera.

8 Q. Okay, because I'm a little confused on that. So  
9 then you have a different table here for closed-loop  
10 systems as well?

11 A. Yes, I -- there's two tables in that appendix,  
12 and we didn't use any of the values off of the closed-loop  
13 system, we used the values off of page 1 only.

14 Q. Okay, so I'll admit I haven't compared the two to  
15 see what the difference is, but I'm just kind of confused,  
16 I guess, as to what's actually being represented in these  
17 numbers, and maybe somebody else will be able to answer  
18 that.

19 Because I -- well, I guess, just along that same  
20 line, then, if those numbers are representing hauling of  
21 additional material from soils that's dug up as well, that  
22 would be significantly more waste volume than would be  
23 generated from a closed-loop system, then, wouldn't it?  
24 Because you'd just be disposing of the actual wastes with a  
25 closed-loop system.

1           A.    I -- unfortunately, I'm not even -- when it comes  
2   to a closed-loop -- -looped system versus the other types  
3   here, I'm not familiar enough to comment on those.

4           Q.    Okay.  And I guess what I'm wondering about is,  
5   the industry committee itself that has accepted some  
6   portions of the rule and proposed other changes that they  
7   feel is more appropriate for cost and a lot of other  
8   different reasons.

9                   Have you made any estimate -- I'm kind of curious  
10   as to what the costs are of the proposed rule change if we  
11   accepted the industry committee's proposed rule change.  
12   Have you done any cost estimates of potential impacts under  
13   the changes as proposed by the industry committee?

14          A.    We did not do any cost analysis, no.

15          Q.    And the title of this is going towards effects of  
16   the proposed rule.  Have you looked at any costs related to  
17   the protection of water quality and the value of water  
18   resources in New Mexico?

19          A.    I have not, no, sir.

20          Q.    But I guess you would acknowledge there is a  
21   benefit to prevention of water pollution in terms of a  
22   cost-benefit, just in general?

23          A.    If there was indeed -- if you -- if you did think  
24   that was a possibility, yes, I suppose.

25                   I apologize, I don't have a definitive answer for

1 that.

2 Q. Okay.

3 A. I did not think in terms at all of water  
4 contamination, water resources.

5 Q. Well, the water resource in New Mexico is -- has  
6 a value -- it actually has substantial value in New Mexico,  
7 doesn't it?

8 A. Yes, it does.

9 COMMISSIONER OLSON: That's all I have.

10 EXAMINATION

11 BY CHAIRMAN FESMIRE:

12 Q. Mr. Pease, I think what you were trying to tell  
13 us is that if you take a given volume, which was supplied  
14 to you by the industry committee -- or by the technical  
15 committee, which is not the same as the industry  
16 committee --

17 MR. HISER: It's a --

18 Q. (By Chairman Fesmire) Okay, a sub- -- a  
19 technical committee that is a subcommittee of the industry  
20 committee.

21 If you take a given volume and haul it a given  
22 distance, which was provided to you by the committee, that  
23 these would be the effects?

24 A. Yes, Chairman, that is correct.

25 Q. Okay. So you don't know what effect it would

1 have by, for instance, if the amount of drilling was  
2 reduced?

3 A. I would -- numbers would reduce --

4 Q. Okay.

5 A. -- yes.

6 Q. And if the amount of waste at a given site was  
7 reduced by a factor of four or more, that would affect your  
8 numbers by reducing all these numbers, would it not?

9 A. Yes, it would.

10 Q. Okay. So a reduction in drilling, a reduction in  
11 waste, or if they were allowed to haul some of this waste  
12 to, for instance, a landfill, a landfill that you didn't  
13 know existed, that would reduce these numbers, would it  
14 not?

15 A. It would.

16 Q. And if they were, for instance, in the northwest  
17 under certain conditions that they were allowed to haul  
18 waste to land- -- say a reduced amount of waste to  
19 landfarms, that would affect your numbers, wouldn't it?

20 A. It would.

21 Q. Let's look at ES-3, and in response to questions  
22 from Commissioner Bailey you indicated that the financial  
23 impact didn't include the damage and the costs to repair  
24 the roads; is that correct?

25 A. Yes, that is correct.

1 Q. But in here under annual business impact you have  
2 an estimated number of \$50 million to \$100 million; is that  
3 correct?

4 A. Yes, and I'd add that that -- the source of that  
5 came from the committee. We didn't perform that analysis  
6 ourselves.

7 Q. Okay, so we're back into hypothetical mode  
8 again --

9 A. Yes.

10 Q. -- but that should include the cost of fuel,  
11 should it not?

12 A. I believe it would.

13 Q. And road taxes come out of fuel taxes, don't  
14 they?

15 A. I believe so, yes.

16 Q. So this analysis should include enough of a tax  
17 to pay for the extra damage to the road, shouldn't it?

18 A. That -- I really can't comment on that.

19 Q. Okay.

20 A. We didn't do any economic analysis on this,  
21 Daniel B. Stephens in this report.

22 Q. Now you came up with a number of CO<sub>2</sub> emissions.

23 A. Yes.

24 Q. You didn't compare that to any other emissions  
25 sources, did you? For instance, gas-treating in the

1 northwest?

2 A. No.

3 Q. Do you happen to know, if all of these numbers  
4 were correct, and the significant number of truck miles  
5 that I think you came up with between 27 million and 81  
6 million a year --

7 A. Yes.

8 Q. -- what percentage of the total oilfield traffic  
9 is that?

10 A. I'm not sure I understand your question --

11 Q. Okay, this would be additional miles traveled to  
12 haul these wastes, correct?

13 A. Yes, yes.

14 Q. You don't happen to know how many miles are  
15 traveled by trucks of all kinds and service vehicles and  
16 stuff in the oilfield of New Mexico now, do you?

17 A. No, I do not.

18 Q. So you wouldn't know what percentage that would  
19 be?

20 A. No.

21 Q. And you said your background was in soil  
22 mechanics, geotechnical engineering and environmental  
23 engineering, right?

24 A. Yes.

25 Q. And that you've had some experience with roads

1 and soils, especially with the consulting you've done and  
2 with the -- was it the Corps of Engineers?

3 A. Yes.

4 Q. And you can't tell us where the committee got  
5 their numbers on the haul volumes, things like that?

6 A. No, we -- The numbers were just presented to us,  
7 and we were asked to do these specific tasks, so we just  
8 took the numbers that were provided and we did the analysis  
9 that's reflected in this report.

10 Q. Okay. Am I being too harsh to call that an  
11 academic exercise, rather than factually based?

12 A. I believe so. It's -- I'm not sure how I  
13 interpret your comment --

14 Q. Well --

15 A. -- being academically based.

16 Q. -- you did the calculations based on numbers that  
17 you were given, just like --

18 A. Yes.

19 Q. -- an academic problem, you were given these  
20 numbers?

21 A. Yes. But I'd like to add, Chairman, that we did  
22 -- I mean, we used statistics. I mean, we researched the  
23 statistics to apply the pollution and the roadways, et  
24 cetera, to these numbers that were given.

25 Q. So if -- you would be very sure of your answers,



1 if you were sure of the input numbers that you were given  
2 by the committee?

3 A. That is correct.

4 Q. This one is probably in yours, and it's a true  
5 question; I'm really not trying to make a point.

6 In your analysis and the excess mileage, did you  
7 include all of the mileage as loaded miles, or was some of  
8 it deadhaul?

9 A. No, it was -- each truck had a loaded distance  
10 and an unloaded distance.

11 CHAIRMAN FESMIRE: I don't have any other  
12 questions.

13 Mr. Hiser, do you have more direct --

14 MR. HISER: Just a --

15 CHAIRMAN FESMIRE: -- or redirect?

16 MR. HISER: I guess a couple of redirects.

17 REDIRECT EXAMINATION

18 BY MR. HISER:

19 Q. Mr. Pease, Dr. Neeper had asked you a couple of  
20 questions about the truck damage. Do you remember those?  
21 Not the specifics, but that he asked you those questions?

22 A. About truck damage?

23 Q. Yes, he was talking about -- he specifically  
24 asked you the difference between a 14-cubic-yard and a 20-  
25 cubic-yard vehicle --

1 A. Oh.

2 Q. -- and a couple of other questions about water  
3 and things of that nature. Do you recollect --

4 A. Yes --

5 Q. -- that he --

6 A. -- yes, yes, I do.

7 Q. -- asked you those questions?

8 Now, you indicated in that discussion that you  
9 weren't aware of an engineering reason for the preference  
10 for a 14-cubic-yard truck versus a 20-cubic-yard truck; is  
11 that correct?

12 A. Yes.

13 Q. In this report, though, on page 7, was there any  
14 regulatory reason that was flagged either by you or by Mr.  
15 McKeen as being a potential limit in terms of how material  
16 has to be hauled?

17 A. Well, the percentage of water in the material, he  
18 used 40 percent, and that's as much as -- water,  
19 apparently, that can be in the material.

20 Q. Okay, and so if in fact that was what -- that may  
21 have influenced the choice of the cubic yardage that was  
22 being used?

23 A. It affected the density of the material which, in  
24 turn, based on the cubic yardage, affected the weight.

25 Q. And you also testified that you are familiar with

1 road and road engineering; is that correct?

2 A. Yes.

3 Q. And is it typical for roads and bridges to have  
4 weight limits?

5 A. Yes.

6 Q. And is there a difference in the weight between a  
7 14-cubic-yard and a 20-cubic-yard truck?

8 A. Yes.

9 Q. And on small county roads, is it possible that a  
10 20-cubic-yard truck would exceed the weight?

11 A. I would assume it would, yes.

12 Q. And so that might also affect the choice of the  
13 truck volume that was used?

14 A. Yes.

15 Q. Now in -- Mr. Brooks asked you a question -- a  
16 number of questions, actually, about the mileage that you  
17 used to calculate the distance that -- the projection that  
18 came from the industry committee; is that correct?

19 A. Yes.

20 Q. I've got to figure out how to ask this next  
21 question.

22 His question, though, did it not, assumed that  
23 the waste would meet the disposal criteria for on-site  
24 disposal from -- that the Division has established in the  
25 proposed rule, did it not?

1 A. It would -- yes.

2 Q. And so if the waste doesn't meet those criteria,  
3 it would still have to be hauled, would it not, under the  
4 proposed rule as the Division has set it forth?

5 A. I believe so.

6 Q. And did -- and I don't know the answer to this  
7 either, so I'll find out.

8 Did the industry committee tell you to assume or  
9 not to assume that any waste could be disposed -- met the  
10 OCD disposal criteria?

11 A. No, we didn't elaborate on that.

12 MR. HISER: That completes my questions.

13 CHAIRMAN FESMIRE: Are there any other questions  
14 of this witness on the subject of the redirect?

15 MR. BROOKS: No, your Honor.

16 CHAIRMAN FESMIRE: Mr. Jantz?

17 MR. JANTZ: No, Mr. Chairman.

18 MS. FOSTER: No, Mr. Chairman, thank you.

19 CHAIRMAN FESMIRE: Commissioners?

20 COMMISSIONER BAILEY: (Shakes head)

21 COMMISSIONER OLSON: No questions.

22 CHAIRMAN FESMIRE: Mr. Pease, thank you very  
23 much.

24 MR. PEASE: Thank you.

25 CHAIRMAN FESMIRE: Why don't we take a 10-minute

1 break, at which time we will come back at 20 till?

2 Who's our next witness?

3 MR. HISER: It would be Dr. Ben Thomas.

4 CHAIRMAN FESMIRE: Okay, Dr. Thomas, we'll begin  
5 his direct examination.

6 (Thereupon, a recess was taken at 10:29 a.m.)

7 (The following proceedings had at 10:45 a.m.)

8 CHAIRMAN FESMIRE: Let's go back on the record.

9 Let the record reflect that this is a  
10 continuation of Case Number 14,015, that all three  
11 Commissioners are present, there is therefore a quorum  
12 present.

13 I believe we were going to start with the direct  
14 examination of Dr. Thomas.

15 Mr. Hiser, are you prepared to proceed?

16 MR. HISER: I am.

17 CHAIRMAN FESMIRE: Would you please do so, sir.

18 MR. HISER: Thank you, Mr. Chairman.

19 Dr. Thomas, have you been sworn yet?

20 DR. THOMAS: Not yet.

21 MR. HISER: Would you please -- Mr. Chairman, if  
22 you could have the witness sworn, please?

23 CHAIRMAN FESMIRE: Mr. -- Dr. Thomas, would you  
24 raise your right hand?

25 (Thereupon, the witness was sworn.)

1                                    BEN THOMAS, PhD,  
2     the witness herein, after having been first duly sworn upon  
3     his oath, was examined and testified as follows:

4                                    DIRECT EXAMINATION

5     BY MR. HISER:

6                Q.     Dr. Thomas, could you state your name for the  
7     record, please?

8                A.     Yes, my name is Dr. Ben Thomas.

9                Q.     And could you give us an overview of your  
10    educational and professional experience?

11              A.     Yes, my -- I received my bachelor's degree from  
12    Tulane in biology and chemistry. I received my master's  
13    and PhD degrees in pathology at the University of Texas  
14    Health Science Center in Houston. That also includes  
15    University of Texas M.D. Anderson Hospital and Tumor  
16    Institute.

17              Q.     And tell us a bit about your professional  
18    experience since you received your PhD and --

19              A.     Did postdoctoral work in biochemistry of cancer  
20    and toxicity. My wife suggested I get a real job, so I  
21    applied and was hired by Shell Oil Company, and I worked  
22    there for 12 1/2 years as a corporate toxicologist  
23    responsible for oil products, exploration production,  
24    solvents and a variety of other things.

25                                I was chairman of the American Petroleum

1 Institute's toxicology committee, I was chairman of the  
2 API's benzene toxicology task force, I was a member of the  
3 Chemical Manufacturers Association's benzene task force,  
4 and so on. So I've had a fair amount of industry exposure.

5 In 1990 I was offered a job as a consultant in  
6 the environmental field, so I've been a consultant ever  
7 since 1990. My practice involves not only health effects  
8 but also environmental sciences as well, including risk  
9 assessment and risk-based decision making.

10 MR. HISER: Mr. Chairman, at this point we would  
11 tender Dr. Thomas -- or qualify him as an expert in  
12 toxicology and risk assessment.

13 CHAIRMAN FESMIRE: Is there any objection?

14 MR. BROOKS: No objection, Mr. Chairman.

15 MR. JANTZ: I'd like to voir dire the witness,  
16 Mr. Chairman.

17 CHAIRMAN FESMIRE: For the reason of -- ?

18 MR. JANTZ: To establish the scope of his  
19 expertise.

20 CHAIRMAN FESMIRE: Okay, please do so.

21 VOIR DIRE EXAMINATION

22 BY MR. JANTZ:

23 Q. Mr. Thomas --

24 A. Dr. Thomas.

25 Q. Dr. Thomas, I apologize. I'm Eric Jantz. We've

1 met before, I'm --

2 A. Yes.

3 Q. -- the attorney for the Oil and Gas  
4 Accountability project. I just wanted to ask you a couple  
5 questions about your background. You have your PhD in  
6 pathology; is that right?

7 A. That is correct.

8 Q. Could you explain what a pathologist does?

9 A. Well, there are different types of pathologists,  
10 but essentially a pathologist is an expert in the processes  
11 of disease, so that may involve autopsies. In my training  
12 I participated in 40 human autopsies. It may involve  
13 research. And in my studies I've worked in, I think, 16  
14 different species of animal.

15 Pathologists also do the microscopic evaluation  
16 and diagnosis of disease, they also will do the clinical  
17 testing, the blood test and so on that you see. As part of  
18 my professional career, I've done a fair amount also in  
19 veterinary work because a lot of toxicology work is with  
20 animals.

21 And so essentially that's -- I hope that answers  
22 your question.

23 Q. It does. Could you expand on your experience as  
24 a pathologist --

25 A. Certainly.



1 Q. -- a little bit?

2 A. Certainly. I did my pathology training at M.D.  
3 Anderson Hospital and Tumor Institute. It included 40  
4 human autopsies, it included studies in 16 species,  
5 including complete necropsy and microscopic evaluation.

6 I think I have probably seven papers on various  
7 types of clinical tests that are affected by disease.

8 I'm an adjunct professor at the University of  
9 Texas Health Science Center, where I teach pathology and --  
10 to the medical students and to the graduate students.

11 Q. You said you were also, since 1990, a consultant  
12 and that you worked in environmental sciences; is that  
13 right?

14 A. That's correct.

15 Q. Including risk assessment. What does that  
16 entail?

17 A. Risk assessment is a formal process of evaluating  
18 essentially analytical data. It's a process by which you  
19 now start to evaluate which chemicals are high enough  
20 concentration to be of concern, so -- you know, that's kind  
21 of a simplistic explanation, but I -- pleased to go into  
22 further detail if you want.

23 Q. And what has your experience with risk assessment  
24 involved during your career?

25 A. I've been the lead consultant on a number of risk

1 assessments, everything from Superfund to RCRA, air  
2 permitting, research programs, detailing hazardous air  
3 pollutants. I'm not quite sure what you're --

4 Q. Okay, I just -- I'm -- these are actual -- I'm  
5 not sort of trying to make a point, I'm trying to get sort  
6 of an idea of where you're coming from.

7 Do you have experience doing air modeling of any  
8 sorts in your time as a consultant?

9 A. Generally the air modeling is done by my staff.

10 Q. Okay.

11 A. I certainly have experience in interpreting air  
12 modeling.

13 Q. Okay, what about groundwater?

14 A. Groundwater, groundwater plume and analysis, yes.

15 Q. Okay. Contaminant transport, do you have  
16 experience modeling contaminant transport?

17 A. Ambient?

18 Q. Contaminant transport, sorry.

19 A. Oh, contaminant. Yes, I do. Yeah, again most of  
20 the modeling is actually done by my staff --

21 Q. Okay.

22 A. -- as opposed to me personally.

23 Q. Right, okay. Do you have a background or  
24 experience in economics at all?

25 A. I've done some economic studies. Again, I depend

1 upon the expertise of people that work for me.

2 Q. Okay, what about engineering? Civil engineering,  
3 specifically?

4 A. I don't claim to be a civil engineer.

5 Q. Okay, okay --

6 A. I've worked a lot with civil engineers.

7 Q. All right, one last thing. Looking at your  
8 résumé, you seem to have a lot of experience -- a lot of  
9 industry experience. Have you ever consulted with or  
10 worked on behalf of community organizations, something like  
11 the Oil and Gas Accountability Project, or the American  
12 Lung Association? You kind of get my point.

13 A. Yeah. Not with what I'd consider to be  
14 environmental-type organizations, primarily because there's  
15 a -- you know, a common conflict of interest because of my  
16 industry background.

17 Q. Sure.

18 A. I have worked on cases where I thought there was  
19 merit in claims of individuals against industry.

20 Q. Uh-huh.

21 A. I've worked on behalf of the Louisiana Department  
22 of Natural Resources with regard to their waste management  
23 rules, their Statewide Order 29.D.

24 Q. Okay.

25 A. So I've worked just about everywhere.

1 MR. JANTZ: Okay, great. Thank you, that's all I  
2 have of Dr. Thomas.

3 CHAIRMAN FESMIRE: Is there any objection to Dr.  
4 Thomas being admitted as an expert in pathology and risk  
5 assessment?

6 MR. HISER: Actually, it was toxicology --

7 CHAIRMAN FESMIRE: Toxicology and risk  
8 assessment?

9 MR. BROOKS: No objection, Mr. Chairman.

10 MR. JANTZ: No objection.

11 MS. FOSTER: No objection.

12 CHAIRMAN FESMIRE: No objection being noted,  
13 we'll accept Dr. Thomas's credentials. He will be admitted  
14 as an expert in toxicology and risk assessment.

15 MR. HISER: Mr. Chairman, may I approach the  
16 witness?

17 CHAIRMAN FESMIRE: You may, sir.

18 DIRECT EXAMINATION (Resumed)

19 BY MR. HISER:

20 Q. Dr. Thomas, I'm placing in front of you an item  
21 which is labeled as industry committee Exhibit 7. Does  
22 that appear to be a statement of your résumé and curriculum  
23 vitae?

24 CHAIRMAN FESMIRE: Mr. Hiser, I don't think I got  
25 one. 7 is among the missing.

1 MR. HISER: Well, we -- Does anybody else have  
2 it, or --

3 COMMISSIONER OLSON: I've got it.

4 MR. HISER: -- is it missing for everybody?

5 We will try to make you an additional copy, Mr.  
6 Chairman, and give that to you. And Mr. Carr's volunteered  
7 his.

8 CHAIRMAN FESMIRE: Okay, thank you very much.

9 THE WITNESS: Exhibit 7 is my résumé.

10 Q. (By Mr. Hiser) And does that accurately reflect  
11 your résumé -- professional experience?

12 A. Yes, it does.

13 MR. HISER: We would move the admission of  
14 Exhibit 7.

15 CHAIRMAN FESMIRE: Is there any objection to the  
16 admission of Exhibit 7?

17 MR. BROOKS: No objection.

18 MR. JANTZ: No objection.

19 MS. FOSTER: No objection.

20 CHAIRMAN FESMIRE: Exhibit 7 will be admitted.

21 Q. (By Mr. Hiser) Now Dr. Thomas, behind that tab  
22 is Exhibit 8. And does Exhibit 8 reflect materials that  
23 you prepared for discussion with the Commission today?

24 A. It appears to.

25 Q. And are you prepared to discuss with the

1 Commission the proposed rule and some risk issues and other  
2 things that you've identified with this proposed rule?

3 A. I am.

4 Q. And do you have the PowerPoint as well which  
5 corresponds to this exhibit?

6 A. I do.

7 Q. Would you like to proceed?

8 A. All righty. Next slide, please.

9 What I thought I'd do today is talk about several  
10 different things.

11 I wanted to touch real briefly on risk and  
12 decision processes, especially how they relate to  
13 regulatory processes.

14 I want to talk about what's in the pits.

15 I want to talk about a risk evaluation of the  
16 constituents that were actually detected, both in the  
17 industry research program and the OCD's program.

18 I want to talk about how this relates to the  
19 OCD's proposed pit rule.

20 I want to talk about alternative impacts.

21 And then I've reached conclusions.

22 Q. Okay. And so when you're looking at a risk  
23 assessment process, why is that something that the  
24 Commission would be interested in doing?

25 A. Well, there are a number of reasons, and I've

1 listed in here as kind of evalu- -- the risk evaluation  
2 process.

3 First of all, in New Mexico the Oil and Gas Act  
4 requires that risk -- that is, protection of the  
5 environment and the public -- be considered in the  
6 regulatory process. And at least that protection, to me --  
7 talks about risk, because without risk you're not  
8 protecting -- you don't need to protect.

9 The process of risk evaluation has a real value,  
10 I think, in the regulatory process, primarily because it's  
11 transparent, that it makes explicit exactly what the -- to  
12 all the parties involved exactly what the agency's  
13 objectives are in proposing a regulatory action.

14 It provides an understanding of the technical  
15 basis and the rationale for that proposed action, the  
16 proposed standards, and the regulatory requirements.

17 And it minimizes -- because of that transparency,  
18 it minimizes unnecessary expenditure of our very rare and  
19 scarce financial and technical resources, both industry and  
20 the agency's resources, due to unclear policy.

21 Q. And so if you're going to be starting and looking  
22 at this rule, does it make sense to understand what risks  
23 are the problem that appears to be being addressed by the  
24 rule?

25 A. Yeah, I honestly believe that the people of New

1 Mexico really must have a risk-based rule. Otherwise, I  
2 think all parties are kind of shooting in the dark in a lot  
3 of ways, and hopefully that will come -- become obvious in  
4 my presentation.

5 Q. Okay, and the rule that's being proposed by the  
6 Division is primarily aimed at addressing what particular  
7 aspect of the industry's operation at this time?

8 A. I'm sorry, I missed you --

9 Q. The rule -- the proposed pit rule really seems to  
10 be addressing what type of industry activity?

11 A. Well, the rule as I read -- obviously you've got  
12 more rules than just one, but the rule that I'm reading is  
13 dealing with temporary pits and in particular the ones that  
14 I'm calling drilling pits and recycle pits.

15 Q. Okay. And so if you're going to be looking at  
16 the risks that these present, would it make sense that  
17 you'd want to know what the materials and constituents are  
18 in the pit and whether they present some sort of health or  
19 environmental concern?

20 A. Absolutely.

21 Q. And did you undertake that type of evaluation?

22 A. I did.

23 Q. And what did you determine?

24 A. The next slide, please.

25 When we talk about what's in the drilling/reserve



1 pits, you know, we can take a look at how they're used and  
2 pretty well decide what type of materials go into it.

3 First of all, we've got formulated drilling muds.  
4 Okay? Most of the muds here are water-based, although I  
5 understand that it's possible to have some oil-based muds  
6 in these pits as well, but generally not a whole lock.

7 We get rocks and debris from the drilling  
8 operation itself as the drill bit cuts through various  
9 strata in subsurface.

10 We've got hydrocarbons as the drilling operation  
11 starts to encounter hydrocarbon pockets of crude oil or  
12 natural gas.

13 And we've got salts, either derived from the  
14 natural deposits or as part of the formulation of brine-  
15 based drilling fluids.

16 So those are essentially the constituents that  
17 should be in these drilling/reserve pits.

18 Next slide, please.

19 That leads us to some really critical questions  
20 with regard to all of us here.

21 First question is, Will any of the constituents  
22 contained in the closed drilling pit pose an unreasonable  
23 risk to the public health, environment or the natural  
24 resources of the State of New Mexico?

25 And if so, what is the most effective way to

1 mitigate that risk?

2 Next slide, please.

3 In order to answer some of that, the industry  
4 sponsored a sampling program.

5 Next slide.

6 Essentially that program consisted of a third  
7 party going out to the field, collecting samples of the  
8 contents of temporary pits after the fluids have been  
9 removed and just prior to closure.

10 The samples were analyzed for a full range of  
11 constituents, using standard EPA methods, and these  
12 analytes included metals, volatile compounds, semivolatile  
13 organic compounds, anions, cations, total petroleum  
14 hydrocarbon, polychlorinated biphenyls, radium isotopes and  
15 other analytes such as electrical conductivity and so on.

16 Where EPA methods allowed, a TCLP leachate of  
17 each sample was prepared and analyzed for selected metals  
18 and volatile organics.

19 Q. Now Dr. Thomas, in the second bullet point here  
20 you talk about that the samples were analyzed for a full  
21 range of constituents, and then you talk about a couple of  
22 different methods.

23 When you talk about a full range, what does that  
24 mean was done?

25 A. Well, each of the EPA methods is a standard

1 method procedure, and it will include a number of chemical  
2 constituents that are appropriately analyzed by that  
3 particular method.

4 So when we talk about a full method, therefore  
5 range of analytes, we're talking about the full range of  
6 analytes that were analyzed by that particular EPA method.

7 Q. And so are we talking about two or three  
8 different things that were analyzed in these methods, or  
9 tens, or what sort of magnitude?

10 A. No, we're talking over 100, perhaps even 200  
11 different analytes.

12 Q. And then you also had -- or industry also did a  
13 TCLP leachate analysis. And why was that done?

14 A. The TCLP was conducted at my request, and the  
15 reason why is because there are a number of constituents  
16 such as barium sulfate, the barite that's used in drilling  
17 mud formulations, where -- you know, this is the same  
18 material that's given in barium enema, for example, and  
19 it's given because it's not water-soluble. And because  
20 it's not water-soluble it's not effectively absorbed into  
21 the body. Okay?

22 And we're starting to see the pattern over and  
23 over and over again, that in the old days the regulatory  
24 agencies would deal with metals as a total metal content,  
25 but these days what we're looking at is more the soluble

1 fraction of the metals. It's only the soluble ion that's  
2 actually able to be absorbed from the GI tract, for  
3 example, or from the lung, for example, to get into the  
4 body, to cause toxicity. Okay?

5 It's also the soluble parts of the metal that are  
6 actually environmentally mobile, so they're the only ones  
7 that would be able to transport through the soil column,  
8 impact groundwater, for example.

9 So as a result, I wanted some way to evaluate not  
10 just total metal content but also the soluble fraction as  
11 the bioavailable, environmentally mobile potentially toxic  
12 fraction of that metal.

13 The sampling program focused in two areas, the  
14 Permian Basin and also in the San Juan Basin.

15 As you already know, these two areas differ with  
16 regard to the type of production that is there. The  
17 northwest New Mexico or the San Juan Basin, is generally  
18 gas production, fairly shallow, 600 to 9000 feet.

19 The three pits in the southeast New Mexico, in  
20 Lea County, were -- in the Permian Basin, generally oil  
21 production is greater than 7000 feet, generally. So as a  
22 result of that, they will use different formations of mud,  
23 so they'll have different type of geology and so on.

24 The sampling program consisted of going to a  
25 total of six pits, three in the northwest, three in the

1 southeast. A total of 12 samples from each pit were  
2 collected by this third party. They were collected at  
3 depth -- they actually used an augur -- at 11 locations,  
4 and then collected one duplicate from each pit.

5 CHAIRMAN FESMIRE: Dr. Thomas --

6 THE WITNESS: Uh-huh.

7 CHAIRMAN FESMIRE: -- just as a preliminary  
8 thing, when was this done?

9 THE WITNESS: This was done probably a year ago.

10 CHAIRMAN FESMIRE: Was it prior to the task  
11 force?

12 MR. HISER: It was, in fact, done prior to the  
13 task force. It was -- they overlapped a little bit in  
14 time, and we actually were in the data evaluation phase, I  
15 think, when the task force was meeting. We hadn't actually  
16 got all the data in and validated it, and so that's why  
17 there was some delay initially in getting some of the  
18 information to the task force.

19 CHAIRMAN FESMIRE: Did the task force know about  
20 this sampling program?

21 MR. HISER: I was not a member of the task force,  
22 Mr. Chairman, nor did I attend any member -- meetings of  
23 the task force, so I don't know. Mr. Byrom or Mr. Newman  
24 or one of those people might know what all was provided.  
25 It's my understanding that a summary of this was provided

1 to the task force during its deliberation.

2 CHAIRMAN FESMIRE: Okay, so the samples weren't  
3 split with OCD, and OCD wasn't notified prior to the  
4 sampling?

5 MR. HISER: That is correct. This was done as an  
6 industry initiative. We were aware that you were thinking  
7 of a pit rule.

8 CHAIRMAN FESMIRE: I'm sorry, go ahead.

9 THE WITNESS: All right.

10 The samples were sent to an analytical  
11 laboratory, analyzed by the methods that were prescribed,  
12 and then the laboratory results were given.

13 When I took a look at the results I had some  
14 concerns with regard to quality assurance. We hired a  
15 third-party quality assurance auditor to evaluate the data.  
16 Once we were satisfied, we then started to evaluate the  
17 data with regard to interpretation.

18 My evaluations looked at all the constituents.  
19 If a constituent was at least detected or estimated in at  
20 least one of the 12 samples in the pit, that constituent  
21 was highlighted and was further evaluated.

22 So, what was found?

23 First of all, total petroleum hydrocarbons.  
24 Okay? TPH was evaluated by method 8015, which separates  
25 petroleum into a variety of different size-class of

1 hydrocarbons, in this case gasoline range organics and  
2 diesel range organic fractions.

3 Most of the hydrocarbons in both the northwest  
4 and the southeast pits were diesel range organic fractions.  
5 In the southeast the average TPH was 7700 milligrams per  
6 kilogram, in the northwest the average total TPH was 1800  
7 milligram per kilogram.

8 OCD's proposed criterion is 2500 milligram per  
9 kilogram, so on the average you can see that in the  
10 southeast especially, we are exceeding that 2500 milligram  
11 per kilogram.

12 So the question is, is total TPH a risk issue?  
13 In other words, how good is that 2500 criterion? What does  
14 it really mean that you've got an average concentration at  
15 7700 ppm?

16 Next slide.

17 Chloride was also found, of course. The average  
18 concentration of chloride anion was found to be 126,000 in  
19 the southeast, 3900 in the northwest. And again the  
20 question is, does chloride ion at these levels pose a risk?

21 Next slide.

22 Arsenic. Now arsenic is not a component of  
23 commercial drilling muds, so its presence is likely to be  
24 due to natural subsurface minerals being brought up during  
25 the drilling process.

1           The average in the northwest was 4.1 milligrams  
2 per kilogram, the average in the southeast was 2.3.  
3 Looking at the Environmental Department's tier 1  
4 residential soil screening level, it is 3.9. So we've got  
5 a slight exceedence up there in the northwest.

6           We looked at that TCLP, looking at what part of  
7 that arsenic is actually soluble, and we found that it was  
8 nondetectable in all the different TCLP leachates that were  
9 looked at. That indicates that the natural arsenic-  
10 containing minerals are not soluble in water, they are not  
11 environmentally mobile and therefore not bioavailable.  
12 That is, they are not toxic.

13           Okay, that's not surprising. As you can imagine,  
14 in the environment most minerals, when you find deposits of  
15 minerals, are not soluble, which is why they're  
16 crystallized into a deposit. Otherwise, they would have  
17 been taken away by the rainwater long ago, by the  
18 percolating rainwater.

19           Next slide.

20           We found barium. Again, not a surprise, because  
21 barium is -- in the form of barium sulfate, is a common  
22 component of drilling fluids.

23           In the southeast the level was 1763 parts per  
24 million, in the northwest we had 10,000 parts per million.  
25 The Environmental Department's soil screening level is



1 5400.

2 So barium levels in the TCLP leachates were low,  
3 estimated to be -- that's the soluble barium ion -- less  
4 than 3 percent of total. Actually it was, I think, 2.7 or  
5 less. In many cases, nondetect. And they were less than  
6 the Water Quality Control Commission's 3103 criterion.

7 Low water solubility indicates that barium in the  
8 pits is not environmentally mobile and not bioavailable.

9 So -- Next slide.

10 We also found benzene. Now benzene is a natural  
11 constituent of petroleum and natural gas, and it's not  
12 considered to be a component of water-based drilling mud  
13 formulations. It's a recognized human carcinogen, causing  
14 a particular type of leukemia.

15 The average in the southeast was 8.17 parts per  
16 million, the average in the northwest was .12 parts per  
17 million. The Environmental Department's soil screening  
18 level is 10.3 parts per million. So it may or may not be a  
19 criterion, based on average.

20 All the soil samples exhibiting benzene  
21 concentrations above the SSL, Environmental Department's  
22 soil screening level, were from a single pit there in the  
23 southeast part of New Mexico, and all of these samples were  
24 diluted a thousandfold.

25 Other samples of it from the same -- or other

1 analyses from the same sample were diluted something like  
2 five- to a hundredfold. But the benzene samples actually  
3 were diluted a thousandfold.

4 When you've got high dilution ratios like that,  
5 any kind of variability in the analytical method will be  
6 magnified by that dilution factor. So it really  
7 complicates the interpretation of the benzene data, but in  
8 -- not only because it's from a single pit, but also  
9 because of that dilution factor. So it's not clear to me  
10 that benzene really is an issue here.

11 Next slide, please.

12 We also found some halogenated compounds that I  
13 was just totally stumped by, because these are not commonly  
14 used in solvents, they're not commonly -- and eventually it  
15 turned out that -- with discussion with the laboratory,  
16 that they actually add these compounds to these samples as  
17 surrogates so they can take a look at how much or how  
18 affected their analytical recoveries are in the laboratory.  
19 So these actually were added, and they're not really part  
20 of the drilling mud.

21 Next slide.

22 Q. (By Mr. Hiser) So this was a laboratory -- this  
23 was a laboratory addition and not actually found in the  
24 samples taken from the pits?

25 A. That's correct, and they were purposely added by

1 the laboratory.

2 Q. Okay.

3 A. Okay? There are other compounds, as I mentioned.  
4 These methods have a variety of compounds for which they're  
5 approved. All those were looked at, so there were other  
6 types of metals, other VOCs, SVOCs, PCBs and so on.

7 And when I started to look at the levels, they  
8 were all below the Environmental Department's soil  
9 screening levels or other levels from other agencies that  
10 -- when I couldn't find a New Mexico-based criterion.

11 The average leachate concentrations -- that is,  
12 soluble materials in the TCLP leachate -- were below the  
13 available 3103 criteria or drinking water surrogate  
14 criteria. Again, if there's no New Mexico-based number, I  
15 looked for appropriate surrogates.

16 So the other compounds do not seem to propose a  
17 significant risk to public health or the environment.

18 Q. So the drinking water surrogates, you were  
19 looking at things like maximum contaminant levels or  
20 maximum contaminant level goals or --

21 A. That's right --

22 Q. -- something of that --

23 A. -- that's an EPA criterion for drinking water.

24 Q. Did you look at the OCD sampling program as well?

25 A. I did. OCD, of course, had their own sampling

1 program, but -- there wasn't a lot of detail available to  
2 us to know exactly how it was conducted, but it appears to  
3 me that they collected samples from the corners of each  
4 pit, and they mixed them to form a composite, that is --

5 CHAIRMAN FESMIRE: Okay, Dr. Thomas, you said --  
6 Can we go back to the statement that you just made, It  
7 wasn't clear to me -- what?

8 THE WITNESS: There wasn't a formal work plan  
9 that was given to us, or given to me, by OCD staff. That  
10 is, it didn't say that the laboratory -- that the field  
11 people will go out and they will collect the sample in this  
12 manner, from this location, at this depth, with this  
13 equipment. The washing of the equipment is all specified  
14 in those kinds of plans, the health and safety criteria are  
15 all specified in those kinds of plans. Well, that kind of  
16 detail was not available here.

17 CHAIRMAN FESMIRE: Are you saying it wasn't  
18 available to you, or it wasn't available to anyone?

19 THE WITNESS: Well, I'm sure they have it,  
20 because they went out and collected samples, but it wasn't  
21 available to me.

22 CHAIRMAN FESMIRE: And are you aware that there  
23 was an industry representative on site, every sample that  
24 was collected?

25 THE WITNESS: I am.

1 CHAIRMAN FESMIRE: Okay, so --

2 THE WITNESS: I am, and I have their notes. I  
3 have their notes of how the samples were collected and so  
4 on.

5 CHAIRMAN FESMIRE: Do you have the pictures that  
6 they took and the --

7 THE WITNESS: I have the pictures that they took  
8 as well, yeah.

9 CHAIRMAN FESMIRE: Okay, but that wasn't done on  
10 the industry case, was it?

11 THE WITNESS: I'm sorry?

12 CHAIRMAN FESMIRE: That wasn't done when the  
13 industry collected their samples, was it?

14 THE WITNESS: What?

15 CHAIRMAN FESMIRE: That kind of oversight wasn't  
16 -- wasn't done by OCD when the industry collected their  
17 samples?

18 THE WITNESS: I don't know, I wasn't out in the  
19 field to monitor that. I -- but my understanding is, no,  
20 it wasn't, that they were collecting samples for their own  
21 internal research, and -- but they did have a complete  
22 sampling plan developed for that purpose. And like I said,  
23 they had -- a third party actually collected, following  
24 their specified plan.

25 CHAIRMAN FESMIRE: Go ahead and continue.

1           THE WITNESS: So in any case it appears to me  
2     that what OCD staff did is that they went onto the surface  
3     of these pits, or close to the corners of the pits,  
4     collected samples, and then mixed the four collected  
5     samples to make a composite, and that that was then sent to  
6     the laboratory for the analysis.

7           OCD also collected water samples, which to me  
8     suggests that the fluids had not yet been removed from  
9     these pits, and so these were not yet that close to  
10    closure. I don't have more detail than that from the  
11    sampling program.

12          The OCD tests essentially were parallel to what  
13    the industry's test program were.

14          Next slide, please.

15          In the OCD sampling program in the southeast  
16    pits, of 20 detected analytes having soil screening levels  
17    from the Environment Department, only arsenic exceeded its  
18    NMED criterion. As I mentioned before, arsenic is probably  
19    from subsurface formations and mineral deposits, and it's  
20    not water-soluble, and that should be expected here as  
21    well.

22          In the northwest, of 23 detected analytes having  
23    SSLs, none exceeded the NMED criterion.

24          Next slide.

25          Q.    (By Mr. Hiser) So then based on looking at both

1 the industry and the OCD studies, what did you conclude in  
2 terms of constituents that were -- that potentially have a  
3 health or environmental concern?

4 A. Well, just from the analytical data, there were  
5 three types of analyses where I thought there may be  
6 possible regulatory concern. They were total petroleum  
7 hydrocarbon, chloride and benzene.

8 And so my next step was to try to evaluate just  
9 how much of an issue they are, so as I think about, from a  
10 risk perspective, total petroleum hydrocarbons.

11 Next slide.

12 OCD has suggested use of EPA method 418.1 as a  
13 simple and inexpensive test for TPH, and that's an old, old  
14 method, but it's no longer part of the EPA method series.  
15 And the reason why is because it used freon, and freon has  
16 been banned in the United States. And so essentially the  
17 laboratories said -- that still say they run 418.1 either  
18 are breaking the law by using freon, or they are not quite  
19 honest in telling us what alternative extraction solvent  
20 they're using in order to achieve that analytical method.  
21 Okay?

22 Solvent extraction itself is fairly nonspecific.  
23 That is, not only are you able to extract petroleum  
24 hydrocarbons, but you can extract fatty acids and waxes  
25 from things like plant leaves and other types of biological

1 material. And so any time you've got a simple extraction  
2 procedure, you need to be careful. You're calling it total  
3 petroleum hydrocarbon, but it is quite possible and in some  
4 cases has been shown that the -- even though petroleum is  
5 not there, you get a TPH reading due to leaf wax and fatty  
6 acids from other types of materials.

7 My recommendation is, if TPH is an issue to OCD,  
8 that they probably ought to consider, rather than 418.1,  
9 they should use something like the 8015M method or the EPA  
10 method for oil and grease.

11 I looked at the criterion that OCD has proposed,  
12 and I can only assume that they got it from NMED. NMED has  
13 developed a risk-based soil screening level of 2500  
14 milligram per kilogram for waste oil, and that's based upon  
15 an assumption of the size-class of hydrocarbons that  
16 comprise waste oil. And they're assuming also that there  
17 is a health risk to a hypothetical resident who directly  
18 contacts that waste oil.

19 And so on that basis NMED proposed 2500 parts per  
20 million.

21 It appears to me that OCD has simply adopted the  
22 waste oil criterion from NMED. Okay?

23 So the question is, has OCD considered whether  
24 the waste oil SSL is appropriate for petroleum crude oil  
25 and natural gas hydrocarbons. Okay?



1           As I mentioned, the oil -- or they hydrocarbons  
2 that we're seeing from the analytical program done by the  
3 industry are primarily gasoline range organics -- I'm  
4 sorry, diesel range organics, not gasoline range organics.  
5 Okay? But they don't go over into lubricant range  
6 organics, necessarily.

7           TPH standard has not -- specifically stated --  
8 OCD has not specifically stated the nature of their concern  
9 about TPH. As I look at it, I can't really tell whether  
10 the concern is a health-based concern like cancer or  
11 immunosuppression or something like that, or whether it's  
12 something as simple as, if it gets in the water it tastes  
13 bad. Okay? At this stage I can't tell.

14           What that means is that OCD has really not given  
15 the members of the Commission the technical information  
16 that I think you need to judge whether the OCD-proposed  
17 regulation is first of all appropriate.

18           And, two, if anybody ever comes to you for an  
19 exemption or an exception or something like that, you also  
20 may not have adequate information to say, This is the  
21 concern we're trying to address, and your exemption is  
22 denied because it doesn't deal with that. Or it does deal  
23 with that, and your exemption is denied anyway, whatever.

24           But in other words, you don't really have, I  
25 think, good information to work on, to make a decision with

1 regard to TPH.

2 Next slide, please.

3 As I look at the TPH standard and from a risk-  
4 assessment point of view, you know, a couple of things  
5 become obvious.

6 One is, OCD has not given a technical rationale  
7 for their proposed 2500-milligram-per-kilogram standard.  
8 It's not clear why NMED's number is applicable to the pit  
9 materials. If OCD's 2500-milligram-per-kilogram criterion  
10 is safe and a party is able to reach that, it's not clear  
11 to me why the current closure-in-place practice is  
12 inappropriate, why you have to dig it up and haul it away.

13 A better rationale would look at the risks  
14 presented by different pathways of exposure. For example  
15 in the future, somebody building a house over one of these  
16 pits and then children and then adults having direct  
17 contact to contaminated soil, in this case pit solids.

18 As I take a look at that I keep finding that this  
19 is going to be constructed with a four-foot cover, it's  
20 going to have construction and residential as the primary  
21 exposure scenarios -- I think that should be "are"  
22 primary exposure scenarios.

23 The other type of exposure I can see is  
24 groundwater, where the hydrocarbons leach. But these  
25 hydrocarbons, especially in the diesel range, have low

1 solubility, their volatilization and biodegradation are  
2 issues that will continue to reduce their levels in the  
3 soil, as will -- I'm sorry.

4 The other thing to keep in mind is that total  
5 petroleum hydrocarbons includes a number of things for  
6 which there is legitimate concern, but TPH is a pretty  
7 crude measure.

8 And better measures from evaluating the risk and  
9 the health, the environmental concerns, would be things  
10 like BTEX -- benzene, toluene, ethylbenzene and xylene --  
11 for the gasoline range fraction, and polycyclic aromatic  
12 hydrocarbons for the diesel range organic fraction. TPH  
13 doesn't tell you very much, whereas these become more  
14 specific with regard to concentrations of constituents of  
15 concern and the types of adverse effects that could be  
16 expected from those constituents.

17 So my viewpoint is that it's always better to  
18 regulate a specific toxicant, rather than a nebulous  
19 mixture like TPH.

20 Of the BTEX and PAHs that we looked at  
21 individually in the analytical programs, the data indicate  
22 that only benzene -- and that's only a possibility, only  
23 benzene is of possible regulatory concern.

24 So the question I have is, why are we regulating  
25 TPH? Why is that an important metric for us to base all of

1 our regulation and decisions on.

2 Could I have the next slide, please?

3 From the perspective of chloride --

4 Next slide.

5 -- chloride anion is a highly water-soluble  
6 specie. It's been used historically as a way to trace  
7 essentially the migration of water in the environment,  
8 because where water goes chloride is right with it. The  
9 proposed rule does not state the nature of OCD's concern  
10 with regard to chloride, although it appears from the  
11 wording and their suggested approaches that they're talking  
12 about protection of groundwater as the primary goal. Okay?

13 While salt -- that is, sodium chloride -- can be  
14 toxic to plants, it's not the chloride anion that's the  
15 primary part that's responsible. Rather it's sodium, which  
16 surrounds itself with a large shell of water molecules.  
17 Okay? And therefore it competes with plant roots for that  
18 water. When the plant roots don't win, they dehydrate and  
19 start to die. Okay?

20 We see similar mechanisms in people who consume  
21 large amounts of salt, where you start to get -- or are  
22 exposed to large amounts of salt, where the sodium will  
23 pull the water out of the tissue and disrupt biological  
24 functions in that manner. The Egyptians used salt, as you  
25 know, as part of their embalming process, in order to pull

1 the water out of the tissue and therefore prevent further  
2 degradation.

3 Chloride, I think, is a very poor predictor of  
4 the risks associated with sodium chloride. I think the  
5 more direct measures of sodium or perhaps one of its  
6 surrogate metrics, like electrical conductivity or SAR or  
7 whatever other type of measure, may be more appropriate  
8 ways to evaluate the risks that we're really concerned  
9 about, and that's due to sodium, not to chloride.

10 Next slide, please.

11 Again, from the risk-analysis point of view, risk  
12 occurs when you have a potential for exposure.

13 And in this particular case, this particular --  
14 the pathway is direct exposure. That is, direct contact  
15 with contaminated soils or groundwater, we see here, is  
16 primarily salt-driven.

17 But again from the ingestion point of view with  
18 solids, we haven't seen direct contact because we've got  
19 that four foot of cover and a top barrier, membrane, that  
20 is good warning that there's good warning that there's  
21 something here that we shouldn't be touching, or need to  
22 deal with and study.

23 If chloride is of concern, in terms of  
24 recommended level, okay, again, the direct exposures are  
25 addressed by the cover. Groundwater should be based on

1 protection of groundwater use. Therefore a leachable  
2 standard of 3500 milligrams per liter, I believe, is  
3 protective. And that number came from Daniel B. Stephens  
4 and his models of migration through the soil column.

5 A non-leachable field test may be -- may simplify  
6 field administration of the standard, but measurement of  
7 sodium is a better metric for risk evaluation than is  
8 chloride.

9 With regard to benzene, benzene may or may not be  
10 an issue, as I've discussed. I mentioned that the  
11 analytical results were highly diluted, and it all comes  
12 from one pit.

13 Benzene has a short half-life. It is volatile,  
14 and therefore during the evaporation of fluids and the  
15 mixing of the soils, benzene will tend to volatilize into  
16 the atmosphere.

17 So as we take a look at the pathways of potential  
18 concern, the direct contact, the residential contact, is  
19 minimized again by that four-foot cover and the  
20 geotechnical liner.

21 Groundwater use? Hm. Well, you've got a long  
22 way to groundwater, and -- I think that's maybe on the next  
23 slide. Yeah, here we are.

24 The direct contact is limited to construction or  
25 other physical disturbances, or the -- and as I mentioned,

1 because benzene is volatile, it will tend to disappear from  
2 the waste material.

3 Groundwater is generally distant, according to  
4 the rules, and therefore the migration -- the downward  
5 migration of benzene will tend to facilitate its  
6 biodegradation and/or loss by evapotranspiration.

7 We normally think of evapotranspiration being a  
8 water process, but anything that's volatile will evaporate  
9 and potentially transpire through the plants.

10 So if I had to give you a recommendation, I think  
11 the tier 1 screening level for benzene in soil to minimize  
12 risk to a construction worker is 174 milligrams per  
13 kilogram. Okay? I don't think that there's really going  
14 to be significant exposure to a resident from this  
15 particular situation, so I'm recommending that a more  
16 reasonable screening level would be the 174 milligrams for  
17 a construction worker, as proposed by NMED.

18 Next slide, please.

19 The OCD has given a whole table of 3103 analytes,  
20 and these are proposed by the Water Quality -- Control  
21 Commission? WQCC? And I don't know if anybody has looked  
22 at the levels, but talking with the WQCC staff, they don't  
23 really recall where these numbers came from.

24 And comparing it to current water criteria, some  
25 of the numbers are higher than, say, EPA criteria, some of

1    them are more stringent than EPA criteria.  But it's the  
2    ones that are higher that are of more concern, because as  
3    you know, states are not supposed to have criteria that are  
4    less stringent than the federal government.

5           The 3103 constituents contain -- or the list  
6    contains a number of chemicals that are not expected in any  
7    way in these pits.  But I assume that they have to be  
8    analyzed anyway.

9           As I take a look at the pathways of potential  
10   concern, again, direct contact.  But again, these are under  
11   a four-foot cover and a geotechnical liner.

12           Groundwater use.  I don't see that the levels  
13   that we saw in our analytical programs, you know, really  
14   are going to exceed drinking water standards at this time.

15           Next slide, please.

16           I keep getting ahead of myself, but essentially  
17   my conclusion, after looking at the data, is that the 3103  
18   constituents, by these routes of exposure, provide *de*  
19   *minimis* risk to health or the environment.  So I'm not  
20   quite sure why 3103 criteria are really so of concern here  
21   to OCD.

22           Next slide, please.

23           Next slide.

24           OCD's pit rule, as I read it, proposes standards  
25   for the situations where you're treating the waste or



1 there's a possibility of release from the waste pit.

2 The existing industry data would suggest that  
3 pits will not meet the standards. Particularly the 3013  
4 criteria, I see, will have some impact.

5 In essence, all the drilling materials will have  
6 to be hauled off and disposed of at a commercial OCD-  
7 approved landfill.

8 I understand that you've had further discussion  
9 since I was last here, but that was how I was reading it  
10 when I was putting these slides together.

11 Next slide, please.

12 Next slide.

13 You know, we heard Mr. Pease talk this morning  
14 about consequences, or economic consequences, and so on.  
15 And you know, I think from the regulatory risk point of  
16 view it's always important for everybody to understand that  
17 any decision that you make, no matter how simple, will have  
18 consequences. Some of the consequences will be beneficial,  
19 some of the consequences will be adverse.

20 The OCD rule addresses direct exposure risk,  
21 groundwater risk, and it does it in such a way that it says  
22 the waste material is going to be dug up and hauled away,  
23 so it's by removing the pit contents.

24 The industry-sponsored study, as reported by Mr.  
25 Pease -- Pease? -- this morning, that talked about the

1 likely consequences of, you know, as a result of transport  
2 and disposal of pit materials. Okay? There were economic  
3 impact, there were vehicular accidents, injuries and  
4 facilities, and there were environmental consequences that  
5 were addressed in that particular evaluation. Okay?

6 Next slide.

7 The economic impacts you heard, okay? At the  
8 time he was estimating there were more than \$50 million a  
9 year compliance costs would be added to operations in New  
10 Mexico.

11 It was estimated that the industry will drill  
12 approximately 1400 wells per year in the state, that -- it  
13 noted that there are only four OCD-approved landfills in  
14 New Mexico, and all of those are in the southeast part of  
15 the state. Therefore new landfill capacity would have to  
16 be developed if they're going to be OCD-approved.

17 Noted that there would be an increase in truck  
18 traffic. Okay? And whether it's 400 miles or 100 miles,  
19 there will be deterioration and repair of New Mexico roads  
20 that will have to be borne.

21 Next slide.

22 In terms of vehicular accidents, it said that as  
23 long as you've got traffic moving as a result of your  
24 regulations, there will be accidents. And as a result of  
25 the accidents there will be physical damage that will be

1 realized.

2           There will be injuries, and there will be  
3 fatalities. Okay? I'm not sure that we can predict with  
4 any certainty what the level is, based on what I heard this  
5 morning, but it doesn't really matter. At some point you  
6 have to realize that whatever you propose will have  
7 consequences. And if you're going to have anything hauled  
8 and dug -- dug up and hauled away, you're going to have  
9 road traffic that will result in fatalities and injuries  
10 and physical damage to vehicles and so on.

11           Next slide, please.

12           The environmental consequences are also some of  
13 the things that the industry evaluated, and there will be  
14 an increase in dust, there will be an increase in vehicular  
15 emissions of various types of hydrocarbons and so on.

16           Again, the estimates can go up and down, but the  
17 point is that we will have adverse consequences.

18           One of the things that I thought was interesting  
19 is that the Governor apparently has a greenhouse gas  
20 emission reduction goal in northwest New Mexico, and that  
21 the increased CO<sub>2</sub> emissions are projected to perhaps put  
22 that into jeopardy, so it'll be interesting to see.

23           So in conclusion, what is the risk?

24           As I look at it, there are only a few of the  
25 constituents that are found in drilling recycling pits that

1 may be of regulatory concern. In particular, TPH, chloride  
2 and benzene were the things that came up in the analytical  
3 program.

4 Now these constituents pose little risk to public  
5 health and also little risk to the environment by the  
6 expected pathways of exposure. Okay?

7 And based on OCD's proposed language, it appears  
8 that OCD is primarily concerned with odor and taste impacts  
9 on groundwater. That is, I don't see a health basis for  
10 TPH. Okay? Again, only benzene was there. I don't see a  
11 health basis for the benzene, and that may be an analytical  
12 artifact anyway. Okay?

13 And I don't see a health basis for sodium  
14 chloride -- that is, the salt in the water -- except as it  
15 affects the taste of water.

16 So as I look at it I'm again stymied as to what  
17 we're doing and why we're doing it to the degree we're  
18 doing it for the types of risk that these materials are  
19 posing.

20 So based on OCD's -- I'm sorry, for evaluating  
21 risk -- okay? -- I believe that BTEX and PAHs are better  
22 metrics for -- than TPH for evaluating health effects.  
23 Okay?

24 Sodium, I believe, is a better metric than  
25 chloride. Okay?

1           So does the proposed pit rule actually reduce  
2 risk? Well, actually I don't think so. Of all the things  
3 here, it's the sodium chloride that I'm most concerned  
4 with.

5           What essentially the OCD rule does is, it takes  
6 small pits -- that is, closed in place -- and combines them  
7 into a large OCD-approved pit -- okay? -- which essentially  
8 now puts all of the mass of things like sodium chloride  
9 into a large container. Okay? And I am suspicious enough  
10 of any kind of geotechnical membrane to think that it's  
11 going to last forever.

12           So at some point the membranes will fail, and at  
13 some point OCD and the Commission are going to have to  
14 evaluate and do something about, now, catastrophic leaks of  
15 large masses of sodium chloride, rather than individual  
16 small masses of sodium chloride dispersed and spread out  
17 through the state.

18           Next slide, please.

19           So I looked at OCD making proposals that will  
20 have impacts. Okay? I don't know the exact numbers, but  
21 we will have impacts on the number of lives lost, we'll  
22 have increases in number of injuries, we'll have increases  
23 in emissions, of greenhouse gases, for example, airborne  
24 dust, for example. We'll see groundwater impacted at some  
25 point in the future. Okay? And we have increases in

1 dollars, both in drilling and compliance costs as well as  
2 the state repair of roads and so on. And we'll have an  
3 impact, possibly, on state revenue. Okay?

4 So if those are the adverse costs, what are the  
5 benefits that we've actually gained?

6 One is, we've got a speculative decrease in  
7 direct exposure. Again, these materials are buried under  
8 four feet with a geotechnical membrane that provides some  
9 warning that you've got material underneath that needs to  
10 be concerned with.

11 We've got fewer pits with groundwater impacts,  
12 but we've concentrated them at these landfill sites.

13 Next slide.

14 When I take a look at the industry's  
15 counterproposal, they provide similar benefits but they  
16 provide them at much less cost. Okay?

17 Small on-site pit closures -- that is, small  
18 masses of toxicants -- present less overall risk to  
19 groundwater than large concentrated landfills with large  
20 masses of toxicant.

21 If the liners do not fail, then both the off-site  
22 [sic] closure and the landfills are equally protective.

23 If the liners do fail, then the offsite -- on-  
24 site pit closures are more protective, I think, than  
25 landfills.

1 Direct exposure risks -- that is, residential and  
2 construction -- I see are *de minimis* for the materials that  
3 we've got here.

4 Other cumulative impacts are minimized. That is,  
5 lives, injuries and emissions.

6 So as I look at the proposed industry approach I  
7 think it has a lot of merit.

8 Next slide, please.

9 So both the OCD and the industry approaches  
10 achieve similar results, but industry's approach achieves  
11 the same result at a lower cost. And I think that there's  
12 something that needs to be thought through here.

13 In particular, it seems to me that OCD is not  
14 making a risk judgment. I don't see risk -- or risk  
15 thinking in any of the documents that I'm seeing with  
16 regard to OCD. What I think they're doing, really, is  
17 making a value judgment, that the mere presence of a waste  
18 justifies digging it up, hauling it away and all the other  
19 things that are in the proposed rule. Okay? That is,  
20 stated another way, that the OCD approach that the mere  
21 presence of waste justifies the additional loss of life,  
22 injury and economic effects.

23 I think that the State of New Mexico, the people  
24 of New Mexico, really deserve a better, considered rule.  
25 And I'm hoping that you as Commissioners will make that

1 appropriate judgment.

2 Q. And so, Dr. Thomas, as a toxicologist and as a  
3 risk assessor who's familiar with the oil and gas industry,  
4 is it your professional opinion that as the materials would  
5 be disposed of in the industry proposal, that there would  
6 be only *de minimis* risk to human health?

7 A. Yes, yes.

8 Q. And that there would be --

9 A. But that's to human health, let's make that  
10 clear. I am concerned about salt impact on groundwater.

11 Q. Okay. And then the industry -- on that aspect,  
12 you looked at Daniel Stephens' work showing the -- at 3500,  
13 showing that that would preserve the Water Quality Control  
14 Commission standards?

15 A. Yes, I did.

16 Q. And assuming that the Water Quality Control  
17 standard is an appropriate standard, would that seem, then,  
18 to be a reasonable level to address the policy established  
19 by the Water Quality Control Commission?

20 A. I believe so.

21 MR. HISER: Mr. Chairman, we would move the entry  
22 of Exhibit 8, which is the slides from Dr. Thomas, and also  
23 then Exhibit 9, which is his report which provides a little  
24 bit more detail, and the references that support his  
25 testimony.



1 CHAIRMAN FESMIRE: Have you laid --

2 Maybe I should ask two questions before you --

3 Q. (By Mr. Hiser) Dr. Thomas, Exhibit 8 is the  
4 presentation that you just went through; is that correct?

5 A. It does.

6 Q. And Exhibit 9 is the report that you authored?

7 A. Yes.

8 Q. And it accurately sets forth your views on this  
9 matter?

10 A. Yes, it does.

11 Q. And it's been prepared in accordance with the  
12 standard practices of toxicologists and risk assessors?

13 A. It has.

14 MR. HISER: I would move the admission of  
15 Exhibits 8 and 9.

16 CHAIRMAN FESMIRE: And 9 incorporates some of the  
17 work of -- What we've got here is 10, right?

18 MR. HISER: That is, but it's just an exhibit  
19 that's already in evidence, so I'm not moving it again.  
20 But he did look at the report by Daniel B. Stephens and  
21 Associates as part of his work.

22 COMMISSIONER OLSON: Exhibit 9 largely looks like  
23 -- a lot of it largely looks like what's in --

24 MR. HISER: Exhibit 9 is in large part the same,  
25 but it also includes a number of additional references, and

1 there's some additional textual material that provides  
2 clarifications on a number of points.

3 CHAIRMAN FESMIRE: What is Exhibit A? Is that  
4 the analysis of the industry sampling?

5 MR. HISER: Let me retrieve my copy of --

6 MS. FOSTER: Mr. Chairman, also, just so the  
7 record is clear, in this instance when we're talking about  
8 industry, it's the industry committee, not the entirety of  
9 industry, because --

10 (Laughter)

11 CHAIRMAN FESMIRE: Yeah, let's make sure the  
12 record indicates the difference.

13 MS. FOSTER: Thank you.

14 CHAIRMAN FESMIRE: What is Exhibit A?

15 MR. HISER: Exhibit --

16 CHAIRMAN FESMIRE: I mean, attachment A to  
17 Exhibit 9?

18 MR. HISER: Attachment A to Exhibit 9 is  
19 materials that reflect the report that Dr. Thomas spoke  
20 about.

21 CHAIRMAN FESMIRE: What report is that?

22 MR. HISER: This is the -- I believe this is a  
23 summary report, the outgrowth from the industry committee's  
24 sampling program.

25 CHAIRMAN FESMIRE: Can we get the raw data?

1 MR. HISER: I think we've -- I don't have the raw  
2 data with me, and -- I can certainly see if it's available.

3 CHAIRMAN FESMIRE: Is there any objection to the  
4 admission of Exhibit 8, the slides?

5 MR. BROOKS: No objection, Mr. Chairman.

6 MR. JANTZ: No objection, Mr. Chairman.

7 MS. FOSTER: No objection, Mr. Chairman.

8 CHAIRMAN FESMIRE: Seeing no exhib- -- objection,  
9 Exhibit 8 will be admitted into the record.

10 Exhibit 9, I would like a clarification and the  
11 addition of the raw data if it's available.

12 MR. HISER: Yes, we do have the raw data  
13 available so we --

14 CHAIRMAN FESMIRE: Okay --

15 MR. HISER: -- can provide that.

16 CHAIRMAN FESMIRE: -- we'd like to see the raw  
17 data. Can we get it -- We're going to break for lunch here  
18 in a minute. Can we get it after lunch.

19 MR. HISER: Do you have it with you  
20 electronically, Ben?

21 THE WITNESS: I think I do.

22 MR. HISER: If we have it electronically we'll  
23 provide it after lunch, and if we don't have it  
24 electronically here we'll see if we can get it e-mailed so  
25 it will be available -- well, we could drop it by the

1 Commission tomorrow.

2 CHAIRMAN FESMIRE: Okay. So at this point we  
3 won't admit Exhibit 9, and we'll reconsider it after we get  
4 the raw data.

5 MR. HISER: If that's the Commission's pleasure  
6 for the moment, we'll be happy to provide the data.

7 CHAIRMAN FESMIRE: Thank you.

8 You have no further questions of this witness on  
9 direct?

10 MR. HISER: Not on direct, no.

11 CHAIRMAN FESMIRE: Okay.

12 MR. HISER: I guess the question is, do you want  
13 us to try to cover any rebuttal testimony from Dr. Thomas,  
14 or what would your preference be? I have probably 15  
15 minutes or less of rebuttal testimony from Dr. Thomas.

16 CHAIRMAN FESMIRE: Why don't we cover that  
17 immediately after -- after lunch.

18 MR. HISER: Okay.

19 CHAIRMAN FESMIRE: At this time is there anybody  
20 who would like to make a statement on the record?

21 MR. DUGAN: I'm Tom Dugan.

22 CHAIRMAN FESMIRE: Okay, why don't you come  
23 forward, Mr. Dugan?

24 Mr. Dugan, we have two ways of doing this. You  
25 can either give a statement of position, or you can be

1 sworn and give a -- give testimony. Sworn testimony  
2 subjects you to cross-examination by the attorneys.

3 MR. DUGAN: Okay, we --

4 CHAIRMAN FESMIRE: Do you have a preference?

5 MR. DUGAN: We'll -- whatever. Sworn is fine.

6 CHAIRMAN FESMIRE: Okay. Is there going to be a  
7 duet? We've already had a couple of them.

8 MR. DUGAN: Sir?

9 CHAIRMAN FESMIRE: Are you both going to do it at  
10 the same time?

11 MR. ROE: Tom will --

12 MR. DUGAN: I'll make a statement, and then he  
13 will.

14 CHAIRMAN FESMIRE: Okay, why don't you raise your  
15 right hand and be sworn, please.

16 (Thereupon, the witness was sworn.)

17 TOM DUGAN,

18 the witness herein, after having been first duly sworn upon  
19 his oath, testified as follows:

20 DIRECT TESTIMONY

21 BY MR. DUGAN:

22 MR. DUGAN: I'm Tom Dugan, I'm the president of  
23 Dugan Production.

24 And I moved to New Mexico in 1952 with Phillips  
25 Petroleum, and Phillips turned their properties over to

1 Pacific Northwest Pipeline Corporation in '55, and I went  
2 to work for Pacific Northwest Pipeline Corporation. And I  
3 worked for Val Reese and Associates for a short time, and I  
4 went into business for myself in 1959. And I'm a petroleum  
5 engineer, a graduate of the University of Oklahoma in 1950.

6 We operate around -- a little over 800 wells, and  
7 our current production is close to 25 million a day and  
8 about 325 barrels of oil a day.

9 We are ranked 23rd in your list of producers for  
10 gas, and 60 in oil.

11 We've drilled -- we drilled 47 wells last year,  
12 we drilled 41 wells so far this year, and we currently have  
13 two rigs working.

14 We paid \$4.19 million to the State of New Mexico,  
15 million dollars, to the State of New Mexico for production  
16 taxes, we paid \$1.3 million to the State of New Mexico for  
17 royalties. We paid quite a lot more than that to the  
18 federal government, which New Mexico shares in.

19 We currently have 155 employees, and we have five  
20 workover rigs, five water trucks and five roustabout  
21 groups.

22 We don't agree with the proposed new pit rule.  
23 We've spent an awful lot of time working on Rule Number 50  
24 and trying to get in compliance with it, and that was a  
25 very short time ago. We see no evidence for change from

1 the current rule.

2 The drilling mud and cuttings does not seem to be  
3 harmful to anybody that I know, and I've worked around it  
4 for over 55 years.

5 Last month I was up in Canada and found out that  
6 up there the operators have a choice of burying the  
7 drilling cuttings on site, or they are also spread out on  
8 the farmers' fields because the farmers like it, and they  
9 -- and they get an increase in their production when they  
10 do spread it out on the fields. And they also have a  
11 choice of sending it to a land- --

12 It appears that we're trying to make this a  
13 hazardous waste, and it's not. And you know, if this rule  
14 goes into effect we'll have to shut down, at least until we  
15 -- shut down our drilling until we figure out how best to  
16 handle it.

17 I don't think the closed loops -- Most of the  
18 wells we drill are shallow coal wells, coalbed methane  
19 wells. They're from -- anywhere from 350 feet to 2000 feet  
20 deep.

21 We -- You know, the waste from them is very  
22 small. I don't think the closed-loop system is going to  
23 work on these small rigs that we use to drill these shallow  
24 wells. I'm sure it can be adapted somehow, but it -- I  
25 don't think it'll be very practical to try to make it work

1 on these -- the small rigs that we work with.

2 I guess that's about all I have to say right now,  
3 that we think that the rule -- current Rule 50 is adequate.

4 CHAIRMAN FESMIRE: Thank you, Mr. Dugan.

5 Are there any questions of this witness?

6 MR. HISER: No, Mr. Chairman.

7 MR. BROOKS: No questions.

8 MR. JANTZ: No questions, Mr. Chairman.

9 CHAIRMAN FESMIRE: Thank you very much, Mr.  
10 Dugan.

11 MR. DUGAN: Thank you.

12 CHAIRMAN FESMIRE: Having seen it once, you can  
13 raise your right hand. Do you know what your choices are?  
14 (Thereupon, the witness was sworn.)

15 CHAIRMAN FESMIRE: Start with your name, please,  
16 sir.

17 JOHN ROE,  
18 the witness herein, after having been first duly sworn upon  
19 his oath, testified as follows:

20 DIRECT TESTIMONY

21 BY MR. ROE:

22 MR. ROE: Okay, I'm John Roe. I work for Dugan  
23 Production as the engineering manager in Farmington, New  
24 Mexico.

25 And we're here today, as Mr. Dugan has already



1 told you, to voice a concern over the impact that we as a  
2 small oil and gas producer will experience upon trying to  
3 comply with Rule 50 -- or the repeal of Rule 50 and the  
4 implementation of the current rules regarding pits and --  
5 drilling and production pits.

6 I have some extra copies. Dugan Production  
7 prepared a letter and written comments and did provide  
8 those timely to the OCD.

9 CHAIRMAN FESMIRE: Mr. Roe, those are -- if it's  
10 the same letter that I received --

11 THE WITNESS: It is.

12 CHAIRMAN FESMIRE: -- it's part of the record.

13 THE WITNESS: It is. And I brought extra copies  
14 in case there was any question or anybody wanted -- But  
15 that letter is what we submitted in verbatim, it's...

16 One of the things that Dugan Production -- I'm  
17 not going to say specializes in, but we -- a large part of  
18 our wells are marginal wells, low-rate wells. They're  
19 wells that other operators have decided were uneconomical.  
20 And because, as Mr. Dugan said, we have our own pulling  
21 units, we have our own roustabout crews, we have our own  
22 water trucks, we pretty much try to cut our expenses and  
23 operate these wells as economically as we can.

24 And so we have a lot of what are typically  
25 referred to as stripper wells or low-rate wells, marginal

1 wells. And a lot of our wells will feel the negative  
2 economic impact if we basically have to do much more in the  
3 form of putting tanks -- if for some reason we're not  
4 allowed to continue using unlined earthen pits as a  
5 disposal method for the small amount of produced water.

6 I set out in the letter that I referenced, we --  
7 basically, right after Rule 50 was first implemented in  
8 2004, we made a pretty significant work effort to get our  
9 wells compliant with Rule 50 as it currently exists.

10 We spent -- since that rule, we've spent around  
11 \$1.5 million closing pits.

12 We did submit applications for registration of  
13 242 earthen pits, 77 below-grade tanks. And all of these  
14 we're operating -- well, of the 242 earthen pits, we  
15 currently have 128 of those are active, that -- there's --  
16 of the 128, we have 78 oil wells and 50 gas wells that  
17 currently are registered under Rule 50.

18 The analysis and application that was done for  
19 registration, each of those pits, pretty much documents  
20 that groundwater is either nonexistent or it's at a depth  
21 that is very little concern, as far as contamination as a  
22 result of putting a small amount of produced water in these  
23 pits.

24 To -- The average oil production for the 78 wells  
25 that are using unlined pits is less than a barrel a day; .9

1 is the average you would get. And these -- because they're  
2 oil wells, they don't produce much gas on the average.  
3 There would be around 7 or 8 MCF a day produced. About  
4 half of that would be used on-lease for fuel, leaving, you  
5 know, 2 or 3 MCF a day that we're selling.

6 So it's pretty clear, the economics of operating  
7 these wells is truly marginal. We're able to do so because  
8 of the way Mr. Dugan has put Dugan Production together and  
9 we operate. We -- Even though on an average basis they  
10 don't produce much, on a composite basis they do produce.

11 These 128 wells that are currently using unlined  
12 earthen pits for disposal of less than 5 barrels a day, in  
13 fact, the average barrels of water per day that we're  
14 disposing is .6 barrels of water per day. And again, the  
15 current rules under consideration, we would no longer be  
16 able to continue to do this.

17 These 128 wells, during -- on an annual basis we  
18 pay around \$216,000 royalty. Not all of that is to the  
19 state. This is a lot of fed- -- this is all types of  
20 royalty. But that -- wherever that royalty goes, we're  
21 pretty sure that that would be lost, simply because we  
22 would no longer be able to continue to operate these wells.

23 In addition to the \$216,000 a year royalty that  
24 we pay on this production, we pay around \$130,000 of  
25 production tax, so -- and the State of New Mexico would be

1 the recipient of that production tax.

2 And again, it's my anticipation that if we have  
3 to do anything at all, other than continue operations on  
4 these wells, we probably will lose this revenue.

5 And so at any rate, in addition to Dugan  
6 Production having stripper wells, the State of New Mexico  
7 has tremendous -- or a large number of stripper wells.

8 Using some data published by the Independent  
9 Petroleum Association of America, there is currently around  
10 13,000 stripper oil wells in the State of New Mexico and  
11 around 9200 stripper gas wells. And these stripper wells,  
12 I am going to guess, will experience the same impact as the  
13 128 wells that Dugan Production operates.

14 And my -- just a calculation of using average oil  
15 prices and average gas prices during 19- -- or 2006, that  
16 will result in a loss of royalty of around \$163 million,  
17 and around \$98 million in production taxes. And again,  
18 that's applying -- making an estimate of the production  
19 that would be associated with stripper oil and gas wells  
20 within the State of New Mexico, and predicting that that  
21 revenue will be lost if these wells are forced to change  
22 the method of operation in any manner.

23 And again, Dugan's wells are, for the most part,  
24 in a part of the Basin that groundwater is not an issue.  
25 It's either not there or it's deeper than 100 feet.

1           So we feel that particularly the marginal wells  
2   are going to take a direct hit, probably any future  
3   reserves will be lost forever. And I say forever because  
4   who in their right mind would redrill that lease to develop  
5   reserves we couldn't justify producing now?

6           One of the things that I guess it's difficult for  
7   us to understand, why the current Rule 50 is not meeting a  
8   need that exists for governing how we use production pits  
9   and drilling reserve pits.

10          We're personally -- we're unaware of any  
11   environmental impact that results from drilling pits,  
12   particularly in northwest New Mexico. We are aware there's  
13   a couple of groundwater contaminations that have occurred.  
14   We aren't aware -- As Mr. Dugan pointed out, we've been in  
15   operations for nearly 50 years, and I'm unaware that we've  
16   had any groundwater contamination associated with one of  
17   our wells.

18          I keep hearing -- and it keeps being referred to,  
19   that there is a database in OCD records that has -- I've  
20   heard numbers, 600, 800 records of groundwater impacts. I  
21   went to that data set in the OCD records and spent some  
22   time looking at that data set, and I don't think that that  
23   data set should be used as justification for changing Rule  
24   50.

25          The data set, it looks to me -- I, again, have

1 spent some time. There's 748 lines of data in that 35-  
2 pages of the file. Of those 748 lines of data, again,  
3 there's not a lot of information in that file to know  
4 exactly what each groundwater impact is -- represents. But  
5 there is enough information that it looks to me like  
6 there's 479 of that 748 sites that are something other than  
7 contaminations resulting from a production pit or a  
8 drilling pit.

9 And so 74 percent of the data is, you know, not  
10 associate with drilling/production pits, yet that data file  
11 keeps being used as a reason to -- we need changes.

12 Of those 479 lines that I'm personally thinking  
13 have nothing to do with drilling and production pits, 284  
14 of them are groundwater impacts that were recorded by  
15 pipeline companies.

16 And again, the data set doesn't lend itself to  
17 know exactly. I suppose I could spend the time and figure  
18 out what each groundwater -- or each remediation report --  
19 why it was submitted.

20 But it looked to me like a lot of them probably  
21 were knowing that some of the pits -- well, natural gas  
22 pipeline companies were the bulk of that 284 instances, and  
23 having had some dealings with that, that's typically  
24 remediations of dehydrator pits that are no longer even an  
25 issue.

1           If an operator does have a dehydrator, typically  
2   any fluids off the dehydrator go into tanks, and so to use  
3   those pits as a reason to change what we're doing, it seems  
4   wrong. It's certainly that the groundwater impact is not  
5   being cured by the proposed new rules.

6           In addition to the 284 pipeline issues, there was  
7   160 that were reported by water disposal companies. And  
8   again, there may need to be some changes in how the water  
9   disposal companies operate. But I'm going to guess that a  
10   lot of the groundwater impacts that were reported by the  
11   water disposal companies -- and a good chunk of that is in  
12   southeast New Mexico -- are more a result of leakage around  
13   the equipment that they have and again will not be affected  
14   in any way by what we do with production pits or  
15   drilling/reserve pits.

16           There was 15 commercial impacts which had to do  
17   with some commercial company having a spillage in their  
18   yard, loading chemicals or something leaking from a drum.

19           So at any rate, I think there's a lot of data in  
20   that that should not be used as evidence that we need to  
21   change production and drilling reserve pits.

22           The one that the -- I said that Dugan Production  
23   had not ever had a groundwater impact. There is one well  
24   in there for Dugan Production, but that isn't correct.  
25   Dugan Production is not the operator of that well. It's

1 the Knight Number 1, which we did help the operator on a  
2 contract basis to remediate a groundwater impact. But it  
3 again was not a well operated by Dugan Production, even  
4 though that's the way it's listed in the data file. That  
5 same well is listed under Enterprise as a groundwater  
6 impact. So at least the one pit I know something about,  
7 it's on that data set twice.

8 For Dugan production they show that the  
9 groundwater was at zero feet. For Enterprise they show the  
10 groundwater at the same pit was at 25 feet. I'm not sure  
11 where that data comes from, but I was doing that work, and  
12 neither of those numbers are correct.

13 If I was to use that data set t try to find  
14 locations -- where are these pits and these groundwater  
15 impacts? -- there's a whole lot of questions that I have as  
16 -- Wow, where are they?

17 If you divide the data up into north -- in other  
18 words, it does have a northern township and a southern  
19 township, in other words 25 north or 25 south -- if I sort  
20 that and figure out where the pits are, a good -- about  
21 half of them are in the northwest, and about half of them  
22 are in the southeast.

23 But of the northwest pits, if I use the location  
24 that's in the file, about 65 of those are in Arizona.  
25 Because the western range that's assigned to them are



1 greater than 21, and 21 West is the Arizona-New Mexico  
2 border.

3 So I'm not saying those pits are in Arizona, I'm  
4 just saying that the data is -- I'm very suspicious, rather  
5 than 25 west, it's actually 25 east, and those pits are  
6 probably in southeast New Mexico. So they probably are  
7 actual groundwater impact.

8 But my point is, the data has lots of questions  
9 about it. And if you were to use that as a sole  
10 justification for implementing the changes we're talking  
11 about, you know, I -- as a professional engineer I'd say,  
12 Wait a minute, there's a lot of clouds over this data set  
13 that -- and I want to emphasize that a lot of the  
14 groundwater impacts that occur in that data set are the  
15 result of operators becoming compliant with wells that are  
16 either in the initial vulnerable area or the expanded  
17 vulnerable area, and so those pits are gone. And we're not  
18 doing that anymore.

19 And so we're fixing a problem now that has  
20 already been dealt with either under the vulnerable-area  
21 issues or under current Rule 50.

22 So that's pretty much what I had to say.

23 CHAIRMAN FESMIRE: Okay. Are there any questions  
24 of this witness?

25 MR. BROOKS: I think not, thank you.

1 MR. HISER: No, sir.

2 CHAIRMAN FESMIRE: Mr. Roe, I do need to point  
3 out a couple of things. That database is as reported by  
4 the operators, and the zero is the default value. If they  
5 don't report a water depth, it comes out zero.

6 THE WITNESS: Well, having worked on the Knight  
7 Number 1, I -- we did report a water depth, and clearly El  
8 Paso reported one at 25 feet, which isn't right either. It  
9 was shallower than that, our Enterprise, but --

10 But again, Mr. Fesmire, the point I was trying to  
11 make is -- There's no question the industry needed to do  
12 better with their pits, and I don't think anybody in the  
13 industry would argue with that. But we will argue that  
14 we've already dealt with a lot of these issues.

15 You know, the OCD implemented -- the Director at  
16 that time set up a task force to deal with the vulnerable  
17 area issues. In fact, it was Bill's master's thesis that  
18 initiated that effort, I think. Is that right?

19 And the OCD and industry invested a tremendous  
20 amount of time dealing with the pits under the vulnerable  
21 area and the expanded vulnerable area. That was a work  
22 effort that started in early '84 and basically lasted  
23 through -- probably -- the expanded vulnerable area became  
24 effective in early '93, and most of the operators had to  
25 get their wells in compliance -- and compliance meant that

1 you eliminate use of pits in areas that there is some  
2 exposure to groundwater contamination.

3 And so from '84 to '96 industry and OCD spent a  
4 tremendous amount of time working on that.

5 Then we had Rule 50. I personally spent pretty  
6 much six months of dedicated time getting our wells in  
7 compliance with Rule 50. Now that we're finally compliant,  
8 we're going to eliminate Rule 50 and come up with another  
9 rule that -- I'm sure we'll do what we need to get in  
10 compliance, but I sure wasted six months of time dealing  
11 with Rule 50.

12 CHAIRMAN FESMIRE: Commissioner Olson, you had a  
13 question?

14 COMMISSIONER OLSON: Well, I just wanted to  
15 clarify a couple points.

16 EXAMINATION

17 BY COMMISSIONER OLSON:

18 Q. I think you said you spent -- if I understand  
19 right, you said \$1.5 on pit closures, I guess compliance  
20 issues with the pits since 2003; is that -- ?

21 A. No, since Rule 50 became effective February 14th  
22 of 2004.

23 Q. 2004.

24 A. So Dugan Production -- the pits that we've  
25 closed, it's about a million and a half dollars that I've

1 signed invoices for.

2 Q. And I think you were saying you still have 128  
3 unlined --

4 A. Yeah.

5 Q. -- production and disposal pits?

6 A. Yes, that are registered under Rule 50.

7 Q. So I'm assuming those are outside what was  
8 considered the vulnerable area?

9 A. Yes, yes. And in all cases the groundwaters are  
10 for sure deeper than 50 feet. All but 13 of them are  
11 deeper than 100 feet, or nonexistent. And bear in mind,  
12 though, a lot of the San Juan Basin -- presence of  
13 groundwater, that's an issue for the -- you know, the  
14 native Americans that live out there. They haul their  
15 water, they don't have it available to produce.

16 Q. Well, I'm assuming those were pits that were --  
17 that have been in existence for some time.

18 A. Yeah, they were in existence prior to Rule 50,  
19 and because we planned to operate them after June 30th of  
20 '05, we did, you know, file the necessary applications.

21 Q. And is Dugan still installing unlined pits  
22 outside the vulnerable area or --

23 A. No --

24 Q. -- are they --

25 A. -- no, we're joining the ranks with the rest of

1 the industry. A lot of industry has decided that, you  
2 know, unlined pits are clearly not the way to go.

3 And that's basically what happened -- you know, I  
4 mentioned we registered 242 pits. We only have 128 active  
5 now. For a lot of reasons we've chosen to close the  
6 difference between 242 and 128. That number slips my mind  
7 right now, but we've taken pits that are registered and  
8 completely legal and closed them ourselves because, you  
9 know, we're trying to be good stewards of the environment.

10 Q. And so what are you using now? Below-grade  
11 tanks?

12 A. We -- we like using subgrade tanks --

13 (Laughter)

14 A. -- not below-grade tanks, and the distinction  
15 being, the tanks are in a depression, because a lot of our  
16 operations, you need to be able to gravity water from the  
17 production separator or from your oil storage tank into  
18 some sort of a holding vessel. And so we put those below-  
19 grade -- or subgrade, and we do have an ongoing program to  
20 keep the sites cleaned out and the bottom of the tank  
21 exposed so that it won't become subject to Rule 50 as a  
22 subgrade tank --

23 Q. So as a subgrade tank --

24 A. -- or below-grade.

25 Q. -- it's essentially a tank sitting in a

1 depression with the sides --

2 A. Right --

3 Q. -- exposed --

4 A. -- right, you --

5 CHAIRMAN FESMIRE: Below pit, basically.

6 THE WITNESS: Yeah, it's a -- yeah, it's just  
7 tank that's below grade so that we can still produce in a  
8 manner that, you know, fluids will still drain into the  
9 tank, and we can walk around the tank and see the sides and  
10 verify that there's absolutely nothing leaking from it.

11 They're typically set on a gravel base with a  
12 liner underneath, so if there was a leak in the middle of  
13 the tank, it would run out and be obvious from -- or  
14 apparent from -- from walking around the tank.

15 And of course, clearly there's some problems.  
16 You've got to keep the sand out of the depression so your  
17 tanks are seeable, and if an operator doesn't do that then,  
18 you know, you've lost the benefit of having a subgrade as  
19 opposed to the below-grade.

20 Q. (By Commissioner Olson) The liner, does that  
21 come out from below the tank, or is it just the side -- the  
22 footprint of the tank, then?

23 A. It would extend out a little bit.

24 It's -- We don't have it out much, because if you  
25 get rainwater or something, you don't want to have the

1 rainwater accumulating in your tankbottoms, or around your  
2 tank.

3 Q. So what's it cost you these days to install a  
4 subgrade tank like that, with that liner and gravel base  
5 system?

6 A. Well, because most of our wells that we're using  
7 this on are -- we're dealing with fairly small volumes, it  
8 doesn't cost -- we can do it fairly economically. We buy a  
9 lot of the tanks we're using at auctions. They're used, we  
10 don't buy new -- or we do buy new, but Mr. Dugan prefers  
11 that if there's surplus equipment out there, that's what we  
12 used.

13 And Bill, I'm going to say we'll spend \$3000 to  
14 \$4000 for the tank, and we'll spend probably an afternoon  
15 with our own roustabout crew setting the tank.

16 And so, you know, for \$5000 we probably are able  
17 to install. But again, we go to a lot of trouble to find  
18 the equipment. And if we're buying new equipment, you're  
19 going to spend more than that for the tank.

20 COMMISSIONER OLSON: Okay, thanks. That's all I  
21 had.

22 CHAIRMAN FESMIRE: Ms. Foster?

23 MS. FOSTER: Based on the questions that  
24 Commissioner Olson just asked, I just had a quick question  
25 for Mr. Roe.

## EXAMINATION

BY MS. FOSTER:

Q. Mr. Roe, are you aware that under the proposed new rule that your subgrade tanks will need to have secondary containers with leak detection within five years?

A. Yes, I am, and that's -- that's why I offered -- I -- these wells are at risk of losing -- because we probably won't be able to justify that installation.

Q. Okay. And could you -- since you just gave us the cost that you'd expend on a used tank, do you know how much a tank with a double bottom would cost, or could you even buy one of those new?

A. Well, you pretty much have to buy those new. There's -- they're good -- I don't have a current price, but they'll be more than the \$5000 that -- in fact, we have our own, actually tank-manufacturing company too, so we do make our own double-bottom tanks.

And I don't know, Tom, do you have a number for what we get those?

MR. DUGAN: Too much.

THE WITNESS: Too much.

(Laughter)

THE WITNESS: He prefers we buy all of BP Amoco's surplus equipment. We like when ConocoPhillips has surplus sales. We use -- we're the recycling kings.



1 MS. FOSTER: Thank you, I have no further  
2 questions. Thank you, Mr. Chairman.

3 CHAIRMAN FESMIRE: Are there any further  
4 questions of this witness?

5 Mr. Roe, thank you very much.

6 MR. ROE: Sure, thank you.

7 CHAIRMAN FESMIRE: At this time we'll adjourn for  
8 lunch and reconvene at 1:30. Thank you all.

9 MR. McWHORTER: One more.

10 CHAIRMAN FESMIRE: Oh, wait a minute, was there  
11 other -- were there other --

12 MR. McWHORTER: I'll wait till Thursday.

13 CHAIRMAN FESMIRE: Okay, so we'll go ahead and  
14 adjourn for lunch then.

15 (Thereupon, noon recess was taken at 12:21 p.m.)

16 (The following proceedings had at 1:39 p.m.)

17 CHAIRMAN FESMIRE: Let's go back on the record.

18 Let the record reflect that this is the  
19 continuation of Case Number 14,015. It is Tuesday,  
20 November -- December 4th, 2007. All three Commissioners  
21 are present, there is therefore a quorum.

22 I believe, Mr. Hiser, you were going to present  
23 the rebuttal portion of Dr. Thomas's direct testimony?

24 MR. HISER: Yes.

25 CHAIRMAN FESMIRE: Are you prepared to do that?

1 MR. HISER: If you can give us just a minute to  
2 finish copying those files that you requested earlier.

3 CHAIRMAN FESMIRE: Okay.

4 (Off the record)

5 CHAIRMAN FESMIRE: Okay, let's go back on the  
6 record.

7 Mr. Hiser, I believe you had -- you were going to  
8 question Dr. Thomas?

9 MR. HISER: Yes.

10 BEN THOMAS, PhD (Resumed),  
11 the witness herein, having been previously duly sworn upon  
12 his oath, was examined and testified as follows:

13 DIRECT EXAMINATION (Rebuttal)

14 BY MR. HISER:

15 Q. Dr. Thomas, in the testimony that we've heard  
16 from a number of witnesses there's been some discussion  
17 about the merits of the TCLP test, something called the  
18 SPLP test or the synthetic precipitation leaching procedure  
19 test, and total values.

20 You stated in your direct testimony that you were  
21 looking at using the TCLP for some purposes, and in the  
22 testimony of Mr. von Gonten -- and this is a long  
23 question -- the Division explained that they didn't believe  
24 it was appropriate to use TCLP for characterization  
25 purposes.

1           Could you address the concern about the propriety  
2 of using TCLP for characterization purposes and why as a  
3 toxicologist you wanted that information using that test?

4           A.   All right. The TCLP test is a test that was  
5 developed by EPA to characterize waste and to define what  
6 waste was hazardous and nonhazardous.

7           The purpose that I proposed using TCLP was as a  
8 way to look at the percent of solid waste that was in fact  
9 soluble in water.

10           TCLP is -- I chose TCLP instead of SPLP because  
11 there are some data in the literature now where TCLP has  
12 been -- being shown that it seems to be a little bit more  
13 reliable as an extracting solvent than SPLP. There's a --  
14 Texas, for example, is now using a combination of TCLP and  
15 SPLP in looking at their wastes, and particularly barium,  
16 as an approach to looking at the percent of barium  
17 compounds that are soluble.

18           So my purpose as the toxicologist is that, as I  
19 mentioned, it's only the soluble, ionic form of a metal  
20 that really is toxic and bioavailable. So as a result, I  
21 was looking for some way to characterize it.

22           TCLP is better than water, it's more severe  
23 treatment than water, because they add some acids to it.  
24 They add acids also to SPLP, so both of those I consider to  
25 be appropriate kind of a worst-case sort of analytical

1 procedure. You know, if it's going to get it out, these  
2 are the two solvents that it would be better than water,  
3 for my purposes anyway.

4 I don't know if I've answered your question, but  
5 that's the -- really the logic that I was using.

6 Q. Were you here for Dr. Colborn's testimony?

7 A. I was.

8 Q. And Dr. Colborn presented a series of charts  
9 showing what constituents appeared on a number of  
10 regulatory lists. Is that your recollection of her  
11 testimony?

12 A. Yes, uh-huh.

13 Q. And what -- as a toxicologist, what did you take  
14 away from her presentation of those multiple lists where  
15 these different constituents appeared on those lists?

16 A. Well, I was disappointed, because all she really  
17 dealt with were hazards, that is, the ability to cause an  
18 adverse effect. She really didn't talk about dose response  
19 relationships or the risk that a hazardous substance may  
20 produce, you know, in its concentration in the environment  
21 and the potential for exposure by the receptor.

22 So as a result, it was just kind of a general  
23 listing that -- oh, this could cause that, or this could  
24 cause that, and it really didn't give us any useful  
25 information from a regulatory point of view.

1           Q.    And so did -- in the testimony that you heard  
2           from Dr. Colborn, did she ever present any dose response  
3           relationship or other information that was tied to the  
4           concentrations of materials found in the pits based on  
5           either the OCD data or the industry data or any data that  
6           would tend to be able to assist this Commission in arriving  
7           at a decision?

8           A.    Not that I heard.

9           Q.    Does the fact that a constituent can be detected  
10          in a pit necessarily mean that it's a risk concern?

11          A.    No.

12          Q.    In order for it to be -- in your view as a risk  
13          matter, what would there need to be in addition to just the  
14          fact of detection?

15          A.    Well, from the risk perspective what you look for  
16          is a complete pathway of exposure, that is, not only have  
17          you had the presence of a chemical, but there's a way for  
18          somebody to be exposed to the chemical. You look at the  
19          route of exposure, that is, inhalation versus ingestion or  
20          something like that. And then you look at the dose of the  
21          chemical that the person is exposed to. So that determines  
22          whether or not they're likely to suffer an adverse effect,  
23          and therefore that is a risk.

24          Q.    Now when you say a person, a person can be a  
25          receptor other than a human being, can they not, in the

1 environmental context?

2 A. In risk assessment, it's almost always a  
3 hypothetical receptor.

4 MR. HISER: Okay, that completes my questions.

5 CHAIRMAN FESMIRE: Let's start -- Ms. Foster, do  
6 you have any cross-examination of this witness?

7 MS. FOSTER: I do not, Mr. Chairman, thank you.

8 CHAIRMAN FESMIRE: Okay. Mr. Jantz, do you have  
9 a cross-examination of this witness?

10 MR. JANTZ: I do, Mr. Chairman.

11 CHAIRMAN FESMIRE: Why don't you go first, then.

12 CROSS-EXAMINATION

13 BY MR. JANTZ:

14 Q. Good afternoon, Dr. Thomas.

15 A. Hi.

16 Q. Before we start getting specifics, I'd just like  
17 to clarify in my own mind what exactly risk-assessment  
18 entails. There has to be a hazard; is that right? Of some  
19 sort?

20 A. Yes.

21 Q. And then there has to be an exposure to the  
22 hazard; is that right?

23 A. That's correct.

24 Q. Through some sort of exposure pathway?

25 A. Right.

1 Q. And then you take a look at the dose response to  
2 -- based on that exposure; is that right?

3 A. You look at the toxicology and determine what  
4 types of adverse effect, what dose is required to produce  
5 that effect, and what length of exposure is required to  
6 produce it.

7 Q. And from that you get the risk?

8 A. Well, you actually take a look at the analytical  
9 data and determine what the likely exposure level is for  
10 that hypothetical receptor, and from that you get the risk.

11 Q. Okay, okay. And so if you change any of those  
12 variables, that could change the ultimate outcome; is that  
13 right?

14 A. That's correct.

15 Q. Okay.

16 A. Yeah. In a lot of ways risk assessment is very  
17 site-specific, so your depth to groundwater, for example,  
18 can make a big difference, your concentration in the soil,  
19 all these different types of soil.

20 Q. Okay, thank you.

21 All right, let's get right into the industry  
22 sampling program. In your slide -- I don't have a number  
23 for it, it's in the sampling program section and it's the  
24 page right after the map --

25 MR. HISER: Probably about page 8.

1 MR. JANTZ: It begins, Twelve samples of pit  
2 contents were collected.

3 MR. HISER: Oh, that's page 10.

4 Q. (By Mr. Jantz) Okay. In your discussion about  
5 the -- well, actually prior to discussion Chairman Fesmire  
6 mentioned sample splitting. Can you explain what sample  
7 splitting is?

8 A. Sample splitting is where multiple parties will  
9 share a sample that's been collected so they can run it  
10 through their own laboratories and essentially confirm each  
11 other's results.

12 Q. Can it also mean sending parts of a sample to  
13 different laboratories?

14 A. It could be.

15 Q. Okay. And why is sample splitting used.

16 A. Usually it's for legal purposes so that both  
17 parties are convinced that the analytical data are fair  
18 representations of the conditions at the site.

19 Q. Could it also be used as a means of quality  
20 assurance?

21 A. That's a little bit more difficult technically,  
22 because different laboratories have different technicians,  
23 different instrumentation and so on. So it could be, but  
24 it requires a fair amount of interpretation.

25 Q. Sure. And the sampling program done by the



1 industry committee, were the samples split at all?

2 A. I don't believe so. I think they were collected  
3 for that group.

4 Q. Okay, thank you. All right.

5 In your discussion of arsenic -- and this is the  
6 slide that begins with the bullet point, Arsenic is not a  
7 component of commercial drilling muds.

8 MR. HISER: Slide 13.

9 Q. (By Mr. Jantz) Yes. You say that -- you  
10 conclude that arsenic exists in drilling/recycle pits, does  
11 not pose health or environmental risks. Is that because of  
12 its immobility in water?

13 A. It's not soluble, therefore it's not absorbable.

14 Q. Right. Are you aware of any conditions under  
15 which arsenic might be mobile?

16 A. Certainly, you can start to change its redox  
17 state so that it forms a different compound, and -- in  
18 which case you can get mobility.

19 Q. Okay, thank you.

20 A. Redox state is its valence, essentially. So  
21 rather than arsenic 2 you may have arsenic 3 or 5 or  
22 whatever.

23 Q. And that's also the case with other minerals such  
24 as uranium; is that right?

25 A. That would be appropriate for uranium as well.

1 Q. Okay, and uranium was also found in the pit?

2 A. As I recall, there were very low levels of  
3 uranium in the pit.

4 Q. But there was uranium?

5 A. As I recall, yes.

6 Q. Okay. Let's see. On your slide entitled What  
7 was found? - Halogenated Compounds --

8 A. Now that I think about it, uranium probably was  
9 at or below detectable levels. I'm having trouble  
10 remembering the exact data, but any compound that was  
11 detected -- I'm sorry, not detected but either quantified  
12 -- quantifiably -- high enough to be reliably quantified or  
13 just under that quantification level, they were included in  
14 the list of compounds that --

15 Q. Okay.

16 A. -- that were put together.

17 Q. Well, assuming we get to see -- work off of  
18 Exhibit Number 9, but the fact remains that the industry  
19 data was provided to the task force, and I guess when you  
20 just -- for your information, the level of uranium I have  
21 that was found is -- 1.1 milligrams per kilogram as the  
22 average in the San Juan. The Permian is 3.17 milligrams  
23 per kilogram.

24 In any event, when you found out about these  
25 halogenated compounds, that was only after your discussions

1 with the lab; is that right?

2 A. That's correct.

3 Q. And that information wasn't, to your knowledge,  
4 provided to the task force and the industry committee  
5 report?

6 A. There was -- there was an initial report that  
7 included these compounds as things that we had identified  
8 but didn't really understand.

9 Subsequent to that -- and I think that was the  
10 initial report that was submitted to the --

11 Q. Sure.

12 A. -- the task force, Governor's task force.  
13 Subsequent to that, we asked the -- had a discussion with  
14 the laboratory and they said, Oh, no, these are -- these  
15 are quality-control samples --

16 Q. Okay.

17 A. -- compounds.

18 Q. But those -- yeah, that -- so it was only  
19 revealed after your discussions with the laboratory folks;  
20 is that right?

21 A. Yeah, and we found out about it.

22 Q. Yeah, okay.

23 CHAIRMAN FESMIRE: Can I correct something? Are  
24 you talking about the industry committee sampling and their  
25 results were presented to the task force?

1 THE WITNESS: Yes.

2 CHAIRMAN FESMIRE: Do you know that to be a fact?

3 THE WITNESS: I reviewed the draft report so I --  
4 yes.

5 Okay, now, the report that I'm talking about is a  
6 summary of all of the data and the results of the QA  
7 analysis and the evaluation of the concentrations and so  
8 on.

9 CHAIRMAN FESMIRE: Okay. Now when you say task  
10 force, are you talking about the industry committee task  
11 force, or the task force on the --

12 THE WITNESS: This is --

13 CHAIRMAN FESMIRE: -- proposed rule?

14 THE WITNESS: My understanding, this is a report  
15 initially to the industry task force, but provided to the  
16 Governor's task force.

17 CHAIRMAN FESMIRE: So the Governor's task force  
18 had a copy of the industry sampling results?

19 THE WITNESS: Yes.

20 Q. (By Mr. Jantz) The addition of these halogenated  
21 compounds, would that affect the concentrations of the  
22 other pollutants or constituents in the samples?

23 A. As explained by the laboratory, the effect on  
24 there should be minimal.

25 Q. Okay.

1           A.    In other words, they use very small volumes, so  
2           there's no significant pollution.

3           Q.    Okay.

4           A.    These are fairly pure -- or extremely pure  
5           compounds so that they won't have contaminants that will be  
6           added to the sample.

7                    But those are the questions that we were trying  
8           to sort through, and as a result we contacted the  
9           laboratory. I said, What in the world is this? Because I  
10          couldn't see any evidence that it was part of the  
11          formulation of drilling muds.

12          Q.    In your conversation with the laboratory, was  
13          there any indication that anything else was added?

14          A.    Well, they always have QA/QC-type compounds.  
15          They're usually deuterated, and -- but these I hadn't  
16          encountered before, so... But the deuterated compounds  
17          were there as well.

18          Q.    Okay, if we go to the slide entitled OCD Sampling  
19          Program, with the bullet point starting, It appears that  
20          OCD collected samples of solids from the surface --

21          A.    Okay.

22          Q.    -- the second bullet point you say -- you  
23          indicate that, OCD collected water samples, suggesting that  
24          the fluids in the sampled pits had not been removed for  
25          closure.

1           Now you understand that -- Well, let me ask you  
2 this.

3           Are the contents of a pit in liquid form, before  
4 they've been de-watered for closure, before the fluids have  
5 been removed for closure -- is that -- could that be  
6 considered a hazard?

7           A.    Could you repeat that?

8           Q.    Could the contents of a pit before closure be  
9 considered a hazard?

10          A.    Well, everything has hazards. As Dr. Colborn  
11 said, you know, even water you can drown in.

12          Q.    Sure, sure. Sure, sure. Understood. But --

13          A.    Are you asking about risk?

14          Q.    I'm asking about the hazard part of the risk  
15 analysis.

16          A.    Okay.

17          Q.    So if those -- well, let me ask you, do you agree  
18 that they could represent a hazard, the chemicals in a pit?

19          A.    Yes.

20          Q.    Okay. If those chemicals leached out, through a  
21 rip in the pit liner, for example, or a hole in the pit  
22 liner, they could conceivably contaminate groundwater; is  
23 that --

24          A.    Yeah.

25          Q.    And you're aware that in fact it's happened in

1 certain circumstances in New Mexico?

2 A. I've only heard minor comments, I'm not aware of  
3 any detail.

4 Q. Okay. But that could be an exposure pathway?

5 A. Of course.

6 Q. In the slide entitled Conclusions from Industry  
7 and OCD Findings, Analytes of possible regulatory  
8 concern --

9 A. Okay.

10 Q. -- you went into some extent about the potential  
11 risks or lack thereof, about these, right, in your direct  
12 examination?

13 A. I did.

14 Q. Did you take a look at any -- did you do an  
15 analysis of the cumulative effects of any of these  
16 contaminants?

17 A. What type?

18 Q. Cumulative. For example, if -- assuming there  
19 are -- there are -- a situation where a number, a great  
20 number of pits are buried in close proximity to each other,  
21 would you take into account the cumulativeness or  
22 cumulative hazards, risks associated with that?

23 A. The answer -- the answer to that is yes and no.  
24 The cumulative risk associated with multiple oil pits,  
25 anything like that, I didn't deal with.

1           The cumulative risk associated with multiple  
2 contaminants affecting the same target organ, things like  
3 that, we did evaluate.

4           Q.    Okay. Did you take -- did you do an analysis of  
5 the synergistic effects of these?

6           A.    No, none of the regulatory paradigms for risk  
7 assessment deal with synergy.

8           Q.    Okay.

9           A.    It's a fairly rare phenomenon in the first place,  
10 but most of the chemicals are added to -- and the  
11 guidelines that we have make the assumption that they are  
12 added.

13                   Do I need to explain synergy?

14           CHAIRMAN FESMIRE: Not to me.

15           THE WITNESS: Okay.

16           Q.    (By Mr. Jantz) If you would, just for  
17 clarification on the record.

18           A.    There are a number of interactions of chemicals.  
19 A chemical that -- two chemicals that produce a combined  
20 effect of one and one equal two, leaves two and two as  
21 equal to four, as a sample. That's considered to be  
22 additive.

23                   There are chemicals when you put them together  
24 actually are antagonistic, two plus two equal three, for  
25 example.



1           There are chemicals that are synergistic where  
2 two plus two equal ten. So they're an order of magnitude  
3 or large -- it's certainly not additive, more than additive  
4 sort of a relationship.

5           Q.    Thank you. On your slide entitled TPH Standard -  
6 Risk Critique it starts with, OCD has not given a technical  
7 rationale...

8           A.    Okay.

9           Q.    Actually, it's, OCD has not given a technical  
10 rationale for proposed -- that's the one, yes. Thank you,  
11 Eric.

12                   On the second bullet point, second dash, in the  
13 analysis of groundwater you say that a significant exposure  
14 is unlikely. What is significant exposure?

15           A.    Well, again, my preference with regard to TPH is  
16 to look at specific toxicants, as opposed to a nebulous  
17 term like this, a mixture. But essentially what I'm  
18 talking about is that the hydrocarbon that we're seeing is  
19 predominantly diesel range organics and higher. They are  
20 poorly soluble in water, they are poorly mobile in the  
21 environment.

22                   And so, you know, what I'm looking at primarily  
23 for TPH, since we didn't find PAHs to be at high levels, is  
24 that it's an odor and taste problem in the water.

25           Q.    Okay, and that's what significant exposure means?

1           A.   Well, significant exposure is essentially kind of  
2   a catchy term that essentially says that you're exposed to  
3   more than you should be.

4           Q.   Okay. Let me ask you this. When you're talking  
5   about exposure and when you're analyzing risk, what  
6   assumptions do you make about receptors?

7           A.   When you talk about exposure?

8           Q.   Yes, what assumptions do you make about the  
9   receptor? For example, is it a particular person, is it a  
10   generic person?

11          A.   It's a hypothetical person --

12          Q.   Okay.

13          A.   -- and normally you assume that it's a male who  
14   weighs 70 kilograms, who lives at the site for 30 years,  
15   which is a 95-percent bound for staying at a particular  
16   residence.

17          Q.   Okay.

18          A.   You assume that he is -- has an average lifestyle  
19   in which he will eat 100 milligrams of dirt every single  
20   day, that that dirt will contain a certain concentration of  
21   a toxicant, and as a result you have now an exposure  
22   estimate. And you of course know the dose-response  
23   relationships from your toxicology evaluation, so you're  
24   able now to evaluate risk.

25          Q.   Does the -- do the assumptions about receptors

1 ever change? For example, do you assume at times pregnant  
2 women or children --

3 A. Yes.

4 Q. -- as a receptor?

5 A. Yes.

6 Q. Depending on the situation?

7 A. Depending on the situation.

8 Q. Okay, and --

9 A. What you're trying to do is, you're trying to  
10 take a look at this particular site and determine whether  
11 or not there is an uncommon exposure scenario --

12 Q. Uh-huh.

13 A. -- in which case, you know, as a risk assessor,  
14 you really should start to evaluate that as well.

15 Q. For a generic -- for a more generic, regulatory  
16 approach such as this, where you have to have a rule that  
17 encompasses everybody, what assumption do you use?

18 A. We used three receptor-type exposure models. One  
19 was a residential-type scenario --

20 Q. Uh-huh.

21 A. -- where you have a child who is a child for  
22 seven years and suddenly becomes an adult, that the  
23 remainder of his exposure period is as an adult, and it  
24 could be 30 years, it could be -- you know, the -- 30 years  
25 is the common duration. And these are pretty much standard

1 EPA exposure scenarios.

2 The other one we used was a construction worker  
3 who's disturbing the site and now being exposed. Generally  
4 their exposures to soil are higher than, say, a resident,  
5 because they actually are getting down there and getting  
6 dirty and so on.

7 And then the third one we have is as a resident  
8 drinking groundwater.

9 Q. And the resident drinking groundwater is a 70-  
10 kilogram man, or is it the same seven-year-old kid who  
11 suddenly becomes an adult?

12 A. Generally we use a seven-year-old kid and then  
13 seven years of childhood --

14 Q. Okay.

15 A. -- and then adult.

16 Q. Okay. Okay, great. Thank you.

17 In the slide entitled Benzene Standard - Pathway  
18 Analysis, you say groundwater is unlike -- groundwater  
19 contamination is unlikely to be of concern, given the long  
20 time to reach water versus benzene's half-life.

21 Is the basis for that determination the time --  
22 the combination of the time it takes to reach groundwater  
23 and the half-life? Is that a correct understanding?

24 A. You know, that's probably -- that's poorly  
25 worded, but essentially what happens is, you've got -- you

1 have a release of benzene. You have a certain amount being  
2 pushed down as rainwater percolates through the soil, so  
3 that will first of all become soluble.

4 But as you know, the geology in New Mexico is  
5 pretty interesting in that you've got a lot of  
6 evapotranspiration, salt bulges I think I have been  
7 discussed here and so on.

8 The same sort of thing that happens with salt  
9 happens with organics that are volatile, that you also get  
10 evaporation and possibly transpiration through plants and  
11 so on.

12 So what we're seeing here is that, assuming that  
13 you've got a groundwater that is a certain depth, as in the  
14 rule, that the migration pathway for benzene is long enough  
15 to allow biodegradation, evaporative evapotranspiration-  
16 type processes, so that the risk to groundwater, I think,  
17 in those sorts of situations is minimal.

18 Q. Okay. But in other situations where transport is  
19 -- the transport time is shortened, it may be a greater  
20 risk; is that right?

21 A. That's correct.

22 Q. For example, if there are fractures in the  
23 geology?

24 A. That's -- in theory, that's possible. The  
25 concentrations of benzene that we saw are very, very low.

1 You know, like I said, the higher -- the ones that exceeded  
2 regulatory criteria were from a single pit, they were  
3 analyzed, they were diluted a thousandfold, so it makes it  
4 a little hard to even identify benzene as really a concern.

5 Again, the --

6 Q. Under any circumstances?

7 A. Under these circumstances, based on the data that  
8 we collected as to what our best estimate of what's in the  
9 pit.

10 Remember also that the petroleum hydrocarbon is  
11 primarily diesel range, not the gasoline range, which is  
12 our benzenes.

13 Q. Okay. But again, if the benzene were to -- the  
14 transport time for benzene, transport time from pit to  
15 groundwater were increased by a fracture or a fault or a  
16 paleochannel, that would change this conclusion, would it  
17 not?

18 A. Well, what I'm trying to tell you is that the  
19 data that we have, one, is suspect and, two, shows very,  
20 very low levels of benzene. So that no matter what the  
21 transport and how fast that transport, I don't think you're  
22 going to get significant levels of benzene in the  
23 groundwater.

24 Q. Okay, thank you. If we go to the Alternative  
25 Risk/Consequences slide, all decisions have consequences --

1 A. Yes.

2 Q. -- your analysis of the economic impact is based  
3 on the industry committee Exhibit 10; is that correct?

4 A. I don't know what Exhibit 10 is, but --

5 Q. That's the one -- Mr. Pease --

6 A. Mr. Pease, yes.

7 Q. The same with the vehicular accidents, injuries  
8 and fatalities, that's based on industry committee Exhibit  
9 10; is that correct?

10 A. Yeah. Let me make clear that I'm citing it  
11 primarily because of the types of alternative impacts. I'm  
12 not -- I'm really not depending upon his actual  
13 calculations and data per se.

14 As you recall my testimony this morning, what I  
15 said is that it doesn't matter, you're going to have -- if  
16 you have transportation, you're going to have injuries,  
17 you're going to have fatalities, you're going to have  
18 accidents.

19 Q. Sure, and I'm sure everybody can agree on that.

20 A. Yeah.

21 Q. I just want to make clear that for the purposes  
22 of this analysis you're relying on those --

23 A. Yeah, the numbers that I cited --

24 Q. -- the numbers in that report and the conclusions  
25 of that report?

1 A. That's correct.

2 Q. Okay. So in your slide entitled Conclusions, At  
3 what cost? - In lives -- yes, exactly -- this is the  
4 Exhibit 10 numbers; is that correct?

5 A. Yes.

6 Q. And you understand that the injuries -- the  
7 fatalities and injuries were calculated on a per-mile  
8 basis?

9 A. Yes.

10 Q. So if the number of miles decreases, the injuries  
11 and fatalities decrease as well; is that accurate?

12 A. That's correct --

13 Q. Okay.

14 A. -- they decrease but do not go to zero.

15 Q. You also understand that the exhibit -- industry  
16 exhibit -- industry committee Exhibit 10 didn't deal with  
17 the cost of groundwater remediation; is that right?

18 A. That's my recollection, yes.

19 Q. Okay, so that didn't factor into this -- in your  
20 analysis either?

21 A. No.

22 Q. Okay. And your economic analysis was based on  
23 that same report; is that correct?

24 A. Yeah, the data that I'm using are from that  
25 report.



1 Q. Okay. So if, for example, there were other data  
2 that showed that using, for example, closed-loop systems  
3 actually saved industry money, then that would change these  
4 conclusions that you reached; is that correct?

5 A. No.

6 Q. No?

7 A. No.

8 Q. In terms of the --

9 A. The numbers that I'm citing are from that report,  
10 but they're not my numbers.

11 Q. Right. Sure, sure, sure.

12 A. But again, my point is that regardless of what  
13 decision you make, there are consequences. Some are good,  
14 some are bad.

15 Q. Okay. But saving industry money, would you agree  
16 that that's a good conclusion or a good outcome?

17 A. Well, it's not for me to judge, it's for the  
18 Commission to judge.

19 Q. That's fine. Thank you, Mr. -- Dr. Thomas. Let  
20 me see, I think have one more -- one more line of  
21 questioning.

22 Can you go to the Conclusions part, Proposed  
23 Industry approach provides similar benefits at less cost?

24 In the first dash point up here, Small onsite pit  
25 closures versus landfills, it seems to me -- and correct me

1 if I'm wrong -- you're talking about if the liners don't  
2 fail, both onsite pit closures and landfills are equally  
3 protective. And if the liners do fail, onsite pit closures  
4 are more protective.

5 Is that -- is that -- Am I reading that right?

6 A. Correct.

7 Q. Okay. Are you aware of any pits that have long-  
8 term groundwater monitoring?

9 A. No.

10 Q. Are you aware of any pits that have contingency  
11 plans associated with them?

12 A. No, I haven't looked at that.

13 Q. Okay. Do you -- Are you aware of any pits that  
14 have rigorous geological and hydrogeological analysis  
15 associated with them?

16 A. Again, I'm not part of those discussions, so --

17 MR. JANTZ: Thank you, that's all I have.

18 CHAIRMAN FESMIRE: Mr. Brooks, are you prepared?

19 MR. BROOKS: I'm ready. Ready as I'm going to  
20 get, anyway.

21 CHAIRMAN FESMIRE: Okay. Is there any indication  
22 that the stuff that we're having printed is available yet?

23 MR. PRICE: Well, it's going to be a minimum of  
24 maybe an hour and a half to -- there's lots of information  
25 in there. I mean, we're talking about how many pages? 150

1 or --

2 CHAIRMAN FESMIRE: That's a good question.

3 THE WITNESS: My guess is, you're talking about a  
4 stack of paper about that tall.

5 MR. PRICE: And that's just one copy, so it's  
6 probably two hours from now to get them loaded, get them  
7 downloaded and get them printed. That's as fast as we can  
8 do it.

9 CHAIRMAN FESMIRE: Okay. Well, we wouldn't have  
10 time to --

11 MR. PRICE: We're trying to get more people on it  
12 right now, so...

13 CHAIRMAN FESMIRE: Dr. Neeper, we haven't  
14 forgotten you. I just --

15 DR. NEEPER: Fine, I can always holler, if I feel  
16 neglected.

17 (Laughter)

18 CHAIRMAN FESMIRE: Okay.

19 Mr. Brooks?

20 MR. BROOKS: Thank you.

21 CROSS-EXAMINATION

22 BY MR. BROOKS:

23 Q. Good afternoon, Dr. Thomas.

24 A. Good afternoon.

25 Q. Your specialty is toxicology, correct?

1 A. Yes.

2 Q. And I'm assuming that you have not done any  
3 groundwater modeling. There's been so much talk about  
4 modeling in this proceeding, but that's not --

5 A. Are you referring to this proceeding?

6 Q. Yes.

7 A. No, I have not done groundwater modeling.

8 Q. So you've relied on other people's work in that  
9 field of expertise?

10 A. The other experts in the case, yes.

11 Q. Let me start through your presentation, and I'm  
12 looking at Exhibit Number -- Exhibit Number 8, I believe it  
13 is. No, Exhibit Number 9, the first part of Exhibit Number  
14 9, which is your narrative summary.

15 On page 2 you state that, It is my understanding  
16 that the New Mexico Oil and Gas Act requires that risk be  
17 considered in the regulatory process. What do you base  
18 that statement on?

19 A. My understanding is that that particular Act  
20 requires that the regulatory agency protect public health  
21 and the environment. Okay? And as I was saying this  
22 morning, that inherent in that is the concept that there is  
23 a risk that's posed that requires the agency to protect  
24 against.

25 Q. But you're not telling us that the New Mexico Oil

1 and Gas Act requires the Commission to do risk analysis?

2 A. No, I'm saying the OCD would be foolish to try to  
3 protect against something that doesn't pose a risk.

4 Q. Would it surprise you to know that the word  
5 "risk" is not used in any of the environmental provisions  
6 of the Oil and Gas Act?

7 A. No, it doesn't surprise me at all.

8 Q. Very good.

9 A. In fact, that's the basis of my testimony.

10 Q. The basis of your testimony is that it's not used  
11 in the Oil and Gas Act?

12 A. I'm frustrated because I'm not seeing risk being  
13 considered specifically as part of the rule that's being  
14 proposed here.

15 Q. Well, let's explore that just a little bit in  
16 general terms, Dr. Thomas.

17 Many of the toxins that you deal with may be --  
18 or that you've studied, may be introduced into the  
19 environment in various different ways; is that not true?  
20 From various different sources?

21 A. Yes.

22 Q. And a lot of them are in the environment in the  
23 background, to some extent?

24 A. That's correct.

25 Q. And at least some of them, the risk that they

1 present is a matter of cumulative exposure, is it not?

2 A. It depends on the toxicant.

3 Q. Yes, I understand that. I'm just a lawyer, I'm  
4 not a scientist. You know, in law we don't look for  
5 answers, we look for arguments.

6 But anyway, I've heard -- I've always heard that  
7 about lead, that it's one of those for-instances, one of  
8 those --

9 A. Yes.

10 Q. -- those toxins that -- where the risk is  
11 involved with cumulative exposure; is that correct?

12 A. That's -- in general, that's correct.

13 Q. And there are others? That's just one I happen  
14 to have heard about. There are others, correct?

15 A. Of course.

16 Q. Given that -- those two propositions, that  
17 toxicants may be introduced into the environment from  
18 various sources, and that cumulative exposure is a valid  
19 risk concern, in some instances at least, would it not be  
20 reasonable for a regulatory agency, if there is a better  
21 way of doing things that will introduce less of the  
22 toxicants into the environment, to require that better way  
23 of doing things to be used, even if they had not  
24 specifically concluded that the activity they're regulating  
25 would introduce a sufficient amount of the toxicant in the

1 environment to present an unreasonable risk by itself?

2 A. The answer is no.

3 Q. And why?

4 A. The -- What you say is a good motherhood  
5 statement. But in practical terms, the taking action of  
6 that nature often will divert resources away from critical  
7 problems or important problems.

8 Q. And you've faulted the Commission for making  
9 value judgments, if I read your materials correctly; is  
10 that --

11 A. That's correct.

12 Q. But can the Commission regulate without making  
13 value judgments?

14 A. Well, the Commission can do anything it chooses.  
15 Of course, the -- you know, the one -- I don't know, the  
16 one example that I have that -- in my experience, that said  
17 that that isn't really the appropriate way to develop  
18 regulation was a Supreme Court decision with regard to  
19 benzene back in, I think, 1980. Okay?

20 And essentially at that point OSHA had proposed  
21 to reduce the permissible exposure limit from 10 parts per  
22 million to 1 part per million. I'm not an attorney, so I'm  
23 looking for somebody to tell me that I'm speaking out of  
24 hand. But essentially, the --

25 Q. Well, it would have to be Mr. Hiser. I don't

1 think any of the rest of the attorneys involved in this  
2 case have that kind of detailed familiarity with the  
3 history of environmental law, but go ahead.

4 A. Okay. So in 19- -- or in the mid- -- or late  
5 '70s, OSHA proposed to lower the permissible exposure limit  
6 from 10 parts per million to 1. And what the industry --  
7 at that time I had just changed from M.D. Anderson Hospital  
8 as a pathologist to a consultant and toxicologist with  
9 Shell, so I was now part of the industry responses and  
10 discussions with this.

11 The industry had looked at their operations, and  
12 in general they met a 1-part-per-million PEL. But they  
13 said that they thought that OSHA had gone through an  
14 improper regulatory procedure to develop that regulation.

15 The lawsuit eventually got up to the US Supreme  
16 Court, and the Supreme Court stated the standard, saying  
17 that -- OSHA, that you can't just simply propose a  
18 regulation because it can be done. You've got to do two  
19 things.

20 One is, demonstrate that current levels of  
21 exposure pose a risk to health.

22 And two, you've got to demonstrate that whatever  
23 regulation you're now proposing reduces that risk.

24 Okay? And it was that decision that now started  
25 regulatory agencies to start to adopt risk-based approaches



1 over and over again.

2 In prior years what would happen is, the industry  
3 would have their army of toxicologists, and the regulatory  
4 agency would have their army of toxicologists, and they  
5 would argue back and --

6 CHAIRMAN FESMIRE: Well, how did the regulatory  
7 agency pay for their army of toxicologists?

8 (Laughter)

9 THE WITNESS: Well, they had them. EPA still has  
10 them, but the -- but there really wasn't a good technical  
11 basis to say that their opinion was any better than the  
12 other opinion. So they started now to develop things like  
13 these quantitative risk models as a way to formalize the  
14 thinking process, make sure that everybody understood,  
15 these are the issues, and this is what we're proposing to  
16 do to reduce the risk.

17 Q. (By Mr. Brooks) Well, that's a very long answer,  
18 but I still don't understand why it isn't appropriate for a  
19 regulatory agency to require an industry to minimize the  
20 amount of toxic waste that it introduces into the  
21 environment, based on the fact that -- Well, let me back  
22 up.

23 I don't understand why you're saying that if  
24 toxic waste can add to exposure in addition to other  
25 sources, that an agency -- that it's not appropriate for an

1 agency regulating one industry to require that industry to  
2 minimize its introduction of toxic wastes into the  
3 environment.

4 A. My answer is that you're asking a question that's  
5 kind of a generic question. There are probably toxicants  
6 where that is appropriate. Okay? But not in this  
7 particular proceeding.

8 Q. Okay. Well, let's go on to something else here.

9 Next question you ask is, what is in drilling  
10 reserve pits? And you list a number of things.

11 Now Mr. Hiser asked you some questions about Dr.  
12 Colborn's testimony, remember that?

13 A. Yes.

14 Q. And I will concede that Dr. Colborn's testimony  
15 was incomplete, but didn't Dr. Colborn's testimony raise  
16 the issue that there may be some things in drilling and  
17 reserve pits which are from a different source from the  
18 things you've listed here, namely additives that are put  
19 into the materials for various reasons?

20 A. Certainly, and I tried to include that in the  
21 formulated drilling mud --

22 Q. Okay --

23 A. -- bullet here.

24 Q. -- and like I say, I would concede that Dr.  
25 Colborn's testimony was incomplete. But if you were going

1 to do a full-scale study of this subject, did it not raise  
2 a number of questions that it would be reasonable to  
3 investigate further?

4 A. I don't think so, and the reason why is because  
5 even though that you can talk about certain chemicals being  
6 -- you know, at the end of the day, you know, we still  
7 didn't know what was in the drilling pits. Okay? And as a  
8 result, the recommendation of the industry was, Let's go  
9 out and analyze it, using as many of the EPA methods as we  
10 could to look at the various constituents that we expect  
11 there.

12 You know, they use paper and cellulose, you know,  
13 in some drilling mud formulations. We didn't try to  
14 analyze that.

15 But for the common constituents that are of toxic  
16 concern as identified -- the EPA, where they've identified  
17 methods that are appropriate to analyze those constituents,  
18 that's essentially what was applied to the samples that  
19 were collected out there. That's why you have so much  
20 paper that's being generated right now.

21 Q. Well, let's talk about this industry sampling  
22 program a little bit. When you report -- everything you  
23 report in terms of the analysis you did from the industry  
24 sampling program is in terms of averages, correct? Average  
25 levels that were detected?

1           A.    Yes.

2           Q.    Is that -- the term "average" is a somewhat vague  
3 term. It's used in various different senses. Is that just  
4 a mathematical average of the samples that you took?

5           A.    We do two things. One is that if the data are  
6 normally distributed we use an arithmetic average. If the  
7 data are log-normal, then we use a geometric average.

8                   But the concept of using average is actually  
9 specified by EPA. And what they point out in their  
10 Superfund regulations and risk-assessment guidelines is  
11 that although we talk about an individual receptor going  
12 out to a field and eating dirt that contains exactly this  
13 amount, that is, from this spot here, he does this every  
14 day for 30 years -- okay? -- in actual fact, he probably is  
15 actually going all around the site and getting exposed to  
16 contaminants in a number of different locations.

17                   So that the EPA approach is to take the average  
18 -- okay? -- or an upper bound of the average, and then  
19 determine -- use that as the best estimate of the  
20 receptors' exposure level.

21           Q.    But from a rulemaking standpoint, if there is --  
22 if you have some pits that are considerably above the  
23 average, don't they present -- don't they create a risk  
24 that is not fairly reflected by the average of all pits?  
25 Assuming that this -- that the average of three -- of six

1 pits is -- even assuming the average of six pits is --

2 A. No, no, the averages that I'm talking about and  
3 the averages here are averages of the data collected at a  
4 single pit. So these are multiple samples of solids  
5 collected at the --

6 Q. Okay.

7 A. It's not taking the average over all pits, per  
8 se.

9 Q. But isn't the -- well, what you have here, you  
10 state, southeast New Mexico average --

11 A. Right.

12 Q. -- TPH was 7700. Northwest New Mexico average  
13 was 1800. That's averaging for three pits, isn't --

14 A. Yeah, you're right.

15 Q. Yeah.

16 A. You're right. And that -- that was just simply a  
17 way to summarize --

18 Q. And you did the same thing with the chlorides?

19 A. That's simply a way to summarize the differences  
20 between the two regions.

21 Q. Well --

22 A. The analysis that I'm talking about really is  
23 looking at the average of each individual pit in order to  
24 make the determination whether it poses a significant risk,  
25 and it's based upon EPA guidelines.

1 Q. Now in collecting their samples, did the industry  
2 filter the samples in the field before analysis?

3 A. My understanding is that they did not.

4 Q. Would that not have been a better way to  
5 determine solubility than the use of TCLP test?

6 A. Filtration removes particulate, and unfortunately  
7 it's not 100-percent efficient so you get some suspended  
8 particulate anyway.

9 Q. But it avoids the dilution inherent in the  
10 leachate tests, does it not?

11 A. I'm sorry?

12 Q. It dilutes less than the TCLP test, does it not?  
13 Dilutes the sample less?

14 A. Well, they're different procedures. But SPLP and  
15 TCLP were diluted in the 20 volumes of liquid, of --

16 Q. Now, you've talked about -- you've talked about  
17 and discussed arsenic and benzene. You also looked at the  
18 OCD's sampling program too, didn't you?

19 A. Yes.

20 Q. And I've got to go to --

21 (Off the record)

22 Q. In Exhibit 16 --

23 MR. HISER: I presume, Mr. Brooks, that's OCD  
24 Exhibit --

25 Q. (By Mr. Brooks) OCD Exhibit 16, I'm sorry. In

1 their summary in the solids analysis OCD found exceedences  
2 for benzene and toluene and some other hydrocarbons and  
3 also for arsenic and barium. And you've considered arsenic  
4 and barium. They also found an exceedence for lead, and  
5 you didn't consider lead. And that was in the -- that was  
6 in the tables for the industry committee reports too. Why  
7 did you not consider that?

8 A. I believe we did. That's why it's in the  
9 industry report.

10 Q. Okay, I didn't see -- I didn't see any analysis  
11 of that, comparable to your analysis for the other  
12 constituents that you have here in your materials.

13 A. Yeah, and my recollection is, it didn't exceed  
14 the regulatory criteria.

15 Q. Okay. What is reported here under lead, under  
16 OCD's table, is maximum northwest 121, maximum southeast  
17 195. Then for the industry committee northwest maximum was  
18 210. And the standard for comparison -- I have to get over  
19 to the other table --

20 COMMISSIONER BAILEY: Mr. Brooks, what page are  
21 you on?

22 MR. BROOKS: Well, I was on page 33, but I  
23 realize I need to be over on page 40, because that's where  
24 the standard is given. And this is on leachates.

25 Q. (By Mr. Brooks) And you're right, the industry

1 committee did not show an exceedence on that, so there was  
2 some computation involved in what the OCD was doing on page  
3 33. But the OCD sampling showed 1.87 maximum northwest and  
4 200 maximum southeast, and the standard is shown to be .05  
5 milligrams per liter. But you --

6 A. I've not seen the data tables that you're -- you  
7 know, the only data that I had was from your website.

8 But let me repeat the point that I made before,  
9 and that is that it's not considered to be appropriate to  
10 look at a single data point, such as the maximum  
11 concentration ever seen anywhere. The EPA guidelines  
12 suggest that what we really ought to be doing is looking at  
13 an average so that it takes into account that people move  
14 around on the site.

15 Q. And the OCD samples also found an exceedence on  
16 mercury, did they not? Again on page 40?

17 A. I'm sorry, I haven't seen those tables.

18 Q. And you go on to talk about benzene. Are you  
19 aware that benzene has been found in groundwater in OCD  
20 abatement cases?

21 A. It wouldn't surprise me.

22 Q. So you're not saying that benzene cannot make its  
23 way to groundwater, are you?

24 A. No.

25 Q. And is not benzene one of those -- one of those



1 -- and I don't know the answer to this, so it's dangerous  
2 to ask anything you don't know the answer to, but is not  
3 benzene one of those toxicants that can have cumulative  
4 exposure effects?

5 A. That could -- ?

6 Q. Is it not one of those toxicants that can have  
7 cumulative exposure effects?

8 A. No.

9 Q. But it is dangerous in very small quantities,  
10 right?

11 A. In actual fact, no.

12 Q. In actual --

13 A. But the regulatory -- the regulatory agencies  
14 assume all carcinogens act by a mechanism that has no safe  
15 levels of exposure.

16 Q. And that was the reason I was surprised at your  
17 answer, because if there's no safe level of exposure that  
18 would suggest that it's dangerous in very small quantities?

19 A. That's correct. It's what -- that would be the  
20 case if it were true. The data on benzene is pretty clear  
21 that it requires a level of -- for a leukemogenic effect,  
22 it requires a level in excess of 100 parts per million as  
23 an occupational exposure.

24 Q. Well, even if you're -- and going back to  
25 cumulative exposure, the concept of cumulative exposure as

1 we're talking about it in the case of lead is exposure one  
2 time and then exposure somewhere else at some other time,  
3 right?

4 A. That's right, and that it accumulates or is  
5 retained in the body, so that your total dose is the result  
6 of multiple additional exposures.

7 Q. But when you're talking about the constituents  
8 that are introduced into water, if you get some in the  
9 water from one source and some in the water from another  
10 source, then someone who's exposed to the water is exposed  
11 to the total that comes from all sources into that water,  
12 right?

13 A. Well, benzene is also in strawberries, pecans,  
14 things like that, so you can get -- you get a cumulative  
15 dose, absolutely.

16 And the question is always not whether you've  
17 been exposed but to what extent you've been exposed? What  
18 is the dose total? And what is the health implication of  
19 that dosage?

20 Q. But doesn't that get back to what I was saying  
21 about waste management, that it's appropriate for a  
22 regulatory agency to limit the addition to water or some  
23 other exposure source of toxicants that may already be  
24 there or may be there from other sources, even if the  
25 amount involved is not sufficient by itself to cause what

1 you would characterize as an unreasonable risk?

2 A. Well, let me repeat. There are certain toxicants  
3 where I'm sure that that is appropriate. But they're not  
4 the ones that we're talking about here.

5 And in general, I don't really agree that that's  
6 an appropriate regulatory response.

7 Q. Well, the only reason you suggested, that I  
8 understood, why it wasn't was that there might -- that  
9 implementation of best waste management practices that  
10 minimize the discharge of pollutants might have some other  
11 adverse consequences, right? Some --

12 A. That's one point.

13 Q. There might be some collateral damage?

14 A. That's one point.

15 The other point is that the OCD has limited  
16 technical people, and to require them to go and evaluate  
17 all the different tests and things like that may not be an  
18 appropriate use of their time and effort, or budget.

19 Q. With regard to the collateral damage, doesn't  
20 that mean that -- simply that you have to make a value  
21 judgment, which is the greater concern?

22 A. Yeah, and the point that I'm making is that you  
23 need to make value judgments that are transparent so that  
24 everybody understands, this was a value judgment, and this  
25 is the reason why we've done it this way. Because without

1 that, how do you ever evaluate what is an appropriate  
2 exemption or change of the standard? I mean, what are you  
3 trying to protect against?

4 Q. Okay, total petroleum hydrocarbons. When you say  
5 that freon has been banned in the US, is it not only -- is  
6 it not just a matter that the manufacture of freon has been  
7 banned or --

8 A. No --

9 Q. No.

10 A. -- use of freon has been banned, the freon that  
11 they're -- that's specified in 418.1. Freon is a brand  
12 name for the multiple types of freons.

13 Q. And you're saying it's not legal to use existing  
14 stocks?

15 A. I'm sorry?

16 Q. You're saying it's not legal to use existing  
17 stocks?

18 A. That's my understanding.

19 Q. And what reference would you cite to that -- for  
20 that --

21 A. It's banned by EPA, so I would assume that the  
22 EPA has appropriate document- --

23 Q. But you don't know what rule, you're not --

24 A. Not off the top of my head, no.

25 Q. Okay. And you say another problem here -- you

1 say that TPH analysis can be effected by leaves and plant  
2 debris in material. Would you expect to find leaves and  
3 plant debris in a pit sample?

4 A. I don't know. We're talking an awful lot about  
5 grasses and native plants and things like that. You know,  
6 I have not been out there myself, I don't get out there  
7 very much anymore.

8 But the -- but you know, I -- all I'm doing,  
9 really, here is cautioning that an extraction procedure for  
10 a mixture as complex as petroleum hydrocarbon, or what  
11 we're calling petroleum hydrocarbon, is -- needs to be  
12 interpreted with some caution that the solvent extraction  
13 procedures will also extract waxes and fatty acids from the  
14 oils of the plants and give you a false reading.

15 Q. Are you aware that the first thing you do when  
16 you grade an oil and gas location is to scrape off all the  
17 vegetation?

18 A. I'm aware of that.

19 Q. And you're aware there are not a lot of trees in  
20 New Mexico that are going to be overhanging?

21 A. No, I noticed that.

22 Q. Okay. Now you were part of the surface waste  
23 management rule proceeding, were you not?

24 A. Yes.

25 Q. And were you aware that the 2500 TPH standard was

1 something that the Commission came to the conclusion to  
2 adopt in that proceeding?

3 A. I don't recall.

4 Q. Okay. You said something about something as  
5 complex as hydrocarbon evaluation. There are quite a lot  
6 of constituents in hydrocarbon material, are there not?

7 A. Yes, there are.

8 Q. Specific substances?

9 A. Yes.

10 Q. And --

11 A. I assume you're talking about petroleum.

12 Q. Yes. Have the effects of all of those been  
13 carefully studied?

14 A. No.

15 Q. And would it not be a very complex procedure to  
16 determine the actual constituency of particular -- the  
17 actual concentration of particular constituents in the  
18 hydrocarbon mixture?

19 A. No, it's actually not that difficult.

20 Q. But the total petroleum hydrocarbon gives you a  
21 -- however you measure it, gives you an overall view of  
22 what you have, what you're dealing with, right? That it  
23 has --

24 A. In -- What type of petroleum hydrocarbon assay  
25 are you talking about?

1 Q. Well, we -- the rule specifies one way of  
2 measuring total petroleum hydrocarbon. You've proposed a  
3 different way, which measures two different ranges, right?

4 A. The rule says 418.1 or other method --

5 Q. Right --

6 A. -- approved by the --

7 Q. -- well -- well, that's true --

8 A. And what I'm doing is giving some advice --

9 Q. -- approves other methods.

10 A. -- to the OCD.

11 Q. But an overall TPH method is -- testing method,  
12 is much simpler and less expensive than a detailed TPH  
13 method that would test for a wider variety of substances;  
14 is that not true?

15 A. 418.1 is cheaper and easier to conduct.

16 Q. And it does give an indication of what you've got  
17 in terms of hydrocarbons, right?

18 A. It also contains other things, other than  
19 hydrocarbons.

20 Q. Such as leaves and plant material?

21 A. Right, fatty acids.

22 Q. And why would you have fatty acids in a --

23 A. I'm sorry?

24 Q. -- in a drilling pit?

25 Why would you have fatty acids in a drilling pit?

1           A.   Well, there are some additives that are based on  
2 fatty acids.

3           Q.   Now when you go to considering chlorides, you  
4 don't dispute that chlorides in groundwater create --  
5 involve risks, do you?

6           A.   Chlorides? The risk is fairly small. The  
7 primary concern is more sodium and some of the cations.

8           Q.   Well, are you aware that in southeast New Mexico  
9 sodium chloride is by far the most common salt that you  
10 find?

11          A.   Absolutely.

12          Q.   And the concentrations you find in southeast New  
13 Mexico at the pits are quite high?

14          A.   Yes.

15          Q.   So you don't dispute that there's a risk involved  
16 there?

17          A.   With sodium chloride?

18          Q.   Yes.

19          A.   No, I don't dispute that.

20          Q.   Assuming it -- assuming it is transported to  
21 groundwater?

22          A.   I presume it's transported.

23          Q.   Yeah --

24               CHAIRMAN FESMIRE: He's asking the question --  
25 he's asking for clarification of the question, Mr. Brooks.



1 THE WITNESS: I couldn't hear your --

2 Q. (By Mr. Brooks) Assuming it is transported to  
3 groundwater, you don't dispute that it creates a -- that it  
4 involves a risk? Sodium chloride?

5 A. It certainly affects palatability of the water.

6 Q. It affects whether or not the water can be -- can  
7 safely be drunk, if it's large enough?

8 A. If it's large enough, that's correct.

9 Q. And it affects the usability of water for  
10 agriculture, because different plants have different salt  
11 tolerances, right?

12 A. That's true. That's all based on sodium.

13 Q. And there are some kinds of plants -- some levels  
14 of salinity that cattle will drink and some that they  
15 won't?

16 A. There are some that I won't drink either.

17 Q. Probably the cattle will drink -- will be more  
18 tolerant of salt than you will?

19 A. Could be, could be.

20 Q. But you've suggested -- you used the number here  
21 of 3500 parts per million. I don't -- and I use parts per  
22 million because we talk sometimes about milligrams per  
23 liter and sometimes about milligrams per --

24 A. -- kilogram.

25 Q. -- per kilogram, and those both compute to parts

1 per million, given certain assumptions, do they not?

2 A. They do.

3 Q. Now you've used the figure of 3500 parts per  
4 million, which I gather you're applying to the waste. What  
5 exactly are you applying that to, 3500 parts per million?

6 A. That number was based on Dan Stephens' --  
7 Stephens' groundwater modeling and transport of a bolus of  
8 salt to the groundwater.

9 Q. Exactly, and that was going to be my next  
10 question. You based that on Dr. Stephens's work, did you  
11 not?

12 A. That's right.

13 Q. Did you base it on anything else, or just on Dr.  
14 Stephens's work?

15 A. On the results of his modeling, because these  
16 models are a little bit more specific for Louisi- -- for  
17 New Mexico.

18 Q. And Dr. Stephens was talking about, was he not,  
19 3500 parts -- or 3500 milligrams per liter in an SPLP  
20 leachate?

21 A. As I recall.

22 Q. And the SPLP leachate involves a 20-to-1  
23 dilution?

24 A. Correct.

25 Q. So 3500 parts per million in the SPLP leachate is

1 equivalent to 70,000 parts per million in the waste?  
2 70,000 milligrams per kilogram in the material from which  
3 you extracted -- the material you extracted to do the  
4 leachate test?

5 A. I'm not following all your numbers, but let me --  
6 let me -- you multiply by 20, whatever the --

7 Q. Okay, well --

8 A. -- and that would be your --

9 Q. -- 3500 times 20 is -- 3500 times 20 is 70,000 --

10 A. Okay.

11 Q. -- is it not?

12 A. And that's a crude estimate of the concentration  
13 in the solids.

14 Q. Yeah. And are you aware that the actual number  
15 that Dr. Stephens derived that he said would not be  
16 transportable to groundwater and create an exceedence of  
17 standards in that groundwater was actually 24,000 and some?

18 A. I didn't get a chance to hear --

19 Q. Okay --

20 A. -- his testimony.

21 Q. -- that's fine.

22 Now when you talk about the 3103 constituents you  
23 say over here on page 13 of your materials, Groundwater is  
24 unlikely to be a concern given dilution and attenuation  
25 processes, and you have DAF greater than 100. Why do you

1 use DAF greater than 100?

2 A. The -- Can you get that slide up? The -- Again,  
3 that's based on Dan Stephens, and they're estimating that  
4 the DAF from their model would be equivalent to a DAF  
5 greater than 100 in New Mexico.

6 Q. We're talking about a pit that's somewhere in the  
7 range of 100 by 100, are we not?

8 A. Yes.

9 Q. And are you aware that the EPA chart indicates  
10 for a 100-by-100-foot pit that you would have a DAF of 22?

11 A. Well, DAF depends upon the soil type and things  
12 like that, the dilutiation, attenuation factor. It's not  
13 necessarily based upon the size of the pit, per se,  
14 although there's guidance for pits of different sizes. You  
15 make assumptions with regard to what appropriate DAF would  
16 be.

17 Q. Well, the size certainly makes a difference,  
18 doesn't it?

19 A. The mass, total mass of the toxicant in that  
20 makes a difference.

21 Q. Right, and given the concentration, then the mass  
22 of the toxicant will be dependent on the size of the waste  
23 value?

24 A. Correct. That's the reason why I was saying that  
25 I'm not sure that it's such a great idea to take all your

1 small pits' contents and put them into a big pit.

2 Q. Well, since you've gone to that -- since you've  
3 gone on to that, let me ask some questions about that.

4 Do you know how many landfills there are in --  
5 how many oil and gas landfills there are in southeast New  
6 Mexico at the present time?

7 A. No.

8 Q. Would you believe there are four?

9 A. You're talking about OCD-approved land- --

10 Q. Yes.

11 A. That I know, it's four.

12 Q. And of course if this rule is passed, there are  
13 likely to be some more, are there not?

14 A. I would assume so.

15 Q. The market system is still operating. But  
16 there's going to be a huge difference between the number of  
17 landfills there are going to be and the number of pits  
18 there are going to be, probably?

19 A. Why is that? Volume is the same.

20 Q. One pit per well.

21 A. Volume -- volume is going to be the same, total  
22 volume.

23 Q. You're suggesting that people are going to go out  
24 and build landfills equal to -- one landfill for each well?

25 A. Maybe I didn't understand your comment.

1           Q.   Well, my suggestion is that when you haul -- when  
2 you require that waste be dug and hauled, that it's going  
3 to be to the advantage of -- to permitted facilities, that  
4 it's going to be to the advantage of industry to -- or  
5 whoever does it, to establish centralized locations so that  
6 they can keep hauling the waste to the same place.

7           A.   I don't recall saying that.

8           Q.   No, I didn't say you said that, I'm suggesting  
9 that -- I'm asking you if that's not a reasonable  
10 assumption.

11          A.   I have no idea.

12          Q.   Okay. Well, then let me -- if you're not willing  
13 to concede that, then let me ask you to assume, for the  
14 purposes of applying the concepts that you're going to --  
15 that you're talking about, that the order of magnitude and  
16 the number of landfills we will have is more in the range  
17 of four than it is in the range of 10,000, or however many  
18 pits we have -- we have had in New Mexico with all the  
19 drilling activity we've had.

20               Will it be -- not be a lot easier for this agency  
21 or its successors to monitor what is going on with those  
22 landfills than it will be to monitor what's going on with  
23 10,000 pits?

24          A.   It could be. The concern I have is strictly from  
25 the -- is not from the enforcement side, per se, but rather

1 it has to do with risk. And what I'm really saying is that  
2 if I've got 1000 on-site closures of one unit of waste  
3 each, the potential impact to groundwater is very different  
4 from those spread out over a large area than it would be,  
5 having the 1000 units of waste put into a single pit.

6 Q. Well, if it's in a single pit, you're going to  
7 have more waste -- more impact than you will have at any  
8 one location from the dispersed pit, right?

9 A. That's correct.

10 Q. But if there are dispersed pits, to use Dr.  
11 Neeper's expression, almost everywhere, is there not going  
12 to be a probability of a very considerable cumulative  
13 impact on an aquifer?

14 A. Well, the constituent that I'm most concerned  
15 about is salt --

16 Q. Right.

17 A. -- and now it's a matter of -- a question of  
18 regional geology and the groundwater and so on, I think.  
19 You know, like I said, 1000 units of salt released when the  
20 membranes fail from a large pit gives me more concern than  
21 it does from small pits that are failing. And I -- that's  
22 just a conceptual idea that I have.

23 Q. Well, if you get that 1000 units of salt from  
24 dispersed pits into the aquifer, is it not likely to be  
25 pretty difficult for somebody who gets concerned about the

1 increased salinity of the aquifer to figure out exactly  
2 where it's all coming from?

3 A. Shouldn't be. Shouldn't be. I mean, we deal  
4 with this with toxic chemicals all the time. We look at  
5 the plume and look at the potential sources.

6 Q. But if it's coming from many, many different  
7 sources in small quantities, isn't that going to be harder  
8 to identify?

9 A. Shouldn't be. We know the direction of  
10 groundwater flows, so we know the approximate location of  
11 that source. We can certainly take electrical conductivity  
12 or some measure like that and trace it right back and look  
13 at the boundaries of that plume.

14 Q. Or of those plumes?

15 A. Or of those plumes.

16 Q. If you've got 2000 of them.

17 A. Right. But I can assure you that dealing with  
18 the load of 1000 units of salt, it is an order of magnitude  
19 more difficult than small little impacts.

20 Q. You're familiar with the fact that there are  
21 monitoring requirements at landfills, are you not?

22 A. Yeah.

23 Q. And the industry's proposal does not recommend  
24 any monitoring requirements for these individual thousands  
25 of pits, correct?



1           A.     That's my recollection, but I don't know the  
2 details.

3           MR. BROOKS:   Okay.   I actually believe that's all  
4 the questions I have.

5           CHAIRMAN FESMIRE:   Dr. Neeper, you indicated you  
6 might have some questions?

7           DR. NEEPER:   Yes, I have some questions.

8           CHAIRMAN FESMIRE:   How long do you think it'll  
9 take?

10          DR. NEEPER:   I would guess 25 minutes at the  
11 most.

12          CHAIRMAN FESMIRE:   Okay.   Is Dr. Thomas available  
13 Thursday?

14          MR. HISER:   Dr. Thomas, what's your availability  
15 later this week?

16          THE WITNESS:   Thursday I had a meeting, but I  
17 think I can change it around.

18          CHAIRMAN FESMIRE:   So if we don't finish today,  
19 remembering that we're going to quit a little early  
20 today --

21          MR. HISER:   Are you -- is Friday --

22          THE WITNESS:   Friday is --

23          MR. HISER:   -- as well --

24          THE WITNESS:   -- is actually the best day for me.

25          CHAIRMAN FESMIRE:   Okay.   Why don't we go ahead

1 and take a 10-minute break. When we come back, Dr. Neeper  
2 will do his cross-examination then.

3 (Thereupon, a recess was taken at 3:03 p.m.)

4 (The following proceedings had at 3:18 p.m.)

5 CHAIRMAN FESMIRE: Let's go back on the record.

6 Again, the record should reflect that this is the  
7 continuation of Case Number 14,015, all three Commissioners  
8 are present.

9 I believe, Dr. Neeper, you were going to cross-  
10 examination -- -examine Dr. Thomas.

11 DR. NEEPER: Thank you, yes.

12 CROSS-EXAMINATION

13 BY DR. NEEPER:

14 Q. Good afternoon, Dr. Thomas.

15 A. Good afternoon.

16 Q. We have been acquainted, we know each other, but  
17 for purposes of the record again I'll introduce myself.  
18 I'm Don Neeper, I'm authorized to speak on behalf of New  
19 Mexico Citizens for Clean Air and Water.

20 One thrust of your testimony seems to be that on-  
21 site burial should not be prohibited unless there's a risk  
22 to groundwater or a toxic risk to persons. Is that a fair  
23 assessment?

24 A. Yes, it is.

25 Q. And that potentially the Commission, in

1 considering a broader form of regulation or a more blanket  
2 form of regulation, might in fact be making more of a value  
3 judgment; is that also a fair assessment of your --

4 A. That's correct.

5 Q. If we look at that in a broad and societal sense,  
6 then, would we also say other industries ought to be  
7 allowed to bury their wastes on site wherever they are?  
8 Should that apply broadly?

9 A. I believe so --

10 Q. And that's a --

11 A. -- if the situation and the constituents of  
12 concern are such that is an appropriate strategy.

13 Q. In that case, then, the assessment of risk would  
14 really become quite site-specific, one would have many  
15 sites, and I believe you have said the sites are different,  
16 sites will be very different in their response to  
17 contamination or their distribution, how they would cause a  
18 risk; is that --

19 A. They can be. Certainly we've seen data that says  
20 that many of the things we're finding in the southeast are  
21 not the same that we find in the northwest.

22 Q. So -- but in terms of a given burial or a given  
23 disposal, then, does that imply that our evaluation and our  
24 compliance should be done on a site-by-site basis? Can we  
25 not have broad regulation?

1           A.   Well, there are two answers to that. One is, I  
2 think that you can make strategic decisions with regard to  
3 areas that are so similar that they deserve to be lumped  
4 together and make judgments that way.

5           There's still a basis for concern that there are  
6 site-specific things that make the site more at risk or  
7 less at risk, and I think OCD has already proposed that  
8 there be an entire plan with geology and engineering and  
9 everything submitted before the permit is even granted. So  
10 to a large extent that's already done.

11          Q.   Some of the discussion has been around the  
12 question of distributed disposal versus centralized or  
13 common disposal. Is there any over-arching risk analysis,  
14 any broad risk analysis, perhaps, that looks at how a  
15 society or regulatory group handles the situation of  
16 multiple small risk -- releases, versus a single large  
17 release? Do we have any broad studies to guide us on that?

18          A.   There are studies, you know, certainly in the  
19 literature that talk about the different tactical  
20 approaches to the problem. I don't know of any off the top  
21 of my head, but certainly I have seen a number of studies  
22 like that.

23               I'm not sure I answered your question, however.

24          Q.   Well, I would -- in follow-on I'd say, is there  
25 an answer that comes out of that, that can guide us, that

1 says yes, centralized things can be managed better, or no,  
2 it is better to handle little things one at a time, and we  
3 find that through --

4 A. Yeah, it really depends on the nature of the  
5 issue. You know, in some cases, a distributed sort of  
6 disposal pattern is beneficial, and I think that's the case  
7 here where we -- where I'm concerned about the bulk of  
8 sodium chloride that may be released to the groundwater.

9 In other cases, the centralized thing certainly  
10 has some advantages and could be appropriate.

11 Q. In your testimony I understood that you regarded  
12 landfills as having liners, individual pits as having  
13 liners, and that a leak in one would be somewhat like a  
14 leak in the other. That is, if a liner in a pit failed, a  
15 liner in a landfill could also fail. Is this in line with  
16 your thrust?

17 A. That's correct, yeah. I'm suspicious that liners  
18 will fail in time.

19 Q. Would you recommend, then, that site-burial units  
20 have the same liner requirements as big landfills?

21 A. Again, it really depends on the engineers and the  
22 feeling of what will happen with that mass of contaminant.

23 Q. So there isn't a general guidance on that?

24 A. No. If you're going to permit individual sites  
25 already, then that could be taken care of at that very same

1 time.

2 Q. Is there perhaps an assumption that hasn't been  
3 mentioned, and that is that with a centralized disposal  
4 facility there would never again be a site disturbance that  
5 with individual sites, the landscape, one cannot in any  
6 social way protect against future disturbances?

7 A. Well, you could make that argument. I think that  
8 there are legal ways and remedies around that problem.

9 In Texas we certainly have notification of  
10 landowners, we have property records that are identified  
11 during title searches and things like that, that this in  
12 fact is a site and that it has limited -- it was closed  
13 with certain assumptions.

14 Q. Okay.

15 A. So the person who's now changing the use or  
16 intended use or expected use of a property now bears  
17 responsibility of making sure that whatever was buried  
18 there in the past doesn't pose significant risk to -- for  
19 that new use, you know.

20 So I think that there are ways to make sure that  
21 the right things happen.

22 Q. So you would recommend, then, that a pit on a  
23 site, if it contains buried contaminants, should have a tag  
24 in the property title? I don't have the right legal term  
25 for that, but it's a piece of the title.

1           A.    It's possible.  I mean, again it depends on the  
2   nature of the contaminants and what's left and so on, as to  
3   what degree we need to have if we go to that type of  
4   program.

5           Q.    Okay.  You had suggested that TPH was an  
6   inappropriate measure of contamination for petroleum items  
7   and that the rule should be based on individual  
8   hydrocarbons.  Do I understand that correctly?

9           A.    Actually, those are two separate points.  The  
10   TPH, as it's being proposed in the rule, I think is an  
11   inappropriate way of measuring.

12                  My preference is to look at the individual  
13   constituents with regard to the health concerns that they  
14   raise, and for that purpose I would say that BTEX and PAHs  
15   are more appropriate measures than TPH.

16           Q.    Would the operator in the -- your ideal situation  
17   be required to do individual tests, or would all the  
18   answers that he would need come through one or two single  
19   broad tests?

20           A.    Well, the BTEX can be done by an EPA method, or  
21   it can be done as part of what we call volatile organic  
22   compounds.  The PAHs are part of the semi-volatile organic  
23   compounds and could be done with that type of a test, or  
24   there are also EPA-specific methods for groups of  
25   polycyclic aromatic hydrocarbons.

1           So I guess the answer to your question is that  
2 there are tests available so that you don't have to run a  
3 unique test for each polycyclic aromatic hydrocarbon, nor  
4 unique tests for benzene, unique tests for toluene and so  
5 on.

6           Q.    But you do, then, with a test get back a  
7 quantitative number for each polycyclic; is that right?

8           A.    Yes.

9           Q.    And so the regulatory agency, then, should  
10 establish a number for each polycyclic?

11          A.    It could.

12          Q.    I recognize it could, but it's a laborious  
13 process --

14          A.    Yeah --

15          Q.    -- but that is your recommendation?

16          A.    -- yeah, the EPA does that. They have what they  
17 call a toxicity equivalent, and they will express  
18 everything as -- relative to the potency of benzoate  
19 pyrine, for example --

20          Q.    Yes.

21          A.    -- and so you get -- you're able to sum this  
22 compound, which is one-tenth of the potency, and then just  
23 multiply the concentration by .1 and get the -- a TEQ.

24          Q.    But you have a number for each --

25          A.    You do.



1 Q. -- individual hydrocarbon?

2 A. You have a potency number for each.

3 Q. The current statement of the rule, if I  
4 understand it correctly, would allow the operator to leave  
5 about 2500 milligrams per kilogram TPH, whatever that may  
6 mean, in the soil because that's the limit that would be  
7 allowed --

8 A. Yes.

9 Q. -- right? That's about a quarter of a percent  
10 petroleum material?

11 A. Yes.

12 Q. Under your ideal system, then, the operator would  
13 not be limited in the quantity of heavy hydrocarbons that  
14 he could leave, including should there be any asphaltines  
15 and the like?

16 A. The -- again, the answer really depends upon the  
17 objective the OCD is concerned about. The -- you know, the  
18 asphaltines we put on roads all over the state, and --

19 Q. They're not toxic?

20 A. And they're not toxic. And so, you know, now the  
21 question is, do you want to control for staining of soil or  
22 something like that? And that may be a legitimate  
23 rationale for controlling that.

24 Q. Is that a legitimate rationale? That's -- in the  
25 sense --

1           A.    It could very well could be.  I mean, there are  
2 people who object to having stained soil --

3           Q.    Yes, it's --

4           A.    -- and so that may be --

5           Q.    -- it's neither toxic, nor is it a threat to  
6 groundwater?

7           A.    That's correct.

8           Q.    So you then would allow, at least in that case,  
9 regulation of a substance that is neither toxic nor a  
10 threat to groundwater?

11          A.    I would allow that.  But again, it really depends  
12 upon the objective.  What is the concern?  And stained soil  
13 may justify all the transport and associated alternative  
14 risks as well.

15          Q.    You suggested that the concern with salt is the  
16 potential impact on groundwater -- I thought I heard you  
17 say the potential impact on groundwater only.

18          A.    No, no --

19          Q.    Subsequently, I believe you said there is also a  
20 concern with living things that is just due to the sodium  
21 component; is that correct?

22          A.    Primarily the sodium component, correct.

23          Q.    Have you ever heard of the plant disease called  
24 chlorosis?

25          A.    I have.

1 Q. Is that due to sodium or to chloride?

2 A. No, that's due to chloride, but it's a -- in the  
3 grand scheme of things, the thing that I'm more concerned  
4 about is sodium.

5 Q. Would the equivalent to the threat or the problem  
6 with sodium in terms of biota be also essentially the same  
7 thing as what we would measure as the osmotic pressure or  
8 osmotic capability?

9 A. Yes.

10 Q. So the two are in essence two halves of the same  
11 thing? The restriction of sodium -- restriction of water  
12 molecules by sodium or their reduction in pressures by what  
13 we call osmotic pressure, you would call --

14 A. You can say that they're the same thing.

15 Q. So in places in my testimony where I've used the  
16 term osmotic pressure, you would find that to be equally  
17 well expressed in terms of your statements of effects of  
18 sodium?

19 A. Yes, and a shell of water surrounding the sodium  
20 atom.

21 Q. Right, thank you. That means we are not arguing.

22 A. No, no. I reviewed your testimony, and I agree  
23 with you.

24 Q. Okay. Per unit chloride, the, is calcium  
25 chloride much less harmless, or how much less harmful than

1 sodium chloride?

2 A. Well, calcium chloride -- calcium doesn't form  
3 the shell of water that sodium does, and therefore it's  
4 less of a concern with regard to autotoxicity. Calcium  
5 chloride, as I recall, is added to Dasani water as part of  
6 the taste things. So in the grand scheme of things it's of  
7 less concern to me than sodium chloride.

8 Q. Yes. It's less of a concern, but do we have any  
9 relative measure in some sense, like it's half as harmful  
10 or a quarter as harmful or a tenth as harmful?

11 A. Just off the top of my head I'd say probably  
12 something on the order of half.

13 Q. You've suggested testing for sodium as an  
14 indicator of release, rather than testing for chloride,  
15 which the rule --

16 A. Yes.

17 Q. -- currently specifies.

18 Are you aware of the simple test kit for chloride  
19 that's supplied by Kerry Sublette of the Integrated  
20 Petroleum Environmental Consortium?

21 A. I've heard about it.

22 Q. This is a very simple test kit, I would state, if  
23 you agree. And with this kit as an example, wouldn't it be  
24 much cheaper and easier for an operator to scan his own pit  
25 or his own area for chloride than to scan for sodium?

1 A. Yes.

2 Q. So testing for chloride, then, would be much  
3 easier and cheaper for the operator, simply as a means of  
4 testing whether there's been a release or a leak of some  
5 kind?

6 A. Yes, should be.

7 Q. Are you aware of OCD sampling data that shows  
8 some pits have very high sodium relative to the chloride,  
9 that is, more sodium in a numerical count than chloride?

10 A. I'm not sure that I'm familiar with the specific  
11 data, but I can believe that.

12 Q. All right, if -- then let us hypothesize there  
13 were such data. Would these additives -- would these  
14 things potentially come about as a result of adding sodium  
15 carbonate or sodium hydroxide to the drilling fluid?

16 A. Could be. Also there's natural carbon dioxide  
17 coming from the atmosphere and so on, so I wouldn't be  
18 surprised to see, you know, those anions also present in  
19 the sample.

20 Q. Present, but probably not in the quantity of  
21 100,000 parts per million?

22 A. Yeah -- well, it depends -- it depends -- you  
23 know, there are -- barium carbonate, you know, for example,  
24 is not very soluble in water. So even though you've got  
25 the carbonate there, in fact, generally it is not in

1 solution, and therefore is not really a major contributor  
2 to the sodium carbonate or whatever.

3 Q. But if you have twice as much sodium in a sample  
4 than chloride, on a numerical, atom-by-atom count --

5 A. Then you're assuming that there are other anions  
6 that are binding with the --

7 Q. -- then you're assuming --

8 A. -- sodium.

9 Q. -- there are other anions. Would these additives  
10 that might have caused that -- and we're assuming very high  
11 concentrations here -- cause a high pH?

12 A. Could.

13 Q. Are you aware that measured pH's may be the range  
14 of 9 to 11 in pits?

15 A. I've seen data like that.

16 Q. Would this be toxic to subsurface biota? In  
17 other words, as we look forward into the future, would  
18 there ever be a problem from just the pH of the material  
19 that one buried?

20 A. It's possible. Every plant has its own  
21 preference with regard to pH and other nutrient-type  
22 conditions. So I mean, in concept, yes. It depends on the  
23 plant.

24 Q. Did you consider pH in your risk assessments?

25 A. We did in a very general term. There really

1 aren't good guidelines for autotoxicity or exceeding the  
2 tolerance levels of different types of plants, not that I'm  
3 familiar with anyway.

4 We normally look at pH as a concern with regard  
5 to eye and skin irritation, and so, you know, we have to  
6 exceed -- well exceed 9, in order to start to see those  
7 kinds of effects in animals and people.

8 Also concern about GI irritation, and of course  
9 the stomach is an acidic environment, so these alkaline-  
10 type pH's that you're talking about are neutralized pretty  
11 quickly in the stomach. You know, we consider it, but not  
12 in terms of autotoxicity.

13 Q. Would it also affect other subsurface biota,  
14 worms, invertebrates, whatever it takes to make a healthy  
15 ecosystem?

16 A. It's possible.

17 Q. You had discussed in your testimony the SPLP  
18 leachable standard of 3500 milligrams per liter chloride  
19 and said you thought that was protective.

20 A. Yeah, based on what I've seen in Dan Stephens'  
21 report.

22 Q. The previous questioner touched on this, so I'm  
23 going to phrase the question in a different way.

24 Can you say how much salt that represents back in  
25 the original soil? Suppose you measured it in terms of, as

1 it's often stated, milligrams per kilogram of dry soil or  
2 percent by weight.

3 A. Yeah, I tried to evaluate that, and not  
4 necessarily with that particular concentration, but tried  
5 to evaluate the different types of salts that would likely  
6 be formed and based on that data that the industry group  
7 had collected.

8 I'm not sure I can do it in my head, but it's --  
9 so you may have --

10 Q. It's simple arithmetic, but I agree, it's not  
11 what one wants to do in one's head.

12 Would it at all sound reasonable to you if I  
13 suggested that might be more than 10-percent salt by mass,  
14 by weight?

15 A. That could be. Could be. Is that assuming that  
16 all sodium is bound as sodium chloride?

17 Q. That would be assuming that all sodium is bound  
18 as sodium chloride.

19 A. And OCD has data that says that's not true, as  
20 does the industry. I think that when I looked at the  
21 sodium chloride portion of the salts, I think that I came  
22 up with a percent of 65 percent, something like that, with  
23 sodium chloride.

24 Q. You mean when you looked at data from a pit?

25 A. When I took a look at the cation and anion data,



1 the delimited set of cations and anions that were  
2 evaluated, it turned out to be, I think, 65-percent -- I  
3 may be wrong, but that's my recollection anyway, of sodium  
4 chloride. There was sodium carbonate, there was sodium  
5 nitrate, there was some calcium chloride, calcium nitrate  
6 and so on.

7 And just looking at the relative proportions of  
8 the charges, so that they all balanced out, you know, 65  
9 percent is what I recall for sodium chloride.

10 Q. Yes, that is in agreement with an earlier  
11 statement I said, that sometimes the sodium can outweigh  
12 the chloride.

13 A. Okay.

14 Q. It can come from other sources.

15 A. Yeah. Like I say, I don't disagree with you.

16 Q. Would measurement of the sodium, instead of  
17 chloride, be suitable for detecting the presence of a plume  
18 that might carry other contaminants? In other words, if  
19 you had to chase a plume would you do it by chasing  
20 chloride or by chasing sodium?

21 A. You know, when I'm meeting an environmental  
22 program I try to distinguish the plumes separately, because  
23 each chemical has its different properties in terms of  
24 solubility, absorption of organic material in the soil and  
25 so on. So I hesitate to give you just a blanket yes.

1 Okay?

2 But certainly sodium has migration properties  
3 through soil that -- and as part of the groundwater that,  
4 you know, may be a fairly good measure of the extent of  
5 potential contamination, the boundaries of the plume. But  
6 my preference is not that you do it -- use it for that  
7 purpose.

8 Q. Or is it true the sodium may be stopped by  
9 replacing calcium on the soil particles, and so you might  
10 find much less sodium than you would find chloride  
11 somewhere else?

12 A. Yeah, quite true --

13 Q. The chloride --

14 A. -- quite true.

15 Q. -- is it not true, is rarely inhibited as it  
16 passes through the soil?

17 A. Not -- that's absolutely true, which is why I  
18 would favor this as the unique tracer for the plume.

19 Q. In a slide of your testimony and also in your  
20 report, you said that the new VOC emissions as a result of  
21 this rule would be equivalent to twice the currently  
22 permitted stationary sources. That was on page 15 of your  
23 report. Do those stationary sources include all the gas  
24 compressors in the field?

25 A. Yeah, that statement was actually taken, I think,

1 from the report that Mr. Pease reported on today.

2 Q. That and, if I understood you correctly, were  
3 other statements regarding general impacts, roads, CO<sub>2</sub>  
4 emissions and likewise taken from another report?

5 A. Yes.

6 Q. Is it not unusual in technical testimony to cite  
7 numerical data without reference -- and particularly  
8 without reference to published information or traceable  
9 information or something that a person can trace backward  
10 himself?

11 A. Hopefully, yes.

12 Q. Hopefully. So I'm questioning, then, the  
13 appropriateness of propagating those numbers through one  
14 testimony and another without any backup from the witness.

15 A. As -- judging from the testimony this morning, so  
16 am I.

17 But the point I was trying to make is that there  
18 are alternative consequences of any decision, and the  
19 numbers may be too high, they may be too low, but the  
20 consequence is going to be there, it's not zero.

21 DR. NEEPER: Very good. No further questions.

22 CHAIRMAN FESMIRE: Commissioner Bailey?

23 EXAMINATION

24 BY COMMISSIONER BAILEY:

25 Q. Your slide, What was found? - Halogenated

1 Compounds, and then you list --

2 A. Yes.

3 Q. -- these compounds that were used as QC  
4 surrogates --

5 A. Right.

6 Q. I looked through the OCD analysis during lunch,  
7 and I didn't find any of these compounds in the OCD  
8 analysis.

9 A. Yes.

10 Q. Did you look through to make sure that they're  
11 not there also?

12 A. I tend to think that these were done by this  
13 particular laboratory. Okay, I haven't encountered these  
14 before either. That's the reason why we're concerned  
15 about, you know, are they real, where do they come from and  
16 all that sort of thing that eventually led to discussion  
17 with the laboratory.

18 So it may not surprise me to see that OCD's  
19 analytical laboratory didn't use these sorts of QC  
20 compounds.

21 Q. Did you see any compounds in their analyses, the  
22 OCD analyses, that would lead you to believe that they were  
23 just a different type of QC surrogate?

24 A. No, not from the data that I saw.

25 Q. I've been mulling your comments about arsenic,

1 what was found, arsenic.

2 A. Yes.

3 Q. When the Pecos Slope-Abo field was first  
4 discovered, the operator could not sell the gas because of  
5 the arsenic that was entrained in the natural gas.

6 A. Yes.

7 Q. And until they could clean it up at the well site  
8 they couldn't sell it to California, because California  
9 clearly said, We can't have arsenic in our gas.

10 But yet you say that arsenic under natural  
11 conditions does not pose a threat.

12 Can you help me reconcile those two apparently  
13 conflicting ideas?

14 A. Yeah. I don't know the full technical  
15 explanation, but geothermal conditions are several hundred  
16 degrees fahrenheit and high pressure, and in certain  
17 situations like that you can perhaps change the nature of  
18 the molecule, that you get an arsine gas as opposed to an  
19 arsenic vapor, you know, or -- it's not the usual arsenic  
20 sulfate-type -- arsenopyrite-type minerals that I'm talking  
21 about in the drilling process. Okay?

22 Deep down, all kinds of strange things can  
23 happen, and you actually start to get mercury and other  
24 things like that in the gas itself.

25 Q. Okay, so you're saying to change the essentially

1 inert arsenic to one that can be toxic to humans, there --

2 A. Changing it to a form where an inhalation  
3 exposure can generate possible toxicity.

4 Q. Okay. -- would be due to the heat and humidity?

5 A. That would be my guess. And it's strictly that,  
6 a guess. I haven't looked at the formation of inhalable  
7 arsenic gas.

8 Q. But for those pits, for any additional drilling  
9 that may be occurring in that particular field, should any  
10 other precautions be taken, as far as --

11 A. I'd actually have to take a look at the data.  
12 You know, usually these drilling locations are fairly  
13 isolated, which means that the gas will dissipate fairly  
14 quickly.

15 Gases decrease in concentration as the square of  
16 distance, so going two units of distance generates a  
17 fourfold dilution of the gas concentration, so that by the  
18 time it reaches people other than workers, you know, it's  
19 going to be fairly dilute. It depends on the resulting  
20 concentration and the exposure level to the individual.  
21 Okay?

22 Whether there are occupational concerns is, I  
23 think, what you're really asking, because these are the  
24 people who are closest to the emission source, the open  
25 well or the natural gas, you know, so...

1           You know, I don't know a whole lot about that  
2 particular situation, so I'm just kind of standing in the  
3 dark here.

4           Q.    But that type of situation, which is clearly  
5 site-specific, would not warrant any specific testing for  
6 those drilling muds that may have some of this gas  
7 entrained in it for burial on site?

8           A.    My guess is, the gas will be gone. By the time  
9 you bury that waste, it's going to be gone.

10          Q.    Just wanted to make sure.

11                Also, I'm developing a concern that the true  
12 believers may believe that we need to start digging up old  
13 pit sites because of the evolution of chemicals and  
14 additives that have been previously used in drilling muds,  
15 like the arsenic in pipe dope that was used up until about  
16 20 years ago or so.

17          A.    Uh-huh.

18          Q.    I'd like to be able to completely waylay any kind  
19 of thought that may be coming along those lines.

20          A.    Yeah. All I can tell you is that based upon the  
21 data that I've seen -- and it's consistent with the surveys  
22 done by the American Petroleum Institute, surveys done by  
23 the Environmental Protection Agency and so on, I haven't  
24 really seen any constituent that gives me a lot of concern  
25 with regard to drilling muds and completion fluids.

1 I don't know that it would be worthwhile to dig  
2 up these things. I'm hedging, because I don't know all the  
3 constituents that you're talking about and what's  
4 generating the concern.

5 But it seems to me that once again we're  
6 developing how much is there, how are people going to be  
7 exposed, to what extent do we need to mitigate the risk  
8 that that represents?

9 Beyond that, I'm not sure that I can give you any  
10 hard information. Okay?

11 COMMISSIONER BAILEY: That's fine. Thank you  
12 very much.

13 THE WITNESS: Thank you.

14 CHAIRMAN FESMIRE: Since we're going to quit a  
15 little bit early today, I need -- I know that Commissioner  
16 Olson has a lot of questions, I have a significant number,  
17 and then we've got to go back through redirect. I'm  
18 assuming there will be some redirect of Dr. Thomas, so...

19 MR. HISER: Not yet --

20 CHAIRMAN FESMIRE: Okay.

21 MR. HISER: -- but there might be after yours and  
22 Commissioner Olson's questions.

23 CHAIRMAN FESMIRE: Okay. So what we're going to  
24 do, Dr. Thomas, is go ahead and reschedule you for Friday.

25 THE WITNESS: For Friday?



1           CHAIRMAN FESMIRE: And at this time we're going  
2 to ask if there's anyone who would like to make a statement  
3 on the record.

4           Ms. Cowan, I know you want to.

5           Is there anybody else who would like to make a  
6 statement on the record today?

7           Okay. Ms. Cowan, why don't you come forward,  
8 please?

9           Our rules allow you to do one of two things: You  
10 can either make a statement of position or you can be sworn  
11 and testify on the record.

12          MS. COWAN: I think I'd like to testify on the  
13 record.

14          CHAIRMAN FESMIRE: Okay, would you raise your  
15 right hand and be sworn, please?

16          (Thereupon, the witness was sworn.)

17          CHAIRMAN FESMIRE: Ms. Cowan, would you start  
18 with your name, please?

19                       CAREN COWAN,  
20 the witness herein, after having been first duly sworn upon  
21 her oath, testified as follows:

22                       DIRECT TESTIMONY

23 BY MS. COWAN:

24           MS. COWAN: Mr. Chairman, members of the  
25 committee, my name is Caren, C-a-r-e-n, Cowan, C-o-w-a-n.

1 I'm the executive director of the New Mexico Cattle  
2 Growers' Association, and I'd like to thank you for the  
3 opportunity to testify before you today on behalf of the  
4 association.

5 Our association has members in all 33 of New  
6 Mexico's counties, as well as 14 other states, and our  
7 mission is to preserve and protect the beef industry and  
8 the private property rights that are necessary for that  
9 industry to survive.

10 Kind of going back, a little bit of history of  
11 the involvement of the association in these issues. We've  
12 -- back 40 years, the association has been involved in the  
13 impacts of oil and gas and energy exploration on private  
14 lands. In 2003, specifically with the pit rules, one of  
15 our members worked on a pit rule task force or work group,  
16 or whatever the title was at that point, and participated  
17 in the development of the regulations that were put  
18 together at that time.

19 In 2007, I served on the Governor's pit rule task  
20 force along with two others of our members representing the  
21 landowner community.

22 And I'd like to state from the outset that we are  
23 not anti-energy. We certainly understand and appreciate  
24 the need for a secure domestic energy supply and an  
25 economic supply that we can all afford to live on.

1 But we also believe that there has to be equal  
2 protection for land and water and the rights of surface  
3 owners, and find some balance as we approach that. And  
4 that's what we hope to -- you know, what we had hoped to do  
5 on the Governor's task force.

6 I can assure you that none of us were experts on  
7 pit rules. We probably know a lot more now than when we  
8 started, after what was -- I can only call a grueling four  
9 months, with all due respect. But we're certainly not the  
10 experts in the area.

11 And I will tell you that one of our primary  
12 concerns as we watched and worked and participated in rule  
13 development is, I hope the Commission looks with caution on  
14 how compliance and enforcement can be achieved with  
15 regulations. We think that's a key part of what goes on.

16 But with that said, we are extremely supportive  
17 of these regulations, because we do believe that they will  
18 protect our state's water supply, provide some rights for  
19 surface owners in protecting their land, and protecting the  
20 environment as a whole.

21 Water quality is something that we've discussed a  
22 great deal, and actually we asked, as the landowner  
23 representatives on the task force, for more stringent  
24 regulations as -- relating to water. We thought that  
25 additional protections for groundwater up to a depth of 100

1 feet, rather than 50 feet, was more appropriate.

2 We're concerned with the future productivity of  
3 the land and the ability for the soil to be able to sustain  
4 growth once energy development is finished and pits are  
5 closed and that sort of thing. Again, we understand we  
6 have to have energy, but we've got to balance how we  
7 produce that energy with our ability for the land to  
8 survive as we move forward.

9 I was integrally involved with the Surface Owner  
10 Protection Act. It was not a bill that came forward from  
11 the New Mexico Cattle Growers, but when the bill was  
12 introduced and it embodied many of the things that we'd  
13 been saying for 40 years, we had no choice but to get  
14 involved and become -- and work on the bill.

15 To my knowledge, I don't believe pit rules were  
16 ever contemplated as part of that act. We looked at  
17 surface owners' rights and a lot of those other issues, but  
18 I just honestly don't recall that pit rules were ever a  
19 subject or part of the discussion in any of the drafts in  
20 205, 206 or 207 [sic].

21 The Surface Owner Protection Act passed the  
22 Legislature in the House by a vote of 62 to five, with two  
23 votes excused; passed the Senate by a vote of 25 to zero.  
24 So there was certainly Legislative intent for there to be  
25 some protection for the rights of surface owners, as

1 related to energy exploration.

2 While I haven't had the ability to sit through  
3 this hearing -- and perhaps I'm very fortunate for that --  
4 over the past month --

5 CHAIRMAN FESMIRE: Is there a second?

6 (Laughter)

7 THE WITNESS: -- I have read with great interest  
8 a lot of the media reports that have come across, and I see  
9 some of the same things in the media.

10 As we worked on the Surface Owner Protection Act  
11 we heard a lot from the oil and gas industry about how  
12 those kinds of protections were going to be so costly that  
13 it would destroy the oil and gas industry, you know, that  
14 we'll all have to pull up stakes and leave.

15 And given that the Act was only -- began being  
16 enforced in July, you know, we haven't seen the full run on  
17 that.

18 But I think that there has to be balance, and  
19 economics are important. And we appreciate that the oil  
20 and gas industry contributes what it does to our state's  
21 economy through taxes and budgeting and through employees.  
22 But you have to weigh that with what is the value of our  
23 water supply. Can you put a value on what our water supply  
24 is worth?

25 And if we don't take care and not contaminate it

1 and be sure that we have water for all the generations  
2 ahead of us -- we're not here -- We're only here to borrow  
3 the land, if you will. It's our responsibility to leave it  
4 into the future.

5 So with that again, the New Mexico Cattle Growers  
6 strongly supports these regulations --

7 Oh, one other item.

8 I've heard repeatedly that these regulations  
9 require the oil and gas industry to go strictly to a  
10 closed-loop system. That is not my understanding of what  
11 the regulations say. That may be the case in some specific  
12 instances due to level of groundwater, proximity to wells,  
13 houses, communities, that sort of thing. But I don't read  
14 anywhere in the regulations, nor was that a recommendation  
15 of the task force that we go to a -- totally to a closed-  
16 loop system.

17 So I hope that you will carefully consider these  
18 regulations, I hope you will support them, and we look  
19 forward to working with the oil and gas industry and the  
20 Commission as these regulations move forward.

21 CHAIRMAN FESMIRE: Thank you, Ms. Cowan.

22 THE WITNESS: Thank you.

23 CHAIRMAN FESMIRE: Are there any questions of  
24 this witness from the attorneys?

25 Ms. Foster?

## EXAMINATION

1  
2 BY MS. FOSTER:

3 Q. Yes, Ms. Cowan, you represent -- now when you say  
4 surface owners, is that people that own private lands, or  
5 is that people that are on BLM and state lands as well, in  
6 other words, grazing and --

7 A. All of the above.

8 Q. Okay. And being as intimately involved with SOPA  
9 as I was, you were, SOPA really does require payments from  
10 the oil and gas industry to the surface owner for use of  
11 that land, correct?

12 A. It contemplates compensation. That could be  
13 payments, that could be any number of things. But it does  
14 contemplate compensation, yes.

15 Q. Okay. But the Surface Owners Protection Act does  
16 not give equal protection under the law to a rancher versus  
17 an oil and gas -- or a mineral owner?

18 A. No, that is an issue that --

19 MR. BROOKS: I'll object to that question. First  
20 of all, the word equal protection is a term of law that has  
21 to do with the Constitution, so it's not something that's  
22 involved in the statute.

23 And in the second place I think the question --  
24 if -- is just -- means, does it not treat surface owners  
25 and mineral owners equally, then it's too vague a question

1 to give a proper answer to.

2 CHAIRMAN FESMIRE: I'll sustain the objection.  
3 Would you rephrase your question, please, Ms.  
4 Foster?

5 MS. FOSTER: Well, Mr. Chairman, I'm actually  
6 using Ms. Cowan's own words. She used the words, equal  
7 protection --

8 CHAIRMAN FESMIRE: And you as a lawyer have a  
9 different responsibility on that. Would you please  
10 rephrase the question?

11 MS. FOSTER: Okay. Well then, Mr. Chairman,  
12 might I ask her what she meant by the term equal  
13 protection, then?

14 CHAIRMAN FESMIRE: That would be a valid  
15 question.

16 MS. FOSTER: Okay, thank you, Mr. Chairman.

17 THE WITNESS: I'm not sure that I said equal  
18 protection. I think I said protection and balance.

19 Q. (By Ms. Foster) Okay. Well then, when you say  
20 protection and balance of the mineral owners versus the  
21 surface owners, what do you mean by that?

22 A. At this point -- prior to the Surface Owners  
23 Protection Act, there was no requirement for energy  
24 exploration companies to give notice prior to going onto  
25 private property or to pay any compensation.



1 Q. Okay. And since you were a member of the task  
2 force, I would imagine that you also discussed as part of  
3 the task force the increase in trucking that will need to  
4 be -- that will need to occur with closed-loop systems,  
5 correct?

6 A. I'm not sure that I remember that specifically,  
7 but it would make sense that that was part of the  
8 discussion.

9 Q. Okay. Well, there was testimony -- Were you here  
10 for Mr. Chavez's testimony?

11 A. No.

12 Q. Okay. Well, he testified that for a typical  
13 closed-loop system you have about 100 truckloads on or off  
14 of a rancher's land. Are you aware of that?

15 A. No.

16 MS. FOSTER: I have no further questions.

17 CHAIRMAN FESMIRE: Are there any other questions  
18 from the attorneys?

19 MR. BROOKS: I have one.

20 CHAIRMAN FESMIRE: Mr. Brooks?

21 EXAMINATION

22 BY MR. BROOKS:

23 A. Ms. Cowan, I'm asking this question because Ms.  
24 Foster asked you the question about does not the Surface  
25 Owner Protection Act require payment of compensation in

1 certain circumstances?

2 Does it not also, in addition to that, require  
3 that the mineral operator, quote, substantially restore,  
4 unquote, the surface?

5 A. Yes, sir.

6 MR. BROOKS: Thank you.

7 CHAIRMAN FESMIRE: Commissioner Bailey?

8 EXAMINATION

9 BY COMMISSIONER BAILEY:

10 Q. Would you and the Cattle Growers support  
11 stricter, more clear language for surface restoration and  
12 re-vegetation than what is currently proposed in the rule?

13 A. We -- that was a negotiated compromise, I  
14 believe, as part of the task force, and some of that  
15 language came directly out of the Surface Owner Protection  
16 Act, which again was a negotiated compromise, so we will  
17 stand with what we agreed to.

18 Q. Would you object to stricter or more --

19 A. We probably wouldn't object. But as I said, a  
20 deal is a deal, and we'll -- and we made a deal.

21 (Laughter)

22 Q. But I wasn't a part of it.

23 A. Yes, ma'am.

24 COMMISSIONER BAILEY: That's all.

25 CHAIRMAN FESMIRE: Thank you, Commissioner.

1 Now Ms. Cowan -- Oh, I'm sorry, Commissioner  
2 Olson?

3 EXAMINATION

4 BY COMMISSIONER OLSON:

5 Q. Ms. Cowan, you mentioned that the Cattle Growers  
6 wanted 100 depth-to-groundwater criteria. I'm assuming  
7 that's the siting criteria for burial of waste; is that --

8 A. It had to do with pits all the way around, not  
9 only siting criteria for waste, but in terms of where  
10 specific liners would go and that sort of thing. And I  
11 honestly probably -- the follow up to that is going to be,  
12 What size liner did we want? And I don't remember.

13 Q. So -- but -- no, I was just thinking, now, was it  
14 your -- your criteria, then, you were thinking it should  
15 apply -- it should be closed-loop systems under 100 foot to  
16 groundwater, or -- ?

17 A. Correct.

18 Q. And then there shouldn't be -- I guess  
19 conversely, there shouldn't be burial of wastes within 100  
20 feet of water?

21 A. Correct.

22 Q. And then was that, I guess, just a compromise,  
23 then, looking at the 50-foot criteria? Did the Cattle  
24 Growers agree to that?

25 A. When all was said and done with the pit rule task

1 force, that seemed to be the best we could do, so...

2 But we were -- you know, part of the discussion  
3 was that we thought it should be at 100 feet. But that was  
4 not something that the task force reached any kind of  
5 consensus or agreement on.

6 Q. But you then agree to the consensus of 50 feet --

7 A. Right.

8 Q. -- on this?

9 And just a question, then. You're talking about  
10 a long history of involvement with the oilfield industry.  
11 How do you know today where old drilling pits are buried?

12 A. We don't, often don't, and that's some of the  
13 concern.

14 Q. And have ranchers, landowners, I guess, that --  
15 your members, have they encountered drilling pits, whether  
16 they're digging a hole or doing different things out on  
17 the --

18 A. I can't think of a specific instance that I could  
19 point to, but I -- you know, my gut tells me that that's  
20 the case, simply because of the amount of drilling that's  
21 gone on in the two corners of the state. But I couldn't  
22 give you a specific instance.

23 Q. But there's no way to tell where a drilling pit  
24 is --

25 A. No --

1 Q. -- today?

2 A. No, sir. Other than if there's an area where  
3 there may not -- the vegetation may not have come back.

4 Q. Do you think there should be some way to mark  
5 those or somehow designate the location of those --

6 A. Yes, sir.

7 Q. -- so people don't disturb them?

8 A. Right.

9 COMMISSIONER OLSON: Okay, that's all I have.

10 EXAMINATION

11 BY CHAIRMAN FESMIRE:

12 Q. Ms. Cowan, you served on the task force. Do you  
13 remember when the task force met?

14 A. We started in April, and we participated through  
15 August. In August I believe we had mostly conference  
16 calls, but we met several days a month in April, May and  
17 June.

18 Q. Okay. And that's of this year?

19 A. Yes, sir.

20 Q. And do you remember when the question was asked,  
21 what is in the pits?

22 A. That was asked several times. You know, that was  
23 a question that was asked on numerous occasions.

24 Q. And how was that question answered?

25 A. We didn't get necessarily when it was first

1 asked, solid answers, but industry and OCD did testing and  
2 came back with some answers. But I don't know that we ever  
3 got a full answer. And my recollection is that it varies  
4 from pit to pit, so that that would be a very hard question  
5 to answer for any specific pit without the operator being  
6 there to tell you what was there.

7 Q. And it was your impression from the statements  
8 made by both industry and the OCD that they hadn't done the  
9 sampling at that point in time; is that correct?

10 A. There was sampling going on -- went on during the  
11 task force, but there was -- and there was some historical  
12 information that Dr. Neeper had. And industry -- OXY came  
13 up with some data, and I honestly can't tell you the time  
14 frame on the data, but I know there was testing by both OCD  
15 and industry as we went along.

16 Q. During the --

17 A. -- task force.

18 Q. -- the summer?

19 A. Yes.

20 Q. And there hadn't been any before that, wasn't  
21 that the representation?

22 A. I honestly don't remember, sir.

23 CHAIRMAN FESMIRE: Okay. I have no further  
24 questions.

25 Is there anything else from the attorneys on that

1 subject?

2 MR. BROOKS: No, sir.

3 CHAIRMAN FESMIRE: Okay. Ms. Cowan, thank you  
4 very much.

5 THE WITNESS: Thank you for taking the time.

6 CHAIRMAN FESMIRE: With that, we will prepare to  
7 adjourn. If the attorneys would stay back just a few  
8 minutes, we'll finalize some scheduling issues.

9 Otherwise, we will adjourn until Thursday morning  
10 at nine o'clock in this room.

11 Thank you all.

12 (Thereupon, evening recess was taken at 4:03  
13 p.m.)

14 \* \* \*

15

16

17

18

19

20

21

22

23

24

25


## CERTIFICATE OF REPORTER

STATE OF NEW MEXICO    )  
                              )   ss.  
COUNTY OF SANTA FE    )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Commission was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL February 4th, 2008.

  
STEVEN T. BRENNER  
CCR No. 7

My commission expires: October 16th, 2010