

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION COMMISSION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION COMMISSION FOR THE)
PURPOSE OF CONSIDERING:)

APPLICATION OF THE NEW MEXICO OIL)
CONSERVATION DIVISION FOR REPEAL OF)
EXISTING RULE 50 CONCERNING PITS AND)
BELOW GRADE TANKS AND ADOPTION OF A)
NEW RULE GOVERNING PITS, BELOW GRADE)
TANKS, CLOSED LOOP SYSTEMS AND OTHER)
ALTERNATIVE METHODS TO THE FOREGOING,)
AND AMENDING OTHER RULES TO MAKE)
CONFORMING CHANGES; STATEWIDE)

CASE NO. 14,015

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

COMMISSION HEARING

BEFORE: MARK E. FESMIRE, CHAIRMAN
JAMI BAILEY, COMMISSIONER
WILLIAM OLSON, COMMISSIONER

2008 FEB 21 PM 3 55

RECEIVED

Volume XVII - December 7th, 2007

Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Commission, MARK E. FESMIRE, Chairman, on Friday, December 7th, 2007, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

STEVEN T. BRENNER, CCR
(505) 989-9317

C U M U L A T I V E I N D E X

Monday, October 22nd, 2007 (Volume I)
 Commission Hearing
 CASE NO. 14,015

PAGE

OPENING STATEMENTS:

By Mr. Brooks	13
By Mr. Jantz	27
By Ms. Belin	30

* * *

Monday, November 5th, 2007 (Volume II)
 Commission Hearing
 CASE NO. 14,015

EXHIBITS	42
----------	----

APPEARANCES	43
-------------	----

DIVISION WITNESSES:

<u>GLENN VON GONTEN</u> (Senior Hydrologist, Environmental Bureau, NMOCD) Direct Examination by Mr. Brooks	54
--	----

<u>WAYNE PRICE</u> (Environmental Bureau Chief, NMOCD) Direct Examination by Mr. Brooks	58
--	----

PUBLIC COMMENTS:

<u>HON. PAUL BANDY</u> (New Mexico State Legislature, District 3: Aztec, Bloomfield, Blanco) Direct Testimony	111
---	-----

<u>HON. JAMES STRICKLER</u> (New Mexico State Legislature, District 2: Farmington and rural San Juan County) Direct Testimony	118
Examination by Commissioner Bailey	124

(Continued...)

PUBLIC COMMENTS (Continued):

<u>HON. CANDY SPENCE EZZELL</u> (New Mexico State Legislature, District 58, southern Chaves County)	
Direct Testimony	126
Examination by Chairman Fesmire	129
<u>HON. DAN FOLEY</u> (Republican Whip, New Mexico House of Representatives)	
Direct Testimony	130
<u>DANA MCGARRH</u> (small business owner, Farmington, New Mexico)	
Unsworn Position Statement	145
<u>MIKE EISENFELD</u> (San Juan Citizens Alliance)	
Direct Testimony	150
Cross-Examination by Ms. Foster	152
<u>DEENA ARCHULETA</u> (Wilderness Society)	
Unsworn Position Statement	157
<u>JOHNNY MICOU</u> (Drilling Santa Fe)	
Unsworn Position Statement	160
<u>OSCAR SIMPSON</u> (New Mexico Wildlife Federation, National Wildlife Federation)	
Unsworn Position Statement	162

DIVISION WITNESSES (Resumed):

<u>WAYNE PRICE</u> (Environmental Bureau Chief, NMOCD)	
Direct Examination (Resumed) by Mr. Brooks	165
<u>GLENN VON GONTEN</u> (Senior Hydrologist, Environmental Bureau, NMOCD)	
Direct Examination (Resumed) by Mr. Brooks	176
<u>WAYNE PRICE</u> (Environmental Bureau Chief, NMOCD)	
Direct Examination (Resumed) by Mr. Brooks	204
<u>WAYNE PRICE</u> (Environmental Bureau Chief, NMOCD) and <u>GLENN VON GONTEN</u> (Senior Hydrologist, Environmental Bureau, NMOCD) (Resumed)	
Cross-Examination by Mr. Carr	207
Cross-Examination by Mr. Hiser	227
Cross-Examination by Ms. Foster	248

(Continued...)

PUBLIC COMMENTS:

<u>BILL HAWKINS</u> (BP America Production Company) Unsworn Position Statement	288
---	-----

REPORTER'S CERTIFICATE	290
------------------------	-----

* * *

Tuesday, November 6th, 2007 (Volume III)
Commission Hearing
CASE NO. 14,015

EXHIBITS	296
----------	-----

APPEARANCES	297
-------------	-----

MOTIONS:

To compel (by IPANM)	302
----------------------	-----

For alternative dispute resolution (by IPANM)	309
---	-----

To strike IPANM's prehearing statement, witnesses and exhibits (by OCD)	312
--	-----

DIVISION WITNESSES (Continued):

WAYNE PRICE (Environmental Bureau Chief, NMOCD) and
GLENN VON GONTEN (Senior Hydrologist, Environmental
Bureau, NMOCD) (Resumed)

Examination by Ms. Belin	321
Examination by Mr. Jantz	324
Examination by Commissioner Bailey	328
Examination by Commissioner Olson	346
Examination by Chairman Fesmire	356
Further Examination by Commissioner Bailey	362
Further Examination by Chairman Fesmire	363
Further Examination by Commissioner Olson	363
Redirect Examination by Mr. Brooks	365
Recross Examination by Mr. Hiser	370

(Continued...)

DIVISION WITNESSES (Continued):

WAYNE PRICE (Environmental Bureau Chief, NMOCD)
(Resumed)

Direct Examination by Mr. Brooks	373
Cross-Examination by Ms. Foster	400
Cross-Examination by Mr. Hiser	404
Examination by Ms. Belin	416
Examination by Commissioner Bailey	417
Examination by Commissioner Olson	419
Examination by Chairman Fesmire	419

GLENN VON GONTEN (Senior Hydrologist,
Environmental Bureau, NMOCD) (Resumed)

Direct Examination by Mr. Brooks	421
Voir Dire Examination by Ms. Foster	425
Direct Examination (Resumed) by Mr. Brooks	427
Cross-Examination by Mr. Carr	527

REPORTER'S CERTIFICATE	538
------------------------	-----

* * *

Wednesday, November 7th, 2007 (Volume IV)
Commission Hearing
CASE NO. 14,015

EXHIBITS	546
----------	-----

APPEARANCES	548
-------------	-----

DIVISION WITNESSES (Continued):

GLENN VON GONTEN (Senior Hydrologist,
Environmental Bureau, NMOCD) (Resumed)

Cross-Examination by Ms. Foster	568
Cross-Examination by Mr. Hiser	625
Examination by Mr. Frederick	653
Examination by Commissioner Bailey	656
Examination by Commissioner Olson	663

(Continued...)

DIVISION WITNESSES (Continued):

EDWARD J. HANSEN (Hydrologist,
Environmental Bureau, NMOCD)
Direct Examination by Mr. Brooks 675

GLENN VON GONTEN (Senior Hydrologist,
Environmental Bureau, NMOCD) (Resumed)
Examination by Chairman Fesmire 689
Redirect Examination by Mr. Brooks 700
Examination (Continued) by Chairman Fesmire 706
Further Examination by Mr. Carr 709
Further Examination by Ms. Foster 714
Further Examination by Mr. Hiser 720
Further Examination by Mr. Frederick 721
Further Examination by Commissioner Olson 722

EDWARD J. HANSEN (Hydrologist,
Environmental Bureau, NMOCD) (Resumed)
Direct Examination (Resumed) by Mr. Brooks 729
Cross-Examination by Mr. Hiser 765
Cross-Examination by Ms. Foster 771
Examination by Mr. Frederick 777
Examination by Dr. Neepner 783
Examination by Commissioner Bailey 786
Examination by Commissioner Olson 793
Examination by Chairman Fesmire 799
Redirect Examination by Mr. Brooks 802
Recross-Examination by Ms. Foster 806
Recross-Examination by Mr. Hiser 807
Further Examination by Mr. Frederick 812

REPORTER'S CERTIFICATE 816

* * *

(Continued...)

Thursday, November 8th, 2007 (Volume V)
 Commission Hearing
 CASE NO. 14,015

EXHIBITS 824

APPEARANCES 826

DIVISION WITNESSES (Continued):

BRAD JONES (Environmental Bureau, NMOCD)
 Direct Examination by Mr. Brooks 830

PUBLIC COMMENTS:

KEITH JOHNSON (City Manager, City of Bloomfield;
 County Commissioner, San Juan County; task force
 member)
 Direct Testimony 1049
 Examination by Commissioner Bailey 1055
 Examination by Commissioner Olson 1056
 Examination by Chairman Fesmire 1056

REPORTER'S CERTIFICATE 1060

* * *

Friday, November 9th, 2007 (Volume VI)
 Commission Hearing
 CASE NO. 14,015

EXHIBITS 1070

APPEARANCES 1072

DIVISION WITNESSES (Continued):

BRAD JONES (Environmental Bureau, NMOCD)
 Direct Examination (Continued)
 by Mr. Brooks 1076

(Continued...)

PUBLIC COMMENTS:

JOHNNY MICO (Drilling Santa Fe)
Unsworn Position Statement 1162

ZANE GALLOWAY (President, ORE Systems,
San Juan County, New Mexico)
Direct Testimony 1163
Examination by Mr. Brooks 1167
Examination by Ms. Foster 1168
Examination by Mr. Baizel 1169
Examination by Chairman Fesmire 1171

IRVIN BOYD (Lea County)
Unsworn Position Statement 1178

OPENING STATEMENT:

By Mr. Carr 1181

INDUSTRY WITNESSES:

DANIEL B. STEPHENS (Hydrogeologist)
Direct Examination by Mr. Carr 1183
Cross-Examination by Mr. Brooks 1216
Cross-Examination by Mr. Frederick 1268

PUBLIC COMMENTS:

IRVIN BOYD (Lea County)
Unsworn Position Statement 1303

JOHN OBERLY (In-Line Plastics)
Direct Testimony 1312
Examination by Mr. Brooks 1316
Examination by Ms. Foster 1317
Examination by Chairman Fesmire 1320

(Continued...)

INDUSTRY WITNESSES (Resumed):

DANIEL B. STEPHENS (Hydrogeologist)

Examination by Dr. Neeper	1322
Examination by Commissioner Bailey	1338
Examination by Commissioner Olson	1343
Examination by Chairman Fesmire	1363
Redirect Examination by Mr. Hiser	1374
Recross-Examination by Mr. Frederick	1383
Recross-Examination by Mr. Brooks	1384
Further Examination by Commissioner Olson	1390

REPORTER'S CERTIFICATE	1395
------------------------	------

* * *

Tuesday, November 13th, 2007 (Volume VII)
 Commission Hearing
 CASE NO. 14,015

EXHIBITS	1407
----------	------

APPEARANCES	1409
-------------	------

OGAP WITNESSES:

THEO COLBORN (Environmental Health Analyst)

Direct Examination by Mr. Jantz	1415
Cross-Examination by Mr. Hiser	1432
Cross-Examination by Mr. Carr	1450
Cross-Examination by Ms. Foster	1452
Examination by Dr. Neeper	1470
Redirect Examination by Mr. Jantz	1471
Recross-Examination by Mr. Hiser	1475
Recross-Examination by Ms. Foster	1477
Examination by Commissioner Olson	1479
Examination by Chairman Fesmire	1480
Further Examination by Mr. Jantz	1485

MARY ELLEN DENOMY (Oil and Gas Accountant)

Direct Examination by Mr. Jantz	1487
Voir Dire Examination by Ms. Foster	1489
Direct Examination (Resumed) by Mr. Jantz	1491
Cross-Examination by Mr. Carr	1508
Cross-Examination by Ms. Foster	1526

(Continued...)

PUBLIC COMMENTS:

<u>TWEETIE BLANCETT</u> (Blancett Ranches, San Juan County) Direct Testimony	1537
<u>AMY TREMPER</u> (Galisteo Basin) Unsworn Position Statement	1539
<u>ANN MURRAY</u> (Village of Cerrillos) Unsworn Position Statement	1541
<u>STEVE SUGARMAN</u> (Galisteo Basin) Unsworn Position Statement	1542
Transcript of various voices on CD-ROM presented by Tweetie Blancett	1544
<u>TWEETIE BLANCETT</u> (Blancett Ranches, San Juan County) Direct Testimony (Resumed)	1549
Examination by Commissioner Bailey	1549
Examination by Commissioner Olson	1550
<u>DAVID BACON</u> Unsworn Position Statement	1551

OGAP WITNESSES (Resumed):

<u>MARY ELLEN DENOMY</u> (Oil and Gas Accountant) (Resumed)	
Cross-Examination by Ms. Foster	1554
Examination by Dr. Neeper	1579
Examination by Commissioner Bailey	1581
Examination by Chairman Fesmire	1583
Redirect Examination by Mr. Jantz	1596
Recross-Examination by Mr. Hiser	1602
Recross-Examination by Ms. Foster	1604

DIVISION WITNESSES (Continued):

<u>BRAD JONES</u> (Environmental Bureau, NMOCD)	
Cross-Examination by Ms. Foster	1611
Cross-Examination by Mr. Hiser	1686

(Continued...)

PUBLIC COMMENTS:

PAUL THOMPSON (Independent producer and
consulting engineer, Farmington, New Mexico)

Direct Testimony	1703
Examination by Mr. Brooks	1707
Examination by Mr. Hiser	1708
Examination by Mr. Carr	1708
Examination by Dr. Neepser	1710
Examination by Chairman Fesmire	1711

BUTCH MATTHEWS (M&R Trucking, Inc.,
Farmington, New Mexico)

Direct Testimony	1713
Examination by Mr. Brooks	1715
Examination by Ms. Foster	1716
Examination by Dr. Bartlett	1718
Examination by Chairman Fesmire	1719

BARRY WIELAND (Weatherford International,
Farmington, New Mexico)

Direct Testimony	1722
------------------	------

JIMMY CAVE (Cave Enterprises,
Farmington, New Mexico)

Unsworn Position Statement	1725
----------------------------	------

COLLEEN MCCANN

Unsworn Position Statement	1726
----------------------------	------

STEVE TALBOT (Cerrillos)

Unsworn Position Statement	1727
----------------------------	------

TOM AAGESON

Unsworn Position Statement	1727
----------------------------	------

CAROL AAGESON

Unsworn Position Statement	1729
----------------------------	------

REPORTER'S CERTIFICATE

1733

* * *

(Continued...)

Wednesday, November 14th, 2007 (Volume VIII)
 Commission Hearing
 CASE NO. 14,015

EXHIBITS 1747

APPEARANCES 1750

NMCCAW WITNESS:

DONALD A. NEEPER, PhD (Soil physics)
 Direct Examination by Ms. Belin 1754

PUBLIC COMMENTS:

KENDALL LIVINGSTON (Sweatt Construction Company,
 Artesia, New Mexico)
 Direct Testimony 1862
 Examination by Ms. Foster 1869
 Examination by Chairman Fesmire 1870

RACHEL JANKOWITZ (Habitat specialist,
 New Mexico Department of Game and Fish)
 Unsworn Position Statement 1872

DWAYNE MEADOR (Landowner and dirt contractor,
 northwest region)
 Direct Testimony 1875
 Examination by Chairman Fesmire 1879

MIKE LEONARD (Key Energy Services, Inc.,
 Aztec, New Mexico)
 Direct Testimony 1882
 Examination by Mr. Brooks 1884
 Examination by Ms. Foster 1885
 Examination by Commissioner Bailey 1887
 Examination by Chairman Fesmire 1888

DANNY SEIP (Blue Jet, Inc.,
 Farmington, New Mexico)
 Direct Testimony 1890
 Examination by Commissioner Olson 1894
 Examination by Chairman Fesmire 1895

(Continued...)

PUBLIC COMMENTS (Continued):

RON FELLABAUM (San Juan Casing Service, LLC,
Farmington, New Mexico)

Direct Testimony	1896
Examination by Commissioner Olson	1899
Examination by Chairman Fesmire	1900

NMCCAW WITNESS (Continued):

DONALD A. NEEPER, PhD (Soil physics)

Examination by Mr. Brooks	1903
Examination by Mr. Hiser	1924
Examination by Ms. Foster	2006
Examination by Mr. Carr	2012
Examination by Commissioner Bailey	2018
Examination by Commissioner Olson	2021
Examination by Chairman Fesmire	2031
Redirect Examination by Ms. Belin	2032
Further Examination by Mr. Hiser	2034

PUBLIC COMMENTS:

MARLYN WALTNER (Raven Industries,
Sioux Falls, South Dakota)

Direct Testimony	2036
------------------	------

REPORTER'S CERTIFICATE

2053

* * *

(Continued...)

Thursday, November 15th, 2007 (Volume IX)
 Commission Hearing
 CASE NO. 14,015

EXHIBITS 2068

APPEARANCES 2071

DIVISION WITNESSES (Continued):

BRANDON POWELL (Environmental Specialist,
 Aztec District 3 office, NMOCD)

Direct Examination by Mr. Brooks	2076
Cross-Examination by Mr. Hiser	2096
Cross-Examination by Mr. Carr	2088
Cross-Examination by Ms. Foster	2109
Examination by Mr. Jantz	2121
Examination by Commissioner Bailey	2123
Examination by Commissioner Olson	2126
Examination by Chairman Fesmire	2128
Further Examination by Commissioner Olson	2130
Redirect Examination by Mr. Brooks	2130
Recross-Examination by Ms. Foster	2133

MIKE BRATCHER (Field Supervisor,
 Artesia District 2 office, NMOCD)

Direct Examination by Mr. Brooks	2137
Cross-Examination by Mr. Hiser	2160
Cross-Examination by Mr. Carr	2161
Cross-Examination by Ms. Foster	2172
Examination by Mr. Jantz	2185
Examination by Commissioner Bailey	2189
Examination by Commissioner Olson	2191
Examination by Chairman Fesmire	2198
Redirect Examination by Mr. Brooks	2202
Recross-Examination by Ms. Foster	2203

BRAD JONES (Environmental Bureau, NMOCD) (Resumed)

Cross-Examination (Continued) by Mr. Hiser	2206
Cross-Examination by Mr. Carr	2324
Further Examination by Mr. Hiser	2351

REPORTER'S CERTIFICATE 2355

* * *

(Continued...)

Friday, November 16th, 2007 (Volume X)
 Commission Hearing
 CASE NO. 14,015

EXHIBITS 2371

APPEARANCES 2374

DIVISION WITNESSES (Continued):

BRAD JONES (Environmental Bureau, NMOCD) (Resumed)
 Cross-Examination (Continued) by Mr. Carr 2378
 Examination by Mr. Jantz 2390
 Examination by Commissioner Bailey 2391
 Examination by Commissioner Olson 2413

PUBLIC COMMENTS:

SCOTT TAYLOR (Cerrillos)
 Unsworn Position Statement 2481

RANDY T. HICKS (Hydrogeologist, R.T. Hicks
 Consultants, Ltd., Albuquerque, New Mexico)
 Direct Testimony 2482
 Examination by Commissioner Olson 2489

DIVISION WITNESSES (Continued):

BRAD JONES (Environmental Bureau, NMOCD) (Resumed)
 Examination (Continued)
 by Commissioner Olson 2491
 Examination by Chairman Fesmire 2512
 Redirect Examination by Mr. Brooks 2516
 Recross-Examination by Ms. Foster 2528
 Further Examination by Commissioner Olson 2546

CARL J. CHAVEZ (Environmental Engineer, NMOCD)
 Direct Examination by Mr. Brooks 2551

REPORTER'S CERTIFICATE 2608

* * *

(Continued...)

Monday, November 26th, 2007 (Volume XI)
Commission Hearing
CASE NO. 14,015

EXHIBITS 2620

APPEARANCES 2624

DIVISION WITNESSES (Continued):

CARL J. CHAVEZ (Environmental Engineer, NMOCD)
Direct Examination (Continued)
by Mr. Brooks 2627
Cross-Examination by Mr. Carr 2630
Cross-Examination by Ms. Foster 2659
Examination by Commissioner Bailey 2696
Examination by Commissioner Olson 2702
Examination by Chairman Fesmire 2723
Redirect Examination by Mr. Brooks 2726
Recross-Examination by Ms. Foster 2723

OPENING STATEMENT:

By Ms. Foster 2738

IPANM WITNESSES:

SAMUEL SMALL (Petroleum engineer,
environmental engineer)
Direct Examination by Ms. Foster 2744
Cross-Examination by Mr. Baizel 2798
Cross-Examination by Ms. Belin 2814
Cross-Examination by Mr. Brooks 2826

REPORTER'S CERTIFICATE 2859

* * *

(Continued...)

Tuesday, November 27th, 2007 (Volume XII)
 Commission Hearing
 CASE NO. 14,015

EXHIBITS 2878

APPEARANCES 2882

IPANM WITNESSES:

SAMUEL SMALL (Petroleum engineer,
 environmental engineer) (Continued)
 Cross-Examination (Continued)
 by Mr. Brooks 2884
 Examination by Commissioner Bailey 2899
 Examination by Commissioner Olson 2903
 Examination by Chairman Fesmire 2913
 Redirect Examination by Ms. Foster 2942
 Recross-Examination by Mr. Brooks 2952
 Further Examination by Commissioner Olson 2956

AL SPRINGER (Engineer)
 Direct Examination by Ms. Foster 2959

PUBLIC COMMENTS:

EDUARDO KRASILOVSKY (Eldorado, New Mexico)
 Unsworn Position Statement 2989

AVI SHAMA (Professor of management, retired,
 University of New Mexico)
 Direct Testimony 2991
 Examination by Ms. Foster 2997

IPANM WITNESSES (Continued):

AL SPRINGER (Engineer) (Resumed)
 Direct Examination (Continued)
 by Ms. Foster 3000
 Cross-Examination by Mr. Brooks 3013
 Examination by Commissioner Bailey 3015
 Examination by Commissioner Olson 3017
 Examination by Chairman Fesmire 3018

(Continued...)

IPANM WITNESSES (Continued):

TYSON FOUTZ (Engineer)

Direct Examination by Ms. Foster	3024
Cross-Examination by Mr. Brooks	3037
Examination by Commissioner Olson	3045
Examination by Chairman Fesmire	3050
Redirect Examination by Ms. Foster	3064

THOMAS E. MULLINS (Engineer)

Direct Examination by Ms. Foster	3066
----------------------------------	------

REPORTER'S CERTIFICATE	3134
------------------------	------

* * *

Friday, November 30th, 2007 (Volume XIII)
 Commission Hearing
 CASE NO. 14,015

EXHIBITS	3154
----------	------

APPEARANCES	3158
-------------	------

IPANM WITNESSES (Continued):

THOMAS E. MULLINS (Engineer)

Direct Examination (Continued) by Ms. Foster	3160
Cross-Examination by Mr. Jantz	3176
Cross-Examination by Mr. Brooks	3184
Cross-Examination by Dr. Neepor	3212
Examination by Commissioner Bailey	3222
Examination by Commissioner Olson	3230

PUBLIC COMMENTS:

MURIEL FARIELLO (Vice president, Water Users
 Association for Ranchitos de Galisteo, Galisteo,
 New Mexico)

Unsworn Position Statement	3267
----------------------------	------

(Continued...)

PUBLIC COMMENTS (Continued):

AMY TREMPER (Galisteo Community Association,
Galisteo, New Mexico)

Unsworn Position Statement

3267

KIM SORVIG (Santa Fe County resident;
Research Associate Professor, School of
Architecture and Planning, UNM)

Direct Testimony

3269

LARRY SCOTT (Lynx Petroleum)

Direct Testimony

3279

Cross-Examination by Mr. Brooks

3283

Examination by Ms. Foster

3286

Examination by Commissioner Olson

3287

Examination by Chairman Fesmire

3289

Further Examination by Commissioner Olson

3293

IPANM WITNESSES (Continued):

THOMAS E. MULLINS (Engineer) (Continued)

Examination by Chairman Fesmire

3294

Further Examination by Mr. Brooks

3319

JOHN BYROM (President, D.J. Simmons, Inc.,
Farmington New Mexico; President, IPANM)

Direct Examination by Ms. Foster

3327

Cross-Examination by Mr. Jantz

3382

REPORTER'S CERTIFICATE

3401

* * *

Monday, December 3rd, 2007 (Volume XIV)
 Commission Hearing
 CASE NO. 14,015

EXHIBITS 3423

APPEARANCES 3428

IPANM WITNESSES (Continued):

JOHN BYROM (President, D.J. Simmons, Inc.,
 Farmington New Mexico; President, IPANM) (Continued)

Cross-Examination by Dr. Neeper	3433
Cross-Examination by Mr. Brooks	3446
Examination by Commissioner Bailey	3468
Examination by Commissioner Olson	3469
Examination by Chairman Fesmire	3492
Further Examination by Commissioner Olson	3522

INDUSTRY WITNESSES (Resumed):

BRUCE A. BUCHANAN, PhD (Soil physics,
 soil sciences and reclamation)

Direct Examination by Mr. Hiser	3524
Direct Examination (Rebuttal) by Mr. Hiser	3570
Cross-Examination by Dr. Neeper	3612
Cross-Examination by Mr. Brooks	3633
Cross-Examination by Mr. Jantz	3635
Examination by Commissioner Bailey	3639
Examination by Commissioner Olson	3654
Examination by Chairman Fesmire	3662
Further Examination by Commissioner Olson	3679
Redirect Examination by Mr. Hiser	3682
Recross-Examination by Mr. Brooks	3687
Recross-Examination by Mr. Jantz	3690
Further Examination by Commissioner Bailey	3690

(Continued...)

PUBLIC COMMENTS:

JASON SANDEL (Vice president for health, safety and environment, Aztec Well Servicing, Triple-S Trucking, and affiliated companies, Aztec, New Mexico; city counselor, City of Farmington, New Mexico)

Direct Testimony	3692
Examination by Dr. Neeper	3705
Examination by Ms. Foster	3706

* * *

Tuesday, December 4th, 2007 (Volume XV)
Commission Hearing
CASE NO. 14,015

EXHIBITS	3734
----------	------

APPEARANCES	3739
-------------	------

IPANM WITNESSES (Resumed):

JOHN BYROM (President, D.J. Simmons, Inc., Farmington New Mexico; President, IPANM) (Resumed)
Redirect Examination by Ms. Foster

3743

INDUSTRY WITNESSES (Resumed):

R. ERIC PEASE (Civil engineer)

Direct Examination by Mr. Hiser	3747
Voir Dire Examination by Mr. Jantz	3759
Voir Dire Examination by Chairman Fesmire	3764
Examination by Ms. Foster	3765
Cross-Examination by Dr. Neeper	3767
Cross-Examination by Mr. Brooks	3777
Examination by Commissioner Bailey	3790
Examination by Commissioner Olson	3791
Examination by Chairman Fesmire	3799
Redirect Examination by Mr. Hiser	3804

(Continued...)

INDUSTRY WITNESSES (Continued):

<u>BEN THOMAS</u> (Toxicologist)	
Direct Examination by Mr. Hiser	3809
Voir Dire Examination by Mr. Jantz	3810
Direct Examination (Resumed) by Mr. Hiser	3815

PUBLIC COMMENTS:

<u>TOM DUGAN</u> (Petroleum engineer; President, Dugan Production Corporation)	
Direct Testimony	3856

<u>JOHN ROE</u> (Petroleum engineer, Dugan Production Corporation)	
Direct Testimony	3859
Examination by Commissioner Olson	3870
Examination by Ms. Foster	3875

INDUSTRY WITNESSES (Continued):

<u>BEN THOMAS</u> (Toxicologist) (Resumed)	
Direct Examination (Rebuttal) by Mr. Hiser	3877
Cross-Examination by Mr. Jantz	3881
Cross-Examination by Mr. Brooks	3902
Cross-Examination by Dr. Nepper	3933
Examination by Commissioner Bailey	3950

PUBLIC COMMENTS:

<u>CAREN COWAN</u> (Executive director, New Mexico Cattle Growers' Association)	
Direct Testimony	3956
Examination by Ms. Foster	3962
Examination by Mr. Brooks	3964
Examination by Commissioner Bailey	3965
Examination by Commissioner Olson	3966
Examination by Chairman Fesmire	3968

REPORTER'S CERTIFICATE	3971
------------------------	------

* * *

Thursday, December 6th, 2007 (Volume XVI)
 Commission Hearing
 CASE NO. 14,015

EXHIBITS 3996

APPEARANCES 4001

INDUSTRY WITNESSES (Continued):

J. GREGG WURTZ (Hydrology, geology, management of hazardous materials; ConocoPhillips)

Direct Examination by Mr. Carr	4005
Direct Examination (Rebuttal) by Mr. Carr	4021
Examination by Ms. Foster	4041
Cross-Examination by Mr. Jantz	4044
Examination by Mr. Huffaker	4049
Cross-Examination by Dr. Neeper	4050
Cross-Examination by Mr. Brooks	4066
Examination by Commissioner Bailey	4088
Examination by Commissioner Olson	4092
Further Examination by Commissioner Bailey	4111
Examination by Chairman Fesmire	4112
Further Examination by Commissioner Olson	4126
Further Examination by Dr. Neeper	4129

PUBLIC COMMENTS:

PINSON McWHORTER (Engineer, Yates Petroleum Corporation)

Direct Testimony	4135
Cross-Examination by Mr. Brooks	4143
Examination by Commissioner Olson	4146
Examination by Chairman Fesmire	4147

PHIL H. BIDEGAIN (Landowner, Quay County)

Direct Testimony	4149
------------------	------

INDUSTRY WITNESSES (Continued):

J. GREGG WURTZ (Hydrology, geology, management of hazardous materials; ConocoPhillips) (Resumed)

Cross-Examination by Mr. Brooks	4152
---------------------------------	------

(Continued...)

INDUSTRY WITNESSES (Continued):

<u>JOHN W. POORE</u> (Reservoir engineering, inventory management; ConocoPhillips)	
Direct Examination by Mr. Carr	4155
Cross-Examination by Mr. Jantz	4188
Cross-Examination by Mr. Brooks	4195
Examination by Commissioner Bailey	4205
Examination by Commissioner Olson	4207
Examination by Chairman Fesmire	4212
Redirect Examination by Mr. Carr	4241

PUBLIC COMMENTS:

<u>JOHN R. BARTLIT, DChE</u> (New Mexico Citizens for Clean Air and Water)	
Direct Testimony	4246
Cross-Examination by Ms. Foster	4253

REPORTER'S CERTIFICATE	4266
------------------------	------

* * *

Friday, December 7th, 2007 (Volume XVII)
Commission Hearing
CASE NO. 14,015

EXHIBITS	4292
----------	------

APPEARANCES	4297
-------------	------

INDUSTRY WITNESSES (Continued):

<u>BEN THOMAS</u> (Toxicologist) (Resumed)	
Examination by Commissioner Olson	4301
Examination by Chairman Fesmire	4361
Further Examination by Commissioner Olson	4387
Redirect Examination by Mr. Hiser	4393
Further Examination by Commissioner Olson	4397

(Continued...)

PUBLIC COMMENTS:

SEAN ROBINSON (Drilling engineering supervisor,
ConocoPhillips, Farmington, New Mexico)

Direct Testimony	4402
Examination by Commissioner Olson	4413
Examination by Chairman Fesmire	4414

DIVISION WITNESSES (Rebuttal):

EDWARD J. HANSEN (Hydrologist,
Environmental Bureau, NMOCD)

Direct Examination by Mr. Brooks	4420
Cross-Examination by Mr. Hiser	4455
Cross-Examination by Ms. Foster	4467
Examination by Commissioner Olson	4481
Redirect Examination by Mr. Brooks	4488
Recross-Examination by Ms. Foster	4490

GLENN VON GONTEN (Senior Hydrologist,
Environmental Bureau, NMOCD)

Direct Examination by Mr. Brooks	4494
Cross-Examination by Ms. Foster	4500
Examination by Commissioner Olson	4506
Redirect Examination by Mr. Brooks	4509
Further Examination by Commissioner Olson	4510

NMCCAW WITNESS (Rebuttal):

DONALD A. NEEPER, PhD (Soil physics)

Direct Testimony	4516
Cross-Examination by Ms. Foster	4517

REPORTER'S CERTIFICATE	4523
------------------------	------

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	163	163
Exhibit 2	163	163
Exhibit 3	2736	-
Exhibit 4	(58)	205
Exhibit 5	(61)	205
Exhibit 6	(94)	205
Exhibit 7	-	-
Exhibit 8	421	-
Exhibit 9	(373)	399
Exhibit 10	(383)	399
Exhibit 10A	(385)	399
Exhibit 11	(176)	205
Exhibit 12	178	205
Exhibit 13	427	511, 527
Exhibit 13A	430	-
Exhibit 13B	430, 432, 832	834
Exhibit 13C	(345), 433	511
Exhibit 14	428, 449, 511	-
Exhibit 15	449	511
Exhibit 16	457, 459	511
Exhibit 17	450, 458, 484	511
Exhibit 18	484	511
Exhibit 19	676	764
Exhibit 20	677, 764	764
Exhibit 21	679	764
Exhibit 22	-	1159
Exhibit 23	842	1159
Exhibit 24	844, 846, 1109, 1156	1159
Exhibit 25	846, 1157	1159
Exhibit 26	1158	1159

(Continued...)

E X H I B I T S (Continued)

Applicant's (Continued)	Identified	Admitted
Exhibit 27	847, 1158	1159
Exhibit 28	(2551), 2626	2629
Exhibit 29	(2554), 2628	2629
Exhibit 30	2626, 2628	2629
Exhibit 31	(admitted on behalf of OGAP)	
	-	2574
Exhibit 32	2095	2096
Exhibit 33	2138	2160
Exhibit 34 (identical with OGAP Exhibit 11)	2827	-
Rebuttal Exhibit 1	4429	4455
Rebuttal Exhibit 2	4434	4455
Rebuttal Exhibit 3	4443	4455
Rebuttal Exhibit 4	4444	4455
Rebuttal Exhibit 5	4447	4455
Rebuttal Exhibit 6	4448	4455
Rebuttal Exhibit 7	4448	4455

* * *

Industry	Identified	Admitted
Exhibit 1	1184, 1212	1216
Exhibit 2	1187, 1212	1216
Exhibit 3	1213	1216
Exhibit 4	3527	3528
Exhibit 5	3530	3569
Exhibit 6	3568	3569
Exhibit 7	3815	3816
Exhibit 8	3816, 3852	3854
Exhibit 9	3852	4400
Exhibit 10	1213, 3749, 3852	3764
Exhibit 11	4399, 4419	4419, 4420

(Continued...)

E X H I B I T S (Continued)

Industry (Continued)	Identified	Admitted
Rebuttal Exhibit 5A	3610	3611
Page 1	3571	3611
Page 2	3581	3611
Page 3	3582	3611
Page 4	3587	3611
Page 5	3590	3611
Page 6	3601	3611

* * *

ConocoPhillips	Identified	Admitted
Exhibit 1	4007	4041
Exhibit 2	4011	4041
Exhibit 3	4157	4187
Exhibit 4	4159	4187

* * *

OGAP	Identified	Admitted
Exhibit 1	1417	1417
Exhibit 2	1489	1490
Exhibit 3	1418, 1420	1486
Exhibit 4	-	-
Exhibit 5	1491	1607
Exhibit 6	1491	1607
Exhibit 7	1491	1607
Exhibit 8	1491	1607
Exhibit 9	1492	1607
Exhibit 10	1492	1607
Exhibit 11	1492	1607
Exhibit 12	-	1607

* * *

(Continued...)

E X H I B I T S (Continued)

NMCCAW	Identified	Admitted
Exhibit 1	1757	1861
Exhibit 2	1758	1861
Exhibit 4	1861	1861
Rebuttal Exhibit 5	4515	-

* * *

IPANM	Identified	Admitted
Exhibit 1	-	-
Exhibit 2	-	-
Exhibit 3	-	-
Exhibit 4	3074	3176
Exhibit 5	3121	3176
Exhibit 6	(3065)	-
Exhibit 7	(3065)	-
Exhibit 8	3161	3176
Exhibit 9	3164, 3168	3176
Exhibit 10	3170	3176
Exhibit 11	-	-
Exhibit 12	-	-
Exhibit 13	2749	2951
Exhibit 14	-	-
Exhibit 15	-	-
Exhibit 16	-	-
Exhibit 17	-	-
Exhibit 18	-	-
Exhibit 19	-	-
Exhibit 20	-	-
Exhibit 21	-	-
Exhibit 22	2961	3012
Exhibit 23	-	-
Exhibit 24	-	-

(Continued...)

E X H I B I T S (Continued)

IPANM (Continued)	Identified	Admitted
Exhibit 25	-	-
Exhibit 26	-	-
Exhibit 27	-	-
Exhibit 28	-	-
Exhibit 29	-	-
Exhibit 30	-	-
Exhibit 31	-	-
Exhibit 32	3330	3361
Exhibit 33	-	-
Exhibit 34	-	-
Exhibit 35	-	-
Exhibit 36	-	-
Exhibit 37	23	-
Rebuttal Exhibit A	4470	4471

* * *

Additional submissions by the Division, not offered or admitted:

Identified

OCD's Requested Changes to 9/21/07 proposal,
11/7/07 558

e-mail from David Brooks to Kelly O'Donnell,
10/22/07 559

* * *

A P P E A R A N C E S

FOR THE COMMISSION:

CHERYL BADA
Assistant General Counsel
Energy, Minerals and Natural Resources Department
1220 South St. Francis Drive
Santa Fe, New Mexico 87505

FOR THE DIVISION:

DAVID K. BROOKS, JR.
Assistant General Counsel
Energy, Minerals and Natural Resources Department
1220 South St. Francis Drive
Santa Fe, New Mexico 87505

FOR NEW MEXICO OIL AND GAS ASSOCIATION; CONOCOPHILLIPS COMPANY; DUGAN PRODUCTION CORPORATION; and ENERGEN RESOURCES CORPORATION; and an INDUSTRY COMMITTEE comprised of BP America Production Company, Inc.; Benson-Montin-Greer Drilling Corporation; Boling Enterprises, Ltd.; Burlington Resources Oil and Gas Company; Chesapeake Energy Corporation; Chevron USA, Inc.; ConocoPhillips Company; Devon Production Company; Dugan Production Corporation; Energen Resources Corporation; Marathon Oil Company; Marbob Energy Corporation; Merrion Oil & Gas Corporation; Occidental Permian, which includes OXY USA, Inc., and OXY USA WTP Limited Partnership; Samson Resources Company; J.D. Simmons, Inc.; Williams Production Company, LLC; XTO Energy, Inc.; and Yates Petroleum Corporation:

HOLLAND & HART, L.L.P., and CAMPBELL & CARR
110 N. Guadalupe, Suite 1
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: WILLIAM F. CARR

(Continued...)

A P P E A R A N C E S (Continued)

FOR INDEPENDENT PETROLEUM ASSOCIATION OF NEW MEXICO:

KARIN V. FOSTER
Independent Petroleum Association of New Mexico
Director of Governmental Affairs
17 Misty Mesa Ct.
Placitas, NM 87043

FOR NEW MEXICO INDUSTRY COMMITTEE
and YATES PETROLEUM CORPORATION:

JORDEN, BISCHOFF & HISER, P.L.C.
7272 E. Indian School Rd., Suite 360
Scottsdale, AZ 85251
By: ERIC L. HISER

FOR CONTROLLED RECOVERY, INC.:

HUFFAKER & MOFFETT, L.L.C.
155 Grant
Santa Fe, New Mexico 87501
P.O. Box 1868
Santa Fe, New Mexico 87504-1868
By: GREGORY D. HUFFAKER, Jr.

FOR NEW MEXICO OIL AND GAS ACCOUNTABILITY PROJECT:

New Mexico Environmental Law Center
1405 Luisa Street, Suite 5
Santa Fe, New Mexico 87505
BY: ERIC JANTZ
and
BRUCE BAIZEL

* * *

ALSO PRESENT:

JOHN R. BARTLIT, DChE
DONALD A. NEEPER, Phd
New Mexico Citizens for Clean Air and Water

* * *

STEVEN T. BRENNER, CCR
(505) 989-9317

1 WHEREUPON, the following proceedings were had at
2 9:04 a.m.:

3 CHAIRMAN FESMIRE: Let's go on the record.

4 This is a continuation of Cause Number 14,015,
5 the Application of the Oil Conservation Division for repeal
6 of existing Rule 50 concerning pits and below grade tanks
7 and adoption of a new rule governing pits, below grade
8 tanks, closed loop systems and other alternative methods to
9 the foregoing, and amending those -- other rules to conform
10 to the changes; statewide.

11 It is nine o'clock a.m. -- I keep wanting to say
12 Sunday, December 7th, but it is Friday, December 7th, 2007.

13 The record should reflect that Commissioners
14 Bailey, Olson and Fesmire are all present, that the
15 Commission therefore has a quorum.

16 And pursuant to prior agreement from counsel, Dr.
17 Thomas has come back to finish his cross-examination, and I
18 believe were at the point that Commissioner Olson was going
19 to question Dr. Thomas.

20 MR. HISER: That is correct, Mr. Chairman.

21 CHAIRMAN FESMIRE: Commissioner Olson, why don't
22 you go ahead and continue?

23 COMMISSIONER OLSON: Okay, let me figure out what
24 we're -- where I was in a lot of this here.

25 MR. HISER: This would be Exhibit 8 --

1 COMMISSIONER OLSON: Right.

2 MR. HISER: -- Dr. Thomas.

3 COMMISSIONER OLSON: And for a start I think I
4 might go to your attachment A. It's actually in Exhibit 9.

5 MR. HISER: If I may approach -- ?

6 CHAIRMAN FESMIRE: You may, sir.

7 BEN THOMAS, PhD (Resumed),
8 the witness herein, having been previously duly sworn upon
9 his oath, was examined and testified as follows:

10 EXAMINATION

11 BY COMMISSIONER OLSON:

12 Q. And I'm seeing you're using the NMED soil
13 screening levels. You've got listed SSL 4, version 4.

14 But I guess I'm trying to understand what you're
15 using here. You said that these are soil screening levels
16 for a DAF of 100?

17 A. No, these should be -- they should be the
18 residential soil screening levels. Are we looking at the
19 right table? Attachment A.

20 Q. I'm looking at Attachment A, that's correct.

21 And is that for exposure for direct ingestion,
22 I'm assuming?

23 A. Basically that's correct.

24 Q. All right.

25 A. That tends to be the most conservative of the

1 human exposure criteria for solids.

2 Q. Maybe you can refresh my memory, because I've
3 slept since you did this.

4 Where are your soil screening levels for
5 migration to groundwater?

6 A. They are not here.

7 Q. Why not?

8 A. Primarily, this was considered to be a solid, and
9 the -- as the solids are dried and things like that,
10 initially the thought was that the residential soil
11 screening level would be the appropriate criterion.

12 Q. But I thought you were talking about that you
13 were looking at the overall risk of these materials, so the
14 risk that you looked at is just looking at direct
15 ingestion --

16 A. No --

17 Q. -- of --

18 A. -- no, it's not summarized in the table. We
19 actually looked at the leachate concentrations relative to
20 MCLs, other types of things, you know, where there was an
21 MCL there was a -- you know, we could compare directly to
22 that. If there was a -- data from other states, we would
23 compare it to that.

24 Q. You have to bear with me because I thought I saw
25 a slide you had in here where you talked about using a

1 migration path to groundwater with a DAF greater than 100.

2 A. I don't think so, but -- We considered migration
3 to groundwater, but we were using primarily criteria for --
4 we were looking directly at the leachate concentration
5 relative to things like a drinking water standard, okay?
6 And in general, we didn't consider that it would be further
7 diluted and attenuated.

8 MR. HISER: Commissioner Olson, you may be
9 thinking of one of his slides towards the last four or five
10 of his presentations. That might be what --

11 Q. (By Commissioner Olson) Right, because I'm
12 looking at one slide here, and there's no numbers on these,
13 it just says 3103 Constituents, and then it says,
14 Groundwater is unlikely to be of concern given dilution and
15 attenuation processes, then in parentheses it says DAF
16 greater than 100.

17 A. Right, the DAF greater than 100 was from Dan
18 Stephens' report and modeling. Like I said, it wasn't
19 something we assumed in our risk evaluation. What we did
20 is, we took the leachate concentrations and assumed that
21 somebody was actually going to drink that leachate. Okay?

22 What I'm saying here is that even with that
23 assumption, we didn't see anything that gave us concern,
24 and groundwater is unlikely to be of concern because there
25 is, in fact, further dilution and attenuation, and I cited

1 Dan Stephens' estimate of a DAF greater than 100.

2 Q. Well, are you aware that the Environment
3 Department does not use a DAF greater than 100 in a
4 standard setting? They use either a DAF of 1 or a DAF of
5 20?

6 A. Yeah, and again, I didn't use it either.

7 Q. Okay.

8 A. I'm just citing Dan Stephens' suggestion that
9 this is something that he believes is an average DAF for
10 New Mexico.

11 Q. But you're making the conclusion here that
12 groundwater is unlikely to be of concern given dilution and
13 attenuation processes with a DAF greater than 100?

14 A. That's right.

15 Q. But a DAF of 100 is not accepted by --

16 A. No --

17 Q. -- you're -- you seem --

18 A. -- it's still --

19 Q. -- to be using the Environment Department --

20 A. -- it's not a concern, directly ingestion --
21 direct ingestion, and it's not a concern -- even less of a
22 concern because of further dilution and attenuation.

23 Q. I guess what I'm getting at is, you're accounting
24 for a lot more in your conclusions here, a lot more -- at
25 least that's just what this says here, by using DAF greater

1 than 100.

2 A. I'm not quite sure -- Could you repeat your
3 point?

4 Q. Well, you have a pathway analysis that uses a DAF
5 of 100 that's in writing here. I mean, you're saying --
6 you -- I guess I'm hearing two different things. You're
7 saying you didn't use it, but then in here, in your written
8 testimony, it's saying you are using a DAF of 100 --
9 greater than 100 to --

10 A. Yeah --

11 Q. -- base your conclusions --

12 A. -- yeah, it would have been more accurate just
13 simply to delete the parentheses?

14 Q. To what?

15 A. It would be more accurate just to delete that
16 parentheses.

17 Q. So you're saying that you based yours on the
18 leachate generated from a TCLP analysis; is that what
19 you're -- were using?

20 A. We looked at those concentrations, and none of
21 the concentrations that I'm seeing are giving me concern.

22 Q. And that's concerns based in the leachate from a
23 TCLP analysis?

24 A. Where we had that kind of data, that's right.

25 Q. And are you aware that the TCLP is not used for

1 determining -- in New Mexico, as far as I'm aware, has
2 never been used for determining potential exposure? It's
3 used solely for determining waste classification and the
4 disposal of materials as a hazardous waste?

5 A. Yeah, that doesn't surprise me. You know, the
6 TCLP analysis was developed for that purpose, of course.
7 And what's happened over the years since EPA developed that
8 is that there's a greater appreciation, among toxicologists
9 at least, that it's the soluble portions of the metals and
10 the soluble chemicals that are of primary concern in terms
11 of bioavailability and environmental migration.

12 So when I take a look at the analytical methods
13 that I can use to evaluate that soluble component, I had
14 water -- or I had acidified water, either a TCLP- or an
15 SPLP-type procedure. I chose the one that is the most
16 severe, and that is the TCLP. It's a little bit more
17 severe than the SPLP-type procedure, and both of them are
18 more severe than just plain water.

19 And so I wanted to maximize the likelihood that
20 if there is something that's soluble we're going to get it
21 out, analyze it and identify it as -- so that we can
22 discuss it here.

23 Q. Well, I --

24 A. And so it is -- You're correct that traditional
25 use of TCLP is, in fact, for waste characterization. I

1 chose to use it as just simply the most health-conservative
2 way to identify the soluble constituents.

3 Q. Well, I agree it will tell you what's soluble
4 based -- in terms of classification for whether something
5 is a hazardous waste. But just because the TCLP analysis
6 is below the standard does not mean it's not going to get
7 into the groundwater to cause an exceedence of the
8 standard.

9 So I've seen this used numerous times on oilfield
10 sites, especially for benzene. And if you use the TCLP
11 analysis, according to that theory you would never see
12 groundwater contamination from petroleum spills out in the
13 oilfield.

14 And I guess do you have any -- at least, you
15 know, that's my experience with it. I've seen folks try to
16 use it numerous times, and it's -- they'll say the TCLP is
17 below that level. We'll have them do investigations, and
18 it shows there's groundwater contamination in excess of the
19 standard. So how is that? How does that occur?

20 A. Well, you know, I think what you're doing is,
21 you're approaching this from the regulatory point of view.
22 You know, I use the regulatory criteria simply as a way to
23 identify which constituents you need to focus on. Okay?
24 And as I mentioned before, a lot of times the details of
25 the characteristics of a site present unique problems and

1 unique solutions.

2 But for practical purposes, the criteria are a
3 good way just to screen the data that you have collected,
4 determine which ones are of regulatory concern, which ones
5 are not. Okay? And then you start to evaluate, well, what
6 do we know about this and what does it really mean?

7 My intent was not to really look at whether or
8 not we meet or exceed or -- you know, regulatory criteria
9 here. What I was really trying to do was get an
10 understanding of what chemicals are out there, in what
11 form, so that I can start to evaluate it from a risk
12 perspective as to whether this is something that needs to
13 be dealt with so that the risk can be vindicated.

14 So I just -- I used these criteria, and they --
15 you know, as tier 1 criteria they are the first screen, the
16 most health-conservative screening number that the
17 regulatory agencies submit. Okay? And as you know, in the
18 Environmental Department the next step are perhaps going to
19 a more site-specific tier 2 sort of analysis and -- or a
20 very site-specific tier 3 analysis where those number no
21 longer apply, but the site-specific numbers start to apply.

22 So I'm just using it as a real quick screen. I
23 want to make sure that we identify what chemicals are
24 there, what forms they are. Are they soluble? And if so,
25 let's do a quick screen to determine which ones are likely

1 to be of regulatory concern and therefore need to be moved
2 forward in the risk-evaluation process.

3 Q. But in the screening that is done through the New
4 Mexico Environment Department, the work is on totals; it's
5 not based upon SPLP or TCLP --

6 A. That is true.

7 Q. -- it's on totals.

8 A. And that is -- that is the old traditional way of
9 dealing with regulatory things with regard to this.

10 And if you take a look at how EPA methods are
11 run, they use a very strong acid to dissolve the mineral
12 content in terms of the metal analysis, for example. Very
13 strong acids dissolve the actual soil particles so that
14 anything that's there is now solubilized and can be run
15 through the analytical procedure. Okay?

16 And that was the old style, when EPA first got
17 started. That's really the approach that they took.
18 Anything and everything, let's get it all out and see what
19 the worst case is.

20 Well, from the toxicology and the health point of
21 view, more and more of the regulatory agencies are starting
22 to recognize that it's not the total. Okay? Barium
23 sulfate is not a health problem. It is the soluble portion
24 of barium sulfate, if there is one, that would cause any
25 kind of toxicity.

1 So they started to develop extraction procedures.
2 Okay? SPLP, TCLP. They started to say, Well, in fact,
3 these are the things that are environmentally mobile, these
4 are the things that could migrate down to groundwater. And
5 from the health perspective, these are the things that are
6 likely to be absorbed in the GI tract.

7 And so as a result, all I'm doing here, I'm just
8 simply saying, I know what NMED does, and I know that the
9 approach that they're using is a traditional approach. I'm
10 just saying that in the regulatory arena, I think that
11 there are changes that are happening where they're focusing
12 now on more of the soluble portion, not the total, because
13 the total actually has very little relevance, I think, in
14 terms of protecting health.

15 Q. But I guess at this point here you're asking us
16 to accept an approach that's not accepted in New Mexico.

17 A. No, I'm just describing what I've done, because
18 all I can do -- all I can do, really, is the best that I
19 can do. Okay? And from the technical viewpoint, I think
20 the approach that we took was a reasonable approach. It
21 was designed to identify what chemicals are present, what
22 form they were, so that we could evaluate whether there's a
23 real health risk or an environmental risk, and we can now
24 start to deal with that. Okay? It is not designed to be a
25 regulatory-compliant demonstration.

1 Q. But that's what we do. We have regulations based
2 for regulatory compliance in New Mexico, and you are not
3 using the approach that is used for regulatory compliance
4 in New Mexico. Is that correct?

5 A. Well, I think that I am. I mean, we are
6 analyzing total and we are comparing that to the SSL, which
7 as far as I know is what NMED requires, okay, as their tier
8 1 criterion -- procedure. We are looking at the water-
9 soluble portions of it, evaluating whether they are likely
10 to pose risks to groundwater, you know, which again is in
11 theory the concept that NMED follows.

12 So I -- you know, I hear what you're saying
13 that -- you know, use totals. But I'm just saying that for
14 my purposes, and the best technical advice that I can give
15 my client, I decided that we need to do something to look
16 at the soluble portion of these metals, and TCLP was as
17 good a method as I could come up with from the available
18 methods that are approved by EPA.

19 Q. Well, are you using that as well for the soluble
20 portion of -- you know, of the BTEX, then, as well?

21 A. No, BTEX is run there. I was looking at total
22 content of benzene, primarily, okay? So, you know, if the
23 total is -- there are a number of different ways to look at
24 it. But essentially I was a little less concerned -- once
25 I saw the total levels, I was less concerned about soluble

1 levels. Okay?

2 As I mentioned, benzene was seen to be high in
3 the soil, in the solids, in one pit, and all the samples
4 were diluted a thousand times in order to do the analysis.
5 And it appears they were diluted because of other
6 constituents in that same sample that required dilution.

7 But those particular samples were very different
8 than the samples that were diluted at lower concentrations
9 or dilution factors. Okay?

10 So when I -- at the end of the day, I decided
11 that benzene should be mentioned here so that we can give
12 full consideration to it with all the caveats, but I'm not
13 convinced that it truly is a chemical concern in the
14 samples that we saw.

15 Q. Well, I agree, it's at lower concentrations from
16 the samples that we've seen, and I think even from -- a lot
17 of the samples from OCD samples as well.

18 A. Yeah, I consider the OCD test program to show the
19 same thing that the industry group test program did.

20 Q. Well, I guess I still come down to the idea that
21 you're basing the leaching on the TCLP method, which is not
22 accepted by the Department. So you're -- I just see this
23 whole comparison to EPA -- New Mexico Environment
24 Department methods, and you're not following methods that
25 they employed.

1 A. Well, I mean, does NMED have a preferred method
2 for determining soluble constituents? I'm sorry, I'm not
3 aware of it.

4 Q. Well, what's being looked at is looking at
5 defining the profile, and you're just doing this based upon
6 a theory of what's going to be migrating. So the
7 Department does not accept just the theory of where things
8 are going to end up; you look at the actual real-world data
9 -- I think that's what's been talked about here a lot,
10 about real-world data, about where things actually migrate
11 to.

12 So the theory is one application, but still a
13 theory has to be demonstrated with actual data. And then I
14 guess --

15 A. Yeah.

16 Q. -- there's -- there's -- I think I've seen some
17 here that was done with electrical conductivity that you
18 had done last week. I guess what other data has -- have
19 you got any other data to look at the mobility of these
20 metals from some of these old pits?

21 A. The answer is no.

22 Q. Okay.

23 A. Yeah. You know, I'm listening to what you're
24 saying and I'm thinking to myself that the NMED approach
25 makes the assumption that we have a DAF of 1 or a DAF of

1 20, you know, that sort of assumption in there, and I --
2 I'm not sure that my method is any worse than the
3 assumptions that NMED is using.

4 Q. And I guess is that site that you looked at last
5 week, is that the only, I guess, real-world site that's
6 been looked at so far for a former --

7 A. I'm not sure which site you're talking about.

8 Q. It looked like the site that Mr. Wurtz presented
9 the other day.

10 CHAIRMAN FESMIRE: Douthit site, is the way he
11 identified it. The Douthit site.

12 THE WITNESS: You know, I've not been to any of
13 these sites, so I don't know, because I'm -- I don't really
14 go out in the field very much anymore. Okay?

15 But what I did have was the analytical results of
16 the samples that were collected. I had the work plan and
17 so on.

18 Q. (By Commissioner Olson) So you weren't actually
19 out at that site, you just looked at the data that they
20 collected?

21 A. That's correct.

22 Q. Oh, okay, I was misunderstanding. I thought you
23 were out there, so...

24 A. No, I'm sorry, I don't go out in the field very
25 much anymore. I'm more dangerous that way than...

1 MR. HISER: If it would please the Commission,
2 Dr. Thomas has not seen actually at all the site that Mr.
3 Wurtz presented --

4 THE WITNESS: Yeah, I've seen --

5 MR. HISER: -- his testimony --

6 THE WITNESS: -- photographs --

7 COMMISSIONER OLSON: Oh, okay, I thought he said
8 that he worked with Dr. Thomas on --

9 MR. HISER: He said he worked with Dr. Buchanan.

10 COMMISSIONER OLSON: Dr. Buchanan, oh, excuse me.
11 Okay, okay.

12 Q. (By Commissioner Olson) And you're doing your --
13 it seems like what you're basing your conclusions on here
14 -- and I don't know, maybe Mr. Brooks talked about this, I
15 don't know if I remember what it was. Your conclusions are
16 based upon the average concentrations; is that --

17 A. That's correct.

18 Q. -- what you saw?

19 Don't you typically look at the highest
20 concentrations for worst-case scenario?

21 A. It depends. If you take a look at the risk
22 assessment guidelines for Superfund from the EPA, and I
23 think also NMED guidelines for compliance really are an
24 average. It's not the worst-case approach.

25 The -- You know, as you think about a site with

1 contamination and find the contamination is not consistent,
2 the same concentration everywhere -- and as I mentioned in
3 my testimony, the EPA approach was to assume that somebody
4 in the contaminated area will go from one area to the next.
5 Okay? He won't spend all his time at the site of maximum
6 contamination every day for 30 years, eating that dirt at
7 that concentration. Okay? He will in fact move over here
8 where it's a little less, over here, and so on.

9 And so the EPA guideline is, you take a look now
10 at the average of the concentrations seen in the impact and
11 so on. Okay?

12 And I've done the same sort of thing with the
13 same sort of reasoning, that yes, there were 11 estimates
14 or 11 samples that were collected for a pit, that they will
15 see variability because of analytical methodology
16 variability. They will see differences in just the actual
17 physical concentrations and the lack of homogeneity among
18 the pit contents and things like that.

19 But if I were to try to give an estimate of
20 likely exposure, it would be the average of all the samples
21 that were collected, not the worst one.

22 From a regulatory point of view --

23 Q. And that's for direct ingestion, right? I think
24 I understand that, but I was assuming, then, that you're
25 looking at the same concept of using averages for

1 contaminant migration in the vadose zone, then, as well.

2 A. No.

3 Q. Okay. So you're looking at -- you are using the
4 highest concentrations that you observed, or --

5 A. No, it would be, again, the -- if I had to
6 consider what the source concentration is, it is in fact
7 the average of all the samples that were collected.

8 But I'm not doing any modeling here, I'm just
9 doing a real quick, easy screen against regulatory criteria
10 from whatever source I can find, or common judgment, you
11 know, that --

12 Q. But from what I understand again, just to make
13 sure I got this correct, then, your risk analysis is based
14 upon just direct ingestion of the soils? I'm confused, I
15 guess.

16 A. Well, if I --

17 Q. Because you're making --

18 A. Let me try to --

19 Q. -- other places you're making broad conclusions
20 in this document, besides just ingestion of soils.

21 A. Well, let me go back through the key elements of
22 the testimony I gave.

23 One is that there was -- there were questions
24 raised about what is in the pits. Okay? And so the
25 industry group developed an entire program to go out and

1 evaluate it, as did OCD. Okay? And so analytical data
2 were collected, you know, and it was not just solids, it
3 was also soluble, and in our case we used the TCLP-type
4 procedure.

5 Now once we had that, we had a number of
6 chemicals that were not detected at all. We had some
7 chemicals that were detected, but at levels that were so
8 low that the best the laboratory could do was just estimate
9 the concentration. And we had some that were detected at
10 levels that were above the quantitation limit of the
11 methods that were used. Okay? So our -- were now taken.

12 And in order to determine, well, what chemicals
13 are really there, we now had identified the chemicals. And
14 on my tables you'll see that if it was ever detected in any
15 sample, in any pit, that constituent is now listed on the
16 table, so that we now understand this is a detected
17 chemical.

18 The next question is, well, are the levels that
19 we found high enough to be of concern? Should we deal with
20 this and focus on this as an issue with regard to pit
21 strategy. Okay?

22 And in order to do that, we did initial screening
23 against the NMED criteria. If there were no NMED criteria,
24 we tried to find criteria from other agencies that are --

25 Q. That's for direct ingestion of soil, you're

1 talking about now?

2 A. Primarily it is.

3 Q. Okay.

4 A. Primarily, because most of the data we have are
5 total.

6 Q. Okay.

7 A. Okay? And so, you know, looking at that we now
8 identified which ones should be moved forward as issues of
9 concern, okay?, or potential concern.

10 And as you heard me talk about in my testimony,
11 direct testimony, it was that we had TPH, we had the
12 chloride, and we had possibly benzene. Okay? Those are
13 the three that popped up from this initial screening
14 activity.

15 Q. Well, there's also lots of metals and other
16 things that were --

17 A. Yeah, but they were insoluble, or that they were
18 just -- just -- you know, essentially they were not really
19 of health concern. The only ones that showed up were
20 arsenic, and I -- as I recall, it was the arsenic was the
21 one that popped up. Okay?

22 But when we looked at the TCLP, everything was
23 nondetect. Arsenic was there, but it's not in a form
24 that's soluble, even in a slight -- in an acid -- acidified
25 water.

1 Q. Okay, and you're -- yeah, you're basing that on
2 your metal solubility from the TCLP for -- at least for
3 getting the groundwater. Otherwise, you're --

4 A. Right.

5 Q. -- you compared your totals to the NMED screening
6 levels for direct ingestion, residential --

7 A. That's right.

8 Q. -- ingestion, right?

9 But I guess then -- I think you heard a lot of
10 our testimony here that, you know, one of the major issues
11 is the migration of chloride.

12 A. Yes.

13 Q. And so you understand that they've come up with
14 two different modeling scenarios? One where the Division
15 has 5000 milligrams per kilogram, I guess, or milligrams
16 per liter, of leachate from a soil, versus 3500 from the
17 industry committee?

18 A. That's my understanding.

19 Q. And I've been confused by some industry witnesses
20 that seemed to say that, While we did this work and it
21 shows 3500, we'll accept the OCD's number of 5000.

22 So you're basing your recommendations on the
23 number that's developed by industry, that this is the most
24 appropriate number, 3500?

25 A. Well, two comments. One is that it is the salt

1 that is the primary concern that I see with regard to pits.
2 Okay? I don't like chloride because it's a less direct
3 measure than, say, sodium or some surrogate of sodium. But
4 nonetheless, that's what we've got here in our discussion.

5 I did review the reports and the conclusions of
6 Dan Stephens with regard to groundwater modeling and so on.
7 I think that his approach was fine. I don't have any
8 disagreements from the conclusions that he's reached from
9 his modeling. But I haven't done any modeling myself.

10 Q. Right, you're just -- you're not a modeler,
11 you're just accepting the results of his model?

12 A. For this project, that's correct.

13 Q. Correct. But I guess you were just saying, then,
14 that was something I think that you brought up once before,
15 you thought sodium should be used as a tracer for --

16 A. Yeah.

17 Q. -- produced water?

18 A. Yeah.

19 Q. Why would you recommend that?

20 A. I didn't quite recommend it that way. What I
21 said is that as I take a look at the issues associated with
22 these types of pits, it appears to me that the concern
23 primarily is sodium chloride, the concern as far as I can
24 tell is impact on groundwater, and it looks to me like the
25 impact is palatability more than anything else. Okay?

1 If it's palatability and health concerns with
2 regard to high sodium, then sodium is a more direct measure
3 than chloride, because chloride also was a reflection of
4 calcium chloride, potassium chloride, magnesium chloride,
5 and the other anions and cations that we have in this
6 balance of liquid that we call our migrating ionic
7 constituents.

8 You know, when we talk about salt bulges we're
9 talking about sodium chloride, but we're also talking about
10 a salt bulge from calcium chloride and so on.

11 Q. Yes, but then sodium is --

12 A. Sodium appears to be a more direct measure, but
13 I'm confused as to what OCD's objective is, and I continue
14 to be confused as -- What are they trying to protect? What
15 is the effect that you're trying to mitigate?

16 Q. Well, do you --

17 A. And as a result -- and as a result of that, I'm
18 just saying, from the health point of view, if it's a
19 health concern, sodium is a more direct measure.

20 If all you're trying to do is trace water
21 migration, chloride is great because it goes right with the
22 water front. Okay?

23 Q. Well, I've --

24 A. But I'm --

25 Q. -- I've always --

1 A. -- not quite sure --

2 Q. -- understood the purpose of using chloride, in
3 industry as well, is that it's a conservative tracer for
4 looking at contaminant migration from produced water, and
5 it also has -- typically has direct standards in most
6 states for protection of water quality.

7 A. Yeah, I understand what has historically been
8 done. And I continue to raise questions in the regulatory
9 offices that I've visited and talked to as to whether the
10 old way is still the best way. Okay?

11 And like the discussion here, I think that many
12 of the state authorities and federal authorities and the
13 international authorities I talk to are moving toward
14 trying to get -- and modify their regulations to reflect
15 the best science. Okay? What do we know now that we
16 didn't know when EPA was created in 1970? Why are we doing
17 it this way? What are we trying to do? What...

18 This risk-based approach that I'm advocating is a
19 way that everybody understands, this is what we're trying
20 to do, this is what we're trying to achieve, and this is
21 what the metric -- the best metric we have now in order to
22 achieve that.

23 And I'm not finding that in this discussion.

24 Q. Well, I think maybe -- correct me if I'm
25 understanding you wrong, but I seem to be understanding

1 that you're saying that chloride is great for using -- for
2 determining contaminant migration, but it doesn't pose --
3 out of sodium chloride, it doesn't pose the greater health
4 threat. Sodium poses the greater health threat, so --

5 A. And palatability threat.

6 Q. And palatability.

7 So it seems to me from what you're recommending
8 that the state should have both a standard for sodium and
9 for chloride. The chloride shows you the contaminant
10 migration, sodium is going to show you the level of health
11 threat that you're getting from the salts; is that correct?

12 A. That could very well be.

13 Now I think that I'm being misunderstood, okay?,
14 because I'm not advocating that *per se*. What I'm really
15 saying is that from everything that I've seen and
16 everything we've discussed, I'm at a loss to figure out
17 what OCD is trying to accomplish here. Okay?

18 I know what has traditionally been used for the
19 chloride test, and I know how to interpret chloride as a
20 way to look at the waterfront, the migration front.

21 But other than that, I don't see what utility it
22 has to the issues you're trying to -- you know, to address
23 here, and what are we trying to prevent? You know,
24 chloride impact on water? I don't think so. I don't think
25 so.

1 Q. Well, we have a chloride standard for
2 groundwater, so why wouldn't we protect for that standard?

3 A. It's legitimate to do that. I'm just -- I'm just
4 raising the point that I want to -- that from what I'm
5 seeing, I don't know what -- what your chloride standard
6 accomplishes.

7 If you saw water that was above the chloride
8 standard, you know, what would -- other than the fact that
9 you've got a regulatory exceedence, what real-world
10 implication does that have? How do you interpret that,
11 other than that it's a regulatory exceedence?

12 Q. Right, but you're making an argument that's not a
13 point of this hearing, you're making an argument that we
14 need to have different standards in the state.

15 A. No, I'm making the point that we need to have a
16 very clear understanding of what it is we're trying to
17 accomplish. Okay? Otherwise -- otherwise, we're left with
18 a policy that has a lot of historical baggage, okay? It
19 doesn't reflect current science and understanding, doesn't
20 identify to everybody involved what we're trying to
21 achieve, it doesn't give a very clear discussion of why
22 this particular test is the best measure in order to
23 achieve that, and to monitor success or failure.

24 We have no idea of what the criteria we use to
25 make modifications of our procedures, exemptions,

1 amendments, variances, that sort of thing...

2 And at the end of the day we don't know whether
3 we have succeeded. We don't know whether we have spent the
4 public's money in the most effective way, we don't know
5 whether our timing is right, we have no way to plan what we
6 ought to be looking at when the membranes fail in 75, 100
7 years, whatever. That kind of thing is what I'm really
8 criticizing.

9 I'm not trying to give you a -- my best
10 recommendation of what decision you should reach. Okay?

11 I can give you my best judgment of where the
12 technical limitations are. Sodium is a better measure for
13 health effect. What your criterion should be or whether
14 that's even of concern to you, I think is really OCD and
15 the Commission's decision. All I can do is give you my
16 best judgment of what the current science says, and what I
17 think are the best measures for your to consider in your
18 judgment.

19 Q. Well, I guess I still don't -- I don't understand
20 why you say you're confused. It seems pretty basic.
21 There's a standard for chloride and groundwater, correct,
22 that has --

23 A. There is.

24 Q. -- a state standard that we -- that the
25 Commission must protect?

1 A. There is.

2 Q. And we have chloride in drilling wastes, correct?

3 A. Yes, that's correct.

4 Q. And chloride is a conservative tracer as well,
5 for determining contaminant migration into groundwater, so
6 why wouldn't we be looking at chloride, then?

7 A. That is a legitimate thing if the Commission
8 thinks that chloride is the metric.

9 I'm just saying that as I look at it, I don't
10 find real value in a chloride measurement.

11 Q. So you would find value in using sodium as a
12 measure of contaminant migration, as a tracer?

13 A. No, I'm not talking about contaminant migration,
14 because contaminant --

15 Q. Well, that's where I have some -- I know -- keep
16 getting confused, because we're looking at -- one of our
17 main goals as an agency is to protect water quality --

18 A. Yes.

19 Q. -- in terms of the environmental regulations that
20 are adopted by the --

21 A. Yeah.

22 Q. -- the Commission.

23 A. But you already know that chloride is chosen
24 because it goes right with the water front. Okay? The
25 contaminants that we're talking about are delayed in their

1 passage through the soil for a variety of reasons, and they
2 will impact long after chloride has already hit
3 groundwater.

4 Q. Especially sodium.

5 A. Okay, sodium, okay? Benzene, same thing.
6 Toluene, same thing, you know. And so that we -- as we
7 migrate through the soil we get a chromatographic
8 separation of all these contaminants, okay? Chloride gives
9 us an idea of how soon that front, waterfront, has hit the
10 groundwater. Okay? Everything else is now timed and
11 delayed for, you know, its migration down to that
12 groundwater level.

13 Q. Right.

14 A. So for that purpose, chloride is great. Okay?
15 Now, what are the contaminants that you're
16 concerned about? You know, all I'm saying is, sodium is
17 one of them. That's the one I'm concerned about, okay?
18 Sodium is one of them, and it's trailing behind that
19 chloride plume.

20 Q. I agree with you.

21 A. Okay. And that's all I'm really --

22 Q. What confused me when you make a statement that I
23 don't understand what it's being used for because you just
24 explained that you understand now what it's being used for,
25 so you are confusing me in your statements, that's --

1 A. Yeah, I'm sorry. That historically has been what
2 chloride has been used for, is to trace that waterfront.

3 Q. And while -- since we're kind of on the
4 standards, at one point you made a statement that the WQCC
5 staff was not sure of why we have the standards, the WQCC
6 standards. What are you referring to?

7 A. They know why we have the standards. They don't
8 know -- the person that we talked to is one of their
9 younger staff. Okay? She told us that she went by -- went
10 and surveyed all the people that she could think of, to try
11 to figure out where they came from, and that agency memory
12 apparently has retired or gone. Okay?

13 I take a look at the -- this particular
14 criterion, 3101, and I find that some of the criteria are
15 less stringent than federal guidelines, MCLs for example,
16 some of them are more stringent. Okay? So how is that?

17 And what concerns me is that OCD has apparently
18 adopted the criteria now set by WQCC, and I'm not even sure
19 that WQCC's standards are up to date, and because some of
20 them are less stringent than federal guidelines, I'm not
21 sure that they are appropriate.

22 Q. Well, I would agree with you. But you also
23 understand, I think -- First of all, your statement --
24 There is no staff of the WQCC, do you understand that?

25 A. I have no idea. All I'm trying to do is, I have

1 a table that has criteria, and -- because when we started
2 to take a look at the criteria we had questions about their
3 being up to date, we called the WQCC to find out, well,
4 what's the source of this, when was this last updated, and
5 how were they developed? Because it didn't correspond to
6 MCLs, or the current list of MCLs.

7 Q. But the WQCC has no staff, so I guess I don't
8 understand. Did you contact someone in the Environment
9 Department? You didn't contact -- the WQCC is a commission
10 of the state --

11 A. Yes.

12 Q. -- it's made up of the heads of agencies. There
13 is no staff of the WQCC. They have no staff and no budget.

14 A. Well, I don't know the regulatory procedure or
15 the organization. All I -- I asked my staff to contact and
16 track it down as best they could. Okay? The contacted
17 somebody somewhere at WQCC to try to identify just what the
18 source of these numbers were. Okay?

19 You know, and I'm not really sure that that's all
20 that relevant. All I'm saying is that the WQCC criteria,
21 you know, may be something that OCD wants to take a look
22 at. They can adopt it or -- but I'm concerned that we've
23 got a state criterion that is less stringent than the
24 federal criterion.

25 And I'm sorry, I don't remember which one it was,

1 but --

2 Q. Well, benzene is one example. The state standard
3 for benzene is 10 micrograms per liter, and the federal MCL
4 is 5. So there's a lot of examples. I mean, the WQCC
5 standards were adopted in 1977 based upon the risk
6 assessments that were done at that time.

7 Admittedly, they have not been updated, and it's
8 been a point of criticism of mine for a long time as well.
9 They do need to be updated.

10 A. Yeah.

11 Q. And the Department, I know, has been looking at
12 that for some time; they just don't have the ability to
13 hire toxicologists to do that review.

14 A. Right.

15 Q. But I was just a little concerned when you start
16 making statements that the state doesn't know where their
17 standards came from, so --

18 A. I'm just reporting what my staff reported to me.

19 Q. From talking with a junior member of some
20 unknown --

21 A. Yeah, which is why I brought it up here. I mean,
22 it was a junior member, clearly a junior member. But as
23 best we could determine, the agency's -- what I normally
24 would call a corporate memory has been lost here. So I
25 just want to raise it so that OCD is aware of it as well,

1 because OCD has just, you know, proposed to adopt those
2 criteria.

3 Q. And they might have -- your staff might have
4 gotten a different answer if they actually had found
5 appropriate people to talk to, then, within the --

6 A. That's right.

7 Q. -- the state, then, so --

8 A. Yeah, that could very well be.

9 But again, my concern is that some of the
10 criteria are less stringent than the federal criteria. But
11 in this rulemaking, they're being adopted.

12 Q. Well, do you know if the Water Quality Control
13 Commission is the state regulatory authority under the --
14 for setting water quality standards in the state?

15 A. That's my understanding, that's my understanding.
16 I mean, I know why they were adopted and why -- and -- but
17 like you say, they were adopted in 1977, and they haven't
18 been kept up to date. And all I want to do is make sure
19 that the Commissioners know that that's the case.

20 Q. But your concerns were using them -- it sounds
21 like you have an issue, and you should be taking it up with
22 the -- with standards, you should be taking it up with the
23 Water Quality Control Commission.

24 A. If that were my charge, I would do that.

25 Q. Just give me a second here.

1 A. Okay.

2 Q. We've covered -- some of this.

3 I guess we'll come down just to looking at your
4 alternative risk and consequences.

5 So what you're actually presenting here isn't --
6 make sure I understand what you're presenting. This isn't
7 really a risk analysis. I see in the -- I don't -- it's
8 hard to say, I guess it's your first slide under thoughts
9 from a risk perspective.

10 So what this is is kind of a -- it's a summary of
11 your risk-based decisions and then consequences of the
12 actions. But I see this one third bullet that says you're
13 doing this study that's evaluating the consequences.

14 This isn't all just risk assessment, this is --
15 risk assessment is looking at --

16 A. This actually --

17 Q. -- typically looking at threats to the public
18 health, correct?

19 A. Much broader than that, but -- depending on the
20 type of risk assessment. But this section here really is
21 more of a discussion about risk management, okay? And --

22 Q. Okay.

23 A. -- you know, we're trying -- I get asked about
24 all the time.

25 But I thought it was important to make the point

1 that any decision has consequences. Some of the
2 consequences are beneficial, and some are adverse. And so
3 the point here was that there are a number of things that
4 were giving me concern about the proposed rule, okay?
5 WQCC, that sort of thing.

6 At the end of the day, I think that the state --
7 the people of the State of New Mexico deserve to have a
8 rule that is well conceived, well thought through, and one
9 of the things that I hadn't seen in any of the discussion
10 were alternative consequences. Okay? And so I wanted to
11 bring that up here.

12 The industry sponsored studies, I've cited them
13 in here. You know, like I say, we can quibble about the
14 numbers and the assumptions that we made and so on, but
15 nonetheless the decisions that are going to be reached with
16 regard to this rule are going to have consequences, and
17 they're not going to be zero. And I just wanted to make
18 sure that it was raised as part of the discussion here.

19 Q. Well, I guess I can follow up, I think, as to
20 what some of the discussion was yesterday. A lot of the
21 likely consequences revolves around truck traffic, correct?

22 A. That's the data that I saw in the industry
23 analysis, that's correct.

24 Q. And the industry is greatly concerned about the
25 increase in truck traffic, correct?

1 A. That's my impression from the comments I've
2 heard.

3 Q. Well, it's, I think, what you were presenting
4 here as well.

5 A. Yeah, all I'm doing here is just simply saying,
6 these are some of the adverse consequences that in the
7 industry reports were raised. Okay?

8 But I mean, other consequences that I haven't
9 raised is, the state has a finite budget. Okay? And
10 certain amounts will go to OCD and their programs, certain
11 amounts will go to funding health policy and so on. Okay?

12 I want to make sure that we understand that when
13 you're talking about allocation of resources there are
14 consequences in areas where we have not really thought
15 through, and I hadn't heard that kind of thinking in any of
16 the discussions with regard to the pit rule here. So my
17 point is --

18 Q. Well, I'm just following along with what you've
19 got, because I'd look at this as what you're presenting is
20 your conclusions that you have based -- you have made based
21 upon -- assuming the work of others, because you're not an
22 economist, you're not a petroleum engineer, you're not a
23 hydrologist, et cetera, or reservoir.

24 You're basing -- but you're presenting to us
25 conclusions based upon the work of other industry experts

1 here, correct?

2 A. Yeah, yeah. But again, my point is, I deal with
3 risk management, okay? Not only risk assessment but risk
4 management --

5 Q. Right, I understand.

6 A. -- and deal a lot with regulatory programs.
7 Okay? And so all I'm saying is that, you know, let's make
8 sure that first of all what we're trying to achieve, okay?,
9 and understand that any decision we make to achieve that
10 will have consequences in other areas.

11 And all I'm doing is taking the data from the
12 industry reports and saying here are some examples. Okay?
13 These are not all of them.

14 Q. Well, you're doing more than giving examples,
15 you're making conclusions based upon -- that's what I see,
16 that's -- Correct?

17 A. Well, they're not my conclusions, I guess, but
18 they are examples of adverse impacts, and beneficial
19 impact.

20 Q. Well, I agree, but what you're doing is, you're
21 presenting conclusions of the overall industry experts that
22 you have been working with in this; isn't that correct?

23 A. Well, I'm citing their conclusions, yeah.

24 Q. Okay. And just getting back to my original
25 question, the truck traffic was -- is a major issue for

1 industry; is that correct?

2 A. That's my understanding, yes.

3 Q. And so if we start looking at things on a risk-
4 management basis, should we be concerned about limiting
5 drilling activity in the future if we get a large increase
6 in drill rigs with the price of natural gas, irregardless
7 of this rule, should we start looking at problems with dust
8 and truck traffic, fatalities? Should the Commission be
9 considering that in allowing -- making allowances for
10 additional drilling in the -- say the San Juan Basin, for
11 example?

12 A. Well, I would submit that you actually already
13 are, whether you -- whether you do it in a -- you know,
14 ignoring the issue or whether you do it as a direct
15 consideration of it. You're -- already you're considering
16 it.

17 That didn't make sense, did it?

18 Q. No.

19 A. Let me try that again.

20 (Laughter)

21 A. Whether you -- whether you do that in a way that
22 is direct and formal and written and fully visible and
23 transparent to the community, you know, is a decision of
24 procedure, I think, for you. But regardless, these are
25 effects. So whether you're -- whether you're open about it

1 or not, you're going to have impacts to these areas, at
2 least.

3 Q. Well, at least to my knowledge, the Commission or
4 the Division has never placed any limitations on new
5 drilling due to truck traffic, according to -- if I follow
6 the logic of what's going on here, the Commission should do
7 that in the future, if we have new drilling in the San Juan
8 Basin?

9 A. Well, what I'm hearing in the discussion is, you
10 already are. You're talking about a need for perhaps
11 treatment facilities in the northwest, you're talking about
12 perhaps accessing the Environmental Department's waste
13 facilities. So I mean, you're already doing that.

14 Q. Where are we already doing that for regulating
15 the amount of truck traffic in the oil and gas industry?

16 A. I don't know, but all I'm saying is, I think that
17 from -- I thought the discussions here, at least what I'm
18 hearing in talking to various people, have included those
19 kinds of concepts.

20 Q. Well, industry has done that, and maybe you can
21 point out to me where that's been done in the past.

22 A. I'm probably speaking out of hand, I'm doing a
23 second -- second-hand report.

24 But nonetheless, you know, I think that those are
25 issues that will need to be addressed. You know, whether

1 the Commission and the OCD chooses to do so, I guess, is a
2 matter of policy and procedure.

3 Q. But what I seem to be hearing is the industry is
4 recommending that we regulate essentially the amount of
5 truck traffic in the oilfield industry, because they have a
6 great concern over the amount of truck traffic that's going
7 to occur from this.

8 But if I take the relationship here, it seems
9 like that would also apply to truck traffic in the industry
10 in general, and that we should be regulating the amount of
11 truck traffic, fatalities, dust emissions, CO₂, carbon
12 monoxide, effects that are occurring as well from truck
13 traffic in the oil and gas industry. That's what I'm
14 hearing from your testimony and from others.

15 A. Yeah. Well, I'm going to make a couple of
16 comments. You know, I think that these sorts of effects
17 are inherent in the proposed rule. Okay?

18 The second thing I'd like to clarify is that my
19 job is not to advocate for the industry. I was retained to
20 give my best advice to the industry group and to testify
21 here to give you my best appreciation of the situation, the
22 issues and the science.

23 I've tried to repeat, you know, in my testimony,
24 that I'm not here to make the decisions for you, nor to --
25 but actually just simply to raise issues, and -- as I see

1 it, and to make sure that I give you my best advice and
2 observations so that you can make your decisions.

3 So I know you're asking me, doesn't the industry
4 want this? And I can say, well, yes, I've heard that
5 that's probably the industry viewpoint. But it's not my
6 job to argue on behalf of the industry that these are the
7 things that you need to consider. All I'm doing is giving
8 you my best advice as to what I think the issues are and
9 some of the things that I'm seeing and not seeing in the
10 process of our --

11 Q. But it seems to me what you're -- well, you are
12 representing industry, you're here representing --

13 A. Right.

14 Q. -- the industry committee.

15 A. I am being retained by the industry committee.
16 But the charge that I was given was not to take their
17 position and to try to justify it. My job was to give them
18 my best evaluation of the data and advice on how to collect
19 those data and then reflect that here.

20 Q. But everything that you have in here -- the only
21 actual work that you conducted was the risk assessment for
22 protection of public health, correct?

23 A. That's right, that's right. I bring that
24 evaluation, as well as my experience in the risk-
25 assessment, risk-evaluation and risk-management areas, as

1 well as my experience in regulatory development.

2 Q. And then when you come down to risk management,
3 you're just providing a summary of the industry position,
4 then?

5 A. I think the industry has been appropriate to
6 identify these as consequences. Okay?

7 But again, my point was not to give validity to
8 their numbers or anything like that. My point was simply
9 to raise here that there are consequences that ought to be
10 considered as part of this process.

11 Q. Well, I think we all agree there's consequences
12 as part of any action. But when I look at this, you're
13 telling me that you're not advancing a position that is
14 directly in your document.

15 A. No, I am advancing the conclusions in my
16 document. There are adverse consequences, some of which
17 include these.

18 Q. Which are those identified --

19 A. Yeah, absolutely.

20 Q. -- by industry?

21 A. Absolutely.

22 Q. Okay.

23 A. But I will -- I will also tell you where I see
24 good things in terms of the things, and I'll tell you when
25 I see bad things. Okay? I'm concerned about sodium,

1 sodium chloride. Okay? That's the one issue that I see
2 that is clearly an issue here.

3 Q. Right, I think we talked about that.

4 A. Right.

5 (Laughter)

6 Q. Well, I guess and then advancing the positions,
7 that I come down to the alternate risk consequences, and
8 you're estimating that the new rule will provide \$50
9 million more per year in compliance cost. And where does
10 that number come from?

11 A. That's from Daniel B. Stephens' report.

12 Q. And that's based upon -- were you here for the
13 testimony from the Daniel B. Stephens witness on that?

14 A. I heard the latter parts of Mr. Pease's
15 testimony.

16 Q. And his numbers are based upon trucking all the
17 waste from northwestern New Mexico down to southeastern New
18 Mexico?

19 A. That's what I heard.

20 Q. And he did not account for waste disposal
21 facilities in the San Juan Basin?

22 A. That's what I heard.

23 Q. So then that's a flawed -- flawed number that's
24 been provided?

25 A. Well, I -- like I say, I can't comment on all of

1 that because I don't have the sources of his data either.
2 But I think that the industry was correct at pointing these
3 issues out. Whether the numbers are accurate or not, I
4 can't comment.

5 Q. Well, it's more than just the numbers are
6 correct, it's whether the statements that are made are
7 correct, that there is no disposal facilities in the south-
8 -- in the northwestern part of the state. More than just
9 the numbers.

10 A. Again, I can't comment.

11 Q. And then I'm down on your conclusions here, where
12 you're talking about OCD -- based on their proposed
13 language, OCD's primary concern is odor and taste impacts
14 on groundwater. What are you basing that upon?

15 It's in the first -- within the first bullet of
16 your conclusions.

17 A. Yeah, the point I wanted to make is that without
18 a very clear statement of what it is that is concern, you
19 know, just reading what the rule is trying to achieve and
20 what -- the constituents that are driving the actions that
21 are being taken, that, you know, the analytical data say
22 that it's not health-driven. Okay?

23 Therefore, what is it?

24 And as I look at it, it's palatability from
25 sodium chloride, and it's possibility of TPH staining soil

1 or perhaps soluble parts of TPH getting to groundwater and
2 affecting -- adversely affecting the taste of water, taste
3 and odor of water.

4 Q. Well, I guess I come back to, again, this
5 discussion we had before. We have specific standards in
6 water quality that we are required to maintain.

7 A. Correct, correct. And if that is the objective,
8 that's fine. Let's just make sure that it's up front, that
9 that's the objective. Okay?

10 As I take a look at the constituents of concern
11 here, I'm left with the conclusion that what we're all
12 doing right here is talking about the program to prevent
13 impacts on the staining of the soil and the odor and taste
14 of the water.

15 Are we sure it's really worth the cost?

16 Q. And what do you base that conclusion upon?

17 A. I don't see anything else that's driving that
18 concern. Okay? Other than the fact that we have existing
19 regulations, and we certainly want to enforce those.

20 Q. So isn't that the driving force of what we're
21 doing --

22 A. Well --

23 Q. -- is protecting --

24 A. -- you can --

25 Q. -- existing water quality standards --

1 A. I don't think so.

2 Q. -- in the state?

3 A. I think that what you're really trying to do is
4 protect the public health, you're trying to protect the
5 environment and so on, and whether your regulations achieve
6 that, I think, is always a question that needs to be re-
7 evaluated. Okay?

8 Here we're talking about an entire regulatory
9 program. It's going to require enforcement, it's going to
10 require compliance. Let's make sure we know exactly what
11 we're trying to achieve. No matter what the regulations
12 were 10 years ago or in 1987 or '77, you know, let's make
13 sure that they are up to date, they reflect the current
14 understanding, and they are achieving what we wanted to
15 achieve back in '77, that they are doing the job for us now
16 and will continue to do so in the future.

17 Q. Yes, but again, you're coming back to the
18 argument that you don't think the standards are
19 appropriate, and that's fine, but that's not a basis for
20 making statements that the OCD's primary concern is odor
21 and taste impacts on groundwater.

22 A. Well, all I can tell you is that, having looked
23 at all the data -- and I've spent a lot of time looking at
24 the data that we've got available as to what's in these
25 pits -- I come to the conclusion that the only thing we're

1 achieving here is, we're protecting odor and taste of water
2 and staining the soil.

3 And that's a terrible statement.

4 And I've looked at a lot of sites around the
5 world.

6 Q. And so we're not protecting existing water
7 quality for the standards that have been adopted by the
8 State of New Mexico?

9 A. What are you protecting it from? I'm looking at
10 the data for these particular pits. Okay? What is it in
11 these pits that are really giving you concern?

12 Q. And I think we --

13 A. That's -- We kind of go around. I mean, it's
14 kind of the regulatory viewpoint, as opposed to my
15 consulting viewpoint, I think.

16 You know, it's -- that's -- but ultimately as the
17 consultant where I've talked to both industry and I talked
18 to the regulatory people and I talked to all different
19 kinds of groups, you know, I continue to have to make the
20 evaluation as to, well, what is it that we're trying to
21 achieve here, and how do we best do that? Okay?

22 And there are times when I will develop an
23 entirely new approach that nobody's ever seen before, and
24 I'll advance it to the agency and say, This appears to be
25 the best situation, the best way to deal with this

1 particular, you know, site or contaminant.

2 Q. Well, have you ever --

3 A. And I -- And all I'm saying is that we ought to
4 be doing the same thing here. As best I can tell from all
5 the data that I've looked at, we're protecting odor and
6 taste and staining.

7 Q. Have you ever talked to OCD about what they're
8 trying to accomplish with these regulations?

9 A. Yes.

10 Q. And that's all you can come away with, is that
11 they're protecting odor and taste of groundwater?

12 A. No, that's my conclusion.

13 Q. Okay.

14 A. That's my conclusion.

15 Q. And I come down to the second bullet in your
16 conclusion, it talks about the transference of risk.

17 A. I'm sorry, where are you?

18 Q. On the same page, does the OCD proposed pit rule
19 reduce actual risk? And it talks about transferring the
20 risk.

21 A. Yes.

22 Q. And so is it your testimony -- I guess, are you
23 just summarizing this aspect of risk related to -- just to
24 the soil exposure, because you're -- everything else you're
25 doing is based upon the conclusions of all the other

1 witnesses, right? You're just summarizing --

2 A. Yeah.

3 Q. -- their testimony?

4 A. When I take a look here -- Like I said, the one
5 constituent that I've got concern about is sodium chloride,
6 is the salt. Okay?

7 And when I take a look at that, you know,
8 everything in my experience says that what we're really
9 concerned about there is the mass of sodium chloride that,
10 if potentially released, could impact on something like
11 groundwater. Okay? Odor and taste. Not odor, but taste,
12 you know, palatability. Okay?

13 And so essentially as I read the rule and
14 evaluate what it -- what the implications are, the closure
15 in place with small volumes and small amounts of sodium
16 chloride is going to be replaced by making large pits that
17 contain sodium chloride but greater -- much greater mass of
18 sodium chloride.

19 If a release occurs, that mass will impact --
20 will have a much more serious impact on groundwater than
21 the small pit.

22 Q. Well, at the same time the larger facility is
23 built with much greater environmental protections than is
24 given to an in-place burial where the thing's just covered
25 up; isn't that correct?

1 A. It could very well be, could very well be. I'm
2 looking at at some point there will be a membrane failure.
3 Okay? At some point there will be a release. Okay?

4 And the question is, if that's the case, then are
5 we going to need to -- What actions are we going to take?

6 Q. Well, do you understand, these facilities are
7 double-lined, leak detection, they have all kinds of
8 monitoring and other requirements associated with them?

9 A. And all I'm saying is that the lining will fail.

10 Q. And so you --

11 A. It may be a hundred years from now, but that
12 lining will fail. Now the question is, what are you going
13 to do with that huge mass of sodium chloride moving toward
14 the groundwater?

15 Q. And you think a facility with more environmental
16 controls has a higher risk than a facility with no
17 controls?

18 A. No, not risk. I'm saying the risk is 100
19 percent, in both cases. It's a matter of the impact.

20 Q. So engineering controls --

21 A. And the size of the impact --

22 Q. -- have no bearing -- engineering controls have
23 no bearing upon risk?

24 A. They do, but if the membranes are intact for the
25 small pits you've got the same effect. I mean, you've just

1 got the same control, except that you do not have the
2 underground, you know, fluid collection or things like
3 that.

4 In theory, if you've got an intact membrane,
5 you're not getting the salt out.

6 Q. Are you telling me that the -- an in-place burial
7 has the same engineering controls as a --

8 A. No, I'm not. I'm saying from the practical
9 viewpoint of salt -- containing salt within the pit, if
10 you've got a membrane and it's intact, then you've got no
11 migration of salt out of that pit, right? Okay? And
12 that's the same for a commercial -- OCD-approved commercial
13 facility and the same for the small pits on site. Okay?
14 It's not until the membrane fails that we start to see a
15 release.

16 Q. Yes, but if a membrane fails and you have
17 engineering -- other engineering controls in place, then
18 you have less risk than you do from a single liner that's
19 sitting out there; isn't that correct?

20 A. What other engineering controls have you got that
21 are now retaining that salt?

22 Q. Well, you have a double-lined facility and leak
23 detection --

24 A. If the membrane fails, what -- you know, and
25 you're getting a release, what other control have you got

1 there that --

2 Q. If you have a leak in the primary liner, what
3 happens?

4 A. You've got a secondary liner. But now you --
5 both of them are 75 or 100 years old, and they now start to
6 fail. Okay?

7 I don't -- I don't doubt that you've got all
8 these nice engineering controls so that for the first 75
9 years or so they'll be fine. But at some point we're going
10 to have a physical failure of the liner, I'm saying, and a
11 release.

12 And all I'm saying here is that what we've
13 managed to do is transfer the risk from the smaller cells
14 into a very large cell. And I've not gone through all the
15 engineering thinking about what we're going to do at that
16 point, but at some point we're going to have a release from
17 both types of -- both situations.

18 Q. Well, we'll just have to disagree on that.

19 You seem to be saying then, too, that you can
20 have one facility which has more of a limited potential for
21 impacts, even though it has a larger mass of contaminants,
22 correct?

23 A. Are you talking about the commercial facility?

24 Q. Yes, commercial facility --

25 A. Yes.

1 Q. -- has a larger mass of contaminants, and you
2 have one of those, so you --

3 A. Right.

4 Q. -- have -- versus a thousand --

5 A. Correct.

6 Q. -- other locations.

7 A. (Nods)

8 Q. And you believe that large numbers of landfills
9 is a lower risk than a single landfill?

10 A. I think that that needs to be considered.

11 Q. I agree that it needs to be considered.

12 Coming to your next page in your conclusions --

13 A. Uh-huh.

14 Q. -- I think I went into this a lot, but I just --
15 in the third bullet down it talks about greenhouse gas
16 emissions. And that's a big concern, I guess, because
17 industry is real concerned about global warming?

18 A. All I can tell you is that this one of the things
19 that was listed in the D.B. Stephens report --

20 Q. So is it --

21 A. -- and it --

22 Q. -- then, that industry --

23 A. -- will be --

24 Q. -- has a large concern about global warming?

25 A. I can only tell you that this was one of the

1 things that was in the report. If that reflects an
2 industry concern about global warming, then I guess they're
3 concerned about global warming.

4 Q. And I come down a couple slides later, you talk
5 about the -- in your conclusions, the -- it doesn't have a
6 number on it. It says -- at the top it says, Proposed
7 industry approach provides similar benefits at less cost.

8 A. Right.

9 Q. And direct exposure risks, you have down there on
10 one of the bullets is, Direct exposure risks (residential
11 and construction) are *de minimis* for onsite pit closure.

12 How is -- how is that conclusion derived?

13 A. Well, as I told you, going through all the data
14 my conclusion is that there's really not a health-driven
15 cause here. Okay? Because I look at the direct exposure
16 potential of somebody eventually in the future building a
17 house over these areas.

18 I don't see either in the construction or the
19 resident who lives there for 30 years -- I don't see a -- a
20 health risk from the data that we've looked at.

21 Q. So are you basing that on the idea that nobody
22 will build a house over it?

23 A. No, I said even if they did, the risks are *de*
24 *minimis*.

25 Q. Because we have had instances of pits -- houses

1 being constructed right on top of pits, such as the Shell
2 Westgate subdivision; isn't that correct?

3 A. I'm not familiar with it.

4 Q. Okay.

5 A. These are drilling pits?

6 Q. That was not a drilling pit, it was just a pit
7 that was -- that nobody had a knowledge of, and it was --

8 A. Yeah, I'm sure that occurs all the time. I've
9 dealt with that kind of situation too. They weren't
10 drilling pits.

11 I'm saying from the data that we have on drilling
12 and recycle pits, you know, I'm not seeing a health -- that
13 would have been caused from possible future building of a
14 house over the pit, in direct contact with the contents.

15 Q. But you're basing this solely for the results
16 that you did for the San Juan Basin then --

17 A. No.

18 Q. -- not the salts for --

19 A. In Lea County.

20 Q. In Lea County as well?

21 A. (Nods)

22 Q. So you think if somebody comes in and -- some
23 major excavation, make a basement in a house and digs up a
24 whole pit and spreads it all across their yard, that
25 doesn't pose a risk to their property?

1 A. From the data that we've seen, the answer is no.

2 Q. And there won't be any problems with them just
3 having their kids out playing in the yard with salt wastes,
4 with highly contaminated salt wastes?

5 A. Not -- again, I'm concerned about salt --

6 Q. Uh-huh.

7 A. -- okay? because it's irritating --

8 Q. Uh-huh.

9 A. -- to the skin. Okay? But the -- I mean, all of
10 New Mexico has got a pretty high salt content, salt load.
11 Okay? From the data that I'm seeing, I'm not seeing an
12 adverse health effect, even if the kids are playing in the
13 dirt.

14 Q. So if I follow your logic, we can use this
15 material for constructing playgrounds and stuff then?

16 A. It's possible.

17 Q. Okay.

18 A. What we're talking about is natural muds in the
19 subsurface constituents that they're -- pulled up from
20 drilling.

21 Q. And then down to your last slide, your
22 conclusions, you say that OCD is not making a risk judgment
23 but OCD is making a value judgment.

24 Isn't the data you presented here making a value
25 judgment?

1 A. I'm raising risk issues. What I don't see is the
2 evaluation or the -- I don't understand the thought process
3 going into OCD's proposed rule. Okay? It looks to me like
4 they are in fact making a value judgment, that they've
5 decided up front that they don't want small pits, that they
6 want them excavated and moved to commercial facilities.
7 Okay? But that was a judgment made up front, and I'm not
8 seeing the data to support that judgment.

9 So as I summarize here, I don't think they're
10 making a risk judgment, I think they're making a value
11 judgment.

12 Q. Well, didn't you use judgment in -- value
13 judgment in making your conclusions here?

14 A. In what way?

15 Q. You're judging the value of truck traffic and all
16 these other effects, you're using your own value judgments
17 in making your conclusions, aren't you?

18 A. I don't think so. All I'm doing is pointing out
19 that there will be effects, impacts.

20 Q. Well, didn't industry make a value judgment?
21 They've assumed that these pits are no problem, and we've
22 heard that for years without any data being collected, so
23 they had a value judgment that they had made that the pits
24 aren't causing the problem, and they've hired their experts
25 to determine that their value is correct, their values are

1 correct, and their judgment?

2 A. No, that's not true. That's not true. That's
3 not how I would characterize it. What I told you is that
4 my contract or retention by the industry group was one to
5 give my best professional judgment. If my judgment was
6 adverse to their position, so be it. Okay?

7 Q. So you don't believe --

8 A. My job is not really to justify their position or
9 their value judgments or anything like that.

10 Q. And so OCD's witnesses aren't using their best
11 professional judgment?

12 A. I'm sure that they are. I'm just saying that
13 from my perspective they're not justifying appropriately
14 the judgements that they're making.

15 COMMISSIONER OLSON: Can we take a break?

16 CHAIRMAN FESMIRE: Now would be a good time.

17 COMMISSIONER OLSON: Uh-huh.

18 CHAIRMAN FESMIRE: Why don't we go ahead and take
19 a 10-minute break and reconvene at 25 till?

20 (Thereupon, a recess was taken at 10:25 a.m.)

21 (The following proceedings had at 10:38 a.m.)

22 CHAIRMAN FESMIRE: Let's go back on the record.

23 This is a continuation of Cause Number 14,015,
24 all three Commissioners are present, there is a quorum
25 therefore present.

1 We were in the Commissioner's examination of Dr.
2 Thomas.

3 Commissioner Olson, did you have further
4 questions?

5 COMMISSIONER OLSON: Yeah, I had one or two.

6 Q. (By Commissioner Olson) I think at one point you
7 were mentioning that you didn't understand why we use TPH
8 as a measure of contamination. Maybe you can explain why
9 you were thinking that. Or maybe I -- make sure I have you
10 -- assessed correctly what you said, first.

11 A. I think I said it's not clear to me what the
12 concern is that the OCD has with regard to TPH. It seemed
13 to me that they had used a fairly simplistic analytical
14 method that was inexpensive and fairly easy to conduct, and
15 I can see value in that.

16 Again, I was raising concerns about the --
17 alternative methods gave a little bit better detail, so
18 that better judgments could be made with regard to health
19 risk.

20 But from everything I'm seeing, it looks to me
21 like the levels of TPH really are not that significant.
22 They exceed the waste oil criterion that NMED has in -- I
23 think it was a single pit there. But as I look at it, it's
24 not really -- from a tier 1 criterion basis, it's not
25 really a major health concern either.

1 So as I thought through it, the only thing I can
2 see that's gained by TPH, if it's not health, it's got to
3 be staining the soil, a cosmetic problem.

4 Q. Well, would you maybe at least agree that TPH is
5 useful as a measure of just gross contamination as an easy
6 screening method for gross contamination?

7 A. Could be, it can be. Yeah, probably in -- in New
8 Mexico it probably is a measure of gross contamination. In
9 other areas where it's a lot more vegetation, then suddenly
10 you find a suggestion of contamination, there's no
11 petroleum present.

12 Q. Right, depending upon the method that you use.

13 A. Right.

14 Q. Right. Was your main concern, then, just the
15 method that they were using for TPH, using gas -- you know,
16 I guess you were proposing using gasoline-range, diesel-
17 range organics --

18 A. Right.

19 Q. -- versus the 418.1 method?

20 A. Right, they differ in their toxicological
21 properties and their environmental risk properties. So I
22 think that's probably a better measure, if it's a TPH
23 concern.

24 Q. I guess even though -- that method is a higher
25 cost, though, to run than the 418.1 method.

1 A. Yeah, it is more expensive.

2 Q. Right.

3 A. And it takes longer.

4 Q. Uh-huh.

5 And -- oh, and at one point you were -- I think
6 this was your earlier testimony -- maybe it was later, I'm
7 not sure anymore -- you were criticizing, I guess, OCD for
8 not having a sampling plan. But I didn't see any sampling
9 plan that you had provided here.

10 A. I didn't provide one, but there was a 24-page
11 sampling plan that the industry had developed in early
12 2007, and it was a -- it was a formal sampling plan for a
13 field mobilization. It talked about what the objectives of
14 the sampling program were, it talked about what samples
15 would be collected, where they would be collected, what
16 equipment would be used, what analytical tests would be run
17 on this, it would talk about the health -- provide an HS&E-
18 type plan, health, safety and environment-type plan. It
19 talked about protective equipment, it talked about safety
20 meetings for the staff, what they should know before they
21 go on site and so on. So it was a fairly detailed work
22 plan.

23 Q. But you didn't provide one here yourself either,
24 then, as part of this proceeding?

25 A. No, not -- the sampling and analytical program

1 were really done by the industry group. It's not my
2 position, really, to give the field work plan as part of my
3 testimony.

4 Q. So I guess are you saying because you don't know
5 what the OCD sampling plan was that their data is invalid?

6 A. No, I didn't say that. I just said that a lot of
7 the detail as to what they collected, how they collected
8 it, whether they put it in amber vials or in clear glass or
9 in plastic, that's not specified. Okay? How they -- Did
10 they add preservatives in the field? What control --
11 quality control samples did they take? Those kinds of
12 detail are useful to me as I'm evaluating the quality of
13 the data and the validity of the data. And, you know, I
14 didn't have a lot of information with regard to what
15 samples were collected and how they were collected and so
16 on.

17 Q. Well, are you aware that the OCD has a QA/QC plan
18 that is approved by EPA?

19 A. No.

20 COMMISSIONER OLSON: I think that's all I have.

21 EXAMINATION

22 BY CHAIRMAN FESMIRE:

23 Q. Doctor, I want to start right there. The detail
24 of the sampling plan wasn't provided to you, right?

25 A. Yes, it was, for the industry --

1 Q. No, the -- You've said the OCD sampling plan, the
2 detail wasn't --

3 A. That's correct.

4 Q. -- provided to you?

5 Did industry provide the detail of their sampling
6 to the OCD?

7 A. I have no idea.

8 Q. Okay. Doctor, when I was a criminal attorney we
9 had something that we called the some-dude syndrome. You'd
10 take a -- for instance, a proposed plea bargain in to a
11 defendant to talk to him about it and he'd always say,
12 Well, somebody else got a better deal.

13 You'd ask him who?

14 He'd say, Some dude.

15 Well, who's his attorney?

16 I don't know, some dude.

17 And I seem to see a some-dude syndrome creeping
18 through a lot of your testimony here. I just asked you the
19 data that you were criticizing and specified one of the
20 major criticisms, and you can't tell me why that's relevant
21 here. Who did it, who -- I mean, why -- why is that a
22 question here? You can't tell me that the industry
23 provided their sampling plan to the OCD, and yet you based
24 a lot of your -- all of your analysis on the samples
25 gathered according to that sampling plan, and yet you sit

1 there and criticize OCD's sampling plan.

2 A. No, I didn't criticize it, I just said we didn't
3 have one.

4 Q. You didn't have --

5 A. We didn't have --

6 Q. -- one?

7 A. -- access, or it wasn't provided --

8 Q. And is that not a criticism, that you didn't have
9 one?

10 A. No, I think my statement was that the OCD data
11 essentially are in agreement with the industry group data.

12 Q. No, we're talking about the sampling plan,
13 Doctor, we're talking about the plan that you were
14 criticizing.

15 A. Okay.

16 Q. You criticize OCD's plan, but you had that plan
17 to criticize, right?

18 A. No, I don't have the plan from the OCD.

19 Q. You did not -- the OCD didn't provide you with
20 their sampling plan?

21 A. No, they didn't provide any --

22 Q. They didn't provide you with a copy of the task
23 force sampling --

24 A. -- nor did the industry provide me with their
25 sampling -- with the OCD sampling plan.

1 Q. Okay. Now when did you first get involved in the
2 pit rule, or -- for the industry committee? When did they
3 first engage you, and when did you first start working on
4 it?

5 A. You know, I would assume that's 2006 sometime.

6 Q. Can you tell me any better than 2006 sometime?

7 A. October, something like that?

8 Q. Do you not know?

9 A. Not off the top of my head, I don't recall.

10 Q. Okay, but your best estimate is October?

11 A. It would be probably October.

12 Q. Of 2006. When was the decision made to do the
13 sampling, in the industry plan -- in the industry sampling
14 plan -- project?

15 A. It was my understanding that there had been two
16 OCD-sponsored public outreach meetings in December of 2006
17 and January of 2007. At those outreach meetings, there
18 were questions raised about what's in the pits, and the
19 industry went back and decided to do their sampling program
20 at that point.

21 By February of 2007, they had their whole
22 sampling plan program. They had hired a consultant to
23 develop that and also, once they had approved that, go out
24 into the field. So in February of 2007 they now went out
25 and collected those samples, sent them to the laboratory

1 for analysis.

2 Q. And when was the OCD notified of that sampling
3 project?

4 A. I have no idea. I wasn't part of those
5 discussions.

6 Q. You said that the Oil and Gas Act requires risks
7 to be considered in the regulatory process. Could you
8 elaborate on that some?

9 A. Yes, the Oil and Gas Act, as I recall, requires
10 that the -- that public health and the environment be
11 protected. Okay? And so essentially -- I've kind of
12 probably over-extended the thing about risk, but protection
13 generally refers to something that's posing a risk. Okay?
14 And so what I'm saying is that it requires that a risk be
15 addressed.

16 Q. But when you made that statement you say that
17 perhaps you overextended a bit when you made the statement?

18 A. Yeah, because it doesn't mention the word "risk",
19 I think, in the Oil and Gas Act. It talks about
20 protection.

21 Q. Okay. Now you talk about temporary pits, and
22 then you kept mentioning drilling and recycle pits. What
23 is a recycle pit?

24 A. My understanding is, that's the oil and mud being
25 recycled back down the hole and then back up to the pit.

1 Q. Okay, so that's a drilling and recycle pit?

2 A. That's my understanding, yes.

3 Q. I'm going to jump around on the subjects here
4 because -- well, it's parts of several pieces of testimony,
5 and I apologize if they're not --

6 A. Certainly.

7 Q. -- not coinci- -- I mean collinear there, but...
8 The industry sampling plan, you said that you
9 don't know if the OCD was notified?

10 A. No, I don't.

11 Q. Okay. You said at one point in your testimony
12 that you had been told that the Governor's task force had
13 received a copy of the industry committee analysis; is that
14 correct?

15 A. That's correct.

16 Q. Who told you that?

17 A. Not only that, but I was asked to summarize the
18 results of the evaluation that I was doing as part of that
19 communication.

20 Q. Okay. Now who told you to do that?

21 A. Dennis Newman.

22 Q. Can you remember exactly what he told you?

23 A. We need to summarize what we found, essentially
24 what he said.

25 Q. He said, We need to summarize what we found?

1 A. Or what I found, actually, was his terms.

2 Q. Okay. And can you give us a pretty detailed
3 description of your involvement in the sampling plan? Did
4 you develop the sampling plan? Did you -- You said you
5 didn't go to the field to do any of the sampling?

6 A. No. The sampling plan was developed by S.M.
7 Stoller, which is an environmental firm that does field
8 work.

9 Q. Did you have any input in it?

10 A. I was -- as I recall, I was asked to review it, I
11 think, but my recollection is a little hazy on that. But
12 it was a fairly standard sampling plan and had components,
13 parts that I was talking about.

14 Q. And how was that plan implemented?

15 A. Once it was approved, they went out to the field
16 and collected samples.

17 Q. Who's "they"?

18 A. Stoller.

19 Q. Stoller. So Stoller did the sampling?

20 A. That's correct.

21 Q. Did they split the samples?

22 A. I don't believe so.

23 Q. Did they notify OCD that they were doing the
24 sampling?

25 A. I don't believe so. Like I say, I don't know the

1 details about what they did in terms of field
2 implementation.

3 Q. And you say that occurred in February and March
4 of 2007?

5 A. The field sampling? It should have been by the
6 -- toward the middle, I think, of February.

7 Q. Okay. And then you were provided the analysis?

8 A. The results of the analysis, right.

9 Q. And do you remember when you got that analysis?

10 A. About April of 2007.

11 Q. Now at one point in your testimony you said that
12 it was your understanding that all drilling materials would
13 have to be hauled and disposed of at landfills; is that
14 correct?

15 A. As I read the rule, the 3103 criteria right
16 underneath the pits are likely to be exceeded and therefore
17 would need -- it would trigger the excavation and hauling
18 away.

19 Q. Okay, and you -- you don't understand that the
20 proposed rule provides an option outside of a 100-mile
21 radius for burying on site, right?

22 A. I -- You know, that kind of detail is not really
23 part of my evaluation.

24 Q. And you testified that the OCD and industry
25 analysis were essentially similar, right?

1 A. The results.

2 Q. Okay. Were there any pits sampled that didn't
3 show up in your results?

4 A. Any pits sampled?

5 Q. Sampled, that did not show up in your results?

6 A. No.

7 Q. How do you know that?

8 A. We took a look at every sample that was collected
9 and evaluated, and the -- you know, many samples were
10 analyzed multiple dilutions and things like that. All of
11 them were there.

12 Q. Okay, and Stoller certified to you that there
13 were no other samples taken, just the ones that were
14 presented in that analysis?

15 A. Well, we actually got the laboratory reports in
16 addition to a Stoller compilation of the data.

17 Q. Okay. You're not answering my question, or I'm
18 not asking it right here. Were there any samples taken
19 that did not show up in your analysis, in the analysis that
20 was given to you?

21 A. The samples that were supposed to be collected
22 were represented in the data, data analysis, that I saw.

23 Q. Okay. Now, Commissioner Olson hit this a little
24 bit. If Mr. Pease's conclusions were incorrect, so would
25 your analysis be of the -- in your conclusions part

1 concerning the truck traffic and things like that?

2 A. I've done no analysis of truck traffic.

3 Q. Okay, in your conclusions when you --

4 A. In the section on alternative impacts?

5 Q. Alternative risk consequences? You talk about
6 drilling material hauled, VOC emissions, dust emissions and
7 CO₂ emissions.

8 A. Yes.

9 Q. Okay, those aren't your conclusions, those
10 are -- ?

11 A. My conclusion is that they will be -- they will
12 have impacts in those areas.

13 Q. Okay, and that's based on Mr. Pease's report and
14 his conclusions, right?

15 A. That -- Well, and my experience as well. You
16 know, those are -- there will be impacts in those areas.
17 So whether Mr. Pease's assumptions and numbers are the
18 same --

19 Q. Okay, if Mr. Pease's conclusions were overstated,
20 if the numbers were overstated because the information that
21 he had was not correct, your conclusions would also be
22 overstated, would they not?

23 A. I made no conclusions. I just simply reported
24 his numbers.

25 Q. Okay, your -- your list of --

1 A. My input or testimony is that there will be an
2 impact, and those are areas that will be impacted --

3 Q. Okay --

4 A. -- actually seen.

5 Q. -- so the things listed under alternative risk
6 consequences are straight out of Mr. Pease's report?

7 A. And also my experience.

8 Q. Which ones are your experience?

9 A. That there will be emissions of VOCs from truck
10 traffic, the -- being on roads will create dust levels, and
11 I forgot the third one that you were talking about.

12 Q. There's a CO₂ emissions --

13 A. CO₂ emissions will be part of the emission from
14 an automobile as well.

15 Q. And those aren't the same numbers that Mr. Pease
16 came up with in his report?

17 A. No, I'm talking about that I'm -- my point is
18 that there will be impacts in those areas --

19 Q. Okay, but there are numbers listed here --

20 A. The numbers there are Mr. Pease's numbers, and
21 they can be overstated.

22 Q. Okay.

23 A. They're not part of my conclusion.

24 Q. Now, in the analyses, in the appendix to 9, you
25 talked about some of the averages were arithmetic averages

1 and some were geometric averages. Which is which, and why?

2 A. Okay, in statistics, arithmetic average is used
3 to summarize the central tendency of a bell-shaped curve,
4 data that are in a bell-shaped curve.

5 A lot of time in environmental data what you see
6 is that you have a peak at one area and then a very long
7 tail with high concentrations, is usually the pattern.
8 That type of distribution is called a log-normal
9 distribution. And to do the appropriate statistical tests
10 or a descriptor of that type of distribution you use what's
11 called a geometric mean or average, geometric average.

12 So the --

13 Q. Which constituents represent arithmetic averages
14 and which represent log-normal averages?

15 A. If you take a look at the range, you can see
16 those situations where the average that's reported there is
17 in the middle of the range. In other cases you'll see that
18 the average is offset to one side or the other in the
19 range. Okay? That's an indication that you've got a
20 geometric -- or a log-normal distribution, and require a
21 geometric average.

22 Q. And the decision to use one or the other is
23 purely judgment on your part, right?

24 A. No, I actually did some statistical tests to
25 determine whether or not you could call this a normal

1 distribution.

2 Q. Okay. And there are other distributions besides
3 logarithmic and normal distributions that you could have
4 used --

5 A. Uh-huh.

6 Q. -- right? But you limited it to just those two?

7 A. Yes. Yeah, the distributions that we're looking
8 at seem to fall into those two categories.

9 Q. Commissioner Olson again touched on this. I just
10 wanted to clarify something. Your assumption is that the
11 OCD or the WQCC TPH standard is -- that it's just based on
12 odor and taste problems?

13 A. Would you repeat that?

14 Q. The TPH standard that is promulgated by the WQCC,
15 it's your belief -- or your assumption that this is based
16 on an odor and taste problem?

17 A. I think the TPH standard that you're talking
18 about, Environmental Department, I think, as opposed to
19 WQCC?

20 Q. Okay. But your assumption is that that standard
21 is based on a taste and odor problem --

22 A. No --

23 Q. -- not on a health problem?

24 A. -- no, it looks to me -- Again, I'm not quite
25 sure what the source of the criterion that OCD is citing

1 is. They don't tell me. But it looks to me that it most
2 likely comes from the Environmental Department.

3 And the 2500 criterion that they set is one that
4 is a risk-based -- it's a health-risk-based standard. It
5 makes assumptions with regard to what size class of
6 hydrocarbons are present in a waste oil.

7 And on that basis they -- for each size class,
8 they've assumed that you've got a surrogate toxicant that
9 is going to be the one that represents that size class.
10 And depending on what proportion or percentage of that size
11 class hydrocarbon or that size class -- in that size class,
12 you come up with a number, and that's 2500. Okay? It's
13 based on health effect -- or health concerns, not odor and
14 taste.

15 Q. Okay. Now you've heard the old adage, dilution
16 is the solution to pollution, right?

17 A. I've heard that.

18 Q. And the idea is that the dispersion of pollutant
19 into the environment is much better than concentrating it,
20 right?

21 A. Yeah, that's what that concept said.

22 Q. Okay. And isn't that what we're doing by leaving
23 the individual pit contents at specific sites?

24 A. I don't think that's any more than what you're
25 doing in putting it in an OCD landfill.

1 Q. But that's the point I'm trying to make. If
2 we're dispersing those contaminants out into the
3 environment in individual pit sites, as opposed to
4 concentrating them into controlled waste management
5 facilities, we're following the old adage, Dilution -- or
6 dispersion -- is the solution to pollution, aren't we?

7 A. I've never heard that adage applied in that sort
8 of way. The way I've always heard it, it was that you had
9 a contaminated site, and if you just mix enough clean soil
10 into it, suddenly it now met all the regulatory criteria.

11 Q. But aren't we doing the same thing on a macro
12 scale then? We're just dispersing the pollutants out into
13 the environment, rather than concentrating it.

14 A. You could characterize it that way.

15 Q. And isn't that adage pretty much discouraged in
16 the environmental industry today?

17 A. No, I don't think so. I think that -- once
18 again, that it's situation-specific, you know. It depends
19 upon what your concern is, and the best strategy to
20 mitigate that concern.

21 Q. Now you made the statement that, I'm suspicious
22 that a liner will fail at any time. And you reiterated
23 that a couple of times under cross-examination. Why did
24 you say that?

25 A. I said at some time, at some time in the future.

1 Q. Okay, I wrote down at any time. You may have
2 been right.

3 Okay, why do you feel that way?

4 A. That's what I understand from the use of the
5 geotechnical lining materials, that they have a finite life
6 span.

7 Q. Okay. And you understand that. Is that based on
8 research or study, or just a general known?

9 A. It's a general known, but I've also done some
10 reading in the area. As you know, I've also dealt with
11 RCRA sites and Superfund sites and so on.

12 Q. Now several times I heard you say, I'm not
13 concerned about that constituent, I'm not concerned about
14 that concentration. The only thing you don't like is
15 chloride. I've written that down in my notes.

16 Is that the only thing that we need to be worried
17 about in these pit wastes?

18 A. No.

19 Q. What else, from the analyses that you've done?

20 A. As I mentioned, I'm not that concerned about
21 chloride either. It has a functional -- being in terms of
22 monitoring the waterfront, but --

23 Q. Then why are we worried about wastes at all in
24 the drilling pit business?

25 A. That's a good question. In fact, that may have

1 been one of my points as well. You know, I'm having
2 difficulty seeing why OCD is concerned about these
3 constituents --

4 Q. Okay, and --

5 A. -- except sodium chloride, and with that I'm
6 concerned with the sodium, not the chloride.

7 Q. Okay, and so the groundwater contamination that
8 we've had as a result of pits -- granted, maybe some of
9 them -- most of them are disposal pits, but the groundwater
10 contamination that we've had as a result of pits shouldn't
11 be of our concern?

12 A. No, I think that that's a mischaracterization.
13 You know, every situation or every pit may -- if it has
14 different constituents, will raise different risk issues.
15 Okay? And if these are disposal pits, they have different
16 materials in them, and many of those materials may be of
17 issue. And so my comments do not refer to those types of
18 pits at all.

19 Q. During the industry committee meetings -- not the
20 industry committee, the task force meetings, did any of the
21 members consult you or ask you to speak before the task
22 force?

23 A. No. And I have not attended any of the industry
24 group meetings or -- That's not true. I mean, we've had
25 meetings where I reported my results and things like that.

1 Are those the type meetings you're talking about?

2 Q. No, I'm talking about the task force meetings,
3 the Governor's task force on the pit rule.

4 A. I've not attended any of those meetings.

5 Q. Were you ever asked to make a presentation at
6 those meetings?

7 A. No, only to write an accurate summary of what
8 we've done and what we've found.

9 Q. And was that presented at the meetings?

10 A. It was given to the task force, yes.

11 Q. Okay, but the question was -- It was given to the
12 task force?

13 A. To the Governor's task force.

14 Q. And who specifically on the task force was it
15 given to?

16 A. It would have been Dennis Newman.

17 Q. Now, I'm getting back to the some-dude problem
18 again. First you said, I talked to the staff -- a lower-
19 level staff member of the WQCC, then you said, We talked to
20 a staff member at the WQCC, then you said someone on your
21 staff talked to a lower-level staff member at the WQCC. I
22 need two names here. Do you know who they talked to that's
23 on the staff of the WQCC?

24 A. I'd have to get that for you.

25 Q. Okay. And who on your staff talked to them?

1 A. It would be Dr. Chunn.

2 Q. How do you spell that?

3 A. C-h-u-n-n. She got married recently, so it would
4 be Chunn-Lindsey now.

5 Q. And you said it was clearly a junior member.
6 What made you make that statement?

7 A. What Dr. Chunn told me, it was at a -- it was a
8 young person --

9 Q. Okay.

10 A. -- I don't think that she would have been around
11 in '77, you know, so I believe that she's probably a junior
12 member. She talked -- the report that I got was that she
13 had surveyed some of the older people in the department,
14 and they didn't have a good, clear understanding of how
15 these were developed.

16 Q. Now you said you were retained to give your best
17 advice to the industry. Was it the industry or the
18 Commission or both, or how was that exactly worded? What
19 was your charge?

20 A. The -- It was the industry group. You know, I'm
21 not quite sure all the different industry groups and how
22 they're organized and stuff like that.

23 Q. Neither am I.

24 A. Dennis Newman is the one who led the
25 communications with me, you know, and he talks about

1 getting executive committee approval and that sort of
2 thing. So all I can tell you is that my primary contact
3 and source of information was Dennis, in that regard.

4 Q. Now, you mentioned that you talked to somebody at
5 OCD. Who is that?

6 A. About OCD?

7 Q. No, at OCD. You said you'd had some
8 conversations with people at OCD.

9 A. The industry group actually participated, as did
10 Dr. Neeper, in discussions with regard to various issues
11 and things like that, so we had a number of OCD staff
12 there.

13 Q. Can you remember any names?

14 A. Wayne was there, Mr. van Gonten was there, I
15 believe you were there --

16 MR. BROOKS: (Nods)

17 A. -- there were probably other staff members there,
18 but I just don't recall names.

19 MR. BROOKS: Just for clarity in the record, let
20 the record reflect that when Mr. -- when Dr. Thomas said,
21 You were there, he was looking at me --

22 THE WITNESS: Thank you.

23 MR. BROOKS: -- and not at the Chairman, who was
24 the party questioning, since anybody reading the record
25 would tend to interpret it the other way.

1 (Laughter)

2 CHAIRMAN FESMIRE: Thank you, Mr. Brooks, I do
3 appreciate that.

4 Q. (By Chairman Fesmire) Do you remember when those
5 meetings were?

6 A. No, I'm sorry, I don't.

7 Q. Were they after the sampling program, prior to
8 the --

9 A. No.

10 Q. -- sampling program?

11 A. No, it was before.

12 Q. Before the sampling program? And when I say the
13 sampling program, I'm talking about the task force sampling
14 program that OCD did with the split samples and everything.

15 A. I've not dealt with the OCD staff with regard to
16 the sampling program or anything.

17 Q. Now what's the difference in the contents between
18 drilling pits and other pits?

19 A. The difference in content?

20 Q. Yes, the analysis on drilling pits and other
21 pits?

22 A. Well, the -- depends on the nature of the pit.
23 Disposal pits, of course, can get a lot of things and
24 anything that's used on site.

25 Q. Okay, do you have any specific analyses of the

1 disposal pits?

2 A. No, no --

3 Q. So how do you know that there's a difference,
4 Doctor?

5 A. And completion fluids and things like that, you
6 know, certainly have different constituents as well. So,
7 you know, just from the work that I've done in the
8 industry, I can tell you that the constituents are going to
9 be different.

10 Q. Okay. And you know disposal pits have been used
11 to dispose of drilling fluids and completion fluids and
12 things like that, don't you?

13 A. It wouldn't surprise me.

14 Q. Okay. So I guess getting back to my question,
15 what is the difference in the content?

16 A. From what to what?

17 Q. In the -- the difference in the content between a
18 drilling pit and a disposal pit?

19 A. In terms of content?

20 Q. Yes.

21 A. I would think that the --

22 Q. What I'm looking for, Doctor, is the basis of
23 your answer, There's a difference in the content.

24 A. Well, again, there are a number of materials that
25 are used by the industry that go into a disposal pit. It

1 could be everything from chlorinated solvents, you know,
2 that are used for degreasing, it could -- motor oil that
3 may be used. You know, all kinds of things that could go
4 into those.

5 Q. And you realize that those can go into drilling
6 -- have in the past gone into drilling and workover pits,
7 haven't you -- don't you?

8 A. I -- like I say, it wouldn't surprise me that --
9 historically a lot of things have gone into pits because
10 they were there.

11 Q. Okay. And when you say pits, do you mean
12 drilling pits?

13 A. Drilling pits included.

14 Q. Now you made the statement -- I think you were
15 talking about liners. You said when the membranes fail in
16 75 to 100 years. You were talking about liners?

17 A. Yes?

18 Q. Do you have anything to base that number on?
19 Where did that number come from, that 75 to 100 years?

20 A. I've seen estimates as little as, say, 40 years.
21 Okay? But it depends on the nature of the liner and so on.
22 But you know, those numbers occur in a variety of, you
23 know, brochures, they occur in -- even in some of the
24 published literature.

25 Q. Now, you said a couple of times, especially under

1 cross-examination by Commissioner Olson, you're confused
2 about what OCD is trying to protect, trying to prevent.

3 What should OCD be trying to protect or prevent?

4 A. Well, the reason why I'm not confused is because
5 I'm not seeing things other than sodium chloride.

6 Q. And you made that point with Mr. -- with
7 Commissioner Olson. But what should we be trying to
8 protect?

9 A. Well, my understanding, the Commission is
10 chartered to protect public health and the natural
11 resources of the State of New Mexico, and groundwater I
12 assume.

13 Q. And what we're doing is not protective of public
14 health and the environment?

15 A. I'm sure it is.

16 Q. Now again, I'm -- being the last to ask the
17 questions, somebody gets all the good questions. Mr. Olson
18 asked you -- and I want to paraphrase his question, put a
19 little bit of my twist on it.

20 When the rig count went from 60 to 90, was
21 industry concerned about the potential consequences with
22 respect to safety and emissions and road wear?

23 A. When the rig count -- I don't remember all the
24 details of that question, but -- Could you repeat that?

25 Q. When the rig count in New Mexico went from 60 to

1 90, which are, you know, just gross averages over the most
2 recent couple of years, was industry concerned about the
3 road safety, road wear and emissions?

4 A. I don't have any way to judge that.

5 Q. Okay.

6 A. I don't think that I was part of that discussion.

7 Q. Okay. But you can see if the rig count increases
8 by 50 percent, there's going to be a significant increase
9 in the things that were part of your presentation -- I
10 hesitate to say conclusions, because you've adamantly said
11 that they were somebody else's conclusions. But they
12 increased them, too, didn't they?

13 A. They should, yes.

14 Q. And I guess what I'm asking is, are you telling
15 this Commission that they should take a look at those
16 factors and perhaps limit the amount of drilling activity
17 in New Mexico due to those factors?

18 A. No, I haven't said that at all.

19 Q. Okay. Why not? It would seem like a logical
20 conclusion drawn from some of the arguments that industry
21 has made here and that you've repeated.

22 A. You know, increasing rig count or decreasing rig
23 count is a tactic that you may want to consider, but you
24 know, that's strictly your decision.

25 Q. Okay.

1 A. The issues, you know, are --

2 Q. I kind of liked the answer where it was, Doctor.
3 Do you want --

4 A. Well, the --

5 Q. -- to expand it?

6 A. -- but the issues -- the issues that we're
7 talking about are there. It's a matter of determining from
8 the -- or from your perspective, whether they are
9 significant enough to require some sort of thought process.

10 That was poorly worded, but -- Do you want me to
11 try to repeat that?

12 Q. If you'd be more comfortable.

13 A. I'm fine, but essentially it's -- I consider that
14 to be an issue that is a possible thing that needs to be
15 considered in framing a regulatory policy. Okay? The
16 decision, of course, rests with the Commission.

17 Q. And while it may have been implicitly part of a
18 decision, prior decisions by this Commission, it's never
19 been specifically addressed, especially with respect to the
20 issues that were raised in the most recent industry
21 argument on that.

22 Should we in the future consider that?

23 A. It's difficult for me to judge. And the reason
24 why is because if you consider it, it will have
25 consequences as well. And I don't really know enough about

1 the government and all the issues here to really give you
2 advice on that.

3 CHAIRMAN FESMIRE: I don't think I have any
4 further questions.

5 Mr. Hiser, do you have a redirect?

6 COMMISSIONER OLSON: Well -- well --

7 CHAIRMAN FESMIRE: Commissioner Olson?

8 COMMISSIONER OLSON: -- I've got one more thing I
9 just wanted to bring up.

10 FURTHER EXAMINATION

11 BY COMMISSIONER OLSON:

12 Q. Coming to your attachment A --

13 A. Okay.

14 Q. -- in Exhibit 9, you list the range and the
15 averages of the constituents that you found in drilling
16 muds with comparison to the NMED's screening levels. And I
17 think we established before what you had represented here
18 is the screening levels for ingestion of soils and
19 residential exposure, correct?

20 A. Correct.

21 Q. Why did you not also compare it to the NMED
22 screening levels for migration pathways to groundwater?
23 You used part of the New Mexico Environment Department
24 screening levels but not all of them.

25 A. Right. As you pointed out, the New Mexico

1 Environment Department uses totals. Okay? I don't think
2 that's appropriate, to use total, and so as a result I did
3 not use that criterion. I used the TCLP, the leachate
4 concentrations, to give me an idea how much soluble
5 material was there.

6 Q. And do you understand how the NMED soil screening
7 levels in their version 4 are used?

8 A. Yes.

9 Q. But you're selectively just using the portions
10 that you like?

11 A. No.

12 Q. You're only using one portion of --

13 A. I was actually part of the team that helped
14 develop NMED's risk-based approach, okay?, at a previous
15 company.

16 What I'm saying is that the NMED, like most
17 regulatory agencies, don't have this history of using total
18 metals, for example. Okay? You'll notice that I've
19 appropriately compared that to the criterion here, but the
20 thing that is evolving is appreciation of the soluble or
21 the leachate-type test. Okay? And when I now take a look
22 at that, comparing that to a soil level protection of
23 groundwater, I can't do that except multiply by 20 and see
24 if I can get back to a soil level. Okay? It's a very
25 crude estimate, and maybe not right for the -- just an

1 initial screen.

2 Q. But if I was to use the NMED soil screening
3 levels the way they are applied in the State of New Mexico,
4 I would take the contaminant concentration in the soils,
5 whether you're using averages or whatever you have here,
6 and I would compare that to all of the NMED soil screening
7 levels; isn't that correct?

8 A. For a full risk assessment, that's correct.

9 Q. Right. And if I compare your screening levels to
10 the NMED screening levels, and even taking the most
11 beneficial to industry of using a DAF of 20, which would be
12 the one that would be -- I would assume industry would
13 prefer to use, I see that the migration pathways for
14 arsenic, barium, iron, benzene, toluene, xylenes and
15 naphthalenes are above NMED's DAF soil screening level.

16 A. Yes. Arsenic is a good example. If you take a
17 look at arsenic and you see that -- if you apply that
18 criterion, then in theory we should have a fair amount of
19 arsenic in the water, and in particular we should see it in
20 the leachate which is an acidified water. Okay?

21 Arsenic was shown to be nondetect in every sample
22 that was collected.

23 Q. In every sample that was collected from the
24 drilling pits?

25 A. Yes. When you take a look at the solubility in a

1 leachate, you know, the TCLP leachate, arsenic was totally
2 nondetect in every sample that was collected --

3 Q. And I --

4 A. -- which is --

5 Q. -- I come back again to the --

6 A. -- which is why I'm saying that comparing it to a
7 soil -- total soil concentration and making the assumption
8 that, well, some of this is soluble with a DAF 20, even,
9 you know, we've got an exceedence, really starts to raise a
10 question about that particular total measurement and how
11 the agency is starting to -- or is interpreting it.

12 It's a -- it's a quick screen, but in terms of
13 its relevance to the issues that are really posed by these
14 types of pits here, I don't think that -- I think arsenic
15 is a good example of just where it goes wrong.

16 Q. Right, but I guess I come back to the way -- my
17 earlier question. How are these soil screening levels
18 used? You take the solid -- the concentration in the soil,
19 correct?

20 A. Correct.

21 Q. -- the total concentration in the soil, and you
22 compare it to the NMED soil screening levels, correct?

23 A. That's correct.

24 Q. And if I look at the arsenic, barium, iron,
25 benzene, toluene, xylene and naphthalene concentrations

1 that you observed in the drilling pits, they are in excess
2 of the NMED's DAF 20 soil screening criteria for migration
3 to groundwater, correct?

4 A. Correct, correct. Now this program was not
5 designed to be -- you know, to demonstrate regulatory
6 compliance. This program was designed to give the industry
7 and the Commission here my best judgment as to what the
8 issues are. Okay?

9 And so the fact that we can measure total and
10 find that it exceeds the groundwater protection criterion
11 for soil is an interesting thing, but I didn't think that
12 was relevant. I was more interested in looking at the
13 leachate concentration, what we actually see as soluble and
14 environmentally mobile and bioavailable.

15 Q. Right, but essentially, then, you're coming down
16 and just selectively using NMED's soil screening levels the
17 way that you believe is appropriate. You don't want to
18 consider -- you want to use part of it, but you don't want
19 to use other parts because you disagree with them?

20 A. Exactly right.

21 Q. And -- but that's not the way that they're
22 applied in New Mexico, is it?

23 A. If this were a regulatory compliance evaluation,
24 you're exactly right.

25 Q. And so what would be the -- what is the effect of

1 it being in excess of the NMED's DAF 20 soil screening
2 levels?

3 A. For arsenic? It's not effect.

4 Q. But what does it mean if it's in excess of DAF 20
5 levels? So -- do you understand the --

6 A. From the regulatory point --

7 Q. -- how the documents are used?

8 A. From the regulatory point of view, you'd be --
9 you'd have a regulatory exceedence.

10 Q. Right. And what does that mean based -- what
11 would happen based upon that?

12 A. You would need to take action, perhaps go into
13 the tier 2 or tier 3 parts of the risk assessment process.

14 Q. Right, it means that there's a potential threat
15 from migration to groundwater. It doesn't mean it's going
16 to get into it, it means there's a potential threat for
17 migration to groundwater, correct?

18 A. From the regulatory perspective, yes.

19 Q. And so you have the option of cleaning that up or
20 performing a tier 2 analysis, correct?

21 A. Right.

22 Q. And has industry performed a tier 2 analysis on
23 these?

24 A. No, not at this stage. Again, we're not -- we're
25 not trying to demonstrate regulatory compliance, what we're

1 trying to do is determine what constituents are there, what
2 form are they -- they are there, and now what does it mean
3 with regard to developing a regulatory program? Okay?
4 We're not trying to -- you know, essentially demonstrate
5 compliance with NMED's criteria or their theoretical
6 approach.

7 Q. Well, at one point you say you're in compliance
8 with NMED's criteria, but you're selectively using the
9 portions that you like, that you say you're in compliance
10 with.

11 A. Yeah, you could say that.

12 Q. So it's not in compliance with the DAF 20
13 criteria, and therefore would -- under NMED's screening
14 levels would either require cleanup or performance of a
15 tier 2 analysis; isn't that correct?

16 A. That's correct.

17 COMMISSIONER OLSON: Okay. That's all I have.

18 CHAIRMAN FESMIRE: Mr. Hiser?

19 MR. HISER: Just a very few questions.

20 REDIRECT EXAMINATION

21 BY MR. HISER:

22 Q. Dr. Thomas, on the whole issue of truck traffic,
23 isn't it the point that was raised in Dr. Pease's report --
24 or in Mr. Pease's report from Daniel B. Stephens Associates
25 and from your analysis that you were looking at more the

1 incremental impact of the increase in truck traffic on a
2 per-unit-of-production basis as a result of the proposed
3 rule?

4 A. Yes.

5 Q. And so regardless of where the line of total rig
6 count moves up or down, there will be more truck traffic
7 and hence more emissions and more potential accidents or
8 fatalities as a result of the adoption of this rule than
9 there would be without the adoption of this rule; is that
10 correct?

11 A. Yes, that's my opinion.

12 Q. Now you and Commissioner Olson have been involved
13 in a long discussion about the 3103 constituents and the
14 NMED soils screening levels -- and you may not be able to
15 answer this question; if you can't, simply say so. Are the
16 NMED SSLs actually regulatorily binding standards that must
17 be met under all circumstances for the guidance factors
18 that are used in assessing cleanup?

19 A. Well, they're not standards that have legally --
20 legally binding. They're generally considered guidelines,
21 but they're enforced as the -- as --

22 Q. -- as an appropriate cleanup standard --

23 A. Yeah.

24 Q. -- basically?

25 A. Yeah.

1 Q. Now, is your concern with the 3103 constituents
2 driven in large part by your belief that the constituent
3 levels that have been observed in the pits, based on both
4 the OCD sampling and the industry committee sampling and
5 your general knowledge, do not present a threat to either
6 the existing Water Quality Control Commission standards or
7 to public health or environment, with the exception of
8 sodium chloride?

9 A. Would you repeat that question?

10 Q. Is your con - -- Now, in the discussion that
11 Commissioner Olson has been raising things about, Well, how
12 are you addressing the regulatory standards, and don't you
13 need to be concerned about this?, and you've said you're
14 not concerned about that, is that because you don't believe
15 that the materials in the pits would actually reach the
16 groundwater at a level that would exceed the standards?

17 A. Yes, that's correct.

18 Q. And so if the material in the pit wouldn't reach
19 the groundwater at a level in excess of standards, would
20 that address Commissioner Olson's concern about whether
21 this rule, whether it be the OCD rule or the industry
22 committee proposal, would protect the Water Quality Control
23 Commission standards that he's expressed a concern about?

24 A. Should.

25 Q. Now Commissioner Fesmire -- Let me go on to one

1 other thing. Now I believe that Commission Olson brought
2 it out that the NMED's SSL program allows subsequent tiers,
3 2s, 3s, whatever, consideration of additional factors as to
4 what should be done with a given site that may show
5 contamination above a tier 1 level; is that correct?

6 A. That's correct.

7 Q. And in that tier 2 or tier 3 analysis, would you
8 be looking at things such as the actual solubility of the
9 material in reaching a decision about whether groundwater
10 migration is a legitimate basis for concern at that site?

11 A. Yes.

12 Q. And the last question was one that Commissioner
13 Fesmire had raised, and that was about understanding about
14 materials that were disposed in what he characterized as a
15 disposal pit and in a drilling pit. And he asked you a
16 question about whether the same things might go in closed
17 pits, and your answer was that historically that might be
18 true.

19 Based on your experience with the industry, do
20 you believe that all those materials still go into drilling
21 pits here in the 2005-2007 era?

22 A. It's a little hard to judge. You know, in
23 general, I think the industry is doing a fairly good job.
24 I'm suspicious that there are bad actors in any group, so I
25 can't really give you a full answer.

1 Q. But in general there's regulatory prohibitions
2 and other --

3 A. In my experience, I think the industry does a
4 fine job of segregating their waste and minimizing volumes,
5 because to a large extent they're financially liable at
6 some point in the future.

7 MR. HISER: That concludes my questions.

8 CHAIRMAN FESMIRE: Is there any recross on the
9 subject of the redirect?

10 MR. BROOKS: No, Mr. Chairman, none from us.

11 MR. JANTZ: None, Mr. Chairman.

12 MS. FOSTER: No, Mr. Chairman, thank you.

13 CHAIRMAN FESMIRE: Mr. Huffaker?

14 MR. HUFFAKER: No, sir.

15 CHAIRMAN FESMIRE: Commissioner Bailey, do you
16 have any?

17 COMMISSIONER BAILEY: (Shakes head)

18 CHAIRMAN FESMIRE: Commissioner Olson?

19 FURTHER EXAMINATION

20 BY COMMISSIONER OLSON:

21 Q. Just getting to this issue, you believe it won't
22 reach -- the contaminants won't reach groundwater. It's
23 based solely on TCLP leachate, but you're not an expert in
24 contaminant migration, are you?

25 A. I've done a fair amount in contaminant migration.

1 Q. But you are --

2 A. But also it's not just based upon the TCLP
3 leachate. For 3103 constituents, for example, we looked at
4 the -- you know, where 3103 contaminant was identified in
5 the total, we would take a look at that because we may not
6 have had a TCLP for that.

7 We said, Well, gee, if we use the SPLP procedure
8 it automatically involves a dilution 20-fold, because
9 that's the volume of the extraction solvent. Okay? And if
10 we divided this total in the solids by 20, would we exceed
11 the criterion? And the answer was no.

12 Q. Right, because you're allowing for 20-fold
13 dilution.

14 But you're still not -- if you look at the NMED
15 screening levels for the DAF 20, which you are not
16 accepting, it is above the screening levels for potential
17 migration to groundwater, and you'd have to find the extent
18 of contamination; isn't that correct? And --

19 A. Yeah, if we were doing for regulatory compliance,
20 that's true.

21 Q. And was the extent of contamination underneath
22 these then defined to confirm whether or not there's
23 leachate going to groundwater?

24 A. No, not with regard to the soil level for
25 protection of groundwater criterion, no.

1 COMMISSIONER OLSON: That's all I have.

2 CHAIRMAN FESMIRE: Dr. Thomas, thank you very
3 much. Oh --

4 MR. HISER: Before we let him go, Mr. Chairman,
5 we'd like to move the entry of Dr. Thomas's Exhibit 9,
6 which is industry committee Number 9.

7 And since there's been so much discussion of the
8 industry committee's sampling data which we previously
9 provided, we also have that, and these are the sampling
10 analysis report, of which a summary was provided in the
11 summary that Dr. Thomas -- but this is the complete
12 document, if the Commission so pleases.

13 CHAIRMAN FESMIRE: At the end of testimony? At
14 the end of testimony?

15 MR. HISER: Well, we had not originally intended
16 to really do this, but just to rely upon Dr. Thomas's
17 summary, if it was requested we'd provide that data in the
18 interest of being full and open, so we have no objection to
19 that full set of data being in the record.

20 CHAIRMAN FESMIRE: Okay.

21 MR. HISER: And then as you said, we -- how the
22 -- that data was developed, and so we also have copies of
23 the sampling analysis plan to go with that data and to
24 anybody else who would like it.

25 CHAIRMAN FESMIRE: Okay. Is there any objection

1 to the admission of Exhibit Number 9?

2 MR. BROOKS: No objection to admission of Exhibit
3 Number 9.

4 CHAIRMAN FESMIRE: Why don't we go ahead and
5 admit Exhibit Number 9.

6 Why don't you make the other two documents
7 available to counsel --

8 MR. HISER: Okay.

9 CHAIRMAN FESMIRE: -- and we'll take up the
10 question of their admissibility after lunch, okay?

11 MR. HISER: That would be fine.

12 CHAIRMAN FESMIRE: At this time is there anyone
13 in the audience who would like to make a statement on the
14 record?

15 Okay, is there anyone else?

16 Okay, why don't you come forward --

17 Oh, Ms. Foster, you had -- ?

18 MS. FOSTER: Mr. Chairman, I do have a question
19 about the public hearing or the statement provisions since
20 we're doing this right now, it just kind of popped into my
21 head.

22 I had a question by a Legislator who wanted to
23 know which was the best way to come in to make a statement,
24 if it was possible, due to his legislative schedule, would
25 it be possible for me to read something into the record for

1 him, or would he actually need to come in here?

2 CHAIRMAN FESMIRE: If he's going to make the
3 statement on the record, he would need to show up. We are
4 accepting written statements until the close of evidence,
5 so...

6 MS. FOSTER: Okay, but the written statements --
7 but the written statements do not have the weight in the
8 record as -- like the sworn statements would, correct? I
9 just want to make sure I relay the correct information back
10 to him.

11 CHAIRMAN FESMIRE: I would think that they're all
12 -- I mean, they are all equally weighted, at least in my
13 determinations, and they are all read, so if it would be
14 easier for the Legislator to provide a written statement on
15 the record it will become part of the record, and it will
16 be considered in the decision.

17 MS. FOSTER: Okay. And then the other question I
18 had was from a client who wanted to know if it would be
19 appropriate to send his attorney in his stead to make a
20 statement on behalf of the company, just --

21 CHAIRMAN FESMIRE: Well, the attorney would be
22 capable of making a statement on his own, so I see no
23 problem with him making a statement on --

24 MS. FOSTER: Okay, thank you.

25 CHAIRMAN FESMIRE: -- behalf of the company.

1 MS. FOSTER: Thank you.

2 CHAIRMAN FESMIRE: Why don't you come forward?
3 You've been here a couple of days, you know the drill?

4 MR. ROBINSON: I'll be sworn in.

5 CHAIRMAN FESMIRE: Okay, why don't you raise your
6 right hand?

7 (Thereupon, the witness was sworn.)

8 CHAIRMAN FESMIRE: Start with your name, please,
9 sir.

10 SEAN ROBINSON,
11 the witness herein, after having been first duly sworn upon
12 his oath, testified as follows:

13 DIRECT TESTIMONY

14 BY MR. ROBINSON:

15 MR. ROBINSON: All right. Have to forgive me if
16 I shake a little bit. I'm a little nervous.

17 My name is Sean Robinson, I'm a drilling
18 engineering supervisor with ConocoPhillips, located in
19 Farmington, New Mexico.

20 I have a bachelor of science in mechanical
21 engineering with a minor in math, and an MBA. I'm an
22 engineer in training, so I'm in the process of licensure,
23 and I've been drilling approx- --

24 CHAIRMAN FESMIRE: Did they tell you to say that?

25 THE WITNESS: Sorry? No, I've been --

1 (Laughter)

2 THE WITNESS: I've been here, so I know the
3 question.

4 I've been drilling for approximately 11 years,
5 mostly domestically. I have three years of international
6 experience in eastern Canada. I've worked in Texas,
7 Wyoming, California, the Gulf of Mexico, Louisiana,
8 Colorado and New Mexico, as well as I mentioned eastern
9 Canada, so a significant amount of experience in the
10 drilling industry.

11 I was here for Mr. Poore's testimony, where there
12 were some questions regarding costs and cost savings not
13 being taken into account regarding some of the case studies
14 and other evidence that's been presented. Hopefully I
15 address some of those issues in my statement.

16 As a drilling engineer for the last 11 years,
17 fundamentally my job is to reduce costs. I have no impact
18 on reserves, I don't do a reserve -- I can't tell you how
19 much gas is in the ground or how much oil is in the ground.
20 That's not my job.

21 So if you have a numerator and a denominator, I
22 can only impact one of those, and the only number I can
23 impact is cost.

24 So I guess my job for the last 11 years was, I
25 always get asked, Why can't you lower your cost? Why can't

1 you lower your cost to make X or Y project viable?

2 So I take great pride in making sure that my
3 estimates are correct and accurate and that I lower the
4 cost as much as I possibly can.

5 I'm very proactive in trying to identify new
6 technologies and applying those appropriately. There are
7 many new technologies that are always being developed, and
8 trying to put those in a correct places.

9 So as I heard about this testimony initially I
10 tried to avoid coming, and obviously -- anyway, I'm here,
11 so...

12 As I've looked at some of the case histories that
13 have been presented on savings that the industry --
14 industry papers showing savings from closed-loop systems, I
15 was very interested as a drilling engineer to see if I
16 could utilize some of those case studies to my benefit up
17 in northwest New Mexico for ConocoPhillips, so I've
18 reviewed -- I'm sure it's not all-inclusive, but I've
19 reviewed all the case studies that I could find that --
20 Some of them were input into evidence, there may be others
21 that I didn't find.

22 But anyway, I'd like to go through those, just so
23 that you understand how -- if some of those items are
24 applicable or not, for ConocoPhillips in northwestern New
25 Mexico.

1 I believe most of these would be in Exhibits 7
2 and 8 of the OGAP. I don't know if that's correct. You
3 may or may not have those documents with you. I'd like to
4 go through them really quick.

5 There are a total of eight case studies that I
6 looked at in the two exhibits, 7 and 8. Of those exhibits,
7 five were unique, so three were repeats, if that makes
8 sense. They were identical case studies, cited twice. So
9 I have five unique case studies I'll go through really
10 quick.

11 The first one was in Exhibit 7, and this one I
12 tried to get the data because I was extremely interested in
13 this one. It showed on a percentagewise some significant
14 improvements. They documented, they said 23 percent fewer
15 rotating hours, 39 percent improved ROP, 37 percent fewer
16 bits, 33 percent [sic] fewer days, and 43 percent lower
17 fluid costs.

18 So as a drilling engineer, that's a huge impact.
19 If I can cut -- a typical well, you've heard, there's 12
20 days. If I can cut three or four days off of that well,
21 that's an incredible savings.

22 So I wasn't able to find all of the -- or any of
23 the data. I actually went to M-I Swaco and talked directly
24 with them, and I searched the Internet because it had an
25 Internet reference for this -- the paper. I couldn't get

1 the data.

2 But I was a drilling engineer, I've made huge
3 improvements similar to that, and it hasn't been from
4 purely one item. It's typically from multiple items. For
5 example, a change in bit technology or using a new mud
6 motor or some other product.

7 CHAIRMAN FESMIRE: The synergy of the multiple
8 technologies?

9 THE WITNESS: Correct. So I can't take issue
10 with particularly -- or maybe all of those being a benefit.
11 The drilling engineer that did that, that guy needs to get
12 a raise.

13 But the -- but attributing it all to closed-loop,
14 in my opinion, may be problematic. I believe there may
15 have been other items. The fewer -- the lower fluid cost,
16 43 percent, that could potentially -- maybe that's all or a
17 big part of it. Some if it will be the fewer days, because
18 you'll use less fluid if you reduce days. So a big
19 compounding effect.

20 Exhibit -- That was case number 1.

21 A second case in the Exhibit 7, it talked about
22 challenges associated with conventional reserve pits, and
23 basically there were again two wells that were compared.

24 The first well had a reserve -- had three
25 different pits for use in the drilling environment.

1 There's a 235-by-77-foot, a 20-by-10 and a 40-by-10. So
2 three pits. Total surface area was .4 acres for those
3 pits.

4 In northwest New Mexico our current pit size,
5 just the pit, for our deep wells is .21 acres. So my pit
6 is significantly smaller already than that pit size.

7 And with the open pit they generated over 16,000
8 barrels of waste. With the closed-loop system they only
9 generated 1100 barrels, they said. So a significant
10 improvement.

11 Just in reference to the volumes that -- a pit
12 with two foot of freeboard, which is the maximum we would
13 ever fill a pit to, would contain approximately 7000
14 barrels in the northwest, on our deep wells, so the biggest
15 pits that we use. The coal wells would be about 4500, 4600
16 barrels.

17 The volume, if you take the whole volume and
18 times it by six, so the solids content, you'd have
19 approximately 2600 barrels of solids in that 7000-barrel
20 pit. So I'm going to have a -- anyway, I don't know -- I
21 may be able to realize some benefit, but the drastic
22 benefit from 16,000 barrels to 11,000 [sic] barrels of
23 solids, I'm going to have a difficult time, because my
24 current waste level is so low already.

25 They also documented some benefit in reduction of

1 sites. I think Mr. Poore testified to that, so I don't
2 necessarily need to go into that.

3 Our sites currently are under two acres, the
4 usable site. Disturbed area may be larger, because we have
5 a buffer zone around, and the re-seeded area would also be
6 larger because again a buffer zone, though it's not usable
7 during the drilling process and completion process, it is
8 disturbed, so -- or maybe potentially disturbed and needs
9 to be re-seeded.

10 Again, kudos to the engineering team. A huge
11 savings in waste and a huge savings potentially in cost.
12 But for northwest, not particularly applicable.

13 Exhibit 7, case number 3, these are two -- these
14 are two wells drilled in Oklahoma, and they're comparing
15 the two wells. One was drilled with a closed loop and one
16 was drilled with a reserve pit. And there was a small
17 savings, it says \$12,700 savings was achieved.

18 I would contend that -- initially I was going to
19 dig into it, but then I realized that the two wells that
20 they compare are -- it was like an apple and an orange.
21 One was drilled with larger hole size. This is the same
22 formation, so they went to the same target, but the
23 engineer probably -- if it was me, I would look at the
24 previous wells that have been drilled. What can I change?
25 They were able to downsize their whole size. So reducing

1 -- clearly reducing the volume of generated. And they also
2 air-drilled one section, which would also reduce volume
3 generated.

4 And in northwestern New Mexico we've already --
5 we drill 6-1/4-inch production hole, which is the smallest
6 production hole I've drilled in my career, so we've
7 basically -- there's 10,000 wells, effectively, that
8 ConocoPhillips operates up there, and we kind of know we've
9 optimized.

10 And we also air drill, so we minimize waste with
11 that.

12 So both of those are already being used, so we
13 can't -- I didn't see a benefit.

14 Again, great job by the engineer. That's what my
15 job is, is to find opportunities to improve and reduce
16 costs, but again, maybe not applicable in northwestern New
17 Mexico at today's date.

18 Then the next one was Exhibit 8, case number 1.
19 And I couldn't compare these very well. It looks like it
20 talks about two different drilling examples, and the
21 overall savings was in the neighborhood of \$1300 per well.
22 They say they used closed-loop in 50 wells, and they used a
23 reserve pit in one well. So again, I don't have dates, so
24 I don't know if the one well was really old and the ones
25 that were drilled with closed-loop were relatively new.

1 But I do know, based on the document, that
2 conventional rotary drilling with the reserve pit, which
3 was the first, that's an antiquated method of drilling now.
4 We don't use purely rotary drilling very many times
5 anymore. Many times we use a mud motor and a PDC bit,
6 which is what they did with the 50 wells that documented
7 the savings. They used a closed-loop drilling with mud
8 motors and diamond bits of 50 wells.

9 So again, good job for the drilling engineer.
10 They utilized mud-motor technology, PDMs, and they used the
11 PDC bit rather than a -- probably a roller-comb bit, which
12 is a -- increases rate of penetration and saves time and
13 days.

14 So again, those methods -- we currently drill
15 with a pit, but with mud motors and diamond bit. So
16 potentially the benefit may not be there for those in that
17 case.

18 I think I have just one more.

19 Exhibit 8, case number 4. This one was -- I
20 guess I didn't find very much data, but fundamentally what
21 the operator was able to do was to incentivize the drilling
22 contractor and shift the risk. They wrote a turnkey
23 contract, and included in that turnkey contract, the
24 requirement that they handle and dispose of the waste.

25 So the liability was taken from -- Well, I'm sure

1 the liability didn't move, but the cost and responsibility
2 moved from the drilling contractor to the operator. I do
3 see a benefit in that, because if someone is monetarily
4 incentivized to reduce waste, I've seen that work, so I do
5 see positive there.

6 But the -- on the contrary, I would be, as an
7 operator, a little bit nervous if I incentivized
8 potentially a drilling contractor to take care of my waste.
9 Because they are motivated by cost savings, they may not
10 dispose of it in a proper manner, compared to what
11 ConocoPhillips, with our beliefs, how they would dispose of
12 it.

13 Now that doesn't say that they did it
14 incorrectly. It doesn't actually -- the case study doesn't
15 talk about how the waste was disposed. They may have been
16 able to dispose with landfarming or some other method,
17 rather than a dig-and-haul.

18 So basically take away, again, eight case
19 studies, five of them had neat things. And there are some
20 things that I can take away, for instance, that somehow
21 incent the drilling contractor to minimize waste. That's
22 always positive.

23 The second was -- is, we're going to struggle at
24 ConocoPhillips to keep that incremental cost, that
25 \$115,000, as -- I gave that to John -- Mr. Poore, quite a

1 while ago, and since then I've got a lot of new estimates,
2 and I am really -- I'm going to try and hold that \$115,000
3 because of the impact you've seen, based on Mr. Poore's
4 testimony, is potential reserve write-down. So if I can't
5 maintain that \$115,000 or lower, that reserve write-down
6 was -- is significant. So I'm going to try and keep the
7 \$115,000 but the cost estimates that keep coming in are
8 increasing rather than decreasing, so I'm -- I've told
9 management \$115,000 and I'm going to try and hold that
10 line.

11 And then to me the huge incentive is to reduce
12 data. So I'm going to find other technologies -- if I use
13 closed-loop, I'm going to try and use other technologies to
14 improve my rate of penetration so that I can cut the 12
15 days to 10 or some other method. So I'm not going to sit
16 on my laurels, but there may be other ways that I can
17 attack that \$115,000.

18 And then the last thing is just -- I think that
19 was it. Anyway, that's all I'll say. Thank you for your
20 time.

21 CHAIRMAN FESMIRE: Okay, are there any questions
22 of this witness?

23 MR. HISER: (Shakes head)

24 MR. BROOKS: No questions, your honor.

25 CHAIRMAN FESMIRE: Commissioner Olson?

1 COMMISSIONER OLSON: Just one.

2 EXAMINATION

3 BY COMMISSIONER OLSON:

4 Q. So it sounds like you're trying to keep that
5 \$115,000 to a maximum, \$115,000, and hopefully try to get
6 better on the cost; is that what you're trying for?

7 A. That's -- My job is to reduce the \$115,000. Can
8 I -- right now -- like I said, John has presented it to
9 management, and they know the \$115,000, so that's kind of
10 the benchmark for me. And clearly, I wanted to reduce that
11 cost, and I will be working. But recent cost estimates,
12 for example, the air drilling, I missed the cost by \$2000 a
13 day, which is -- that's already been a 12-day lull, that's
14 \$24,000.

15 So I'm going to -- I've got to find another -- I
16 have to save a full day plus to counteract that 25 that I
17 guarantee I will lose.

18 And then we preset the surface casing, and that
19 -- if we require -- and it's air-drilled, it saves about
20 \$12,000 per well, and if I have to go -- these are -- it's
21 like a lot of well drilling rig, it doesn't have a
22 subfloor, it's very low-tech but very cheap. And if I lose
23 that benefit because I have to go closed-loop, I have to
24 throw that cost back in.

25 Anyway, it's going to be a struggle, yes.

1 COMMISSIONER OLSON: Okay, thanks.

2 CHAIRMAN FESMIRE: Commissioner Bailey?

3 COMMISSIONER BAILEY: No, no questions.

4 EXAMINATION

5 BY CHAIRMAN FESMIRE:

6 Q. You said you worked in eastern Canada. They've
7 got some pretty strict environmental regulations up there,
8 don't they?

9 A. They do, it was offshore. They adopted,
10 basically, the North Sea regulations there.

11 Q. So you're a closed-loop expert, so to speak,
12 aren't you?

13 A. I've experienced closed-loop quite a few times.

14 Q. One of the things that concerned me is the
15 discussion that it would be difficult to cavitate a well in
16 a closed-loop system. Do you know how they would do that?
17 Or cavitate a well without a pit, I guess, is a better way
18 to put it?

19 A. It will be -- it will be difficult to do it
20 closed-loop. Based on talking with one of our -- the
21 operations superintendent in charge of the cavitation, he
22 estimates an incremental \$300,000 for just the completion
23 part, the drilling of the last 500 feet and cavitating
24 process, and that's a huge hit to a low-cost coal well.
25 Our average cavitation cost is probably \$700,000 or

1 \$800,000 for a well. And you throw \$300,00 onto it, it's
2 difficult.

3 So closed-loop cavitation will probably be cost-
4 prohibitive, let alone the fact that it's now closed-loop
5 and the risk is increased.

6 Typically we'll pressure up to 1400 p.s.i. and
7 bleed instantaneously to atmosphere, but he's -- they have
8 done -- they were close to a river, I believe, so we could
9 not put a pit in, and they attempted a cavitation, just a
10 surge, so a recompletion, and they did it -- they pressured
11 up to only 800 p.s.i., because they were very nervous, and
12 he said he would never do it again, so...

13 In the long term, will we figure something out?
14 I hope. But it'll be a short-term impact for sure.

15 Q. Is anybody giving you turnkey contracts now?

16 A. No, that's -- I didn't make that point, but I
17 haven't had a turnkey contract for at least eight years.

18 Q. Now you said one of the keys to this was to
19 incentivize risk reduction. That's essentially what this
20 rule would do as proposed, isn't it?

21 A. Say that again?

22 Q. One of the keys to this is to incentivize waste
23 reduction, and that essentially is one of the things that
24 this rule, as proposed, would do, isn't it?

25 A. Because we would have fines if we didn't or --

1 Q. Because --

2 (Laughter)

3 Q. Among other things. There's going to be a
4 significant monetary advantage to the operator who figures
5 out how to minimize his risks, isn't there? Minimize his
6 waste, I'm sorry.

7 A. Because the haul-off would be less?

8 Q. Right.

9 A. Yeah.

10 CHAIRMAN FESMIRE: I have no further questions.
11 Are there any other questions of this witness?

12 MR. BROOKS: Nothing.

13 CHAIRMAN FESMIRE: Thank you very much, sir.
14 With that, why don't we break for lunch and
15 reconvene at 1:15?

16 (Thereupon, noon recess was taken at 11:52 a.m.)

17 (The following proceedings had at 1:20 p.m.)

18 CHAIRMAN FESMIRE: Let's go back on the record in
19 Cause Number 14,015. Let the record reflect that it is
20 1:15 on Friday, December 8th, 2007, that all -- Friday,
21 December 7th, 2007, that all three members of the
22 Commission are present, we therefore have a quorum present.

23 I believe, Mr. Carr -- No, I believe, Mr. Brooks,
24 you were ready to present your next witness, weren't you?

25 MR. BROOKS: Yes, Mr. Chairman. Do I correctly

1 understand that the responding parties closed except for
2 further testimony to be presented from Dr. Stephens on
3 Monday?

4 CHAIRMAN FESMIRE: I think they have finished
5 with their witnesses. I don't know that they have formally
6 closed.

7 MR. BROOKS: Well, that they've rested, is what I
8 should say.

9 CHAIRMAN FESMIRE: Okay.

10 MR. HISER: The only person that the industry
11 committee plans to call at this point would be the rebuttal
12 testimony of Dr. Stephens on Monday.

13 MR. BROOKS: Very good, that was my
14 understanding.

15 And has IPANM rested?

16 MS. FOSTER: Mr. Chairman, yes, IPANM has rested.

17 MR. BROOKS: Okay.

18 DR. NEEPER: We have a five-minute --

19 MR. BROOKS: You have a rebuttal?

20 DR. NEEPER: Yes, five minutes.

21 MR. BROOKS: Mr. Chairman, honorable
22 Commissioners, we had announced that we would have one
23 rebuttal witness, Ed Hansen, and that's who we're going to
24 call now.

25 However, we have made a decision today that we

1 will also request to recall Mr. von Gonten for brief
2 rebuttal after Mr. Hansen's testimony is concluded.

3 I think, unless there's extensive cross, we
4 should be able to get both of these witnesses done this
5 afternoon.

6 (Laughter)

7 MR. BROOKS: Of course, someone suggested during
8 the lunch hour that we should recall Brad Jones.

9 (Laughter)

10 MR. BROOKS: We decided against that.

11 CHAIRMAN FESMIRE: Okay, Mr. Brooks. Call your
12 witness.

13 MR. BROOKS: At this time we'll call Ed Hansen.

14 MR. HISER: Mr. Chairman, at what point were you
15 planning to address the remaining exhibit that was in front
16 of you?

17 CHAIRMAN FESMIRE: Good point.

18 Have you -- Mr. Brooks, have you had a chance to
19 review that?

20 MR. BROOKS: We have reviewed that, and we have
21 no objection.

22 CHAIRMAN FESMIRE: Okay, is there any objection
23 from the attorneys?

24 MR. JANTZ: OGAP objects to this due to unfair
25 surprise and lack of foundation, as well as inability to

1 cross-examine on the exhibit.

2 CHAIRMAN FESMIRE: Okay, let's take the lack of
3 foundation. What kind of foundation would be necessary to
4 -- other than the witness?

5 MR. JANTZ: Well, because this was prepared by
6 S.M. Stoller Corporation, and the industry committee has
7 presented no one from that organization to verify the
8 authenticity of this.

9 CHAIRMAN FESMIRE: But I think Dr. Thomas
10 testified that his conclusions were based on the report of
11 S.M. Stoller, and I'm assuming --

12 MR. HISER: He reviewed the sampling plan, as he
13 testified.

14 CHAIRMAN FESMIRE: Right, so I think there is a
15 proper foundation for it. I will note your objection, but
16 I'm -- if there are no other objections, we'll go ahead and
17 admit it.

18 Okay?

19 MR. JANTZ: Yes.

20 CHAIRMAN FESMIRE: Thank you.

21 Okay. So the -- What are we calling this
22 exhibit?

23 MR. HISER: I guess it would be industry
24 committee Exhibit 11; is that correct?

25 MR. CARR: That would be correct.

1 CHAIRMAN FESMIRE: Okay, industry committee
2 Exhibit 11 is hereby admitted. However, it is labeled Box
3 12.

4 MR. HISER: That's because I actually have to
5 return this box to Mr. von Gonten, who graciously lent it
6 to us. He assured me these boxes were in high demand.

7 CHAIRMAN FESMIRE: It is Christmas time.

8 Okay, industry Exhibit 11 is hereby admitted to
9 the record.

10 Mr. Brooks, now are you ready to proceed?

11 MR. BROOKS: Mr. Chairman, may I approach to give
12 copies of the rebuttal exhibits to the Commission?

13 CHAIRMAN FESMIRE: You may, sir.

14 EDWARD J. HANSEN,
15 the witness herein, after having been first duly sworn upon
16 his oath, was examined and testified as follows:

17 DIRECT EXAMINATION

18 BY MR. BROOKS:

19 Q. Good afternoon, Mr. Hansen.

20 A. Afternoon.

21 Q. And Mr. Hansen, you're still under oath, I
22 believe.

23 A. I understand.

24 Q. You understand that. My court reporter used to
25 say he was just waiting for some witness to say, Darn, I

1 thought I could lie.

2 (Laughter)

3 CHAIRMAN FESMIRE: Let the record reflect that
4 that comment is in no way attributed to the witness.

5 (Laughter)

6 Q. (By Mr. Brooks) Mr. Hansen, after the conclusion
7 of Dr. Stephens's testimony on Friday a very long time ago,
8 did the industry committee provide you with some additional
9 information relevant to Dr. Stephens's testimony?

10 A. It did.

11 Q. And what did that consist of?

12 A. It had Dr. Stephenson's -- Dr. Stephens' output
13 files and some calculation sheets.

14 Q. And have you now reviewed those documents?

15 A. I have.

16 Q. And are you now prepared to state what you
17 understand to be the thrust of Dr. Stephens's testimony,
18 based -- Dr. Stephens's presentation, written presentation,
19 based upon your analysis of those additional documents?

20 A. Yes.

21 Q. Very good. Mr. Hansen, what do you underst- --
22 what is it -- what do you understand that Dr. Stephens was
23 attempting to achieve through his use of models?

24 A. Well, the attempt was to determine a chloride
25 concentration in the pit waste such that an exceedence of

1 the WQCC standard for chloride would never be exceeded in a
2 specified aquifer.

3 Q. Now, in principle you -- do you agree -- in
4 principle, do you agree or disagree with the proposition
5 that there would be some level that would meet that goal,
6 some level of chloride concentration would meet that goal?

7 A. Yeah, given a specific conceptual model, I would
8 agree.

9 Q. Okay. Now what was the -- what was Dr.
10 Stephens -- what do you understand was Dr. Stephens's --
11 Well, before I go on, I want to use the term -- I want to
12 use a term here to describe what we're talking about, and I
13 want to be sure we understand what that term is, and I'm
14 going to use the term "no-exceedence level". Is that a --
15 is that an acceptable term to you?

16 A. Yes.

17 Q. And what do you understand I'm suggesting by
18 that, so everybody will be on the same page?

19 A. Well, that would be -- in this particular case,
20 given Dr. Stephens' modeling assumptions, it would be
21 approximately 184 milligrams per liter in groundwater.
22 That is 250 milligrams per liter, the WQCC standard, minus
23 the assumed 66 milligrams per liter naturally occurring
24 chloride.

25 Q. Okay. Now, that is the difference between the

1 WQCC standard and what Dr. Stephens assumed to be the
2 background, right?

3 A. That's correct.

4 Q. Okay. Now I'm going to use another term that I'm
5 going to call the protective concentration, and by that I
6 mean the concentration in the waste that would be equal to
7 or less than the no-exceedence level when it reached the
8 groundwater. Do you understand that?

9 A. Yes.

10 Q. And by that I mean when it reached the
11 groundwater at maximum, because I understand that it won't
12 immediately go to that level, right?

13 A. Correct.

14 Q. Okay. So I'm -- for that term I'm going to use
15 -- well, let's see, what term did I say?

16 Protective level -- Have you got a term to
17 suggest?

18 (Laughter)

19 A. Well, I think protective level is appropriate --

20 Q. Okay --

21 A. -- given --

22 Q. -- okay --

23 A. -- the proceedings.

24 Q. -- very good.

25 Now what did Dr. Stephens conclude, based on his

1 modeling, was the protective level?

2 A. It was 24,839 milligrams per kilogram in the pit
3 waste.

4 Q. In the pit waste?

5 A. Yes.

6 Q. Now, do you -- given the assumptions and input
7 parameters that Dr. Stephens used, do you disagree -- do
8 you disagree with his modeling?

9 A. Prefaced on assuming his input model -- input
10 parameters were appropriate, which I think we're going to
11 discuss how they were not, but given that assumption, yes.

12 Q. Okay, now I want to go -- to call your attention
13 to -- and you have the -- do you have the ability to bring
14 these things up on the computer here? I would like to call
15 your attention to page 10 of industry committee's Exhibit
16 Number 3, which is Dr. Stephens' narrative paper.

17 Looking at the chart on page 10, what do you
18 understand to be -- what do you understand that Dr.
19 Stephens was trying to do with that chart?

20 A. He's trying to represent at the no-exceedence
21 level in terms of a synthetic precipitation leaching
22 procedure or SPLP concentration, versus a mixing ratio, a
23 soil mixing ratio.

24 Q. Now if the waste that had the protective -- Dr.
25 Stephens's posited protective-level concentration of 24,800

1 milligrams per kilogram, if you did an SPLP leachate test
2 on that waste, what would be the concentration in
3 milligrams per liter?

4 A. Be approximately 1240 milligrams per liter.

5 Q. Now is that in accord with the first line -- the
6 top line on the chart?

7 A. It is.

8 Q. Now, Mr. Hansen, when you stabilize waste before
9 emplacement, does the concentration that you need to use --
10 that you properly should use for modeling, the transport of
11 contaminants in that waste to groundwater, does it depend
12 on the concentration of the pollutant in the raw waste or
13 the concentration of pollutant in the treated waste?

14 A. It would be in the treated waste.

15 Q. Okay. If you, prior to emplacement, stabilized
16 the stabilized the waste that had -- Well, let me back up.
17 I'm asking this question the wrong way.

18 If you took waste and stabilized it at a one-for-
19 one ratio, one unit of waste and one unit of clean solvent,
20 and if that waste, as stabilized, had a concentration of
21 24,800 milligrams per kilogram, what concentration would
22 you get in an SPLP leachate chloride standard from that
23 waste?

24 A. It would be 1240 milligrams per liter.

25 Q. Okay. What if you stabilized waste at a 2-to-1

1 ratio and the stabilized waste had a concentration of
2 24,800 milligrams per kilogram? What result would you get
3 with your SPLP leachate?

4 A. It would be 1240 milligrams per liter.

5 Q. I think I see a pattern developing here. If you
6 stabilized it 3-to-1 or 4-to-1, and the stabilized waste
7 had a concentration of 24,800 milligrams per kilogram, what
8 result would you get from your leachate test?

9 A. 1240 milligrams per liter.

10 Q. Okay. Now Mr. Hansen, if Dr. Stephens was taking
11 an SPLP leachate test from the raw waste as opposed to the
12 stabilized waste, would that properly explain the numbers
13 he's used in this table?

14 A. Yes.

15 Q. Now what do you understand to be the significance
16 of the 3720 near the bottom?

17 A. That's an average of the SPLP leachate test
18 results for raw -- or untreated pit waste.

19 Q. And do you understand -- do you understand that
20 to have some relationship to the 3500 number used in the
21 industry committee's recommendations?

22 A. It's my understanding that that was a rounding
23 off of that average.

24 Q. Now then, I'm going to ask you to look at a page
25 from the industry committee's recommendations, and this is

1 in the -- it's not actually designated an exhibit, but it's
2 in the first -- behind the first tab in the industry
3 committee's notebook, and it's on page 12.

4 May I approach the witness to show the witness
5 the text?

6 CHAIRMAN FESMIRE: You may, sir.

7 MR. BROOKS: Thank you.

8 Q. (By Mr. Brooks) And this is in section B,
9 subsection (2) -- well -- yeah, that's it. And if I have
10 handed you the right page, what I'm calling your attention
11 to is the industry committee's version of the standard to
12 be applied for closure of pits for waste -- waste testing
13 for closure of pits in place.

14 A. That's correct.

15 Q. Okay. Does the industry committee recommend that
16 their 3500-milligram-per-kilogram test be applied to the
17 raw waste or to the treated waste?

18 A. They use the phrase, stabilized pit contents.

19 Q. Does that mean they're applying it to the treated
20 waste?

21 A. I would assume that's the treated waste.

22 Q. Okay. If they're applying it to the treated
23 waste, is that going to be equivalent to the protective
24 level that Dr. Stephens computed of 24,800 in the waste, or
25 is it going to be a lot larger?

1 A. It's going to be a lot larger.

2 Q. If you have 3500 milligrams per kilogram in the
3 treated waste, by SPLP test, what -- milligrams per liter
4 in the treated waste, by SPLP test, what level of chlorides
5 will you have in the treated waste in milligrams per
6 kilogram?

7 A. It would be 70,000 milligrams per kilogram.

8 Q. And not 24,800?

9 A. That's correct.

10 Q. Thank you. Okay.

11 Now Mr. Hansen, I asked you earlier did you
12 disagree with Dr. Stephens's conclusions, given his input?
13 And I believe you said you would not, but you emphasized a
14 qualification.

15 A. That's correct.

16 Q. Are there certain parameters that Dr. Stephens
17 used in his modeling with which you disagree?

18 A. Yes, there are two primary input values that I
19 would say are flawed. One is --

20 Q. Now, you -- I think you said there were two that
21 you used that you think were flawed. Is that correct,
22 or --

23 A. That's not correct.

24 Q. Were there possibly some that Dr. Stephens used?

25 A. Yeah, Dr. Stephens used.

1 Q. Okay, what were they?

2 A. One is, a very thick mixing zone depth was used.
3 And the other is, a very low infiltration rate was used for
4 a no-liner scenario.

5 Q. That is to say, you think it was a low
6 infiltration -- it was an infiltration rate which would be
7 too low for a no-liner scenario?

8 A. That's correct.

9 Q. Okay. Now going back to the first one, let's
10 talk a few minutes about the mixing zone. And I have not
11 numbered the rebuttal exhibits, which I should have done,
12 but the first one is this --

13 CHAIRMAN FESMIRE: Why don't you take the time to
14 do that?

15 Q. (By Mr. Brooks) Yeah, the first one is this
16 diagram, if you could bring that up on the screen. The one
17 that says section view and plan view. We'll label that
18 Exhibit 1 -- Rebuttal Exhibit 1.

19 Now, do you recall, Mr. Hansen, that this was on
20 the screen earlier?

21 A. Yes.

22 Q. But we didn't offer it in evidence at that time?

23 A. That's correct.

24 Q. Where did this come from?

25 A. This came from the user's manual, the Sharp,

1 Hansen and others user manual for the MULTIMED model.

2 Q. Now we've already been over this one time before,
3 and I don't want to indulge in vain repetition, as the
4 heathen do, but would you very briefly once again refresh
5 our recollection about the concept of mixing zone and how
6 it applies to -- how it applies in assessing groundwater
7 contamination?

8 A. Yes. Well, as we can see, this is a cross- --
9 represents a cross-section of a waste facility, and the
10 vadose zone underneath that waste facility, and then an
11 aquifer underneath the vadose zone.

12 As a potential release comes from a waste
13 facility through the vadose zone, it will mix in the
14 aquifer. This area where it mixes in the aquifer is called
15 the mixing zone.

16 Q. And why does the mixing zone have that
17 characteristic shape that's shown on there?

18 A. Well, this particular cross-section has a
19 groundwater flow direction from left to right, so we have
20 groundwater flow coming in from the left to the right,
21 through the aquifer.

22 As that groundwater flows from left to right in
23 this cross-section, it will pick up some contaminants. But
24 as it goes on, more contaminants can come in over that
25 length of that particular waste facility.

1 Q. And is the shape of the mixing zone determined by
2 the fact that contaminants are being moved down by gravity
3 but simultaneously being moved along the gradient by the
4 current?

5 A. That's correct.

6 Q. Okay. Now Mr. Hansen -- Well, first of all, what
7 do you understand to be the mixing zone that was used by
8 Dr. Stephens?

9 A. My understanding is that the full thickness of
10 the aquifer, which is 50 feet.

11 Q. Which was assumed to be 50 feet?

12 A. Was assumed to be 50 feet, yes.

13 Q. Okay. Now Mr. Hansen, you have been charged with
14 using a mixing zone of four inches. How do you plead,
15 guilty or not guilty?

16 A. I'm not guilty.

17 Q. Would you please explain?

18 A. Okay. I performed a sensitivity analysis on a
19 particular infiltration rate. I might mention that the
20 infiltration rate is a very strong governing factor for the
21 depth of the mixing zone, and the particular infiltration
22 rate that I used to make my sensitivity analysis was 2.3
23 millimeters per year, which is of course of concern to this
24 case when comparing against Dr. Stephens' 2.5 millimeters
25 per year. I wanted to use as close as I could get, and

1 that's the number we used for a -- the good liner in the
2 Permian Basin. Dr. Stephens used 2.5 for his no-liner
3 scenario in the Permian Basin.

4 When using the 2.3 millimeters per year, I
5 determined that the model, MULTIMED model, used 8 feet for
6 a mixing-zone depth.

7 Q. Okay. Now did you -- did you use the model
8 program itself to derive your mixing zone?

9 A. Yes.

10 Q. And does the model tell you what mixing zone it's
11 computed when you tell it to derive?

12 A. It does not. I'm not sure why they didn't code
13 it differently, but that's the way it is. It uses the
14 default number of .1 meters, and I -- which is equivalent
15 to about four inches.

16 I have always assumed that if they use that
17 number noted on the output file just as a marker, as an
18 impossibly low number that no one would assume to be an
19 actual mixing zone depth -- from what I inferred from Dr.
20 Stephens's testimony, I think he didn't actually believe it
21 was four inches.

22 Q. Well, have you now gone back and done some
23 calculations to determine or to approximate what mixing
24 zone depth that the model derived in your modeling?

25 A. Yes, and that was eight feet.

1 Q. Very good. Now do you think -- Which do you
2 think is more appropriate? Dr. Stephens' 50 feet, or your
3 eight feet?

4 A. Well, based on my experience with sampling
5 groundwater at multiple depths in groundwater monitoring
6 wells, there's typically going to be some concentrations
7 throughout a groundwater aquifer, and I will just
8 demonstrate by my highlighting, this is approximately what
9 I used at that 8 feet -- or the model used, I should say --
10 used the 8 feet for mixing zone depth.

11 Typically, as -- especially a plume, release
12 plume that has a fairly salt content, meaning it's going to
13 be a greater density than the freshwater aquifer -- it will
14 actually sink down through the aquifer, and just
15 highlighting a theoretical plume here, that might be high
16 in salts.

17 And as you can see, at a point in a monitoring
18 well, if you sampled at this point in the upper portion you
19 might actually see a low concentration of, say, chloride.
20 And as you sample down at different depths you might see
21 different concentrations, and as you go down through where
22 the plume is actually traveling through the monitor well,
23 you can see a relatively high concentration of chloride.

24 One significant point I'll make is that I'm
25 drawing -- mentioning chloride, but if there are other

1 contaminants within that chloride plume, it will follow
2 along with that chloride plume. So other constituents will
3 follow along in that same plume, dissolved constituents.

4 Q. Okay, so bottom line, you believe that the 8 foot
5 -- do you believe that the 8 foot more accurately
6 characterizes what would probably happen in an actual
7 aquifer?

8 A. Yes, and that's typically what I see as far as
9 sampling multiple depths through an aquifer.

10 Q. Okay. Now let's talk about the infiltration
11 rate.

12 A. Well, the infiltration rate used, 2.5 millimeters
13 per year, is a very low number, and I -- to be used for a
14 no-liner situation. That 2.5 millimeters per year was for
15 a dry area, dry diffuse area for recharge into an aquifer,
16 but not for a moist area underneath a pit that would have
17 moist contents.

18 I have Dr. Stephens' book on vadose zone
19 hydrology, and I just point to the table on page 112,
20 and --

21 Q. Which happens to be OCD Rebuttal Exhibit Number
22 2, correct?

23 A. -- and to note some recharge in millimeters per
24 year --

25 MR. BROOKS: I don't think he knows that --

1 A. That's my impression from the comments I've
2 heard.

3 Q. Well, it's, I think, what you were presenting
4 here as well.

5 A. Yeah, all I'm doing here is just simply saying,
6 these are some of the adverse consequences that in the
7 industry reports were raised. Okay?

8 But I mean, other consequences that I haven't
9 raised is, the state has a finite budget. Okay? And
10 certain amounts will go to OCD and their programs, certain
11 amounts will go to funding health policy and so on. Okay?

12 I want to make sure that we understand that when
13 you're talking about allocation of resources there are
14 consequences in areas where we have not really thought
15 through, and I hadn't heard that kind of thinking in any of
16 the discussions with regard to the pit rule here. So my
17 point is --

18 Q. Well, I'm just following along with what you've
19 got, because I'd look at this as what you're presenting is
20 your conclusions that you have based -- you have made based
21 upon -- assuming the work of others, because you're not an
22 economist, you're not a petroleum engineer, you're not a
23 hydrologist, et cetera, or reservoir.

24 You're basing -- but you're presenting to us
25 conclusions based upon the work of other industry experts

1 A. That's correct.

2 Q. And you understand that he assumed that there had
3 been a liner at some time to enable the -- to enable the
4 vegetation to be re-established?

5 A. That's correct.

6 Q. So what he was modeling was after the vegetation
7 was re-established?

8 A. That's correct.

9 Q. But he gave no weight to the presence of a liner?

10 A. That's true, and he is assuming a liner will come
11 from the manufacturer in perfect condition, it will be
12 installed perfectly, it will remain intact perfectly
13 throughout that time period.

14 Q. Now I remember in your direct examination you
15 said something about pit waste being moist?

16 A. Yes, yes.

17 Q. And is that significant?

18 A. It's very significant. If there's increased
19 moisture available for contaminants to be driven down
20 through the vadose zone, it will increase the time and
21 concentration of that contamination to the aquifer.

22 Q. Now does the HELP model allow for that in
23 computing the infiltration rate at the base of the pit?

24 A. Yes.

25 Q. Now you remember Dr. Stephens conceded -- and I

1 have to point this out, because it's one of the very few
2 things that he conceded -- Dr. Stephens conceded, if I
3 recall, that this encased pit waste would -- that has a
4 liner around it would remain moist, because the liner would
5 prevent the escape of fluids. Is that correct, in your
6 judgment?

7 A. Yes.

8 Q. Subject, of course, to the fact that there would
9 be some leakage out of it, some small amount of leakage out
10 of it?

11 A. That's correct.

12 Q. Okay. And does the fact that the pit waste
13 remains moist, even though it is buried -- does that have
14 implications for determining the infiltration rate that
15 should be used at the base of the encasement?

16 A. It does, yes.

17 Q. And have you allowed for that in your modeling?

18 A. I have.

19 Q. And do you understand that Dr. Stephens has made
20 any allowance for that in his modeling?

21 A. No- -- Yeah, that's what I understand, yes.

22 Q. Very good.

23 A. He hasn't.

24 Q. Is there anything else you would like to say
25 about Dr. Stephens's infiltration rate?

1 CHAIRMAN FESMIRE: Mr. Hansen, would you please
2 repeat your last answer?

3 MR. HISER: About what Dr. Stephens did or did
4 not allow.

5 THE WITNESS: Well, my understanding is, he did
6 not allow for any moisture within the waste.

7 Q. (By Mr. Brooks) Is there anything else you would
8 like to say about infiltration rates? I realize that
9 wouldn't be allowed in court, but we've done things like
10 that here.

11 CHAIRMAN FESMIRE: And nobody would have noticed
12 it if you hadn't pointed it out.

13 THE WITNESS: No.

14 Q. (By Mr. Brooks) Very good. Did Dr. Stephens
15 articulate some concern that additional chloride mass was
16 being introduced into the computations by something in your
17 modeling procedure?

18 A. Yes, that was my understanding. He didn't go
19 into much detail, but considering the fact that the
20 MULTIMED model will give you a warning if you try to put in
21 too much chloride mass, and if you'll look at the 42 output
22 files in our Exhibit 20 you won't find that particular
23 warning, I would say that concern becomes moot.

24 He may have been thinking that our conceptual
25 model lacked some chloride mass. However, there's a big

1 difference between the assumptions for the two different
2 models used.

3 One, the -- I'll just start with the -- The HELP
4 model output gives you a rate of leachate release. And
5 what is leachate? Leachate is a free liquid, particularly
6 precipitation in the form of water that comes in contact
7 with waste. That's what we call leachate.

8 And the MULTIMED input is -- for infiltration
9 rate, is that very same thing. It's the release rate of
10 leachate into the vadose zone.

11 We also put in, of course, at that time, we put
12 in the concentration within that leachate that's going into
13 the vadose zone. But he -- I looked at some calculations
14 he provided --

15 Q. Is that Dr. Stephens you're speaking of?

16 A. Dr. Stephens.

17 -- after his testimony.

18 He assumed a chloride concentration over seven
19 times less than what the OCD assumed for the MULTIMED. Now
20 that might be appropriate for the VADSAT model, but not for
21 the MULTIMED model. Big difference, that's the big
22 difference. I think it's just a simple misunderstanding on
23 Dr. Stephens' part, not realizing the difference between
24 those two models.

25 Q. Well, why would there be a difference between the

1 two models, and what would be the appropriate --

2 A. Yeah, so VADS- -- yeah, VADSAT uses a milligrams
3 per kilogram in the waste itself to start its modeling,
4 whereas of course the MULTIMED, as I just described, uses
5 milligrams per liter in the leachate --

6 Q. Okay, well --

7 A. -- the waste facility --

8 Q. -- that's a good lead-in to my next question, if
9 you're through with your explanation --

10 A. Well, I'll just -- I think he came up with
11 something like a difference of .38 times less than what he
12 thought it should be.

13 Compare that to seven times of what we really
14 had. The difference between that .38 and our seven leads
15 us to conclude that for our conceptual model we had more
16 than ample chloride mass.

17 Keep in mind, we only used 50 years for a release
18 pulse. That 50 years gives us plenty of chloride mass,
19 plenty of time -- and we're using a relatively small amount
20 of water, that is, millimeters per year -- that gives us
21 plenty of time for that chloride mass to dissolve into
22 leachate.

23 Q. Okay. Well, my next question was going to be,
24 there seemed to be some confusion about what you did in
25 your modeling, because each of your tables in your exhibit

1 begins with a concentration in milligrams per liter,
2 correct?

3 A. That's correct.

4 Q. Now is that concentration in milligrams per
5 liter, is that a concentration determined by an SPLP test?

6 A. It is not.

7 Q. Explain what it is.

8 A. It is the concentration in the leachate that
9 would be released from a pit.

10 If you have -- say we had a concentration of 1000
11 milligrams per liter as one of our models, that would
12 equate to 1000 milligrams per kilogram soluble chloride in
13 the waste.

14 We're assuming that if the waste has 1000
15 milligrams per kilogram in the waste, we -- with a
16 relatively small amount of water -- and given the time that
17 we're using -- that's millimeters per year, we're talking a
18 very small amount of water over a year -- it will have
19 ample time to dissolve all of that 1000 milligrams per
20 kilogram into a free liquid milligrams per liter.

21 Q. But it wouldn't dilute it 20 to 1?

22 A. It was not diluted 20 to 1.

23 Q. Okay. In fact, you're assuming that it would be
24 approximately equal, are you not?

25 A. Yes.

1 Q. Equal, that is, to the concentration -- actual
2 concentration in the waste?

3 A. Right, of soluble chlorides, yes.

4 Q. Right. It would not include the insoluble -- the
5 chloride that's not soluble?

6 A. No, and our testing -- proposed testing
7 requirements only involves soluble chlorides.

8 Q. So then would the levels that you assumed, would
9 they correspond in terms of units to the levels detected in
10 the OCD testing program?

11 A. With a 20-to-1 dilution, yes.

12 Q. Well, would they correspond -- Now you've got me
13 confused, because --

14 (Laughter)

15 Q. -- I understood you to say that your
16 concentration in the leachate would be approximately equal
17 to the concentration in the waste.

18 A. That's correct.

19 Q. The concentration in the leachate that you used
20 in your modeling?

21 A. Yes.

22 Q. And the concentration in the waste, did you say
23 that would be only for soluble chlorides?

24 A. Yes.

25 Q. And the concentration levels determined by the

1 OCD in their sampling program, would that apply to total
2 chlorides, or only to soluble chlorides?

3 A. Well, our -- I thought the question was, what in
4 our proposed testing method for disposing of --

5 Q. No --

6 A. -- pit contents --

7 Q. -- no, I'm sorry, that was not the question.

8 I was saying, does it -- do the concentrations
9 that you used in your model -- are they directly comparable
10 to the concentrations in the OCD's testing program?

11 A. Yes.

12 Q. Thank you.

13 Now, there has been some criticism of your use of
14 Dulce, New Mexico, weather data for purposes of
15 establishing our modeling parameters. Do you recall that?

16 A. Yes.

17 Q. Have you looked into the question of whether or
18 not Dulce, New Mexico, is considered to be a part of the
19 San Juan Basin?

20 A. I have.

21 Q. Okay. Well then, would you bring up your -- what
22 we -- will be marked -- the geologic map that we will mark
23 as OCD Rebuttal Exhibit Number 3?

24 Okay, now what is this, what is OCD Rebuttal
25 Exhibit Number 3?

1 A. This is the United States Geological Survey
2 Professional Paper Number 1420, showing the -- I'm sorry --
3 San Juan structural basin, and --

4 Q. Can you locate Dulce, New Mexico, on that map?

5 A. I can. What I use as a little indicator is that
6 little notch in the state line between Colorado and New
7 Mexico, that little notch. And so that puts Dulce right
8 about there.

9 Q. So according to this map, then, is it in what
10 USGS has mapped as the regional aquifer analysis study area
11 in the San Juan structural basin?

12 A. That's correct.

13 Q. Okay. Then have you also determined whether or
14 not there are gas wells in the vicinity of Dulce, New
15 Mexico?

16 A. Well, what I did was to determine the location of
17 the closest sampling points that OCD made for pit contents
18 this last spring.

19 Q. And we will mark what you have on the screen as
20 OCD Rebuttal Exhibit Number 4, and will you tell us what
21 that shows?

22 A. Yes, here I'll point to -- the laser pointer is
23 the location of Dulce, New Mexico. Note the notch in the
24 state line there.

25 The darkened portion is the Jicarilla Apache

1 Indian Reservation boundaries, and the other two points
2 labeled TC-01 and DP3-06 are two sampling points that OCD
3 used for our pit sampling events. We used these not
4 because they were close to Dulce, just that these are two
5 points that the District Office identified as recently
6 being completed or being drilled sites.

7 I didn't actually realize how close they were to
8 Dulce until I looked at this map that I put together.

9 This range between Dulce and TC-01 --

10 Q. Now --

11 A. -- is approximately 18 miles.

12 Q. -- is that TC or T3?

13 A. T3, sorry.

14 Q. Okay, go ahead.

15 A. T3, thank you.

16 Q. And it's approximately 18 miles?

17 A. 18 miles, according to Google Earth.

18 CHAIRMAN FESMIRE: So we can't tell whether the
19 witness is dyslexic or needs new glasses.

20 THE WITNESS: Probably a little of both.

21 And DP3-06 is approximately 32 miles as the crow
22 flies.

23 Q. (By Mr. Brooks) And those are in a south -- a
24 southwest --

25 A. That's correct --

1 Q. -- direction --

2 A. -- yes.

3 Q. -- from Dulce?

4 A. Yes.

5 Q. Now do you have some pictures -- Are the
6 remaining slides you have here pictures of those analysis
7 sites?

8 A. Yes -- yeah, this is the D3 -- sorry, DP3-06
9 site. And I put these photographs just to note that it's
10 in a forested area.

11 If you look back at the ridge, and of course the
12 trees in the foreground, that particular person there is
13 me. I didn't actually take the photos, but I was there at
14 the time the photos were taken.

15 CHAIRMAN FESMIRE: Mr. Hansen, the guy leaning on
16 the fencepost is not an OCD employee?

17 THE WITNESS: No, it's --

18 (Laughter)

19 Q. (By Mr. Brooks) Well, we will mark these as OCD
20 Rebuttal Exhibits 5, 6, 7, 8 and 9.

21 A. Another of the same site, just to indicate
22 forested area.

23 CHAIRMAN FESMIRE: Mr. Brooks, you're going to
24 have to be a little more specific, they're not in that
25 order in our stuff.

1 Q. (By Mr. Brooks) Okay. Well, is this the first
2 one you've shown, Mr. Hansen?

3 A. No, sorry.

4 Q. Well, let's go through them and let's identify
5 each one specifically. Let's start with the first.

6 A. We could start with this one and work back.

7 Q. That's fine. Since mine aren't stapled, I can
8 start with any one you want to.

9 A. All right.

10 Q. Okay, and this one is the one that has the back
11 of the truck open, so we'll call that OCD Exhibit Number 5
12 -- Rebuttal Exhibit Number 5.

13 CHAIRMAN FESMIRE: Mr. Brooks --

14 MR. BROOKS: Yes?

15 THE WITNESS: It is labeled.

16 CHAIRMAN FESMIRE: DP3-01-2 -- We've got it, but
17 it's somehow been inverted.

18 THE WITNESS: I just happened to see that --

19 MR. BROOKS: That does appear to be the case, and
20 I know that can be done with photographs, and so it doesn't
21 -- it's also been elongated as well as inverted. So the
22 printed-out versions are somewhat distorted.

23 Q. (By Mr. Brooks) And which one would you like to
24 call Exhibit Number 6?

25 A. The one currently shown on the screen, DP- --

1 Q. Okay, well now, I've marked that as 5.

2 A. Okay, sorry. Sorry. All righty.

3 Q. Get us another one if you would, please.

4 Okay, I have that one, but it's also inverted.

5 I'll call that number 6.

6 Okay, now --

7 MR. HISER: Which one is this?

8 MR. BROOKS: This is Number 6.

9 MR. HISER: What was Number 5?

10 MR. BROOKS: Number 5 was the other one with the
11 truck with the back open.

12 Q. (By Mr. Brooks) Now are you in this picture
13 number 6, Mr. Hansen?

14 A. Yes.

15 Q. Okay, then let's bring up another one.

16 A. This photo labeled T3-01-3, I'm in this photo
17 here.

18 Q. And we'll call this OCD Exhibit Number 7.

19 A. And this is of the T3 site, and just wanted to
20 note that this particular site is in a forested area.

21 Q. Yes, I believe we have made our -- shown
22 everything that's really material in these photographs, Mr.
23 Hansen, so I think I will withdraw the other two --

24 A. Okay.

25 Q. -- in the interest of time.

1 Now Mr. Hansen, when you put together this --
2 when you assembled your data, were you trying to get an
3 average for the producing regions, or were you trying to
4 get an area that -- a means of computing what would happen
5 and -- not necessarily a worst-case scenario, but perhaps a
6 worse-than-average-case scenario here?

7 A. Well, worse-than-average case, yes.

8 Q. So in each basin you selected an area that was on
9 the wetter side of the basin, right?

10 A. That's correct.

11 Q. Was there anywhere else in the western part of --
12 in the western end of the San Juan Basin where you would
13 have been able to get adequate weather data, other than
14 Dulce?

15 A. Well, in the eastern part, no. In the western --

16 Q. I'm sorry, I meant the eastern part. I -- You
17 took from the eastern part of each basin, right?

18 A. Yes.

19 Q. And was there anywhere else in the eastern part
20 of the San Juan Basin where you would get -- where you had
21 adequate weather data?

22 A. No.

23 Q. Okay. Now that's all I have on that subject.
24 There's one other subject I want to ask you a question
25 about.

1 There has been a question raised about the --
2 Well, I'll go ahead and ask this. We had debated whether
3 this was even worth going into or not, but remember Mr.
4 Mullins suggesting that you should have used solar
5 radiation from Albuquerque instead of Pueblo -- as opposed
6 to Pueblo, Colorado?

7 A. That's correct.

8 Q. Did you do a sensitivity check on that to
9 determine how much difference that would make if you had
10 done that?

11 A. I did. It was approximately 3.8 percent less
12 using Albuquerque, rather than Pueblo site.

13 Q. Thank you. Now the other question I wanted to
14 ask you -- and would you believe I've lost the statutory
15 reference papers? No, I haven't. I thought I had.

16 Do you have a copy of this, or do I need to --
17 Solid Waste Act, or do I need to bring you a copy?

18 A. I have a copy.

19 Q. Okay. Mr. Hansen, some people have raised --
20 some testimony of some of the witnesses has implanted a
21 question here as to whether or not the solid waste
22 facilities existing in the San Juan Basin that are
23 regulated by the Department -- by the Environment
24 Department would continue to be available for disposal of
25 oil and gas waste -- oil and gas pit waste, after the

1 expiration of the memorandum of understanding that's
2 currently in effect. Do you recall that testimony?

3 A. Yes.

4 Q. Now I want to be careful here, because I'm not
5 asking you to give an opinion of law, but I'm going to ask
6 you about some statutes and rules.

7 Now you have worked for the Oil Conservation
8 Division for how long?

9 A. Approximately 14 months.

10 Q. And before that, for whom did you work?

11 A. I worked for the Environment Department in their
12 solid waste bureau for approximately 15 years.

13 Q. So you -- Do you have some familiarity with how
14 the solid waste bureau interprets the statutes and rules
15 that they administer?

16 A. I do.

17 Q. Okay. Now I'm going to ask you to look, and you
18 said you had a copy, at Section 74-9-43 of the New Mexico
19 Statutes, and I will ask you to read subsection A of that
20 statute. I think this time you should probably read
21 aloud --

22 A. Okay.

23 Q. -- since everybody doesn't have a copy.

24 A. All right. A solid waste facility may accept a
25 -- for disposal nondomestic waste. For purposes of this

1 section, in quotes, nondomestic waste means waste
2 associated with the exploration, development, production,
3 transportation, storage, treatment or refinement of crude
4 oil, natural gas, carbon-dioxide gas or geothermic -- -
5 thermal energy, but does not include drilling fluids,
6 produced waters, petroleum liquids, petroleum sludges, or,
7 except in the event of an emergency declared by the
8 Director of the Oil Conservation Division of the Energy,
9 Minerals, Natural Resources Department, petroleum-
10 contaminated soils associated with the exploration,
11 development, production, transportation, storage, treatment
12 or refinement of crude oil or natural gas.

13 Q. Okay. Now as this is interpreted by the solid
14 waste bureau, to the extent you're familiar with their
15 interpretation, would they consider pit waste to be
16 drilling fluids, produced waters, petroleum liquids or
17 petroleum sludges?

18 A. They would not.

19 Q. Would they consider it to be petroleum-
20 contaminated soils?

21 A. No.

22 Q. Very good. Now these particular nondomestic
23 wastes that are authorized to be accepted by 74-9-43, do
24 the Oil Conservation Commission rules authorize the Oil
25 Conservation Division to authorize --

1 CHAIRMAN FESMIRE: Hang on, Mr. Brooks.

2 MS. FOSTER: I would just like to state for the
3 record that these questions are extremely legal in nature
4 in terms of asking this witness the legal -- and his
5 interpretation of the definitions in statute and in rule,
6 and I intend to cross-examine him on that, so I'm going
7 to -- I'm making this objection now, or at least this
8 statement now, so that later on when he objects to it and
9 you overrule me, the record is made.

10 Thank you.

11 CHAIRMAN FESMIRE: Ms. Foster, you're always
12 aware that at any time an objection is overruled you can
13 make a record.

14 MS. FOSTER: I understand that, but since we're
15 here at this point right now and he's specifically asking
16 him about his legal interpretation of what's in the
17 regulation or another statute, I just want to highlight the
18 fact that later on when I ask these questions, if this
19 issue comes up, then it's already been highlighted, that's
20 all, since we're here.

21 MR. BROOKS: Thank you.

22 MS. FOSTER: Thank you, sir.

23 CHAIRMAN FESMIRE: I must have missed that day in
24 legal procedure.

25 MR. BROOKS: I am, however, going to withdraw

1 that last question because I think the previous question is
2 the only one I really needed to ask, and at this point in
3 the proceeding, I'd prefer not to ask questions I don't
4 think I need to ask, so --

5 CHAIRMAN FESMIRE: Okay.

6 MR. BROOKS: -- I will withdraw that last
7 question, and at this point in time I will pass the
8 witness.

9 Oh, I'm sorry, I forgot to offer the exhibits.

10 CHAIRMAN FESMIRE: Okay.

11 Q. (By Mr. Brooks) Mr. Hansen, OCD Rebuttal
12 Exhibits Numbers 1 through 3, were those obtained by you
13 from published sources as previously identified -- well,
14 I'll include 4 in that too. Were those obtained by you
15 from published sources?

16 A. Yes.

17 Q. And the annotations on Exhibit Number 4, were
18 those made by you?

19 A. Yes.

20 Q. And the pictures, Exhibits 5, 6 and 7, were you
21 present at the site when those pictures were taken?

22 A. I was.

23 Q. Do they fairly and accurately represent the
24 scene?

25 A. Other than being the mirror image, they do.

1 Q. And the elongation, perhaps, also.

2 A. Perhaps the elongation, yes, sir.

3 MR. BROOKS: Offer OCD Rebuttal Exhibits 1
4 through 7.

5 CHAIRMAN FESMIRE: Is there any objection?

6 MS. FOSTER: No objection.

7 CHAIRMAN FESMIRE: Seeing no objection, OCD
8 Rebuttal Exhibits 1 through 7 will be admitted to the
9 record.

10 Mr. Brooks, do you pass the witness?

11 MR. BROOKS: Pass the witness.

12 CHAIRMAN FESMIRE: Mr. Hiser?

13 MR. HISER: I do have a couple of questions.

14 CROSS-EXAMINATION

15 BY MR. HISER:

16 Q. Now Mr. Hansen, I want to start with what you
17 just went through in rebuttal, and then I want to ask you,
18 I think, two or three questions with regard to your direct
19 testimony, since we had agreed that I would just sort of
20 wait till we got to this point.

21 In your model outputs -- and I don't know if you
22 have those available that you could put them back up on the
23 screen for all of us to look at, or at least an example of
24 one of your output runs?

25 A. Not having access to our Intranet, I don't

1 believe I do.

2 Q. Okay. And I don't know that I actually have a
3 copy of one of your --

4 A. Wait a minute, maybe --

5 Q. Okay. So when we're talking about the -- so when
6 we're talking about your mixing zone value and I look at
7 your -- is it the MULTIMED model that that would be found
8 in; is that correct?

9 A. I'm sorry, could you repeat that? I was looking
10 for --

11 Q. That's okay, I'm sorry.

12 When I'm looking at the mixing zone that you're
13 talking about, that's in the MULTIMED model; is that
14 correct?

15 A. That's correct.

16 Q. And if I look at the charts that you've provided
17 for here, that number that I'm -- the number that I would
18 be looking at is under what variable name? Is it --

19 A. Source -- source depth, source --

20 Q. Source thickness --

21 A. -- thickness, thank you.

22 Q. -- mixing zone depth in parentheses?

23 A. Yes, thank you.

24 Q. Okay. And that's a value that's given in meters,
25 correct?

1 A. That's correct.

2 Q. And then you said that you used the derived
3 methodology --

4 A. Yes.

5 Q. -- is that correct? And then it reported a .1,
6 and it's your contention that that's a program thing and
7 not what the programmer actually used?

8 A. It notes --

9 CHAIRMAN FESMIRE: Mr. Hiser, I think we can get
10 a copy of that if you still -- still need it.

11 Wayne, do you have it?

12 MR. PRICE: I think I have it on my stick.

13 MR. HISER: I'd be happy to wait, if that would
14 be helpful for the Commission.

15 CHAIRMAN FESMIRE: Why don't we go ahead and take
16 a 10-minute break and allow Mr. Price to load that up.

17 MR. HISER: Thank you, Mr. Chairman.

18 (Thereupon, a recess was taken at 2:25 p.m.)

19 (The following proceedings had at 2:37 p.m.)

20 CHAIRMAN FESMIRE: Okay, back on the record.

21 Let the record reflect that this is again the
22 continuation of Cause Number 14,015, that all three
23 Commissioners are present, we have a quorum.

24 And I believe, Mr. Brooks, you were --

25 MR. BROOKS: I had passed the witness.

1 CHAIRMAN FESMIRE: Mr. Hiser was about to begin
2 the -- well, had just barely gotten into the cross-
3 examination of Mr. Hansen.

4 MR. HISER: That's correct, thank you, Mr.
5 Chairman.

6 Q. (By Mr. Hiser) Now Mr. Hansen, you testified
7 that you believe that the model actually used about an 8-
8 foot mixing depth; is that correct?

9 A. I know that's what it used, yes.

10 Q. Okay, and what would that number be in meters,
11 which is the terminology that's used by this model?

12 A. About 2.2 meters or --

13 Q. So somewhere around 2.2 meters.

14 Now if I turn and look at the output here and I
15 look at, for example --

16 MR. BROOKS: Excuse me, what page are you on,
17 Mr. --

18 MR. HISER: I'm trying to determine that from
19 this screen here.

20 THE WITNESS: Thirty-four.

21 MR. HISER: This is page 34 of 422.

22 MR. BROOKS: Thank you.

23 Q. (By Mr. Hiser) Okay, and we can see a number of
24 the different input parameters that you used in this model;
25 is that correct?

1 A. That's correct.

2 Q. Okay. Now a number of these -- for example, the
3 overall chemical de-cake coefficient, which is on the top
4 of, I think, the page preceding that, but there were a
5 couple -- oh, there it is -- and all that, also show that
6 they're derived. And in that case it shows a negative 999,
7 negative 999. And what does that double negative 999 mean?

8 A. That means a value was not entered for that
9 parameter.

10 Q. Okay, and so if a value is not entered for that
11 parameter and it shows a negative 999, then what
12 conclusions could we draw when we go down to the mixing
13 depth or the source, and we do see a number, in fact,
14 appearing in that?

15 A. A coding difference between those two different
16 parameters.

17 Q. So you believe this is a coding difference and
18 that, in fact, it was using an 8-foot mixing zone?

19 A. Yeah, from attending training sessions and EPA
20 Regional Office in Dallas, that's --

21 Q. And what would be the mixing depth if you used a
22 no-liner assumption, with your model, MULTIMED?

23 A. Well, I didn't do analysis on that, so I --

24 Q. Would it be greater or less than --

25 A. It would be greater.

1 Q. And how -- do you have a sense of how much
2 greater?

3 A. I couldn't come up with a number off the top of
4 my head, but it would be greater.

5 Q. But it would be greater?

6 A. Yes.

7 Q. Now in your testimony you said that other
8 constituents will follow the chloride along; is that
9 correct?

10 A. Well, will be in that plume, yes.

11 Q. Will be in that plume. So are you testifying
12 they will arrive in the groundwater at the same time as the
13 chloride?

14 A. Not necessarily, no.

15 Q. And in fact, would those constituents sort of
16 traverse that soil column based upon a number of other
17 factors related to adsorptivity and dispersion and
18 biodegradation and a series of other processes of that
19 nature in the soil column?

20 A. That's correct.

21 Q. And so the chloride plume, or the wetting front,
22 as it's sometimes been called, represents sort of the
23 worst-case maximum mobility that you intend to see after a
24 given time period?

25 A. Depending on the constituent, yes.

1 Q. That's why it's used as a tracer?

2 A. Yes.

3 Q. Now you also testified that Dr. Stephens had
4 assumed dry soil in the pit. How did you come up with that
5 conclusion?

6 A. Well --

7 Q. Is that, am I to assume, perfectly dry? What is
8 perfectly dry?

9 A. I don't know if I said perfectly dry, but that
10 moisture wasn't taken into consideration when determining
11 the infiltration rate.

12 Q. So your testimony is that Dr. Stephens' model did
13 not consider the amount of moisture in the pit when he was
14 doing his modeling; is that correct?

15 A. As it relates to the infiltration rate, his
16 assumption of the infiltration rate.

17 Q. Because he used the regional infiltration rate to
18 come up with a number that he was moving down in the soil
19 column; is that correct?

20 A. My understanding was that -- for a dry, diffuse
21 area, yes.

22 Q. And what's the relative volume of the pit versus
23 the soil column underneath it?

24 A. As far as --

25 Q. Well, you have a pit --

1 A. -- given a --

2 Q. -- which we've talked about. They can be in size
3 anywhere from less than 100 by 100 to about 150 or 200 by
4 200, and your rules specify that there's a depth to
5 groundwater of at least 50 feet beneath that pit, and the
6 pit ranges in size, I think we've heard testimony before,
7 to 10 feet in depth.

8 What would be the relative volumes of the area in
9 the pit and underneath the pit?

10 A. One to 4?

11 Q. And so is it your testimony, then, that the
12 moisture from the pit is going to thoroughly saturate or
13 bring up the entire volume in the area underneath the pit
14 to the level of what the it was? Is that what you're
15 contending in your modeling?

16 A. I'm not sure what you're asking, but --

17 Q. Well, I'm trying to understand what -- the amount
18 of moisture that you believe is appropriate in the model
19 that you used from the base of the pit to the aquifer, and
20 you've stated that you believe that Dr. Stephens
21 inappropriately used too little moisture and that there
22 needs to be more moisture and that it needs to be related
23 to the amount that's in the pit.

24 And so I'm trying to understand if you took that
25 moisture level and projected it all the way down, then, to

1 the groundwater or the aquifer.

2 A. No -- no, there's a misunderstanding. The
3 moisture is taken into effect to determine how much will
4 leak out of the bottom of that moist area, and that's the
5 number that HELP calculates.

6 Q. Correct. Now, but -- And you used that as a
7 constant number; is that correct? Or did it vary over
8 time?

9 A. Well, there was a 50-year pulse that we used for
10 the contaminant migration.

11 Q. I'm trying to figure out where the water came
12 from, Mr. Hansen. Help me, where the water's coming from.

13 We have a certain amount of moisture in the pit,
14 correct?

15 A. Cor- --

16 Q. And then we have a cap and evapotrans- -- or a
17 liner and an evapotranspiration cap on top, or a cover on
18 top of that, which may not be -- but there's plants and
19 vegetation as the rule is coming from.

20 So where is the -- where is the additional water
21 coming from once you exhaust the water that may have been
22 in the pit?

23 A. Well, you always have a steady input of
24 precipitation over that moist area, and that's what the
25 HELP model calculates. It takes into account that moist

1 area with the precipitation coming on to it, and it will
2 give you what leachate will come out of that moist area.

3 Q. Okay, I think I understand.

4 What did you use for the moisture under the pit?

5 A. Well, then you go to MULTIMED, and you input
6 residual moisture. I think they used about 11 percent.

7 Q. Okay, and so that was based on the surrounding
8 soils, then, would be the standard moisture that you would
9 use for that?

10 A. Yes.

11 Q. Okay. And then you said that you were looking at
12 the salt and having come through. Did you assume 100-
13 percent saturation of the water as it went through the pit?
14 Saturation with the salt?

15 A. Well, I'm not --

16 Q. In other words, did a hundred percent of -- that
17 the water dissolved 100 percent of the salt that it came in
18 contact with?

19 A. Yes, yes.

20 Q. And did you consider saturation limits on how
21 much salt the water can hold?

22 A. Yes.

23 Q. On the Dulce site, which aquifer is Dulce
24 actually in?

25 A. Well, I'm not sure what aquifer. I know it's in

1 the San Juan River basin.

2 Q. Do you know whether there's any production out of
3 that aquifer?

4 A. I don't.

5 Q. Okay. Now you stated in the overall modeling
6 that you did that you tried to choose reasonable worst-case
7 assumptions; is that correct?

8 A. That's a good paraphrase, yes.

9 Q. Okay. And how many of the different parameters
10 on this model did you do that with?

11 A. I couldn't say the number, but I will say most.

12 Q. And what happens if you add a reasonable
13 conservative assumption on top of a reasonable conservative
14 assumption on top of another reasonable conservative
15 assumption, and then yet another one and another one, for
16 most of the variables in the model?

17 A. Well, each reasonable conservative assumption
18 will be evaluated on its own, so there's no cumulative
19 effect, if that's what --

20 Q. How did you avoid cumulative effect?

21 A. Of the reasonable assumptions?

22 Q. Yes.

23 A. Well, it's a function of the model's --

24 Q. Okay, explain that to me, because typically
25 models are driven by the input parameters. And so are you

1 saying that you used a standard default parameter for
2 everything and then just varied one each time, and that
3 you've presented us as many models as are different input
4 parameters?

5 A. No.

6 Q. So did you use a number of the reasonably worst-
7 case assumptions in the same model run?

8 A. Yes.

9 Q. And so -- and that doesn't have a cumulative
10 effect. Why?

11 A. Well, if you change one parameter and maybe
12 another parameter was not as conservative, then they would
13 tend to cancel each other out.

14 Q. Yes, but I thought that you just said that you
15 made most of them the reasonable worst-case assumptions --

16 A. I --

17 Q. -- and that would mean that you were looking at
18 maximizing the transport from the pit down into the
19 aquifer, would it not?

20 A. Well, we were specifically looking, but that
21 wasn't the goal.

22 Q. Well, that wasn't the goal, but that was the
23 worst case that you were concerned about, was it not?

24 A. Right.

25 MR. HISER: Okay, I think that's all the

1 questions I have.

2 CHAIRMAN FESMIRE: Mr. Carr?

3 MR. CARR: No questions.

4 CHAIRMAN FESMIRE: Ms. Foster?

5 MS. FOSTER: Thank you.

6 CROSS-EXAMINATION

7 BY MS. FOSTER:

8 Q. Mr. Hansen, getting back to your direct testimony
9 when I believe you stated, Cuttings are not considered
10 hydrocarbon-contaminated wastes for the purposes of
11 disposal at a landfill -- I just want to get back to that
12 line of questioning.

13 A. Which -- which type of waste?

14 Q. You were talking to Mr. Brooks concerning the
15 exceptions of wastes into a landfill, an NMED-approved
16 landfill. Remember that conversation?

17 A. Yes, yes.

18 Q. Okay, and the NMED landfills, in terms of
19 acceptance of waste, there's a different standard for
20 wastes than there is for the OCD-permitted landfills; is
21 that not correct?

22 A. I'm not sure what you mean by standard.

23 Q. Okay. Well, just to make it simple, the NMED
24 landfills will accept what has been termed special wastes,
25 correct?

1 A. That's correct.

2 Q. Okay. And I believe that you stated that an NMED
3 landfill could accept sludge and petroleum-contaminated
4 soils?

5 MR. BROOKS: Objection, that misstates the
6 testimony, I believe.

7 Perhaps the witness can charact- -- can state it,
8 but I do not believe that that's what the witness
9 testified.

10 THE WITNESS: Today I have not testified --

11 MS. FOSTER: Okay.

12 THE WITNESS: -- as such.

13 MS. FOSTER: Mr. Chairman, if I could approach
14 the witness, I have taken off the NMED website the
15 definition of what they consider to be special waste
16 management for acceptance at the NMED landfills, and I've
17 made copies for the Commission. You could use this as
18 demonstrative evidence or not, but I would like to talk to
19 him about this issue.

20 CHAIRMAN FESMIRE: Are you going to establish a
21 foundation for that as -- you know, as to accuracy, or are
22 you just --

23 MS. FOSTER: Okay, well --

24 CHAIRMAN FESMIRE: You may approach the witness,
25 and --

1 MS. FOSTER: Yes, we'll see how it goes and then
2 we'll see if I want to --

3 CHAIRMAN FESMIRE: That's kind of what I was
4 hinting at.

5 MS. FOSTER: Thank you.

6 MR. BROOKS: Do you have a copy for me?

7 MS. FOSTER: Yes, certainly.

8 Q. (By Ms. Foster) Now Mr. Hansen, I believe that
9 you testified that you were employed by the -- in the NMED
10 for a while, prior to coming to the OCD?

11 A. That's correct.

12 Q. Yes, and you do have experience with the
13 landfills and the permitting process that's done by the
14 NMED?

15 A. I do.

16 Q. Okay, and are you familiar with the term "special
17 wastes"?

18 A. Yes.

19 Q. Okay. And are you aware that the NMED has a
20 website that has available information available to the
21 public?

22 A. Yes.

23 Q. Okay, I -- Looking at this piece of paper in
24 front of you, which I guess we'll call IPANM -- just for
25 demonstrative purposes right now, I don't remember what

1 number I was up to in my exhibit numbers.

2 MR. HISER: Make it A.

3 MS. FOSTER: A, we'll make it A.

4 Q. (By Ms. Foster) -- is that a fair and accurate
5 representation of what would be on the NMED website?

6 I believe it's dated on the bottom as today's
7 date -- Oh, actually it's not today's date, it's November
8 23rd, 2007.

9 A. I would assume this is correct, yes.

10 Q. Okay. And reading through that, is that a fair
11 and accurate representation of what you understand to be
12 the definition of special waste, based on your experience
13 with the Environment Department?

14 A. Yes.

15 MS. FOSTER: Yes, okay.

16 At this time, Mr. Chairman, I would move this
17 Exhibit A into evidence, so that I can give the Commission
18 copies of this.

19 CHAIRMAN FESMIRE: IPANM Rebuttal Exhibit A?

20 MS. FOSTER: That would be fine.

21 CHAIRMAN FESMIRE: Okay --

22 MS. FOSTER: And if I may approach --

23 CHAIRMAN FESMIRE: -- is there any objection to
24 IPANM Rebuttal Exhibit A?

25 MR. JANTZ: None.

1 CHAIRMAN FESMIRE: Seeing no objection, it will
2 be so --

3 MR. BROOKS: No objection.

4 CHAIRMAN FESMIRE: -- admitted.

5 MS. FOSTER: May I approach, Mr. Chairman?

6 CHAIRMAN FESMIRE: You may, ma'am.

7 Let's clarify the record, it's IPANM Rebuttal
8 Exhibit A?

9 MS. FOSTER: Yes, please.

10 May I proceed, Mr. Chairman?

11 CHAIRMAN FESMIRE: You may, ma'am.

12 Q. (By Ms. Foster) Thank you.

13 Mr. Hansen, discussing the definition of
14 petroleum contaminated soils, which is listed as number 9
15 under the special waste definition for the -- at the -- on
16 the NMED website page, Rebuttal Exhibit A for IPANM, could
17 you read that number 9, please?

18 A. Okay, number 9: Petroleum contaminated soils,
19 (PCS) in parentheses, that have a sum of benzene, toluene,
20 ethyl benzene, and xylene isomer concentrations of greater
21 than 50 milligrams per kilogram, or benzene individually
22 greater than 10 milligrams per kilogram, or a total
23 petroleum hydrocarbon concentration of greater than 100
24 milligrams per kilogram.

25 Q. Okay. And looking at that definition of

1 petroleum-contaminated soils, there's no listing in there
2 of a chloride level or a chloride limitation as to what can
3 be considered special waste; is that correct?

4 A. That's correct.

5 Q. Okay. And these are special -- these are wastes
6 that can be deposited at NMED-permitted landfills, as
7 opposed to the OCD-permitted landfills, correct?

8 A. If they're permitted to do so, yes.

9 Q. If they're permitted to do so, yes.

10 Now are you familiar with the San Juan regional
11 landfill?

12 A. I am.

13 Q. Okay, and I believe there's been some discussion
14 during this hearing as to an MOU or a special understanding
15 between the OCD and the NMED as it pertains to disposal of
16 drill cuttings at the San Juan regional landfill. Are you
17 aware of that MOU?

18 A. My understanding, it wasn't limited to that
19 particular landfill, but yes.

20 Q. Okay. So there are other landfills that might be
21 under that MOU?

22 A. Yes.

23 Q. Okay. And was that MOU as a result of an
24 emergency declaration by the OCD in order to dispose of the
25 waste at the NMED landfills?

1 A. I'm not sure it was an emergency declaration, no.

2 Q. Okay. Well, are you aware of the circumstances
3 surrounding why the MOU is necessary particularly as it
4 pertains to the San Juan regional landfill?

5 A. Yes.

6 Q. Okay, could you please tell the Commission why it
7 was that that MOU was needed?

8 A. Well, it was my understanding that in the
9 northwest, and San Juan Basin in particular, that the type
10 of waste containing chlorides could not be disposed of at a
11 landfarm, so to instruct operators of an alternate disposal
12 area this memo was developed.

13 Q. Okay, so it was a concern with the chloride
14 levels in the disposal of landfarms, correct?

15 A. That's my understanding.

16 Q. Okay, I don't want to put words in your mouth.

17 Okay, are you familiar with Rule 36 or the
18 surface waste management rule that was promulgated by the
19 OCD and passed as of February 14th, 2007?

20 A. Yes.

21 Q. Okay. And do you know what the chloride
22 standards or limitations are as they pertain to landfarms?

23 A. Not off the top of my head, no.

24 Q. Okay. Well, does the number 500 milligrams per
25 kilogram chloride if the groundwater is less than 50 feet

1 -- does that ring your bell at all?

2 A. That --

3 Q. Or do you recall?

4 (Laughter)

5 Q. Sorry. Do you recall that number at all?

6 A. That -- that does ring my bell a bit.

7 (Laughter)

8 A. That sounds familiar, yes.

9 Q. Okay. And then of course if the groundwater is
10 100 feet -- in other words, deeper than the -- then it's a
11 higher chloride standard of 1000 milligrams per kilogram?

12 A. That also rings my bell a bit, yes.

13 Q. Okay. All right. So I guess what I'm trying to
14 get at, then, is, landfills that are permitted by NMED will
15 take chloride -- petroleum-contaminated soils, irregardless
16 of the chloride level, but the OCD landfarms have a
17 limitation based on chlorides; is that correct?

18 A. That is correct. However, the type of waste that
19 would be diverted from a landfarm would be considered as an
20 industrial waste by the solid waste management facility --
21 sorry, by the municipal solid waste management facilities.

22 Q. Okay, so then it would be considered industrial
23 process waste?

24 A. Well, it's called industrial solid waste, but
25 yes.

1 Q. Okay. And do you know which landfills would
2 actually accept industrial solid waste, then?

3 A. Yes, the San Juan regional landfill, the Rio
4 Rancho landfill, the northwest New Mexico regional landfill
5 -- I'm just thinking in the northwest portion of the state.

6 Q. Okay. Well, actually, that's quite a few for the
7 northwest, and that's really where my concern is.

8 Let me ask you this. Where is the northwest
9 regional landfill?

10 A. That's near Prewitt, New Mexico.

11 Q. Prewitt?

12 A. Prewitt, in between Grants and Gallup.

13 Q. Okay, and is that an NMED-permitted landfill?

14 A. It is.

15 Q. Okay, when was that permitted?

16 A. Oh -- sorry, I'm going to say -- this is just an
17 approximation from my memory, I'm going to say around 1996.

18 Q. Okay. Does the NMED have a list of landfills
19 accepting special waste or industrial process waste on
20 their website?

21 A. Yes.

22 Q. Okay.

23 A. They should.

24 Q. They should?

25 A. Right.

1 Q. Okay.

2 A. Last I knew.

3 MS. FOSTER: Well, if I may approach the witness,
4 I have another document from the NMED website that I would
5 like to show him to discuss.

6 CHAIRMAN FESMIRE: You may.

7 MS. FOSTER: Thank you.

8 Q. (By Ms. Foster) Okay, Mr. Hansen, based on your
9 experience with the Environment bureau, does that document
10 look familiar to you at all from their website?

11 A. Yes.

12 Q. Okay, and that document discusses landfills that
13 accept special waste; is that an accurate representation of
14 what that document is?

15 Q. Okay. And is the northwest landfill on that list
16 as an NMED website -- -permitted landfill?

17 A. Well, yes, in that it is referred to here on this
18 list as the Red Rocks regional landfill.

19 Q. Okay.

20 A. Otherwise known as the northwest New Mexico
21 regional landfill.

22 Q. Okay. All right, so the name has changed, that's
23 why I couldn't find it. Okay, but it is on that list, and
24 we're talking about the same landfill then?

25 A. Yes.

1 Q. Okay. Now you stated earlier in your testimony
2 that you were actually present for the sampling in the
3 northwest, correct?

4 A. Correct.

5 Q. And do you recall -- and if you don't, I can show
6 you IPANM Exhibit Number 5 -- do you recall the average
7 chloride levels that your soil sampling had from your wells
8 up in the northwest? And if you don't --

9 A. Well, as I recall, it was around 3800 milligrams
10 per kilogram.

11 Q. Okay. Well, maybe I should refresh your
12 recollection with IPANM Exhibit Number 5. May I approach
13 the witness?

14 CHAIRMAN FESMIRE: You may.

15 Ms. Foster, I'm still waiting for you to make an
16 offer of proof in the case that will be appealed *de novo*,
17 though.

18 MS. FOSTER: An offer of proof? For -- ?

19 CHAIRMAN FESMIRE: Never mind, just --

20 Q. (By Ms. Foster) Mr. Hansen, does that refresh
21 your recollection?

22 A. (No response)

23 Q. Now, Mr. Hansen, before you answer the question,
24 I was just informed by Mr. Mullins, who prepared that
25 exhibit, that actually he -- your average of 3800 is

1 approximately correct, and that the numbers that are on
2 Exhibit 5 were the numbers that were from the sampling,
3 okay? So...

4 A. Okay.

5 Q. Okay. The reason I wanted to have you highlight
6 the number -- the average chloride levels would be based on
7 the conversation that we've just had, if an operator ends
8 up with the 3800 chloride levels, they would not be able to
9 bring those wastes to a landfill -- landfarm; is that
10 correct?

11 A. That's my understanding, yes.

12 Q. Okay, and therefore they would have to bring it
13 to a landfill?

14 A. Yes.

15 Q. Which in the northwest is the NMED-permitted
16 landfills, including the San Juan regional?

17 A. Within New Mexico, yes.

18 Q. Yes. And the MOU that we discussed earlier, that
19 expires in April; is that correct?

20 A. Well, I'm not sure what you mean by "expires".
21 I --

22 Q. Okay. Well, I understand -- my understanding,
23 based on some of the testimony that we've heard, was that
24 the MOU was for a one-year period, and it was issued
25 sometime last year.

1 A. Correct.

2 Q. Yes? Okay. So at some point the agreement will
3 need to be extended for operators to continue disposing at
4 the San Juan regional landfill of their chlorides that are
5 greater than 1000 parts per million?

6 A. To the extent that -- what testing will be
7 required, that's correct, but not if it can be accepted.

8 Q. Okay, to the extent the testing may be required,
9 are you saying --

10 A. What -- what testing and what limits will be
11 expected at those solid waste facilities before disposal.

12 Q. Okay, but operators will be required to test
13 their wastes prior to disposal, correct?

14 A. That's correct.

15 Q. And they will need to meet certain standards
16 based of chloride and benzene and TPH and BTEX, correct?

17 A. That's correct, yes.

18 Q. All right, and it's those standards that
19 determine where that operator can dispose of their wastes?

20 A. Well, maybe if I could back up just a bit. For
21 industrial waste for a municipal solid waste landfill,
22 there are no specific limits set on each particular type of
23 industrial waste within the solid waste management
24 regulations. Therefore, for each particular type of
25 industrial waste some testing limits are set. This MOU has

1 set those limits, and so through April of next year any
2 waste of this type will have to meet those limits. After
3 April, new limits might be set.

4 Q. Okay. So then if I hear what you're saying
5 correctly then, is that oilfield wastes that are coming off
6 of the locations that we've been -- that's been the purpose
7 of this hearing, are not considered petroleum-contaminated
8 soils; they are considered industrial waste?

9 A. That's correct.

10 Q. And therefore meet different standards than the
11 special waste standards that I showed you earlier?

12 A. Than the petroleum --

13 Q. -- -contaminated wastes --

14 A. -- -contaminated -- that's correct.

15 MS. FOSTER: BTEX --

16 Okay, thank you. At this time I have no further
17 questions.

18 CHAIRMAN FESMIRE: Mr. Jantz?

19 MR. JANTZ: No questions, Mr. Chairman.

20 CHAIRMAN FESMIRE: Mr. Huffaker?

21 MR. HUFFAKER: Nothing, Mr. Chairman.

22 CHAIRMAN FESMIRE: Dr. Neeper?

23 DR. NEEPER: No questions.

24 CHAIRMAN FESMIRE: Commissioner Bailey?

25 (Shakes head)

1 CHAIRMAN FESMIRE: Commissioner Olson?

2 EXAMINATION

3 BY COMMISSIONER OLSON:

4 Q. Yeah, I want to get to one issue you were
5 bringing up on the -- I guess the results of Dr. Stephens's
6 results, make sure I understand what you're saying. You're
7 saying that the -- his calculations resulted in an SPLP
8 leachate chloride standard of 1240 for material to be left
9 in place that won't cause an exceedence of the groundwater
10 standards?

11 A. That's true, yes.

12 Q. And so it should be that, regardless of whatever
13 mixing, the final result should be -- shouldn't be leaving
14 1240 milligram per liter of chloride by SPLP in place,
15 however you mix it?

16 A. Right, it should not exceed 1240.

17 Q. Because that's the model -- the level he modeled
18 at that point?

19 A. Yes.

20 Q. And that level is based upon the 50-foot mixing
21 zone; isn't that correct?

22 A. That's correct.

23 Q. So -- and I believe Dr. Stephens had -- said that
24 was a linear relationship based upon that mixing zone, so
25 if I took the mixing zone to be equivalent to a typical

1 monitor well thickness of 10 feet, that would be similar to
2 what your model represented; wouldn't that be correct?

3 A. Yes.

4 Q. And so am I correct that if I took 1240 and took
5 one-fifth of that, I'd get approximately 260 by an SPLP
6 method?

7 A. That's correct.

8 Q. And that would be an equivalent comparison and
9 mixing zone to the modeling that you did then; isn't that
10 correct?

11 A. Yes.

12 Q. Except he got a much lower number, using a less
13 sophisticated model?

14 A. Yes.

15 Q. Okay. And this issue is coming up in reference
16 back to the surface waste management rule, Rule 36, talking
17 about the landfarming levels that are allowed in Rule 36,
18 and we spent a lot of time talking about those levels when
19 that was adopted. But for a small landfarm you'd be
20 allowed to leave on the surface 500 milligram per kilogram
21 of chloride -- that's total chloride, not SPLP, correct?

22 A. Correct.

23 Q. So -- But I guess as my understanding, at least
24 under the definition of small landfarms, that excludes
25 small landfarms, right? They're not allowed to have drill

1 cuttings?

2 A. I'm not familiar with that particular provision.

3 Q. Okay. And if I come, well, to the -- I believe
4 Ms. Foster was getting into the requirements, specific
5 requirements, for the -- more of the commercial and
6 centralized landfarms where we have a 500-milligram-per
7 kilogram chloride level where the groundwater is less than
8 100 feet but more than 50 feet, correct?

9 A. Right.

10 Q. And we have a chloride level allowed of 1000
11 milligram per kilogram if the landfarm is located where
12 groundwater is more than 100 feet; is that correct?

13 A. That's correct.

14 Q. So if we allow chloride levels on the surface in
15 those type of areas with those burying depths to
16 groundwater, why couldn't we use those levels as burial
17 levels with the same depth criterias?

18 A. Well, that -- of course, the surface waste
19 management regulations were based on spreading out
20 contaminated soils over a large area, and here in Rule 17
21 we're talking about concentrating -- a moist material being
22 placed into a pit, into a trench, the difference being that
23 you're going to have concentrated moist waste that -- and
24 of course as we've heard, moisture being a very significant
25 portion of the driving force for contaminants down to

1 groundwater, versus a landfarm that will have a chance to
2 dry these wastes.

3 Q. Well, I guess if we -- I'm going back to, I
4 guess, some of Conoco's testimony talking about they mix at
5 a, you know, approximately 3-to-1 ratio of their -- of
6 soils to muds, just so they can get it workable enough to
7 be able to get on top of it with equipment. Wouldn't that
8 reduce the moisture content significantly?

9 A. It would reduce it -- significantly, I don't know
10 if I could say significantly.

11 The proposed rule would allow for merely passing
12 the paint-filter test --

13 Q. Right.

14 A. -- which would have a significant amount of
15 moisture left.

16 Q. Well, I'm just wondering if there's not some type
17 of inconsistency with not allowing the same thing that
18 would allow for similar things for a landfarm. Would there
19 be a certain moisture content that could be applied to be
20 comparable to a landfarm?

21 A. I would say no, because it's going to be
22 basically sealed off, the trench will be sealed off, and
23 that moisture will remain in that trench, whereas a
24 landfarm, it will be subject to continue to dry, so...

25 Q. Okay. Well, I'm just kind of wondering why, you

1 know, you've got certain chloride levels that are set there
2 and why you couldn't have a similar type -- which is a
3 relatively low level, 500 milligram per kilogram -- why we
4 couldn't have a similar level for --

5 A. Okay --

6 Q. -- for burial?

7 A. -- maybe we can, let me put it a different way.
8 We proposed a 100-mile radius to minimize the possibility
9 of deep-burial trenches. Outside that 100 miles would be
10 the exception to the rule if you go -- not literally have
11 to go through exception, but meaning it would be a rare
12 case that you would have a deep trench.

13 In those cases, a minimum treatment would get you
14 down to at least 100,000 milligrams per kilogram, or 5000
15 is what we're proposing, and 5000 milligrams per liter SPLP
16 analysis would equate to that 100,000 milligrams per
17 kilogram. In that particular case, we would hope that the
18 cumulative effects from a possible release would be
19 minimized.

20 And so if -- and then going back the other way,
21 if we were to consider something less than 100 miles, we
22 would hope that also the Commission would consider a lesser
23 chloride concentration for disposal in a deep trench.

24 Q. Well, the 500-milligram-per-kilogram total
25 chloride is significantly less than 5000-milligram-per-

1 liter --

2 A. Yes.

3 Q. -- of leachate up here in SPLP. And I guess one
4 of my concerns that comes out of that is that -- Well,
5 maybe let me put it this way.

6 So you -- OCD had used 50 feet to groundwater in
7 their modeling exercises. I guess do you consider that to
8 be -- anything between 50 and 100 also to be shallow to
9 groundwater, as a depth criteria? I mean, anything less
10 than 100 feet to groundwater seems relatively shallow to
11 me.

12 A. Yes.

13 Q. Why did the OCD select 50 feet as the criteria?

14 A. Well, in my original direct testimony, as we
15 discussed, that was a -- turned out to be a 20-to-1
16 dilution through the vadose zone, which is protective for
17 the WQCC 3103 parameters. The chloride will exceed
18 standard, but with a good liner it'll be about 1000 years.

19 And like I say, with the 100-mile radius we hope
20 to minimize that possibility, to eliminate the possibility
21 of cumulative effects and -- about 1000 years before that
22 would happen.

23 Q. Because I guess just the way I'm reading Rule 36
24 here with the landfarm requirements, under this OCD
25 considered kind of a staggered approach that less than 50

1 feet was obviously very shallow and of high concern, but
2 they also seem to have a concern over the 50 to 100 foot as
3 also being vulnerable to groundwater contamination and as
4 setting out a different level allowed for chloride than
5 they did over 100 feet to groundwater.

6 So why wasn't a similar-type approach considered
7 for burial as some type of a staggered criteria, based on
8 depth to groundwater?

9 A. Well, I think I just have to go back to the
10 minimizing of any possibility of groundwater contamination
11 by using a 100-mile radius so we won't have -- or have very
12 few deep trenches. So it's going to be a rare case to put
13 in that staggered effect for those rare cases, I guess.

14 Q. Well, I guess would you agree that it would make
15 some sense to have some type of staggered criteria, because
16 there's also a threat of groundwater contamination from a
17 shallow area, which I consider 50 to 100 feet to be
18 relatively shallow groundwater conditions? That's just --
19 50 feet is just about the length of this room, maybe just a
20 little bit -- the room's just a little bit short of 50 feet
21 here. So it seems to me to be a relatively shallow
22 distance.

23 Would you agree that it would be reasonable to
24 have some other type of level between 50 and 100 feet?

25 A. I can't disagree that it would be reasonable.

1 Q. And that there's a higher potential for
2 groundwater contamination from contaminants, at 50 to 100
3 feet, versus those over 100 feet?

4 A. That's correct.

5 COMMISSIONER OLSON: I think that's all I have at
6 the moment.

7 CHAIRMAN FESMIRE: Mr. Brooks, do you have a
8 redirect of this witness?

9 MR. BROOKS: I take it you have no questions, Mr.
10 Chairman?

11 CHAIRMAN FESMIRE: You take it right.

12 REDIRECT EXAMINATION

13 BY MR. BROOKS:

14 Q. Very good. Yes, there's one thing I wish to ask
15 about, because I want to follow up on what Commissioner
16 Olson was asking you about the difference between the
17 landfarm standard and the -- and the standard for buried
18 pit waste, what we would recommend.

19 And if I understood correctly -- maybe I
20 misunderstood, but if I understood correctly, Commissioner
21 Olson was saying -- was asking why we would permit the
22 accumulation of chlorides up to the 1000 level in
23 landfarms, and we would generally prohibit deep-trench
24 burials that had -- where don't -- we don't have a standard
25 that would permit deep-trench burials, except subject to

1 the 100-mile-radius requirement.

2 Did you understand that to be his question?

3 A. Well, of course there would be some limits on
4 chloride with the deep-trench burial, but yes.

5 Q. Yeah. But generally speaking, our rule does not
6 allow deep-trench burial except outside the 100-mile
7 radius, right?

8 A. That's correct.

9 Q. But on the other hand, you can at least apply for
10 a landfarm anywhere in the state and put up to 500
11 milligrams per kilogram of -- anywhere in the state that's
12 at least 50 foot to groundwater, and put up to 100 -- 500
13 milligrams per kilogram of waste in, correct?

14 A. That's correct.

15 Q. Chloride?

16 A. Correct.

17 Q. Now, one of the differences that you mentioned
18 was the fact that the exposed waste would dry, correct?

19 A. Correct.

20 Q. And that's the landfarm waste?

21 A. Yes.

22 Q. Is it not also true that the waste in a deep-
23 trench encasement would be considerably more concentrated
24 than the waste in the landfarm?

25 A. Correct.

1 Q. So Mr. von Gonten did some calculations, and you
2 may need a calculator to review this, but he reduced it to
3 cubic yards per acre, and -- You know, I'm going to call
4 Mr. von Gonten, so I think rather than asking this witness
5 to re-do Mr. von Gonten's calculations I'll just ask Mr.
6 von Gonten about that.

7 CHAIRMAN FESMIRE: Okay. Are there any questions
8 from any of the attorneys pursuant to the issues raised in
9 the redirect examination?

10 MS. FOSTER: Mr. Chairman, at the risk -- I
11 noticed that you're looking very tired, but at the risk of
12 you getting mad at me, I do have a couple questions, I'm
13 sorry.

14 CHAIRMAN FESMIRE: On that subject?

15 MS. FOSTER: On that subject.

16 CHAIRMAN FESMIRE: Okay, why don't you proceed?

17 MS. FOSTER: Thank you.

18 RECROSS-EXAMINATION

19 BY MS. FOSTER:

20 Q. Mr. Hansen, you stated that the reason that some
21 -- that there's a differentiation between landfarms and the
22 trench burial was because of the concentration or the
23 moistness of the waste. There's a difference, in your
24 mind?

25 A. Yes.

1 Q. Okay. And have you been present for the
2 testimony about the closed-loop systems that have occurred?

3 A. Yes.

4 Q. Okay. And isn't that true, that with the closed-
5 loop system there's been a discussion that the volume of a
6 closed-loop system -- of waste that comes out of a closed-
7 loop system is substantially reduced because the moisture
8 content is reduced due to the processes used in the closed-
9 loop system?

10 A. Yes.

11 Q. Yes? And the drill cuttings that come out, or
12 the waste that comes out of a closed-loop system, that
13 could be put on a drying pad, correct?

14 A. Correct.

15 Q. All right. And do you know what the moisture
16 content would be of an item on a drying pad?

17 A. I wouldn't.

18 Q. Okay. Well, let me ask you this. Do you know
19 how wet product can be that is taken to a landfarm, for
20 example? Doesn't that need to pass the paint-filter test?

21 A. Yes.

22 Q. Okay. And the cuttings that are put on a drying
23 pad, those are left there to volatilize, et cetera, until
24 the operator decides to take them off the location or bury
25 them, correct?

1 A. I'm not -- I believe there's a time limit. But
2 yes.

3 Q. Okay. Now do you know what the time limits are
4 for the small landfarms under Rule 36, how long these
5 cuttings can be sitting on the surface of the soil?

6 A. I do not.

7 Q. Okay. Well, does three years refresh your
8 recollection at all?

9 A. I'm sorry, it doesn't.

10 Q. It does not, okay.

11 Well, I mean would you not agree that the
12 landfarm -- the reason that there is a landfarm process is
13 in order to allow the drill cuttings to biodegrade and the
14 hydrogen-contaminated [sic] soils to biodegrade and
15 volatilize, correct?

16 A. Correct.

17 Q. And that is a -- that would take a longer period
18 of time than just the time period that your drill cuttings
19 would sit on a drying pad?

20 A. Correct.

21 Q. All right. Now, based on the conversation that
22 we had before, you can put 1000 milligrams per kilogram --
23 well, just under -- up to 1000 milligrams per kilogram
24 chloride level in a landfarm, drill cuttings?

25 A. Given certain site conditions, yes.

1 Q. Yes. And do you know if landfarms have liners?

2 A. I believe they do not.

3 Q. They do not. Okay. And do these landfarms have
4 the 100-mile-radius rule that the pit rule has?

5 A. No.

6 Q. So you could -- and do you know how long these --
7 how large the permitted landfarms could be?

8 A. No.

9 Q. Up to 10 acres? Does that refresh your
10 recollection?

11 A. No.

12 Q. Okay. You don't know, you don't recall? Okay.
13 But it's larger than your traditional drilling pad or your
14 reserve pit, correct --

15 A. Correct.

16 Q. -- for a landfarm?

17 MS. FOSTER: Okay. Thank you, I have no further
18 questions?

19 CHAIRMAN FESMIRE: Are there any other questions
20 on the subjects --

21 MR. BROOKS: I have just one?

22 CHAIRMAN FESMIRE: Do you get a chance?

23 MR. BROOKS: It's based on Ms. -- Ms. --

24 MS. FOSTER: -- Foster.

25 MR. BROOKS: -- Foster's recross. So I would let

1 you rule on whether I do. If not, I will ask the question
2 of Mr. von Gonten, who I think also will know the answer.

3 CHAIRMAN FESMIRE: Okay, I don't want to start a
4 precedent of going into re-redirect examination.

5 MR. BROOKS: Okay, that's fine. Thank you, sir.

6 CHAIRMAN FESMIRE: Are there any other questions
7 of this witness?

8 MR. JANTZ: No, Mr. Chairman.

9 MR. HUFFAKER: Nothing, Mr. Chairman.

10 CHAIRMAN FESMIRE: Mr. Hansen, thank you very
11 much.

12 Mr. Brooks, who's your next witness?

13 MR. BROOKS: Glenn von Gonten.

14 CHAIRMAN FESMIRE: Mr. von Gonten, would you step
15 forward, and remembering that you've been previously sworn
16 in this case?

17 MR. VON GONTEN: I do remember that, Mr.
18 Chairman.

19 GLENN VON GONTEN,
20 the witness herein, having been previously duly sworn upon
21 his oath, was examined and testified as follows:

22 DIRECT EXAMINATION

23 BY MR. BROOKS:

24 Q. Okay, good afternoon, Mr. von Gonten.

25 A. Mr. Brooks.

1 Q. I'm hopeful that we're getting close to the end.

2 A. Me too.

3 Q. Mr. von Gonten, do you have some experience
4 working with abatement plans and remediation -- abatement
5 of groundwater pollution?

6 A. Yes, I do.

7 Q. Dr. Thomas, as I understand it, indicated that it
8 would be just as easy, and maybe easier, to identify the
9 source of and remediate groundwater pollution which was
10 coming from a substantial number of diverse -- or dispersed
11 sources, versus one concentrated source. Do you agree with
12 that proposition?

13 A. I remember his discussion, and I disagree
14 strongly.

15 Q. Okay, would you state why?

16 A. Well, in dealing with an abatement plan for
17 groundwater -- for abatement of groundwater pollution,
18 there are certain things that you have to do. You have to
19 do a site-specific work plan, and this has to go through
20 public participation.

21 It's my opinion that if you were to deal with an
22 abatement plan attached to a discharge plan for a
23 permitted, centralized facility, such as an OCD-permitted
24 landfill, that it would be much easier to handle
25 administratively.

1 Numerically, if you look down the road and say
2 some decades in the future when perhaps groundwater
3 contamination hypothetically might be happening as a result
4 of numerous releases from numerous buried drilling pits,
5 then each one is going to have to be dealt with on an
6 individual basis.

7 We're getting to the point where we're seeing in
8 the northwest -- I believe there was testimony that infill
9 drilling is going from 160-acre spacing to 80-acre spacing,
10 and it can compound that by having multiple units in the
11 same section. So you may have multiple drilling pits or
12 workover pits in a single section.

13 If you're looking further down in time, many
14 years from now or even in the foreseeable future of a few
15 years, in the immediate future, you may have a number of
16 potential sources that you would have to deal with.

17 Right now we have no regulation that requires any
18 sort of monitoring of a closed drilling pit, and we're not
19 proposing that. So the only time you would know about a
20 groundwater contamination would be when the surface owner
21 would file a complaint with OCD saying that their water
22 well had been contaminated, either with OCD or perhaps with
23 the Environment Department, or with the State Engineer's
24 office.

25 So at that point you would presume that the

1 contamination, hypothetically, would have traveled some
2 distance to the nearest water-well receptor. At that point
3 you would have to backtrack, and you would have to not only
4 know what the groundwater path is today from the water
5 table, but what it had been over the preceding years, since
6 the pit had been installed or closed.

7 Q. Now you are somewhat familiar, are you not, with
8 the literature on what constitutes prudent waste
9 management?

10 A. I think I am.

11 Q. And does the literature on what constitutes
12 prudent waste management suggest that it's better to have a
13 given mass of contaminants dispersed into numerous sources
14 in close proximity or centralized in one repository?

15 A. I would say that a centralized repository is
16 proper waste management and that a number of dispersed
17 locations might be considered by EPA and Congress to be
18 open dumps, depending on the site-specific nature.

19 Q. Thank you. There was some testimony, I believe
20 this morning, to the effect that the Oil Conservation
21 Division had not provided a sampling analysis plan for its
22 pit sampling. Do you recall that?

23 A. I remember hearing that several times.

24 Q. Is that true?

25 A. No, I refreshed my memory by looking through our

1 e-mails. OCD by e-mail from Mr. Ed Hansen to the task
2 force members on May 9th provided a copy of OCD's sampling
3 and analysis plan, after close of business, May 9th, 2007.

4 Q. To whom?

5 A. To all members of task force.

6 Q. Thank you.

7 A. And there may have been additional people on the
8 cc list.

9 Q. Thank you. Now I wanted to ask you because you
10 did some calculations for me, when we're talking about pit
11 waste -- Mr. Hansen raised this issue of pit -- buried pit
12 waste, versus waste left in a landfarm.

13 Now is it accurate to say that -- Well, is the
14 concentration of waste greater in a deep-trench burial than
15 it would be in a landfarm?

16 A. I believe it certainly could be most of the time.

17 Q. Okay. Now I want to show you to refresh your
18 recollection -- I'm not tendering this into evidence, but
19 the red marks on there are your calculations, are they not?

20 A. Right, this is taken from part 36, which in the
21 specific requirements for landfarms says that operators
22 shall apply -- or land, apply their waste in 8-inch lifts
23 within a certain period of time of receipt, and that --
24 also it says, 8-inch lifts, or approximately 1000 yards per
25 acre --

1 Q. Okay.

2 A. -- and so there would be a maximum of three
3 lifts, and then --

4 Q. Now that's cubic yards, right?

5 A. Cubic yards per acre, is in the part 36. So
6 three lifts, that would be 3000 cubic yards, would be the
7 land application rate for a landfarm, as opposed to a deep
8 trench which may have perhaps -- you know, the numbers
9 depend on the size of the well, but could have somewhere
10 between 5000 to 10,000 cubic yards buried in a relatively
11 small deep trench.

12 Q. Which would mean how many cubic yards per acre?

13 A. Well, if you extrapolated that -- you would have
14 to look at what the average deep trench would be, but I
15 think it would be multiples of that. So there would be a
16 greater land application rate -- ratio on a per-acre basis
17 for a deep trench than there would be for an OCD-permitted
18 landfarm.

19 Q. And is that a relevant consideration in
20 determining what risk that these emplacements would present
21 for groundwater?

22 A. I believe it is. I think that the risk has been
23 talked about a great deal, but certainly mass of the
24 chlorides is one of the things that we have always
25 considered in our calculations.

1 Q. Now you remember part 36 quite well, I think?

2 A. I do.

3 Q. And does part 36 require testing underneath a
4 landfarm to determine if there's been a release?

5 A. Yes, it does.

6 Q. And does it require monitoring?

7 A. It does require monitoring.

8 MR. BROOKS: Thank you, I believe that's all my
9 questions.

10 CHAIRMAN FESMIRE: Mr. Hiser?

11 MR. HISER: I don't think I have any questions.

12 CHAIRMAN FESMIRE: Mr. Carr?

13 MR. CARR: No, sir.

14 CHAIRMAN FESMIRE: Ms. Foster?

15 MS. FOSTER: I do.

16 CROSS-EXAMINATION

17 BY MS. FOSTER:

18 Q. Mr. van Gonten, concerning this -- the landfills,
19 versus the oil and gas locations, the multiple oil and gas
20 locations, I want to talk to you about that.

21 In terms of liability issues, if there is a
22 release from a landfill while a landfill is in operation,
23 who accepts liability for that release for cleanup?

24 A. The landfill operator.

25 Q. Okay. And what happens after the landfill is

1 closed? Who pays for the cleanup after the landfill is
2 closed?

3 A. I would have to check the regulations on what
4 post-closure requirements are.

5 Q. Okay. Well release of liability occurs 30 years
6 after closure. Are you aware of that?

7 A. I would believe that's consistent with what I
8 assumed it would be.

9 Q. Okay. And were you here -- were you present for
10 Mr. Hansen's modeling?

11 A. Not for all of it.

12 Q. Okay. Well, Mr. Hansen's modeling seemed to
13 indicate that if there is a release from a pit or a
14 location that has -- that the length of time to reach
15 groundwater would be somewhere around the area of 80-plus
16 years; are you familiar with that testimony?

17 A. What I remember is that for a deep-trench burial
18 on site with 50 feet separation of water, it could take on
19 the order of 75 years.

20 Q. Okay. So a landfill that is closed, their
21 liability is released after 30 years. Who picks up the tab
22 for cleanup of a landfill after liability has been
23 released?

24 A. I would have to research that. I really don't
25 know.

1 Q. Okay, would it not be the state -- the taxpayers
2 of the State of New Mexico?

3 A. It could be.

4 Q. Okay. Now are you familiar with the oil and gas
5 rules under the Oil and Gas Act?

6 A. Certain parts that deal with the environmental
7 aspects, yes.

8 Q. Okay. And if there's a release in an oil and gas
9 site, who is responsible for cleanup of that?

10 A. The operator.

11 Q. The operator. And is that during operations that
12 the operator would be responsible and therefore liable?

13 A. I would have to go back and check that out.
14 Let's say that there was a site which the -- there was a
15 lease on which a well was drilled and it was plugged and
16 abandoned, it was dry, it was not profitable and they
17 walked away from it, and a contamination was discovered 10
18 years later, but they were no longer the operator. I think
19 we have the authority to go after the previous operator.

20 Q. Okay, but you would have the authority to go
21 after an oil and gas operator?

22 A. Yes.

23 Q. Now are you familiar with the reclamation fund
24 that is managed by the OCD?

25 A. Somewhat.

1 Q. Okay. And what's the purpose of the reclamation
2 fund?

3 A. It has several purposes. One of the main stated
4 ones is to go back and look at improperly plugged and
5 abandoned wells and deal with those where operators are no
6 longer available to cover their proper responsibilities.

7 Q. In other words, if you can't find the operator to
8 do a remediation if necessary?

9 A. It would include that, yes.

10 Q. Okay, and do you know where the funding for the
11 reclamation fund comes from?

12 A. The exact nature of that -- I can tell you in
13 general that it is something that the operators pay.

14 Q. Operators pay, so it's not the taxpayers of the
15 State of New Mexico?

16 A. That's right.

17 Q. Now I wanted to ask you about your deep-trench
18 waste volume numbers. You stated that it could be anywhere
19 from 5000 to 10,000 cubic yards?

20 A. Well, I base that on a quick recollection of what
21 I've heard over the past few days this week about the
22 volumes that would be drilled -- or excuse me, the volumes
23 of waste that would be generated in a pit. The discussion
24 was versus -- a conventional lined earthen pit, versus the
25 amount of waste generated in a closed-loop system. So

1 there were a number of estimates.

2 Q. Okay. And did the waste volumes that you're
3 talking about here, did this come off of Sam Small's
4 testimony or one of the OCD witnesses?

5 A. You know, I would say that it's a combination of
6 the testimony, they're all kind of running in my head right
7 now. But I think that \$5000 to \$10,000 is something that
8 -- for the purposes of what I was trying -- the point I was
9 trying to make, I think that's a reasonable number. I'm
10 sure there's examples of more pit volume wastes that would
11 have to be disposed of, and less --

12 Q. Depending on --

13 A. -- the site-specific --

14 Q. -- depth of the well --

15 A. -- exactly.

16 Q. -- site-specific, et cetera, et cetera?

17 Well, were you here for Mr. Carl Chavez's
18 testimony?

19 A. I was.

20 Q. Did he not testify that 1000 cubic yards is the
21 amount that he used for his calculations?

22 A. I don't remember that detail, to be honest.

23 Q. You don't remember that detail. Okay.

24 And then your discussion over -- that pit waste
25 in a pit location or deep-trench burial or on-site closure

1 is different than that on the landfarm.

2 A. I'm sorry, I didn't understand the question.

3 Q. Okay, I'm just trying to point you to where we're
4 going --

5 A. Okay.

6 Q. -- in a previous discussion. You had the
7 discussion of the pit waste versus the landfarm, and you
8 mentioned that there was an 8-inch lift requirement in
9 landfarms; remember that discussion?

10 A. That's the part 36 language, yes.

11 Q. Okay. And there are certainly different types of
12 landfarms, correct?

13 A. Well, they're all for the remediation of
14 petroleum-contaminated soils and cuttings.

15 Q. Yes. Well, the purpose is the same, but in terms
16 of -- there's different types of permitting, and there's
17 different sizes, depending on the type of permit that you
18 get, correct?

19 A. I wasn't aware that there was a size limitation.
20 Now there is one if you're talking about -- there's
21 permitted landfarms, and then there's what was referred to,
22 small landfarms which are unpermitted. There's a
23 difference there.

24 Q. Right. Okay --

25 A. But the others are commercial or centralized

1 landfarms, and they have the same standards.

2 Q. Do you recall how large a centralized landfarm
3 could actually be?

4 A. The individual cells, I don't remember. The
5 facility itself could be as large as 500 acres.

6 Q. 500 acres, okay. And 500 acres with the 8-inch
7 lift all the way across would be a lot more waste than what
8 you'd find in that -- in a deep-trench burial pit on a
9 location, correct?

10 A. That's true.

11 MS. FOSTER: I have no further questions.

12 CHAIRMAN FESMIRE: Mr. Jantz?

13 MR. JANTZ: No questions, Mr. Chairman.

14 CHAIRMAN FESMIRE: Mr. Huffaker?

15 MR. HUFFAKER: Nothing, Mr. Chairman.

16 CHAIRMAN FESMIRE: Doctor?

17 DR. NEEPER: No questions.

18 CHAIRMAN FESMIRE: Commissioner Olson?

19 EXAMINATION

20 BY COMMISSIONER OLSON:

21 Q. I guess the main thing that comes in with the --
22 versus -- thinking about all of this discussion with the
23 landfarms, is just moisture content then. Is that the main
24 issue in the...

25 A. I think that that's one of the important

1 considerations. If we're comparing and contrasting
2 stabilized waste that would be disposed of on-site in a
3 deep-trench -- in a burial scenario, versus a relatively
4 thin but widely spread landfarm scenario, I think the
5 geometry and the concentrations are two of the more
6 important things.

7 I think the moisture content would change very
8 slowly in a deep-trench burial, but it might get very wet,
9 and there's provisions for actually, you know, pulling off
10 any sort of standing water in a landfarm, if I remember
11 correctly, in a fairly short period of time, 24 or 48
12 hours. And after that, then the landfarm is going to dry
13 out. Of course, it needs moisture for the bioremediation
14 to actually move forward.

15 So I think it's a lot more dynamic situation than
16 a landfarm, as far as the drying and wetting, and that it
17 is not stabilized waste as we would require in a deep-
18 trench burial.

19 Q. But if we did look at a requirement for
20 stabilized waste, that would change your opinion, then?

21 A. I don't know where you're going with that, in
22 what I --

23 Q. Well, I'm thinking in term of the pit contents
24 being stabilized through -- and the moisture or contaminant
25 concentrations being a certain level.

1 A. Well, the concentrations that we're going to be
2 determining are by -- after testing by SPLP, you would --
3 We've been discussing, I think here today, mostly the
4 assumption that you would blend for -- to stabilization,
5 one or more volumes of soil, clean soil, to that.

6 You might also use cement kiln dust and, you
7 know, cement. You might actually go to solidification
8 instead of just stabilization, which would also be a form
9 of stabilization.

10 So I think the rule has a little bigger aspect on
11 it, that -- that maybe has been discussed, as far as the
12 volumes and the concentrations.

13 I think your concentrations *in situ*, you know,
14 would depend on how you actually stabilize or solidify the
15 pit contents.

16 My point is that you could have a very high
17 concentration, but it's not leachable by the -- you know,
18 not detectible by the SPLP, just to make that one point.

19 I think that if you've got really stabilized or
20 solidified waste, then -- you know, then that's proper
21 waste management, ignoring the issue of whether it should
22 be centralized or *in situ* disposal. That's kind of pre-
23 treatment before disposal.

24 Q. Uh-huh. But I guess, then, your main concern
25 comes down to the -- with -- especially with 80-acre

1 spacing, then, in the San Juan Basin, you'd be looking at,
2 you know, a series of them per section --

3 A. I think that's --

4 Q. -- that's the concern over --

5 A. Yeah, the combined or cumulative effects -- the
6 risk of having combined or cumulative effects goes up. And
7 as we pointed out, there's not only going to be the
8 original drilling pit, but there can be perhaps several
9 workover pits. Let's say that we, you know, do away with
10 produced-water pits. But that's also the weight-loading to
11 the environment.

12 COMMISSIONER OLSON: Okay, that's all I had.

13 CHAIRMAN FESMIRE: Mr. Brooks any redirect?

14 MR. BROOKS: Just one question. I can't resist
15 one question.

16 REDIRECT EXAMINATION

17 BY MR. BROOKS:

18 Q. Mr. von Gonten, are there some reasons why -- are
19 there some reasons that don't have to do with chlorides by
20 its prudent waste management to allow oil and gas --
21 oilfield wastes in certain circumstances to be put in a
22 landfarm?

23 A. Well, I'm not sure I understand your question,
24 but if you take oilfield waste and your primary contaminant
25 is hydrocarbon, then that's better to treat it and be able

1 to reuse or recycle those cuttings in a commercial -- in --
2 recovered from a centralized landfarm, potentially, than to
3 dispose of them long-term in a landfill.

4 Q. Exactly. And wouldn't it have been prudent,
5 then, for the Commission -- or would it have been prudent,
6 then, for the Commission to make a tradeoff there and allow
7 a certain amount, some minimal amount of chlorides to be
8 landfarmed in order to get that treatment advantage?

9 A. We thought that there was a level -- you know,
10 ideally you would like to say that it's 100 percent, but
11 the materials that are generated in pit contents generally
12 will have some buildup of chlorides, as they will of other
13 constituents as well.

14 MR. BROOKS: Thank you, that's all I have.

15 CHAIRMAN FESMIRE: Is there any other questions
16 of this witness?

17 Commissioner Olson?

18 (Laughter)

19 CHAIRMAN FESMIRE: You know, that was -- that was
20 brave --

21 (Laughter)

22 CHAIRMAN FESMIRE: -- if not somewhat timid.

23 EXAMINATION

24 BY COMMISSIONER OLSON:

25 Q. I was just wondering. So, but it -- but wouldn't

1 -- if you had cuttings -- I think just the drying pads on a
2 closed-loop system, if you just got cuttings that are
3 already dried, if they're meeting the chloride levels,
4 wouldn't that be analogous to what you'd be -- wouldn't
5 that be able to go to a landfarm, then? I mean, it's --

6 A. The --

7 Q. -- they're actually cuttings versus mud.

8 A. Yes, you can certainly take cuttings to a
9 landfarm, and I don't think there's a restriction that says
10 the landfarms can only take a particular type of oilfield
11 waste. I think you can take spill or remediation waste,
12 and that's appropriate for treatment in a landfarm. The
13 purpose of a landfarm is treatment, so if you've got
14 hydrocarbons that you need to treat before disposal, then a
15 landfarm is a place to do that.

16 COMMISSIONER OLSON: Okay.

17 CHAIRMAN FESMIRE: Any other questions of this
18 witness?

19 MR. BROOKS: Nothing further.

20 CHAIRMAN FESMIRE: Mr. Brooks, do you have any
21 more case?

22 MR. BROOKS: Mr. Chairman, subject to something
23 coming up in Dr. Stephens' testimony, which we might
24 conceivably, although I think unlikely, ask for further
25 rebuttal, the Division closes.

1 CHAIRMAN FESMIRE: Mr. Carr, Monday your only
2 witness is Dr. Stephens?

3 MR. CARR: Yes, sir, that's right.

4 CHAIRMAN FESMIRE: Then we're going to have
5 closing statements?

6 MR. CARR: Correct.

7 COMMISSIONER OLSON: Dr. Neeper --

8 CHAIRMAN FESMIRE: Oh, Dr. Neeper --

9 DR. NEEPER: Yes?

10 CHAIRMAN FESMIRE: -- you will have a closing
11 statement Monday also?

12 DR. NEEPER: We understand that closing
13 statements can be submitted in writing?

14 CHAIRMAN FESMIRE: Yes, sir.

15 DR. NEEPER: We will be here, but I think we will
16 submit ours in writing.

17 CHAIRMAN FESMIRE: Okay.

18 MR. BROOKS: I'm sorry, does Dr. -- did -- I was
19 wondering if Dr. Neeper had any rebuttal that --

20 CHAIRMAN FESMIRE: Doctor, did you have any
21 rebuttal that you wanted to offer today?

22 DR. NEEPER: Yes, we have one five-minute
23 rebuttal to offer.

24 CHAIRMAN FESMIRE: Is your witness here today?

25 DR. NEEPER: Yes, I am here today.

1 (Laughter)

2 CHAIRMAN FESMIRE: Okay. Ms. Foster?

3 MS. FOSTER: Yes, Mr. Chairman, I just wanted to
4 get a clarification.

5 If Dr. Neeper's closing statement is going to be
6 submitted in writing, when would we be able to receive that
7 and therefore be able to talk about anything that he will
8 talk about in his closing?

9 CHAIRMAN FESMIRE: That's a good point. We'll
10 talk about that after his rebuttal testimony, okay?

11 MS. FOSTER: Thank you.

12 CHAIRMAN FESMIRE: Dr. Neeper, why don't you
13 please take the stand?

14 MR. VON GONTEN: Am I excused, Mr. Chairman?

15 CHAIRMAN FESMIRE: You are, sir.

16 Doctor, you remember that you're still sworn in
17 this case, don't you?

18 DR. NEEPER: Yes, Mr. Chairman, I remember that I
19 am still under oath.

20 I will -- Is there someone who can operate the
21 projector?

22 I will offer one graph for submission as a
23 possible exhibit. All parties, so far as I know, to this
24 hearing have been serviced with a copy as of this morning,
25 but I think these persons should have the opportunity to

1 object --

2 CHAIRMAN FESMIRE: Okay.

3 DR. NEEPER: -- before we go farther, if they
4 should choose to.

5 CHAIRMAN FESMIRE: Okay, sir.

6 MR. HISER: He probably should identify --

7 DR. NEEPER: All right --

8 MR. HISER: -- what exhibit he's talking about
9 for the record.

10 DR. NEEPER: -- I will identify it, then.

11 In cross-examination I attempted to ask Mr. Byrom
12 to compare his estimated impact of the rule on drilling
13 activity with the context, that is, what is the background
14 or the natural or the occurring variation in drilling
15 activity?

16 Mr. Byrom chose in effect not to make that
17 comparison, but in effect declined to answer it.

18 I wished to then supply a graph of the -- simply
19 the rig count for the last two years, as it is available on
20 the public website of New Mexico Tech. This is the same --
21 part of the same data as might have been included in
22 IPANM's Exhibit 23, had they chosen to submit it. And I
23 was hoping that Mr. Byrom would refer to that and use that
24 in his testimony.

25 So to rebut his lack of background, I would like

1 to offer that background, which is publicly available
2 information.

3 With that, I think the parties should have -- is
4 it correct? -- opportunity to object before the Commission
5 sees this material?

6 CHAIRMAN FESMIRE: Why don't you lay the
7 foundation, tell us what it is, where it comes from, and --

8 DR. NEEPER: The material is a graph of the rig
9 count in New Mexico and Colorado from 2004 through day 300
10 of 2007, taken from the Petroleum Recovery Research Center,
11 Socorro, New Mexico, website, for which the address is
12 given at New Mexico Tech on the exhibit itself.

13 CHAIRMAN FESMIRE: Okay, why don't we mark that
14 Citizens for Clean Air and Water Rebuttal Exhibit 1?

15 DR. NEEPER: It is marked as Rebuttal Exhibit 5,
16 Mr. Chairman.

17 CHAIRMAN FESMIRE: Okay, Exhibit 1 has already
18 been admitted, I guess?

19 DR. NEEPER: Because we have -- this would be our
20 fifth exhibit, and it is a rebuttal exhibit, so simply
21 maintaining numerical order, I labeled it Rebuttal, but
22 Exhibit 5.

23 CHAIRMAN FESMIRE: Okay --

24 DR. NEEPER: Consists of one page.

25 CHAIRMAN FESMIRE: -- is there any objection to

1 the admission of Rebuttal Exhibit 5 from New Mexico
2 Citizens for Clean Air and Water?

3 MR. HISER: No objection.

4 MS. FOSTER: No objection.

5 MR. BROOKS: No objection.

6 MR. JANTZ: No objection.

7 CHAIRMAN FESMIRE: Okay.

8 DR. NEEPER: May I approach the Commission to
9 offer printed copies?

10 CHAIRMAN FESMIRE: You may, sir.

11 DR. NEEPER: There are six copies for the
12 Commission.

13 CHAIRMAN FESMIRE: Thank you, sir.

14 DONALD A. NEEPER, PhD,

15 the witness herein, having been previously duly sworn upon
16 his oath, testified as follows:

17 DIRECT TESTIMONY

18 BY DR. NEEPER:

19 DR. NEEPER: My total testimony in regard to this
20 exhibit is that when I look at the blue line I notice the
21 variation within a given year, any given year, is something
22 like or perhaps greater than about 10 percent, and I notice
23 that the total variation over about a three-or-more-year
24 period there is 40 percent or more of the total activity.

25 That is the sum of my observations on this. I

1 have no further interpretations to offer. I simply felt
2 this information belonged in the record of the hearing.

3 CHAIRMAN FESMIRE: Okay, are there any questions
4 of this witness?

5 MR. HISER: No questions.

6 MS. FOSTER: I have a few questions, Mr.
7 Chairman.

8 CHAIRMAN FESMIRE: Okay.

9 MS. FOSTER: I'm kind of surprised you didn't
10 say, Of course you do, Ms. Foster. At least that's what
11 your look told me. Just a few.

12 CROSS-EXAMINATION

13 BY MS. FOSTER:

14 Q. Dr. Neeper, could you give us a reason why the
15 blue line on your graph, the cumulative blue line as it
16 goes across from year 2004 to year 2007, would increase up
17 to the first half of the year 2006? The Colorado numbers
18 seem to increase as well.

19 A. I cannot give you any reason for why the industry
20 has the variation it has.

21 Q. Okay, would that --

22 A. That's not within my expertise.

23 Q. Okay, could that not be because of an increase in
24 oil and gas prices?

25 A. I would not offer an interpretation of this.

1 Q. Okay.

2 A. I have not researched that issue.

3 Q. Okay. Now just so the record is clear, in year
4 2007, there is definitely a divergence in the red line,
5 which represents your Colorado rig count, and the blue line
6 which represents the New Mexico rig count, correct?

7 A. That is correct.

8 Q. Okay. And could you guesstimate how much the
9 drop between day 240 and 300 of year 2007 occurred on the
10 New Mexico count?

11 A. I will let you interpret that, if you will. I've
12 heard discussion of the relative Colorado increase and the
13 relative New Mexico decrease given by an expert economic
14 witness sponsored or offered by OGAP, and I have no other
15 opinions or interpretations to add to that.

16 Q. Okay. Well, based on the blue line, that it has
17 -- on your exhibit from year 2004 through 2007, has there
18 ever been a marked -- such a large percentage drop, based
19 on the blue line that you have?

20 You have to understand that the -- what -- I'm
21 trying to describe this piece of paper for the record,
22 since the record is not visual.

23 A. Yes, you are asking me if the rather precipitous-
24 looking drop after day 240 in 2007 is typified by any other
25 changes that one might see in the blue line on the graph,

1 if I am correct --

2 Q. Yes.

3 A. -- if I understand your question.

4 Q. Yes.

5 A. I see a change after approximately day 60 of year
6 2005 of about the same size, even though that one is an
7 increase, and the one shown in 2007 is a decrease. Beyond
8 that, unless I did a statistical analysis of these data as
9 a -- part of a complex system, and looked -- if I may use
10 technical language -- at the 1/F noise in the system, I
11 would not be able to interpret it further.

12 Q. Okay. But basically on your testimony, there is
13 a divergence between the Colorado and New Mexico numbers
14 for the year 2007 only, based on your -- on this exhibit?

15 A. The chart shows the lines diverging, and the
16 expert witness for OGAP, I believe, made some
17 interpretation of that.

18 Q. Okay. Now these changes in the rig count --
19 well, let me ask you this. The proposed Rule 17 has
20 actually not been implemented as of yet, correct? By
21 operators?

22 A. I am sorry, I am not an expert on Rule 17.

23 Q. Okay, well, Rule 17 --

24 A. This -- You're referring --

25 Q. Yes --

1 A. -- to the current rule --

2 Q. Yes, I'm sorry, the proposed --

3 A. -- 19.15.17.

4 Q. Yes, sir.

5 A. Yes.

6 Q. The rule that we are here discussing for the
7 last --

8 A. This rule has not yet been adopted, to the level
9 of my understanding.

10 Q. That's right. Okay. So the operators have not
11 had to absorb any cost changes in any -- as of yet, as of
12 today, November -- December 7th, 2007?

13 A. Well, the operators have had to absorb the cost
14 of participating in these proceedings as of --

15 (Laughter)

16 Q. Okay. So with the -- once this rule gets
17 implemented, would not the cost increase, if anything, on
18 the operators be reflected on the rig count?

19 A. I cannot testify as to the intentions or
20 motivations of the operators for the rig counts that we
21 show on the graph, and I do not estimate what's going to
22 happen beyond the time shown on this graph.

23 Q. Okay, so then -- just so I understand your
24 testimony, then, basically your testimony is that for 2007
25 there is a decrease in the rig count in New Mexico?

1 A. My testimony is that this information on the
2 graph was taken from the source. I trust the source. It
3 is also the source cited in your Exhibit 23, and I feel
4 that this information, since rig count has been discussed
5 in this hearing, should be in the record of the hearing.

6 MS. FOSTER: Okay, thank you. I have no further
7 questions. Thank you, Dr. Neeper.

8 CHAIRMAN FESMIRE: Mr. Jantz?

9 MR. JANTZ: No questions.

10 CHAIRMAN FESMIRE: Mr. Huffaker?

11 MR. HUFFAKER: Nothing, Mr. Chairman.

12 CHAIRMAN FESMIRE: Commissioner Bailey?

13 COMMISSIONER BAILEY: No.

14 CHAIRMAN FESMIRE: Commissioner Olson?

15 COMMISSIONER OLSON: No.

16 CHAIRMAN FESMIRE: Okay. Any other questions of
17 this witness? Okay.

18 Dr. Neeper, thank you very much.

19 DR. NEEPER: Thank you.

20 CHAIRMAN FESMIRE: With that, why don't we go
21 ahead and adjourn --

22 MR. HISER: Public comments?

23 CHAIRMAN FESMIRE: Oh, yeah, comments.

24 (Laughter)

25 CHAIRMAN FESMIRE: Is there anybody in the

1 audience that would like to make a comment?

2 Seeing none, we will go ahead and adjourn, to
3 reconvene back here Monday morning at nine o'clock.

4 Mr. Carr, Dr. Stephens is your only witness at
5 that time?

6 MR. CARR: Yes, sir, that's correct.

7 CHAIRMAN FESMIRE: Okay, and there are no further
8 witnesses after Dr. Stephens at this time?

9 MR. BROOKS: (Nods)

10 CHAIRMAN FESMIRE: Okay. Can I talk to the
11 attorneys about a scheduling matter after we adjourn?

12 And with that, we'll adjourn.

13 (Thereupon, evening recess was taken at 4:03
14 p.m.)

15 * * *

16

17

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Commission was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL February 15th, 2008.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 16th, 2010