

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION COMMISSION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION COMMISSION FOR THE)
PURPOSE OF CONSIDERING:)

APPLICATION OF COLEMAN OIL AND GAS,)
INC., FOR AMENDMENT OF ADMINISTRATIVE)
ORDER SWD-806-B, SAN JUAN COUNTY,)
NEW MEXICO)

CASE NO. 13,812
de novo

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

COMMISSION HEARING

BEFORE: MARK E. FESMIRE, CHAIRMAN
JAMI BAILEY, COMMISSIONER
WILLIAM C. OLSON, COMMISSIONER

March 13th, 2008

Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Commission, MARK E. FESMIRE, Chairman, on Thursday, March 13th, 2008, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

STEVEN T. BRENNER, CCR
(505) 989-9317

RECEIVED
2008 APR 1 PM 1 49

I N D E X

March 13th, 2008
 Commission Hearing
 CASE NO. 13,812

	PAGE
EXHIBITS	4
APPEARANCES	5
OPENING STATEMENT: By Ms. Munds-Dry	8
APPLICANT'S WITNESSES:	
<u>ALAN P. EMMENDORFER</u> (Geologist)	
Direct Examination by Ms. Munds-Dry	11
Cross-Examination by Ms. Altomare	23
Examination by Commissioner Bailey	26
Examination by Commissioner Olson	28
Examination by Chairman Fesmire	29
<u>MICHAEL T. HANSON</u> (Petroleum operations)	
Direct Examination by Ms. Munds-Dry	33
Cross-Examination by Ms. Altomare	46
Examination by Commissioner Bailey	52
Examination by Commissioner Olson	56
Examination by Chairman Fesmire	57
<u>PAUL R. OLDAKER</u> (Hydrologist/hydrogeologist)	
Direct Examination by Ms. Munds-Dry	69
Examination by Chairman Fesmire	76
Examination by Commissioner Olson	84
Further Examination by Chairman Fesmire	89
<u>BRIAN WOOD</u> (Landman)	
Direct Examination by Ms. Munds-Dry	93
Cross-Examination by Ms. Altomare	104
Examination by Commissioner Bailey	108
Examination by Chairman Fesmire	112

(Continued...)

OPENING STATEMENT:

By Ms. Altomare

118

DIVISION WITNESS:

WILLIAM V. JONES (Engineer)

Direct Examination by Ms. Altomare

120

Cross-Examination by Ms. Munds-Dry

133

Examination by Commissioner Olson

135

Examination by Chairman Fesmire

136

CLOSING STATEMENTS:

By Ms. Munds-Dry

143

By Ms. Altomare

145

DELIBERATIONS BY THE COMMISSION

147

REPORTER'S CERTIFICATE

151

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	14	23
Exhibit 2	19	23
Exhibit 3	20	23
Exhibit 4	34	46
Exhibit 5	35	46
Exhibit 6	36	46
Exhibit 7	38	46
Exhibit 8	39	46
Exhibit 9	40	46
Exhibit 10	41	46
Exhibit 11	41	46
Exhibit 12	42	46
Exhibit 13	42	46
Exhibit 14	43	46
Exhibit 15	44	46
Exhibit 16	44	46
Exhibit 17	72	76
Exhibit 18	96	104
Exhibit 19	101	104

* * *

A P P E A R A N C E S

FOR THE COMMISSION:

CHERYL BADA
Assistant General Counsel
Energy, Minerals and Natural Resources Department
1220 South St. Francis Drive
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

HOLLAND & HART, L.L.P., and CAMPBELL & CARR
110 N. Guadalupe, Suite 1
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: OCEAN MUNDS-DRY

FOR THE DIVISION:

MIKAL M. ALTOMARE
Assistant General Counsel
Energy, Minerals and Natural Resources Department
1220 South St. Francis Drive
Santa Fe, New Mexico 87505

* * *

1 WHEREUPON, the following proceedings were had at
2 9:51 a.m.:

3 CHAIRMAN FESMIRE: The next order of business
4 before the Commission is Case Number 13,812, the
5 Application of Coleman Oil and Gas, Inc., for amendment of
6 Administrative Order SWD-806-B in San Juan County, New
7 Mexico.

8 The first order before the Commission is the
9 joint motion to limit the scope of the hearing.

10 Before we begin, may we take the appearances of
11 attorneys, please?

12 MS. MUNDS-DRY: Good morning, Chairman Fesmire.
13 Ocean Munds-Dry with the law firm of Holland and Hart this
14 morning, representing Coleman Oil and Gas Corporation.

15 MS. ALTOMARE: Mikal Altomare on behalf of the
16 Division.

17 CHAIRMAN FESMIRE: Counselors, you have submitted
18 the joint motion. The joint motion looks acceptable, it
19 does represent your agreement to limit the scope of this
20 hearing to the three items outlawed -- outlawed? --
21 outlined in the motion.

22 MS. MUNDS-DRY: Hopefully not yet.
23 Yes, it does.

24 CHAIRMAN FESMIRE: Okay, we'll proceed. I
25 believe the motion belongs to the OCD.

1 MS. ALTOMARE: I guess technically, since --
2 yeah.

3 CHAIRMAN FESMIRE: You're first, Mikal.

4 MS. ALTOMARE: You know, as far as the motion to
5 limit the scope --

6 CHAIRMAN FESMIRE: No.

7 MS. ALTOMARE: -- or as far as --

8 CHAIRMAN FESMIRE: The Application.

9 MS. MUNDS-DRY: Actually, we --

10 MS. ALTOMARE: Actually, it's their Application.

11 CHAIRMAN FESMIRE: Oh, okay.

12 MS. ALTOMARE: Yeah. That's why I was confused,
13 I was like, I signed off on the joint motion. But I think
14 it's actually their application, so...

15 CHAIRMAN FESMIRE: I apologize.

16 Ms. Munds-Dry, would you like to proceed?

17 MS. MUNDS-DRY: Yes, I have an opening, and then
18 I have four witnesses this morning.

19 CHAIRMAN FESMIRE: Okay, are your witnesses
20 present?

21 MS. MUNDS-DRY: They are.

22 CHAIRMAN FESMIRE: Would you ask that they stand
23 to be sworn, please?

24 MS. MUNDS-DRY: There are three witnesses
25 present, currently.

1 CHAIRMAN FESMIRE: Okay, why don't you proceed --
2 why don't you proceed with your opening statement, and
3 we'll swear them in before you begin.

4 MS. MUNDS-DRY: Thank you, give them a little
5 time to show up.

6 CHAIRMAN FESMIRE: Right.

7 MS. MUNDS-DRY: Thank you Chairman, Commissioner
8 Bailey, Commissioner Olson.

9 I just wanted to provide a little context for
10 you, since there's been some history coming up to this
11 point, to try to give you an understanding of what we are
12 asking for today.

13 Coleman received authorization administratively
14 under Administrative Order SWD-806 to dispose of produced
15 water in the Juniper SWD Well Number 1.

16 Subsequent to that, there were some conditions
17 imposed by the Division and the order was amended due to
18 some concerns with the US EPA and the Division that some
19 offsetting wells might be affected, that there might be
20 some open holes that freshwater sources were not being
21 protected. So the orders were -- the order was amended and
22 required Coleman to go into an offsetting well, the
23 Monument Well Number 1, and perform some remedial work on
24 that well.

25 Subsequently Coleman, the Applicant, then applied

1 with the Division and requested that it not be required to
2 go in and perform that remedial work on the Monument Well
3 Number 1. That hearing took place, and the Division Order
4 still required that the Monument Well be re-entered and
5 plugged, and that is the context in which we appealed and
6 are before you here today.

7 Now since that time -- and I should make it clear
8 that there were two requirements, that the -- that Coleman
9 go in and set an isolation packer in the Juniper SWD Well
10 Number 1 to protect the upper portions of the Mesaverde,
11 and Coleman had no problem with that and has since complied
12 with those requirements in the Division order. It was
13 simply appealing the order on the requirement to go in and
14 perform the remedial work on the Monument Well Number 1.

15 Now since that took place, Coleman has looked at
16 its future needs for disposing produced water, and is now
17 looking actually to re-enter and perform work on the
18 Monument Well Number 1 to actually convert it to saltwater
19 disposal. And we have informally exchanged information
20 with the Division that shows what -- our intent for
21 operations. And although that question is really not
22 before you today, we'll of course file the appropriate C-
23 108 and make that application when we're ready.

24 Our main concern before you today is that we
25 continue to be allowed to inject into the Juniper SWD Well

1 Number 1. And as you'll hear the testimony today, the
2 process -- because the Monument Well Number 1 is on tribal
3 land, it will take a while to gain access and then to
4 actually perform -- to get the APD processed, and then to
5 actually perform operations on the Monument Well Number 1
6 will take a good period of time.

7 And because Coleman has immediate needs to
8 continue to dispose of that produced water in their
9 Fruitland Coal field, we're requesting that they be
10 continued to allow those injection operations in the
11 interim.

12 And that is really the context of what we have
13 before you today and what the testimony will show.

14 And as you granted that motion, we're only going
15 to -- we'll give you enough, hopefully, background to bring
16 you up to date, but our plans really with the witnesses
17 today are just to bring the information that -- and the
18 evidence that we presented in the Division hearing, and
19 just kind of bring that forward and update you to show that
20 there will be no impacts on the Monument Well Number 1 if
21 we continue those injection operations, and hopefully try
22 to limit our time before you today with our witnesses.

23 CHAIRMAN FESMIRE: Okay.

24 MS. MUNDS-DRY: Thank you.

25 CHAIRMAN FESMIRE: You bet. Are your witnesses

1 ready to be sworn?

2 MS. MUNDS-DRY: I believe we're all here.

3 CHAIRMAN FESMIRE: Okay, would you please stand
4 and raise your right hand?

5 MS. ALTOMARE: Would you like my witness to stand
6 as well, at the same time?

7 CHAIRMAN FESMIRE: Sure, that would be a good
8 idea.

9 (Thereupon, the witnesses were sworn.)

10 CHAIRMAN FESMIRE: You may begin.

11 MS. MUNDS-DRY: Ready to proceed? In that case,
12 I'd like to call my first witness.

13 Does the Commission and opposing counsel have
14 copies of the exhibit file? We do have some extras here.

15 ALAN P. EMMENDORFER,
16 the witness herein, after having been first duly sworn upon
17 his oath, was examined and testified as follows:

18 EXAMINATION

19 BY MS. MUNDS-DRY:

20 Q. Please state your name for the record.

21 A. My name is Alan P. Emmendorfer.

22 Q. And where do you reside?

23 A. Golden, Colorado.

24 Q. And by whom are you employed?

25 A. I'm employed by Coleman Oil and Gas as a

1 geologist in their Farmington office -- I mean, excuse me,
2 in their Denver office.

3 Q. Have you previously testified before the Oil
4 Conservation Division, and were your credentials accepted
5 and made a matter of record?

6 A. Yes.

7 Q. Would you summarize your work and educational
8 background, please?

9 A. I received a bachelor of science in geology from
10 the great school of the State -- Southeast Missouri State
11 University, and received a master's of science in geology
12 from the University of Oklahoma.

13 I've been employed as a petroleum geologist since
14 1979, first in Farmington, starting with El Paso
15 Exploration Company. I've lived in Tulsa, worked the San
16 Juan Basin for over 28 years, moved back to Farmington,
17 worked the San Juan Basin, worked the Rocky Mountains from
18 there, and currently -- then I was hired by Coleman Oil and
19 Gas, worked out of their Farmington office and then moved
20 to our Denver office in 1999 and have been there ever
21 since, working both the San Juan Basin and the rest of the
22 Rocky Mountains.

23 CHAIRMAN FESMIRE: Mr. Emmendorfer, are you a
24 certified petroleum geologist?

25 THE WITNESS: Yes, I am.

1 Q. (By Ms. Munds-Dry) Mr. Emmendorfer, are you
2 familiar with the Application that's been filed in this
3 case?

4 A. Yes.

5 Q. Are you familiar with the status of the lands
6 that are in the subject area of this Application?

7 A. Yes, I am.

8 Q. And have you made a geological study of the area
9 in question today?

10 A. Yes, I have.

11 MS. MUNDS-DRY: We would tender Mr. Emmendorfer
12 as an expert in petroleum geology.

13 CHAIRMAN FESMIRE: Is there any objection?

14 MS. ALTOMARE: No objection.

15 CHAIRMAN FESMIRE: Mr. Emmendorfer is so adopt-
16 -- so -- We'll accept him.

17 THE WITNESS: Thank you.

18 Q. (By Ms. Munds-Dry) Mr. Emmendorfer, would you
19 please state what Coleman seeks before the Commission
20 today?

21 A. Coleman Oil and Gas seeks to be allowed to
22 continue to inject produced water into the Juniper
23 Saltwater Disposal Well Number 1. It's located in the
24 northwest of Section 16, 24 North, 10 West, San Juan
25 County, New Mexico. This produced water is from our

1 Fruitland Coal project and disposing of it into the
2 Mesaverde formation.

3 In addition, we're asking to be authorized to re-
4 enter and deepen the Monument Number 1 well, located in the
5 northeast of Section 17, 24 North, 10 West, and to dispose
6 of water into the Entrada formation.

7 Q. Mr. Emmendorfer, there were certain requirements
8 with respect to the Juniper SWD Well Number 1 in the
9 Division Order R-12,820. Has Coleman complied with those
10 requirements?

11 A. Yes, we have. In December of 2006 we installed a
12 packer at a depth of 2958 to isolate the Cliff House and La
13 Ventana sections of the Mesaverde, to keep from injecting
14 water into those zones and inject into the Menefee and
15 Point Lookout formation -- zones, below that packer.

16 Q. All right. And let's -- then let's turn to your
17 Exhibit -- would you please turn to what's been marked as
18 Coleman Exhibit Number 1? Identify and review that for the
19 Commissioners.

20 A. Mr. Chairman, this Exhibit Number 1 is a base map
21 kind of outlining the area that Coleman is operating in and
22 showing the area in question.

23 Principally, this map includes portions of
24 Township 24 North, 10 West; 24 North, 11 West, San Juan
25 County, New Mexico. Coleman has been fortunate to put

1 together 17 3/4 contiguous sections of land in the San Juan
2 Basin for a Fruitland Coal play that the Fruitland is at a
3 depth of around 1200 to 1600 foot in depth.

4 What has made this play work and viable is the
5 fact that since we have contiguous sections we've been able
6 to consolidate our gathering systems for our pipelines --
7 for our sales lines and for our water production lines.
8 We've been able to drill several water disposal wells, and
9 we have -- all of our water is piped below the ground to
10 these disposal wells, eliminating trucking costs, which has
11 helped out on this play tremendously.

12 The leases are a combination of state, federal
13 and Navajo allotted leases. Surface area is a combination
14 of BLM, Navajo allotted and Navajo Tribal Trust surfaces.

15 I'd like to point out the Juniper SWD Number 1,
16 which is in question. That's in Section 16. It's
17 highlighted kind of in a gray color, 24 North, 10 West.
18 It's in the northwest corner of the state -- or excuse me,
19 of the section.

20 Another well that is in question in this hearing
21 is the Monument Number 1, which is represented by a small
22 triangle in the northeast of Section 17 under the -- just
23 below the well symbol of the 17-41 well.

24 Coleman operates approximately 58 producing
25 Fruitland Coal wells at this time. We have four wells that

1 are in various stages of completion and 10 more wells to be
2 drilled on this project before it will be fully developed
3 on 160-acre spacing.

4 Q. What is -- Mr. Emmendorfer, what are the -- what
5 is the timing on these two new drills?

6 A. Well, we would like to drill them this year. But
7 we have been -- we're restricted in the amount of water
8 that we can dispose of in our -- in water disposal wells,
9 and we actually are curtailed in our gas production because
10 of that, and there really is not a lot of need to drill
11 those additional wells without the capability of disposing
12 additional water. And so we really don't know what our
13 timing would be. We'd like to drill them this year.

14 Q. On average, how much water is produced from a
15 well per day?

16 A. Right now on the 50-some-odd wells that we're
17 producing we're averaging about 150 barrels of water per
18 day, per well.

19 Q. Total, do you know what the production of water
20 is?

21 A. No, I'd have to -- I hate to do calculations in
22 my head, and not to pass the buck, but the engineering
23 witness next would probably be better to tell you that.
24 He's got graphs and charts that will show that, so...

25 Q. Okay. And as you've indicated, then, Coleman

1 does have need for future saltwater disposal wells?

2 A. That's correct.

3 Q. Discuss a little bit for the Commission -- and I
4 know I've provided some of that history, but procedurally
5 how did Coleman's Application come to the Commission today?

6 A. Well, originally we drilled a 160-acre five-spot
7 Fruitland Coal dewatering project to try to prove up
8 commercial producibility of our Fruitland Coal project, and
9 we noticed right away that we needed to have a water
10 disposal facility. And that's when we drilled the Juniper
11 SWD Number 1, right in the center of that original
12 fivespot.

13 We were given through Administrative Order
14 SWD-806 the authority to inject produced water into the
15 Mesaverde formation within the juniper well. Later,
16 conditions were imposed on the order under A and B. One of
17 those conditions was that we needed to re-enter and replug
18 a plugged and abandoned well, the Monument Number 1 located
19 in the northwest of 17 -- or northeast of 17.

20 We didn't really think that we needed to do that,
21 so we brought an application to the Division requesting
22 that we not be required to plug that well. So we asked for
23 that hearing, and the Division came back with an order that
24 required us to plug that Monument Number 1 well, re-enter
25 and replug it, to put in more cement plugs up and down the

1 wellbore, and that's why we're here today.

2 Q. And were injection operations in the Juniper SWD
3 Well Number 1 dependent on first going back and re-entering
4 and plugging that Monument Well Number 1?

5 A. Well, originally they weren't because we were
6 injecting in both the La Ventana and the Cliff House
7 sections. And because of the problems that the Division
8 saw with that Monument Number 1 well, we were required to
9 put that packer in, and it did impact our water disposal.
10 We went from a very good disposal well to an average
11 disposal well, causing us to actually trim back production
12 in some of the other wells, because we couldn't handle all
13 of the water production facil- -- or water disposal that
14 was necessary.

15 Q. And Coleman initially resisted replugging the
16 Monument Well Number 1, but now Coleman's aims have
17 changed?

18 A. Yes, originally we resisted from the fact that we
19 -- one is, the well had been drilled and plugged a long
20 time before we had the lease. We bought it at a BLM lease
21 sale. We didn't think there was a reason, but we saw that
22 the Division was going to require us to plug that well.

23 And then we looked at our requirements and
24 decided that we really needed additional water disposal
25 facilities, and we thought maybe we could make everybody

1 happy by, one, re-entering the Monument Number 1 well and
2 addressing the downhole communication issues that the
3 Division raised and that we could deepen it to the Entrada
4 formation and turn it into a water disposal well and aid in
5 giving us additional disposal capabilities.

6 Q. Let's turn to what's been marked as Exhibit
7 Number 2. If you would identify and review that for the
8 Commission.

9 A. Exhibit Number 2 is a type log of the Juniper
10 area utilizing the Juniper SWD Number 1 wireline logs,
11 which includes both an induction log and a gamma-ray
12 neutron density log, over the Mesaverde interval of the
13 well. It's the typical stratigraphy of the San Juan Basin
14 for the Mesaverde, where from top to bottom you have the La
15 Ventana tongue of the Cliff House sandstone, the Cliff
16 House sandstone, the Menefee formation and the Point
17 Lookout formation.

18 Between the two logs I have the intervals that
19 were originally perforated and were utilized as injection
20 zones within the Juniper Number 1 well. As you can see,
21 the vast majority of the perforations were up in the La
22 Ventana tongue of the Cliff House. There's a very large
23 sand pile in this portion of the Basin, within the La
24 Ventana.

25 Because of complying with the Division's orders,

1 we have since installed a packer at a depth of 2958 to
2 isolate the lower Menefee and Point Lookout formations,
3 injecting into there and keeping the produced water from
4 entering the Cliff House or the La Ventana tongue of the
5 Cliff House formation.

6 Q. Thank you. Let's then turn to what's been marked
7 as Coleman Exhibit Number 3.

8 A. Exhibit Number 3 is a compilation of three
9 diagrams that were taken from the *Atlas of Rocky Mountain*
10 *Gas Reservoirs* published by the New Mexico Bureau of Mines
11 and Mineral Resources back in 1993, and it kind of shows
12 why we picked the La Ventana zone as one of our zones for
13 disposal.

14 If you look at the map at the bottom right, you
15 can see that the La Ventana has a very thick sand trend
16 that runs northwest-southeast through the southern portion
17 of the San Juan Basin.

18 And I've cross-hatched Township 24 North, 10 West.
19 It shows that the -- that -- where this sand trend occurs
20 through the Juniper area. So it became -- it was a very
21 good target for water injection.

22 The diagram to the left is a generalized
23 stratigraphic section showing the Mesaverde section in the
24 San Juan Basin that includes the La Ventana portion. It
25 ties back to Exhibit Number 2, which is the type log of the

1 Juniper well.

2 And then the diagram to the upper right shows the
3 -- shows why the sand was deposited in such a thick
4 interval between the transgression and regression of the
5 Cretaceous seas during the Mesaverde time. A large portion
6 of sand was put into the La Ventana section in the 24-10
7 area.

8 Because of all the sand that's present there, we
9 thought it was a very good water disposal zone. There's
10 some agencies that -- you know, like this -- the waters
11 within this sand are freshwater and should be protected.
12 We feel that with the information we have that's not
13 exactly the case.

14 I would like to refer back to Exhibit 1. The
15 Monument Number 2 -- or excuse me, the -- Coleman drilled
16 an additional saltwater disposal well, which is the SWD
17 Number 4 well, Juniper, and that's located in the southwest
18 of Section 17. When we drilled that, we used a repeat
19 formation tester to sample the waters in the La Ventana
20 section, had them analyzed, and they showed that there was
21 total dissolved solids of 9680 parts per million. Not
22 exactly freshwater, but if you have a number picked out,
23 10,000 is the described limit, it's pretty darn close to
24 the 10,000 limit.

25 Additionally, just off of this map to the east of

1 our Section 10 wells, Rosetta drilled the Sata saltwater
2 disposal well Number 11 in the southwest of Section 11.
3 Again, it's a quarter mile from our production facilities.

4 They -- when they -- after they cased their
5 saltwater disposal well, they actually perforated and swab-
6 tested and got a fairly large sample of water from that
7 zone out of the La Ventana and had it tested, and total
8 dissolved solids with 16,443 parts per million.

9 We're not here to argue exactly what the waters
10 within the La Ventana is. We think it's not as fresh as
11 the EPA or some of the other agencies think it is. But it
12 is a -- from our way of thinking, a good disposal zone.

13 Q. Mr. Emmendorfer, based on your geological study,
14 what conclusions can you reach?

15 A. Well, the Fruitland formation produces gas and a
16 fair amount of water. Coleman's operation relies on water
17 disposal facilities that are connected to their pipeline
18 system. We had a really good disposal well. We have an
19 okay disposal well now, but we need additional disposal
20 facilities.

21 Q. And is the La Ventana an acceptable zone to
22 inject into?

23 A. It's a very good disposal zone. The data that we
24 have suggests that it should meet the requirements. Like I
25 said, the Division and the EPA -- not officially the EPA

1 but through the Division has stated that those waters need
2 to be protected within the La Ventana. And so without the
3 -- that interval to inject into, we do need additional
4 capabilities.

5 Q. And will Coleman call an engineering and
6 hydrogeological witness to review those portions of the
7 case?

8 A. Yes, they will.

9 Q. And were Coleman's Exhibits 1 through 3 prepared
10 by you?

11 A. Yes.

12 MS. MUNDS-DRY: Chairman Fesmire, we would move
13 the admission of Coleman Exhibits 1 through 3 into
14 evidence.

15 CHAIRMAN FESMIRE: Any objection?

16 MS. ALTOMARE: No objection.

17 CHAIRMAN FESMIRE: Exhibits 1, 2 and 3 will be
18 admitted to the record.

19 MS. MUNDS-DRY: And I pass the witness.

20 CHAIRMAN FESMIRE: Ms. Altomare?

21 MS. ALTOMARE: I think I probably just have a
22 couple of follow-up questions.

23 CROSS-EXAMINATION

24 BY MS. ALTOMARE:

25 Q. Mr. Emmendorfer, you said you've been with

1 Coleman for quite some time now?

2 A. Yes, since '96.

3 Q. Okay, and Coleman has apparently several split-
4 estate wells that have been drilled on Navajo land?

5 A. Yes.

6 Q. Okay, so is it fair to say you've been through
7 this permitting process before --

8 A. Yes.

9 Q. -- with Coleman?

10 A. Yes, I --

11 Q. Okay.

12 A. -- this was my project from the git-go.

13 Q. Okay.

14 A. I recognized the potential and bought the leases
15 and all that.

16 Q. Okay. Just from reviewing the materials it seems
17 like it's a pretty drawn out, onerous ordeal to go through
18 the process on tribal land. How closely does the timeline
19 match up in practice with what is represented in -- you
20 know, on paper by the agencies?

21 A. Truthfully, I haven't been involved with the day-
22 to-day permitting part of it. I pick the location of where
23 the wells should be drilled and provide estimates of
24 formation tops, stuff like that, for the APD process.

25 Again, not to pass the buck, but I think a

1 subsequent witness would best be --

2 Q. Actually, that was my next question. Would there
3 be another witness today that would be a better person to
4 ask questions about that?

5 A. Yes.

6 Q. Okay, who would that be?

7 A. That would be Brian Wood, the fourth and last
8 witness.

9 Q. Okay, excellent.

10 What portions of the process, once this gets
11 underway, will you be directly involved in?

12 A. Again, I provide the geological assessments for
13 both the disposal wells and for production wells, Fruitland
14 Coal wells. I try to pick the best geological locations
15 for that, provide the estimated formation tops for the
16 permitting person to work with for his requirements. After
17 the wells are drilled and logged, I typically pick where
18 the zones to be perforated and completed in the Fruitland
19 Coal wells are in the water disposal wells, are to be done.

20 Q. Okay, and do you do any actual filling out of
21 paperwork and submission of reporting for any aspects of
22 the permitting process or reporting of data?

23 A. Typically, no.

24 MS. ALTOMARE: Okay. Okay, I think that that's
25 all I really have. Thank you.

1 CHAIRMAN FESMIRE: Commissioner Bailey? Notice I
2 got your name right?

3 COMMISSIONER BAILEY: All right, thank you.

4 EXAMINATION

5 BY COMMISSIONER BAILEY:

6 Q. Is this area unitized?

7 A. No, it is not.

8 Q. So production is on a lease basis, individual
9 leases?

10 A. Yes.

11 Q. Which means that that saltwater disposal well is
12 a commercial well on state lands?

13 A. I think by definition, commercial being, do we
14 allow other operators to put produced water in there?

15 Q. Do you inject foreign water into that well?
16 Foreign meaning offlease.

17 A. We -- offlease water from other wells within the
18 Coleman leases, yes, but not other operators from other
19 leases.

20 Q. But it's foreign water from that specific state
21 lease?

22 A. Yes --

23 Q. Then you --

24 A. -- portions of it are.

25 Q. -- do need to have a commercial permit from the

1 State Land Office, if you don't have one already?

2 A. I honestly can't tell you what the actual permit
3 is.

4 Q. Just something to bring up.

5 In some parts of the San Juan Basin, the Entrada
6 does contain protectable water. Have you tested that
7 Entrada in the location of your Juniper well?

8 A. No, we have not. That would be something that we
9 will have to do after the well is drilled as a requirement
10 for getting approval to dispose of it.

11 There are other operators that have put -- are
12 utilizing Entrada as a water disposal within a few miles of
13 the Juniper area --

14 Q. Okay.

15 A. -- and they have a disposal well, approved
16 disposal well.

17 Q. Could you explain one more time what this
18 restriction is, what happened to the disposal well to turn
19 it from an excellent well to an all right well?

20 A. Well, sure. If you go back to Exhibit Number 2
21 and you see all the perforations, both in the La Ventana
22 section and the Cliff House section of the Juniper SWD
23 Number 1, those perforations and the amount of sand that's
24 within that well is the vast majority of the zones that are
25 capable of accepting produced water.

1 Because the Division -- the input into the
2 Division that perhaps the water -- the formation water
3 within the -- excuse me, the La Ventana section in this
4 area of the Basin would be considered protectable
5 freshwater -- potential freshwater zones, we were required
6 to cease injection into those zones. And we accomplished
7 that by installing a packer within the well and injecting
8 below that packer into the Point Lookout and Menefee, and
9 not into those upper zones.

10 COMMISSIONER BAILEY: That's all I have, thank
11 you.

12 CHAIRMAN FESMIRE: Commissioner Olson?

13 COMMISSIONER OLSON: I just have one question.

14 EXAMINATION

15 BY COMMISSIONER OLSON:

16 Q. You were mentioning the quality of water in the
17 La Ventana. I guess -- Was that the only sample that you
18 had? You mentioned one sample, then one that was off to
19 the east. I guess in the one area of your operations,
20 that's the only known water quality sample you've got of --

21 A. Yes.

22 Q. -- pre-injection operations?

23 A. Yes, that's correct. Actually, when the question
24 of what the water quality was -- there were no samples that
25 were of public record. We could not find where any other

1 operator had taken samples.

2 Just to the north of this area, Skelly back in
3 the '50s had a waterflood where they used water from the La
4 Ventana to do a waterflood of the Gallup formation in that
5 unit. We could not find any records of that having been
6 taken. Everybody always used wireline log calculations,
7 and those calculations typically showed that the salinities
8 were less than the 10,000-parts-per-million value.

9 So when we drilled that second disposal well, we
10 took samples at that time and had it analyzed, and that was
11 the first actual water sample from that zone in the area.

12 And then again, like I said, the other well that
13 was drilled in 2007, that Rosetta, swab-tested the zone,
14 because they knew of the issues that we were having. They
15 took the sample, and it's a quarter of a mile directly
16 adjacent to our operation, and they showed that the
17 salinities were quite a bit higher than expected.

18 Q. So were the salinities that you observed
19 comparable to what was estimated before from wireline?

20 A. No, they're quite a bit -- quite a bit saltier
21 than what the wirelines would show.

22 COMMISSIONER OLSON: Okay, that's all I have.

23 EXAMINATION

24 BY CHAIRMAN FESMIRE:

25 Q. Actually, Commissioner Olson hit on what I wanted

1 to talk about.

2 The repeat formation tester in the Juniper SWD
3 Number 1, when was that?

4 A. Probably 2006.

5 Q. 2006?

6 A. And again, Mr. Hanson, who will be the second
7 witness, actually did it, so he would have a better idea of
8 exactly when that was than I would.

9 Q. And the distance between the Juniper SWD Number 1
10 and the Rosetta well where they took the other sample?

11 A. That is approximately two miles away.

12 Q. You said it was a quarter mile from your
13 property? It wasn't a quarter --

14 A. From our leases, but not from the Juniper SWD
15 Number 1. It's approximately two miles from that injection
16 well, but a quarter mile and adjacent to our Juniper
17 project.

18 Q. Could the injection from the SWD -- I'm sorry,
19 from the Juniper SWD Well Number 1 have affected that
20 sample?

21 A. From the studies that we have done and we will
22 show in subsequent testimony today, no, I don't think that
23 would be the case.

24 Q. What's the salinity, the average salinity of the
25 injected water in the Juniper well?

1 A. I believe it's 14,000 to 16,000.

2 CHAIRMAN FESMIRE: Okay, I have no further
3 question.

4 Ms. Munds-Dry, do you have any redirect?

5 MS. MUNDS-DRY: I have no redirect.

6 CHAIRMAN FESMIRE: Any objection to this witness
7 being excused?

8 MS. ALTOMARE: None.

9 CHAIRMAN FESMIRE: Commissioners?

10 COMMISSIONER BAILEY: No.

11 COMMISSIONER OLSON: No.

12 CHAIRMAN FESMIRE: Mr. Emmendorfer, thank you
13 very much.

14 THE WITNESS: Thank you.

15 CHAIRMAN FESMIRE: For those of you who are here
16 for the pit rules deliberation, Ms. Munds-Dry still has
17 three witnesses. How long do you -- average, do you think
18 that will take?

19 MS. MUNDS-DRY: Well, I think it's probably to
20 say that we've probably got an hour, an hour and a half.

21 CHAIRMAN FESMIRE: And Ms. Altomare, how long do
22 you think your testimony will take?

23 MS. ALTOMARE: We're going to try and keep it
24 minimal. It really depends on how much information we're
25 able to get out -- 20 minutes to half an hour, probably, is

1 what I'm expecting.

2 CHAIRMAN FESMIRE: For those of you that are here
3 on the pit rule deliberation, we probably won't get to the
4 pit rules until one o'clock after lunch. I'm not
5 guaranteeing that. You have to travel at your own risk.
6 But I can't foresee us being too wrong.

7 So if you want to stay and watch, that's fine.
8 If not, you all can go ahead and take the rest of the
9 morning off, and we'll begin -- we will probably begin at
10 lunch, no guarantees.

11 That having been said, why don't we go ahead and
12 take a 10-minute break and reconvene at twenty to eleven?

13 (Thereupon, a recess was taken at 10:30 a.m.)

14 (The following proceedings had at 10:45 a.m.)

15 CHAIRMAN FESMIRE: Let's go back on the record.
16 This is a continuation of Case Number 13,812.

17 The record should also reflect that all three
18 Commissioners are present, we therefore have a quorum.

19 I believe, Ms. Munds-Dry, you were getting ready
20 to present your second witness?

21 MS. MUNDS-DRY: Yes, thank you, Mr. Chairman.
22 Are the Commissioners ready to proceed?

23 CHAIRMAN FESMIRE: We are. I am.

24 COMMISSIONER BAILEY: Uh-huh.

25 COMMISSIONER OLSON: Yes.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MICHAEL T. HANSON,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MS. MUNDS-DRY:

Q. Would you please state your full name for the record?

A. Michael Thomas Hanson.

Q. And where do you reside?

A. Farmington, New Mexico.

CHAIRMAN FESMIRE: And Mr. Hanson, you understand you've been previously sworn in this case, right?

THE WITNESS: Yes, sir.

Q. (By Ms. Munds-Dry) And by whom are you employed?

A. Coleman Oil and Gas.

Q. And what is your position with Coleman?

A. Operations engineer.

Q. Have you previously testified before the Oil Conservation Division, and were your credentials accepted and made a matter of record?

A. Yes.

Q. Would you please summarize your education and work experience?

A. I have an associate of science degree from Casper College in 1979. I have been an operations manager since

1 1981. I have been employed with Coleman since 1997 as an
2 operations engineer.

3 Q. And are you familiar with the Application that's
4 been filed in this case?

5 A. Yes.

6 Q. And have you made an engineering study that is
7 the subject of this application?

8 A. Yes.

9 MS. MUNDS-DRY: We would tender Mr. Hanson as an
10 expert in petroleum engineering.

11 CHAIRMAN FESMIRE: Is there any objection to Mr.
12 Hanson's credentials?

13 MS. ALTOMARE: No objection.

14 CHAIRMAN FESMIRE: Mr. Hanson, you're not a
15 registered professional engineer, are you?

16 THE WITNESS: No, sir.

17 CHAIRMAN FESMIRE: Mr. Hanson will be so accepted
18 as an expert in petroleum operations.

19 MS. MUNDS-DRY: Okay, thank you.

20 Q. (By Ms. Munds-Dry) Okay, Mr. Hanson, would you
21 please turn to what's been marked as Coleman Exhibit Number
22 4 and identify and review that for the Commission?

23 A. Yes. Okay, Exhibit 4 is a well and pipeline
24 gathering plat of the Juniper lease.

25 Q. And does this show ownership in different colors?

1 A. It does, it shows surface ownership as indicated
2 by green being allotted, it's kind of a dark blue as being
3 tribal trust surface, yellow as being BLM surface, and
4 bright blue as being state surface.

5 Q. And where is the Juniper SWD Well Number 1 well
6 located on this map?

7 A. The Juniper SWD Number 1 is in Section 16 of 24
8 and 10, in the northwest quarter.

9 Q. And the Monument Well Number 1, where is that
10 located?

11 A. It's in the northeast quarter of Section 17 of 24
12 and 10.

13 Q. Thank you. Mr. Hanson, would you please turn to
14 what's been marked as Exhibit Number 5 and review that for
15 the Commission?

16 A. Exhibit Number 5 is a chronological timeline for
17 the Juniper SWD Number 1 that was updated and -- presented
18 in the earlier hearing and updated for this Commission --

19 Q. And if you could review, Mr. Hanson, for the
20 Commission from the time period when the OCD hearing took
21 place in this matter, going forward.

22 A. Okay. December 21st of 2006, the workover or
23 lowering the packer and isolating the Cliff House formation
24 was set and put back on disposal, along with a bottomhole
25 pressure sensor and cable to surface to EFM equipment. The

1 EFM equipment, however, was not installed until power -- it
2 was not operational until the electricity was installed.
3 And then -- That was June of 2007. And in July of 2007, we
4 actually put the plant under operation with full power.

5 November 1st of 2000, a sundry notice was sent to
6 run a step rate test on the Juniper SWD Number 1 and was
7 approved the same day by the Aztec field office.

8 And that brings us to today.

9 Q. Thank you. What is the current status, then, of
10 the Juniper SWD Well Number 1?

11 A. The Juniper SWD Number 1 is currently being used
12 as a disposal well for Fruitland Coal well from the Juniper
13 lease into the lower Menefee and Point Lookout.

14 Q. And how many producing wells are disposing into
15 that well?

16 A. If you go to Exhibit 6, the wells that are listed
17 are those that are currently being used not on a continuous
18 basis but an intermittent basis due to the volume of water
19 that the SWD Number 1 takes.

20 Q. How many barrels of water a day are being
21 disposed of into the Juniper Well Number 1?

22 A. The Juniper Well Number 1 currently is taking
23 between 20,000 and 30,000 barrels per month.

24 Q. Okay. And then you've referred to Exhibit Number
25 6. If you could further explain for the Commission, what

1 is this showing?

2 A. Okay, when I reviewed the wells to determine how
3 much gas and water loss we had due to the restrictions
4 placed on this disposal well, and looking at the decline
5 curves all I see were inclines, and it was really difficult
6 because I wasn't really sure when the decline process was
7 going to start.

8 So what I did is, I took a four-month average in
9 2006 and a four-month average in 2007, and that's what
10 these numbers reflect. And if you look at the front page
11 of Exhibit 6, this is for the water production, and you
12 show in the average -- four month average for the end of
13 2006 was 51,631, and 29,991 for 2007. If you subtract new
14 wells that were put on, it's the second column, and it was
15 47,702 in 2006 and 24,458, a substantial drop, a difference
16 of 23,244 barrels per month of disposal.

17 The daily averages were, in 2006, almost 1700
18 barrels per day, in 2007 987 barrels per day, with all
19 wells considered.

20 And if you look at the second page of Exhibit 6,
21 this is the gas production. And the gas production
22 probably would have been more realistic to take the decline
23 curves if I could have predicted when the incline stopped
24 and the decline started. However, I wasn't comfortable
25 with that and it gave me substantial numbers. So what I

1 did is, I stuck with it -- with the four-month average on
2 it as well, and the gas production for the four-month
3 average in 2006 was 31,000 approximately, and in 2007 was
4 29,000 approximately, total for all the wells. And then
5 minus the new wells was 30,695, and 2007 was 26,400, with a
6 difference of 4295.

7 And using this method I come up with a daily lost
8 gas volume of 141.30. If you look at decline curves,
9 however, it's numbers on the average of 400 to 500 MCF per
10 day lost due to not being able to produce the wells in the
11 northeast portion of this -- operated leases of Coleman's,
12 which is substantial.

13 Q. Thank you. If you'd please turn to Exhibit
14 Number 7 and review this for the Commission.

15 A. Okay, Exhibit Number 7 is -- a request was asked
16 of Coleman to what monitoring methods were in place. And
17 currently what we're using is volumes, tubing pressures,
18 tubing casing annulus pressure from the EFM equipment
19 started in July of 2007. And at the same time, Coleman
20 actually started the process of the APD application for the
21 Monument Number 1, as indicated.

22 If you turn to the back page, the second question
23 was raise, Well, what kind of volumes and pressures are
24 requested? And of course we'd like to maximize this
25 disposal well as an injection well due to the fact that we

1 are losing gas.

2 And currently what we're doing is, we're staying
3 at 600 p.s.i. and injecting approximately between 800 and
4 1200 barrels per day, depending on tank level situations.

5 I guess ultimately what we'd like to do, and the
6 reason for requesting the step rate test was to find the
7 parting pressure and maximize this disposal well by
8 increasing our pressures up to what has been consistent out
9 there and -- of approximate 1650 p.s.i. with 2500 barrels
10 per day, which might be wishful thinking.

11 Q. And you said that that request for step rate
12 tests was approved by the District Office?

13 A. That's correct.

14 Q. Now you said that a request was made. The
15 Division requested this information as part of this
16 hearing?

17 A. That's correct.

18 Q. Is that your understanding?

19 Let's turn to Exhibit Number 8, and if you'd
20 please review this exhibit.

21 A. Okay, Exhibit Number 8 is a pre-workover wellbore
22 schematic of the Juniper SWD Number 1. And as you can see,
23 the packer was set at 2136, and the perforations were all
24 below the packer, Cliff House included. And that's May of
25 2002, was actually, I think, the date that that was set.

1 In December of 2006 we lowered the packer as
2 requested and installed the bottomhole pressure sensor and
3 set the packer at 2958 with the lower Menefee and the Point
4 Lookout below the packer, with the Cliff House formation
5 being monitored by the bottomhole pressure static
6 equipment.

7 Q. And that's shown on the back page of Exhibit
8 Number 8?

9 A. Exhibit Number 8 is on the -- yes, I'm sorry, the
10 wellbore schematic is -- for the current is on the second
11 page of Exhibit Number 8.

12 Q. Mr. Hanson, would you please turn to Exhibit
13 Number 9? What is this exhibit?

14 A. Okay, Exhibit Number 9 is the flow volumes per
15 month this disposal well has taken up to December of 2007.
16 And you can see, we kind of were in a test pilot study from
17 2002 through 2004, so no new wells were actually being
18 brought on. So you averaged between 20,000 and 40,000
19 barrels per month of disposal.

20 Infield bit drilling took place, and disposal
21 well was utilized to a peak of 140,000 barrels per day. In
22 all of that, as you can see on the -- Well, that would be
23 the next exhibit. And after installing the packer it fell
24 off substantially to between 20,000 and 30,000 barrels per
25 month.

1 Q. And what does the second page show?

2 A. Second page is just a snapshot of 2007, just to
3 look at what we're doing currently.

4 Q. And what is Exhibit Number 10?

5 A. Okay, Exhibit Number 10 is the surface pressure
6 measurements taken off of an EFM and recorded and plotted
7 from the start of the disposal well to December of 2007.
8 And you can see there was no surface pressure up until
9 resetting the packer at the lower depth.

10 And as we see, a small amount of pressure just
11 force-feeding it, and then with the artificial installation
12 of positive displacements, we're up around 600 p.s.i.

13 Q. And the back page again shows --

14 A. And the back page --

15 Q. -- 2007?

16 A. -- is just another snapshot of 2007 so that we
17 can compare. I guess mainly what I wanted to do is show
18 that it's substantially different in 2007 from what it was
19 originally, and there's -- that's why I feel that surface
20 pressure is a good monitoring tool, surface pressure and
21 surface volume, good monitoring tool for this disposal well
22 for mechanical integrity.

23 Q. Okay, Mr. Hanson, turn to Exhibit Number 11 and
24 then review that for the Commission.

25 A. Okay, Exhibit Number 11 is a graph of the tubing

1 casing annulus bottomhole pressure sensor readings from
2 June of 2007 to February of 2008, with not much
3 fluctuation.

4 Q. And the back page is a Hall plot?

5 A. The back page is just kind of a -- to confirm the
6 pressure and volume. It's a Hall -- called a Hall plot,
7 and it's a cumulative pressure versus cumulative rate, and
8 it -- typically, if we would see a mechanical failure we'd
9 see a definite deflection in that slope of the line. In
10 this case it would be dramatic.

11 Q. Okay, what is Exhibit Number 12?

12 A. Okay, Exhibit Number 12 is some information that
13 was requested by the Division, and it just explains where
14 we purchased the pressure transducer, the type of pressure
15 transducer, and I believe there's also some web pages for
16 the actual manufacturer's site.

17 Q. Okay, moving along, what is Exhibit Number 13?

18 A. Okay, Exhibit Number 13 is a proposed completion
19 procedure for the Monument Number 1 to be converted to an
20 Entrada disposal well.

21 Q. And what is the proposed completion procedure?

22 A. After setting casing, we would go in and
23 perforate the Entrada and set a packer within 100 feet of
24 the top perforation and isolate it from -- and start
25 injecting -- or disposing of water into it upon approval

1 from the OCD.

2 Q. Okay, and let's turn to Exhibit Number 14.
3 Please identify and review this for the Commissioners.

4 A. Okay, Exhibit 14 is a wellbore schematic that
5 just indicates what I mentioned with the completion
6 procedure, that we would set a packer within 100 feet of
7 the top Entrada formation and dispose of fluid down the
8 tubing.

9 Q. And what is the back page?

10 A. The back page is an AFE'd cost for re-entering
11 the Monument Number 1, completing it into the Entrada.
12 It's just an estimated cost that it would take Coleman to
13 do the work.

14 Q. And what does Coleman estimate is the total well
15 cost?

16 A. Total well cost is \$571,450.

17 Q. And then the third page of this exhibit, what
18 does this show?

19 A. The third page is the Monument Number 1 as it
20 exists today, as reported on the sundries to the OCD, taken
21 off their website. And the back page of that exhibit is a
22 cost estimate to re-enter and plug the upper Cliff House
23 formation as requested by the Division.

24 Q. And what are the total well costs estimated for
25 that?

1 A. \$156,750, provided we don't have any problems re-
2 entering.

3 Q. Okay, what is Exhibit Number 15?

4 A. Exhibit 15 is an operations plan that is proposed
5 to submit with the APD process, and it just pretty much
6 reviews everything that's required for the APD process on
7 drilling the well.

8 Q. I want to back up just for a second, Mr. Hanson.
9 What are you engineering conclusions for the Juniper SWD
10 Well Number 1?

11 A. From everything I've seen, the Juniper SWD Number
12 1 is being adequately used as a disposal well, isolating
13 the Cliff House formation into the lower Menefee and the
14 Point Lookout formation.

15 Q. And also does your study -- what does your study
16 conclude about Coleman's needs for additional disposal?

17 A. With the current needs and future needs, Coleman
18 will be required to drill and complete an additional
19 disposal well, unless we want to wait the time period for
20 the disposal water to decline as much, where we won't need
21 to, but -- with lost revenue, of course.

22 Q. And what is behind this next tab here? What is
23 Exhibit Number 16?

24 A. Okay, Exhibit 16 is some more information that
25 was requested as far as from the OCD. And the Monument

1 Number 2 well is one that's on the same wellpad as the
2 Juniper SWD Number 1. And there is some confusion as to
3 exactly where the stage collar is set.

4 And as far as finding it documented on any of the
5 regulatory agencies' information, I can't find it. I've
6 tried service companies, I've tried personnel who used to
7 work for the company that actually drilled this well, with
8 no luck. I can say from the volumes that they've pumped in
9 cement slurries that I feel very confident that the Cliff
10 House formation is isolated in this well.

11 Q. What was the request that was made from the
12 Division?

13 A. The request was -- on this particular well?

14 Q. Just to give the Commission a little background
15 about where this comes from.

16 A. This Monument 2 --

17 Q. Yes, on this particular well?

18 A. Okay, on the Monument 2 well the request was, was
19 there any additional information on the depth of the stage
20 collar?

21 Q. And did we provide this information to the
22 Division?

23 A. As far as the actual depth, or the calculated
24 depth? The actual depth, I'm only going by experience and
25 what's been done in that area in the past.

1 Q. Okay. Were Coleman Exhibits 4 through 16
2 prepared by you?

3 A. Correct.

4 MS. MUNDS-DRY: Mr. Chairman, we'd move the
5 admission of Exhibits 4 through 16 into evidence.

6 CHAIRMAN FESMIRE: Any objection to the --

7 MS. ALTOMARE: No objection.

8 CHAIRMAN FESMIRE: Okay, Exhibits 4 through 16
9 will be admitted to the record.

10 MS. MUNDS-DRY: And I have nothing further for
11 Mr. Hanson.

12 CHAIRMAN FESMIRE: Ms. Altomare?

13 MS. ALTOMARE: Thank you.

14 CROSS-EXAMINATION

15 BY MS. ALTOMARE:

16 Q. Mr. Hanson, I just have a couple of questions,
17 although it might seem like I'm bouncing around a little
18 bit, because I'm kind of playing cleanup today, I guess.

19 I think at one point -- and I might have misheard
20 you, but you had said something about having already
21 started the APD process for the Monument Number 1. Have
22 you already -- has Coleman already started the APD process
23 for the Monument --

24 A. We've started the APD process, but we haven't
25 submitted an APD. And what I mean by starting the APD

1 process is, we filed the notice of staking, we've notified
2 -- and actually, our split-estate wells, we use Brian Wood
3 with Permits West, and he's done 90 percent of that work,
4 so he might -- if you're going to get detailed into what
5 we've done, he would be a better one to ask on that.

6 Q. Okay, so he could tell us all exactly where you
7 all are in that process?

8 A. I -- yes, yes, ma'am.

9 Q. Okay. You had mentioned that you wanted to
10 maximize the productivity or, I guess, the usefulness of
11 the Juniper Saltwater Disposal Well Number 1 by increasing
12 the pressure. Would you -- would Coleman be willing to
13 perform certain other conditions or monitoring-program-type
14 things as a condition of increasing that pressure to ensure
15 that the environment is protected?

16 A. Yes, I don't see where there would be a problem.
17 I guess it depends upon what exactly and how often. But I
18 do feel that what we're doing -- due to the fact that that
19 Cliff House will take a substantial amount of water, that
20 if we had a mechanical integrity problem, that it would be
21 indicated right away.

22 Q. Okay. For instance, one of the things I think
23 that we were thinking was, in addition to a step rate test
24 would be doing a -- let me see how -- I have to make sure I
25 have the lingo right -- would be a monitoring program with

1 a profile -- injection profile with -- where did I write it
2 down -- with temperature -- radioactive tracer and
3 temperature components?

4 A. I don't see a problem.

5 Q. Okay, so Coleman would be willing to do that and
6 to submit that information to OCD to make OCD comfortable
7 with the increased pressure?

8 A. I think that is an excellent idea.

9 Q. Okay. You had -- We've talked a little bit about
10 the time that it's going to take, which I know -- I
11 understand Mr. Wood is going to testify a little bit more
12 extensively about the permitting process, and the
13 schematics that you guys have submitted have laid out the
14 existing pipelines that you have. I assume that you're
15 going to be connecting this well to a pipeline as well?

16 A. This well being the Monument Number 1?

17 Q. The Monument Number 1.

18 A. Yeah, that's correct, and we actually are in the
19 process of -- we have staked that pipeline, but we're in
20 the process with the permit application that will be filed
21 as well.

22 Q. So are plans in the works, then, to
23 simultaneously complete that pipeline at the same time as
24 the completion of the Monument Number 1 re-entry and
25 conversion?

1 A. Yes, ma'am, that would be a benefit.

2 Q. Okay.

3 A. It is split-estate, so it does get a little iffy
4 there, but -- it is split-estate.

5 Q. Okay, is the permitting process as onerous for
6 the pipeline as it is for the re-entry and the drilling and
7 the conversion?

8 A. I'm sorry, could you restate that?

9 Q. Is the permitting process for the pipeline on the
10 split-estate land over there, is that going to be a whole
11 'nother issue, is that going to add on a whole lot of extra
12 time?

13 A. I don't believe that it will, but again, Brian
14 Wood would be -- he's -- I believe he's --

15 Q. Okay.

16 A. -- I don't know if he's filed that application,
17 but he's actually worked on it; I know that for a fact.

18 Q. Okay. You talked a little bit about the fact
19 that the Juniper saltwater disposal well is not able to
20 handle as much now that the packer has been reset. And you
21 may have already answered this. What was the volume that
22 -- the rate of injection before the packer was reset?

23 A. Before the packer was reset?

24 Q. Yeah.

25 A. If you go to Exhibit 9 and prior to December of

1 2006 you are looking at between 100,000 and 120,000 towards
2 the tail end there, which -- indicating some decline with
3 the wells that were going in there.

4 Q. Okay, and then what was the significant change
5 once the packer -- Okay.

6 A. When the packer was reset, the Cliff House was no
7 longer taking fluid.

8 Q. And this is a monthly --

9 A. This is a monthly.

10 Q. Okay, and what's the daily -- what would be the
11 daily rate comparison?

12 A. I think 800 to 1200 is what I had mentioned.

13 Q. For the present amount?

14 A. Yes.

15 Q. And what was the prior? Do you remember?

16 A. Probably between 3000 and 4000 barrels per day.

17 Q. Okay, just wanted to try and wrap my head around
18 what the differential was.

19 A. That's real close.

20 Q. Okay.

21 A. That's -- I know it seems wide, but when you have
22 a few wells go down, it doesn't take long.

23 Q. Okay. And are you involved in assisting in
24 filling out -- as the operations -- I'm not real clear as
25 an operations engineer what your role is in the process.

1 Are you involved in filling out forms and working with Mr.
2 Wood in the permitting process --

3 A. Correct, I --

4 Q. -- or does he do that independently?

5 A. Typically on a nonsplit estate I handle 100
6 percent of it. On a split estate, due to the issues of
7 dealing with multiple agencies -- and they have people that
8 are already doing that -- it makes it cost-effective for us
9 to have him handle that.

10 Q. Okay.

11 A. I have handled split estates, I prefer not to,
12 but...

13 Q. Would you have any opposition to -- in this case,
14 just as a matter of courtesy, providing the OCD with
15 courtesy copies of what's being submitted to the BLM, just
16 to keep us in the loop, I guess, as to where Coleman is in
17 the process, since we're a little new to the split-estate
18 process with regard to this timeline?

19 A. I would be happy to.

20 Q. Okay. And with regard to the downhole pressure
21 sensor with the Juniper well, would Coleman have any
22 opposition to continuing that monitoring and submitting
23 reports on some sort of a schedule to -- during the interim
24 continued injection, to the OCD?

25 A. I have no problem with that.

1 MS. ALTOMARE: Okay, I think that's everything.

2 CHAIRMAN FESMIRE: Commissioner Bailey?

3 EXAMINATION

4 BY COMMISSIONER BAILEY:

5 Q. When was the Monument number 1 drilled?

6 A. It was in the early '70s, I believe. The
7 Monument 1 was drilled and plugged as a dryhole, and I
8 think it's Link Oil, is who the operator was listed on the
9 records on the OCD website.

10 Q. And was that --

11 A. I'm not sure --

12 Q. -- about the same time --

13 A. -- that's what's on the dryhole marker, but
14 that's what's on the -- the sundry.

15 Q. Okay. Was that about the same time that Monument
16 Number 2 was drilled?

17 A. The Monument 2, I believe, was drilled
18 approximately five years after the Monument 1 by Tenneco
19 Oil and Gas, and it was drilled as a producer. I have not
20 been able to locate any production records, so I don't know
21 how much they produced it.

22 I do know they frac'd it and tested it, but
23 that's all I know. And it was -- I think probably in limbo
24 for about a year and a half and plugged, and there's a
25 sundry on the oil and gas website that I'd refer to on

1 that.

2 Q. And Coleman went in and plugged number 2
3 recently?

4 A. No, Coleman has not plugged the Monument Number 2
5 well.

6 Q. Is there any indication what the condition of the
7 casing in the Number 1 well would be after -- how many
8 years? Thirty-five years or more.

9 A. There is no casing in the Number 1 well. The
10 casing is in the Number 2 well, Monument Number 2 well.

11 Q. Okay.

12 A. But I -- All I can go by is the condition of our
13 casing, which is in -- appears to be in good shape from all
14 the testing we've done.

15 Q. Looking at Exhibit Number 5 and the timeline that
16 stretches back to 2001, it appears as though SWD permission
17 was given back in 2001, and then in 2006 you were required
18 to plug off the La Ventana perforations. Is that correct,
19 the way I'm understanding this?

20 A. I believe the request to re-enter and plug the
21 Monument Number 1 and Number 2 were on the earlier hearing,
22 and again on the one in December. And I believe the one in
23 December was -- what was required of Coleman at the
24 immediate aftermath was to isolate the Cliff House
25 formation, which we did, and I believe that hearing was

1 actually October 10th, November 9th, and then I think there
2 was a follow-up on November 27th, and then December 21st is
3 when we actually did the work.

4 I'm not sure when we received the actual
5 information to do what was required of us, but I know there
6 was several correspondence in there.

7 Q. So did injection actually start in 2001, and then
8 you had to plug off --

9 A. I believe it was -- the application process for
10 the Number 1 was started in 2001, but the actual spud of
11 the Juniper SWD 1 was 2002, and disposal was actually May
12 of 2002, initiated.

13 Q. Okay, what precipitated the requirement by the
14 OCD to isolate the upper zones?

15 A. I'm not --

16 Q. Why did you have to come back in for isolation of
17 those upper zones?

18 A. I believe their concern was with fresh water.

19 Q. Yes, but what precipitated that? They're not
20 going to just --

21 A. I don't --

22 Q. -- go through the files and find that. Was
23 there --

24 A. I don't --

25 Q. -- an event of some kind that --

1 A. I'm not sure what actually initiated the OCD into
2 requesting Coleman to do that. I can't -- I don't know if
3 I can answer that. I don't know that I'm aware of that a
4 hundred percent.

5 Q. So you were injecting continuously from 2002
6 until you were required to come in in 2006?

7 A. We had an approval to inject into the Juniper SWD
8 Number 1 in the Mesaverde formation, and that included all
9 formation -- all -- all of the groups of the Mesaverde
10 formation, which was the Cliff House, which is -- I believe
11 the La Ventana is part of the Cliff House -- the Menefee
12 and the Point Lookout, were all the initial zones of
13 disposal, all open together.

14 That was in early 2002, that's --

15 Q. Right, but what I'm trying to understand is, if
16 you were injecting from 2002 until this hearing in 2006,
17 what precipitated the event of you having to come back in
18 to have those upper zones plugged off?

19 A. I believe there was a second hearing, and there
20 was a request, and Coleman actually agreed to do that work.
21 Does that answer your question?

22 Q. No, but that's the only question I've got now.

23 MS. MUNDS-DRY: Commissioner Bailey, I might be
24 able to help. The US EPA came in after the approval was
25 given and consulted with the Division, and that actually

1 precipitated an amendment to the administrative order.

2 And maybe -- Mr. Jones may be able to expand on
3 that.

4 COMMISSIONER BAILEY: Okay, but four years later
5 EPA, in reviewing their records, realized that there had
6 not been -- that there was a problem?

7 MS. MUNDS-DRY: (Nods)

8 COMMISSIONER BAILEY: Okay, that's -- I
9 understand that now.

10 That's all I have.

11 CHAIRMAN FESMIRE: Commissioner Olson?

12 EXAMINATION

13 BY COMMISSIONER OLSON:

14 Q. Well, that was an attempt, I guess, at --
15 Commissioner Bailey's questions were along the same lines
16 as mine, so I think I'm still a little confused too as to
17 some of this. But I guess -- Make sure I understand the
18 application, and I don't know if you're the right one to
19 ask this, or to answer this.

20 At this point is Coleman, then, just requesting
21 to continue using the Juniper SWD without plugging the
22 Monument Number 1, as an interim action while this
23 permitting is going on? Is that what this is all about?

24 A. Correct. But I don't -- I don't believe that
25 Coleman's ever been approached to plug off the Cliff House

1 formation. I believe that we recommended this alternative,
2 and it was agreed upon.

3 I don't believe there was a timetable set on
4 that, but I'm a little fuzzy on that. So I'm not real
5 certain on that.

6 Q. But they were asked to replug, I guess, the
7 Monument Number 1. That's --

8 A. The Monument 1, that's -- were you talking -- I
9 may have misunderstood you.

10 Q. Yeah.

11 A. I was talking about the Juniper SWD Number 1.

12 Q. No, I wasn't talking about that, I was --

13 A. The monitoring device is in the Juniper SWD
14 Number 1. The Monument Number 1 was requested by the
15 Commission to re-enter and plug and isolate the Cliff
16 House, correct.

17 Q. Right. So now Coleman is just asking us to -- in
18 the interim basis, while this permitting is going on with
19 the Monument Number 1, to be allowed to continue to inject
20 without replugging the Monument Number 1?

21 A. That's correct, I'm sorry, that's correct.

22 COMMISSIONER OLSON: Okay, thank you.

23 EXAMINATION

24 BY CHAIRMAN FESMIRE:

25 Q. Mr. Hanson, the information that you've compiled

1 on the -- specifically on the Monument Number 1, that all
2 came from the OCD imaging system?

3 A. That's correct.

4 Q. In fact, most of the data that you presented here
5 came from the OCD, didn't it?

6 A. Well, I didn't actually download the volumes and
7 pressures from the OCD. I actually downloaded those from
8 our system.

9 But I hope they match.

10 Q. Well, I'm not going to check, but the OCD was --
11 (Laughter)

12 A. They should match.

13 Q. -- the OCD system was pretty instrumental in
14 this, wasn't it?

15 A. The OCD system was very instrumental except for
16 determining where the stage collar was for the Monument 2.
17 But yes, you are exactly right.

18 Q. And if we were not to have the resources to keep
19 that system up to the quality that we've got now, that
20 would be a big problem for the operators, wouldn't it?

21 A. If you had to resort to the old system it would
22 be monotonous and time-consuming, that is correct.

23 Q. Now, I must have misunderstood Mr. Emmendorfer.
24 Your timeline has these Juniper SWD well -- in Exhibit 5 --
25 drilled in 2001, is it?

1 A. No, the APD process was filed in 2001. The
2 actual spud date was 2002.

3 Q. Okay, and when did they begin injection? If my
4 eyes were better, I could --

5 A. It's here, BHT, sundry notice -- Well, I don't
6 see the exact date, but I would be willing to say that it
7 was July 23rd of 2003, because the OCD witnessed the
8 Bradenhead test and the MIT in that week, period of time.

9 Q. Can we assume it started inject- --

10 A. Oh, you know what -- I'm sorry, July of 2003 is
11 when it was actually started.

12 Q. Okay. So when did we take the -- when from this
13 scale, this timeline, when did we take the repeat formation
14 tester and get the analysis on the water?

15 A. That's when we drilled the Juniper SWD Number 4.
16 I don't know the exact date. I don't have when we -- I
17 took the SWD Number 4 information off of this timeline,
18 because it was requested that I do that.

19 Q. So -- Do you know when that was?

20 A. If I was going to guess, it's going to be 2004.

21 Q. Okay. So there had been some injection into the
22 SWD Number 1 prior to that --

23 A. Yes.

24 Q. Okay. How far away is the 4 from the 1?

25 A. Off the top of my head, I'd -- it's -- one's in

1 the southwest quarter, and the other one is in the
2 northwest quarter, so a good mile-plus.

3 Q. A good mile? Do we have any idea how much water
4 we injected into the 1 before we got the sample out of the
5 4?

6 A. You know, I think Paul might be able to answer
7 that question.

8 Q. You guys are setting Paul up real good.

9 A. Sorry. Paul and Brian.

10 I think the reason there's such a time lag
11 between that actual spud date and the actual disposal date
12 is because of some surface issues, but I'm going off of
13 memory, so...

14 Q. Okay. With respect to Exhibit Number 6, I didn't
15 follow exactly how you got the daily production loss of 400
16 to 500 MCF per day off of this. Could you go back over
17 that again?

18 A. Okay, the 400 to 500 gas production loss was off
19 of decline curves.

20 The only problem I had with decline curves is, it
21 looked rosy as far as how much loss we had, but I was
22 uncomfortable with saying, okay, it inclined through that
23 whole period of time when there was no decline, because 90
24 percent of the wells were on an incline during that period
25 when I looked at it.

1 So that's why I kind of went back and did a four-
2 month average, rather than the decline curve.

3 Q. Okay. I think I followed that analysis, but how
4 did you get to the -- specifically, how did you get to the
5 400- or 500-MCF-per-day difference?

6 A. What I did is, I took those decline curves and
7 built a trend, and then looked at the difference between
8 what it is producing now and what the incline curve
9 indicated that it should have been producing.

10 Q. Okay, and is that based on back pressure or lack
11 of dewatering, or -- theoretically, I guess, I don't
12 understand.

13 A. Well, it appears to me that we haven't totally
14 dewatered the coal, and we're still seeing increases in
15 volumes on individual wells. And if you look at our total
16 field production, that's also indicated as well.

17 So I guess I could have built a good case for
18 using the declines, I just -- with the water being
19 declining and the gas being inclining, I didn't feel real
20 comfortable with saying that year period, it didn't start
21 declining from the decline curves.

22 Q. Okay. Now Coleman thinks that the water in the
23 Ventana group is just below the 10,000 parts per million
24 TDS, right?

25 A. Correct.

1 Q. But it is below the 10,000 parts per --

2 A. If that's the line, it is below the 10,000.

3 Q. Okay. How come they didn't squeeze off those
4 shallow perms when they reset the packer?

5 A. Are you talking about in the SWD Number 1 there?

6 Q. In the Juniper SWD Number 1.

7 A. It's going to be probably difficult to get a 100-
8 percent squeeze in that La Ventana because of the porosity
9 in it.

10 You could probably set a plug across it and be
11 successful, but I don't know that you would ever be
12 successful getting a squeeze where you could actually do a
13 mechanical integrity test, and that's why we proposed the
14 bottomhole pressure static sensor, to monitor that.

15 Q. Do you have any idea how much water -- it looks
16 from the -- you know, your pressure went from zero when you
17 plugged it off to 700 pounds, so a significant portion of
18 the total injection prior to the time that you set the
19 packer went into that shallow zone, right?

20 A. Correct.

21 Q. Do you have any -- have you all done any
22 estimates or tried to figure out how much water that is?

23 A. I have not. Paul may be able to touch on that
24 with his -- because his study deals with that.

25 Q. Okay. Now in Exhibit 10, you indicated that that

1 was a good measure of the casing integrity, and I didn't
2 follow that reasoning again.

3 A. Exhibit 10. I guess due to the fact that the --
4 when the La Ventana and the Cliff House was open, we didn't
5 ever -- we never seen any surface pressure.

6 So therefore, if we had a mechanical failure, it
7 would go on a vacuum to larger volumes of water, because we
8 went from approximately, like I said, 3000 barrels a day to
9 4000 barrels a -- and 4000 barrels a day, down to 800 to
10 1200 injection at pressure.

11 So with never seeing over that long period of
12 time, I wouldn't expect with it sitting there for over a
13 year that you would see pressure on it today.

14 Q. Okay. And if my understanding is correct, you've
15 hung an annular bomb just above the packer. Is that a
16 constant readout? How do you get the information from
17 that?

18 A. It's actually pulled, I think, a minimum of six
19 hours, that data is pulled a minimum of six hours, and sent
20 to a website.

21 And from that website it actually sends reports
22 to operation personnel, and it actually has an alarm set up
23 to where if there's an increase or decrease of 100 p.s.i.,
24 it will actually flag an alarm. So that's pretty much how
25 it works.

1 And then we can look at cumulative data as well
2 as instantaneous data. We don't --

3 Q. Well --

4 A. We do not have -- we do not have the capability
5 of pulling, so we would have to take -- instantaneous data
6 would be the last time it was pulled.

7 Q. Okay. Well, it's -- how often -- so it's
8 actually hung off and pulled?

9 A. No, no, no.

10 Q. No?

11 A. No, it's sending it --

12 Q. Are you saying it's pulled --

13 A. -- it's pulled, as in radio communication.

14 Q. Oh, okay. Okay. It's been a long time since
15 I've done this kind of work, and we didn't have those gee-
16 whiz gadgets.

17 A. We use these devices to monitor pumpoff controls
18 in the submersible pumps in our Powder River Basins
19 successfully, and they're the ones that actually
20 recommended to me the type that they had the best success
21 for -- with. Best success with, I'm sorry. And that was a
22 particular one that we had shipped out of the Powder River
23 Basin to the San Juan Basin.

24 Q. So that's why you bought it in Wyoming, instead
25 of --

1 A. That is the reason we bought it -- You know,
2 there are devices in San Juan County that are capable of
3 doing that currently, but I don't believe there were a lot
4 of them done early on.

5 Q. Okay. And so is it physically set in the packer
6 or --

7 A. It's strapped --

8 Q. -- in the string?

9 A. It's strapped to the tubing --

10 Q. Strapped to the tubing.

11 A. -- and the cable is strapped to the tubing as
12 well from the setting depth to the surface, and it actually
13 -- from the surface it goes over to the EFM equipment.

14 And that's -- that readout is a zero to 2000
15 p.s.i. strain gauge, but it's -- also has a transducer on
16 it that converts that to milliamps, and that milliamps is
17 what we use to come up with the pressure, surface pressure
18 reading, very similar to, if you would run it in on a rig
19 and pull it out, if you didn't use a mechanical device.

20 Q. And I could see, you know, if the objective were
21 just to monitor the backside, that would be fine. But
22 we've got usable water through some pretty effective
23 perforations on the backside there, and that concerns me.

24 A. There are multiple feet of perforations open, you
25 are correct.

1 Q. Have you done any projections on how much the
2 Entrada will take in the recompleted well?

3 A. I've communicated with Dugan who has, I believe,
4 four Entrada wells currently active in that area, and I
5 believe that would be my information at this time. And I
6 believe they're taking -- last time I checked, anyways,
7 approximately 2400 barrels a day at over 800 p.s.i., and
8 climbing, so...

9 Q. So just a little bit over what you're injecting.
10 800 barrels a day in that well, did you say?

11 A. In the Dugan well?

12 Q. Yeah.

13 A. No, 2400 barrels a day --

14 Q. 2400 at 800 --

15 A. -- at 800 p.s.i. But the last time I checked on
16 those was approximately six months to a year ago. I've had
17 a call in to Dugan to see if I could get some pore-pressure
18 information from them on the Entrada and have not got a
19 return call yet, but...

20 Q. Now you're going to -- are you expecting it to be
21 about the -- I guess the question was your projections. Is
22 the information that you've gotten from them the
23 projections you're using right now for the injection rate
24 and pressure?

25 A. That is correct.

1 Q. Okay. And so you're going to need a new pump
2 facility out there, right?

3 A. No, sir, we would use the pipeline and split off
4 of our SWD Number 1 pump, which is capable of handling
5 close to 4000 barrels a day.

6 Q. Okay, and what is the SWD Number 1 injecting now?

7 A. It's 800 to 1200 barrels a day at 600 p.s.i.

8 Q. And do you remember what it was taking -- and I'm
9 sorry if some of these are redundant, but do you remember
10 what it was taking before you moved the packer?

11 A. I believe it was 3000 to 4000 barrels a day, at
12 zero p.s.i.

13 Q. Okay. So from the calculations that you're
14 talking about, you're going to need both wells, right?

15 A. That's correct, or another disposal.

16 Q. Or another disposal. You said that kind of
17 knowingly. Is there something I should know about?

18 A. No, if you take declines of the water
19 projections, and depending upon the time frame it takes us,
20 I guess there's a little bit of possibility that we won't
21 need additional disposal.

22 Q. Okay. But if you do the drilling program that
23 you're talking about, you're going to need --

24 A. I don't believe so. We've got 10 wells to drill
25 in there and four to complete.

1 And we've requested an increase in pressure for
2 the Juniper West SWD Number 1, and we expect it to take
3 more volume than it's currently taking, so that will take
4 up some of the volume required. That will fulfill that
5 void.

6 CHAIRMAN FESMIRE: Okay, that's all the questions
7 I have.

8 Ms. Munds-Dry, do you have --

9 MS. MUNDS-DRY: I have nothing further.

10 CHAIRMAN FESMIRE: Okay. Mr. Hanson, thank you
11 very much.

12 MR. HANSON: Thank you.

13 CHAIRMAN FESMIRE: Ms. Munds-Dry, who's your next
14 witness? I guess it's him?

15 MS. MUNDS-DRY: Coming this way.

16 CHAIRMAN FESMIRE: Yeah. And his name is -- ?

17 MS. MUNDS-DRY: -- is Paul Oldaker.

18 CHAIRMAN FESMIRE: Oh, good.

19 MR. OLDAKER: Thank you.

20 CHAIRMAN FESMIRE: Paul, you remember that you've
21 been previous sworn in this case, do you not?

22 MR. OLDAKER: Yes, Mr. Chairman.

23 MS. MUNDS-DRY: If the Commission is ready to
24 proceed?

25 CHAIRMAN FESMIRE: Proceed, please.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PAUL R. OLDAKER,

the witness herein, after having been first duly sworn upon
his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MS. MUNDS-DRY:

Q. State your name for the record, please.

A. My name is Paul Roger Oldaker.

Q. And where do you reside?

A. I reside in Denver, but my business is in
Steamboat Springs, Colorado.

Q. And by whom are you employed?

A. I'm self-employed.

Q. And what is your relationship with Coleman?

A. I am a consultant to them.

Q. And have you previously testified before the Oil
Conservation Division, and were your credentials accepted
and made a matter of record?

A. I testified in April of 1985 and November of
2006, and the answer is yes.

Q. You have a good memory too.

A. Good notes.

Q. Would you please summarize your education and
work history for the Commission?

A. I have a bachelor of science in watershed science
from Colorado State University. I did two years of

1 graduate work at Colorado State. I've taken several short
2 courses over the past 30 years.

3 My work experience is 31 years as a hydrologist
4 and hydrogeologist. I have over 100 oil and gas projects,
5 of which 70 are in the San Juan Basin.

6 Q. Are you familiar with the Application that's been
7 filed in this case?

8 A. Generally. Obviously, I'm most familiar with my
9 own sections.

10 Q. And have you made a hydrogeologic study of the
11 area that is the subject of this Application?

12 A. Yes, the first report was on April 10th, 2006.
13 It was updated for the first hearing, November 3rd, 2006,
14 and the third update is 2008, March 3rd.

15 MS. MUNDS-DRY: We would tender Mr. Oldaker as an
16 expert in hydrogeology.

17 CHAIRMAN FESMIRE: Any objection?

18 MS. ALTOMARE: No objection.

19 CHAIRMAN FESMIRE: Mr. Oldaker's credentials will
20 be so accepted.

21 Q. (By Ms. Munds-Dry) Would you please explain to
22 the Commission what Coleman asked you to do?

23 A. They asked -- Pardon me.

24 Q. Sorry, go ahead.

25 A. They asked me to calculate the radius and area of

1 influence of the SWD Number 1, of the area of injection,
2 and also review the water quality in the area.

3 Q. And earlier in the hearing I believe it was asked
4 by one of the Commissioners what water quality samples were
5 taken in the area. Could you briefly address that issue?

6 A. There were samples taken in the Cliff House
7 sandstone, both in the SDW [sic] 1 and the SDW 2, and if I
8 may refer to my original report I can get you the exact
9 dates on those.

10 The date of the SDW Number 1 is May 16th of 2002.
11 The SDW Number 4, which was the formation tester, is
12 November 9th, 2005.

13 CHAIRMAN FESMIRE: Could you go over those again,
14 please?

15 THE WITNESS: Certainly. The Juniper SDW -- D
16 Number 1 is May 16th of 2002.

17 CHAIRMAN FESMIRE: And that's the drilling date
18 or the test date?

19 THE WITNESS: That is the date on the sample
20 itself, of the formation, probably a swab sample.

21 The Juniper SWD Number 4 is November 9th of 2005,
22 and that is the formation tester.

23 Q. (By Ms. Munds-Dry) And while you have that out,
24 I'm anticipating Chairman Fesmire's question. Do you
25 recall how much water was injected from the SWD Number 1

1 before the Number 4 test was taken?

2 A. We can actually look at the exhibit.

3 Q. Let's turn to that Exhibit Number 17, then.

4 A. Uh-huh. On Figure 4 we have the water injection
5 volume versus time, the Juniper SWD Number 1. And if I go
6 back to my dates, of course, it would be -- November of
7 2005, the cum is about 2.5 million barrels.

8 Q. Thank you. And from your study, what are some of
9 the results that you can share with the Commission?

10 A. Due to the relative -- in hydrogeology terms --
11 of small amounts of water, the radius -- calculated
12 radiuses are essentially fairly small, in the 200-, 300-
13 foot range.

14 And then the water quality, Cliff House is
15 moderate to highly saline. It's consistent with a rock
16 deposit in a marine environment. The Fruitland is highly
17 saline. The ocean is about 34,000 milligrams per liter,
18 and the Cliff House is in the range of about 15 -- well,
19 10, 9, 6, I believe it is, is the -- to about 15,000 for
20 the Cliff House. The Fruitland is somewhat higher, 15,000
21 to about 25,000.

22 Q. Okay. And I believe you already referred to
23 Exhibit Number 17. What is Exhibit Number 17?

24 A. That's my third update report on the Juniper SDW
25 Number 1.

1 Q. So this takes us to present?

2 A. It takes us through 2007 --

3 Q. Okay.

4 A. -- for data, the end of 2007.

5 Q. And have you calculated a radius for this
6 injection volume?

7 A. There are actually two radiuses that we'll be
8 dealing with. The -- up to 2006 the radiuses were
9 calculated on Figure 5A. That is through the entire 501
10 feet of perforations available. And depending on the
11 porosity, it ranges from 242 feet to 306 feet.

12 Q. And after 2006?

13 A. That would be on Figure 5C. That's on page 6.
14 We're now injecting -- we still have the -- we now are
15 injecting just below the packer into the 124 feet of
16 perforations, and the porosity range from 15 to 23 1/2
17 percent gives us a range of 289 feet to 306 feet.

18 Q. Can you also calculate the impact of injection by
19 acres?

20 A. Yes, since it is a cylinder, the area of a
21 cylinder is πr^2 . Using the radiuses before 2006, on Figure
22 5B, that ranges from 4.2 acres to 6.7 acres.

23 And Figure 5D is for through 2007 in the lower
24 unit, goes from 6 acres to 9.7 acres.

25 And all of these are porosity-dependent.

1 Q. Would you please review for the Commission your
2 water chemistry data?

3 A. The Cliff House sandstone, the samples to date
4 have all been moderate to highly saline. Even 9600
5 classifies as moderately saline. The samples have high
6 chlorides, indicating deposition in a marine environment.
7 The Fruitland formation is higher saline, or highly saline,
8 15,000 to 25,000. And for comparison, the seawater is
9 about 34,000 milligrams per liter.

10 Q. Would you again refer to your update and review
11 the porosity versus time?

12 A. Yes, given the hypothetical situation, including
13 the Monument Number 1, which is 1885 feet away from the SDW
14 Number 1, if we inject it at 2000 barrels a day how long
15 would it take the radius of influence to reach the Monument
16 Number 1 location? And that's shown on Figure 7.
17 Depending on porosity again, it would take between 52 years
18 and 74 years.

19 Q. What type of declines are you seeing in the
20 Fruitland Coal?

21 A. We're looking at the fivespot production, which
22 are the oldest wells on the sites, and that's shown on
23 Figure 8. They started as, all five added together,
24 approximately 40,000 barrels per month, and over five years
25 they have declined into the, oh, 12,500 range. This is

1 fairly typical for coalbed methane.

2 Q. And based on your original study and now your
3 updated study, what conclusions can you reach for this
4 area?

5 A. Those conclusions are on page 11 of the exhibit.
6 Overall, there's a relatively small amount of water
7 compared to surface water. Large amounts, barrels; but in
8 terms of cubic feet per second, we're only -- the maximum
9 was .3 cubic feet per second.

10 Through December, 2006, all the water injection
11 was into the 501 feet of thickness. The radius only ranged
12 from 242 to 306 feet. There was an overall mean of 265
13 feet.

14 Through December -- from December, 2006, to
15 December, 2007, all the water injection was then into a
16 smaller amount of perforated thickness. That calculation
17 gives you a radius of 289 to 366 feet, with an overall mean
18 of 317 feet.

19 Those can then, in Conclusion 6, be calculated as
20 areas. In the hypothetical situation of how long it would
21 take the injection water to reach the Monument Number 1
22 well, it's somewhere between 52 and 74 years, if we
23 calculate at -- excuse me, inject at 2000 barrels a day.

24 And coalbed methane water production has declined
25 to approximately a quarter of the original production over

1 five years, and that is expected to continue to decline.

2 Q. Based on your study, why does the continued
3 injection into the Juniper SWD Well Number 1 not pose a
4 threat to freshwater zones in the area?

5 A. The injections are into approved zones, the
6 calculated radiuses do not intercept any freshwater zones.

7 Q. And was Coleman Exhibit Number 17 prepared by
8 you?

9 A. Yes, it was.

10 MS. MUNDS-DRY: Mr. Chairman, we'd move the
11 admission into evidence of Coleman Exhibit Number 17.

12 CHAIRMAN FESMIRE: Any objection?

13 MS. ALTOMARE: No objection.

14 CHAIRMAN FESMIRE: Exhibit Number 17 will be
15 admitted to the record.

16 MS. MUNDS-DRY: And I pass the witness.

17 MS. ALTOMARE: I don't think I have any questions
18 for this witness.

19 CHAIRMAN FESMIRE: Okay. Commissioner Bailey?

20 COMMISSIONER BAILEY: I have none either.

21 CHAIRMAN FESMIRE: Commissioner Olson?

22 COMMISSIONER OLSON: No questions.

23 EXAMINATION

24 BY CHAIRMAN FESMIRE:

25 Q. Mr. Oldaker, going back to your calculations on

1 page -- starting on page 3, you're assuming piston
2 displacement -- piston-type displacement, aren't you?

3 A. It's simply volumetric displacement.

4 Q. So you're not taking into account ineffective
5 porosity, porosity that's not connected?

6 A. We're not taking into account it or differential
7 head, which would increase the -- into lower zones, versus
8 upper zones. You're not --

9 Q. Or preferential --

10 A. Yeah. You're not also taking into account -- you
11 know, permeability does not really enter the equation,
12 since it is just a volumetric calculation, yes.

13 Q. Okay. In your calculation, did you take into
14 account the significant difference in the permeability of
15 the deep -- in the -- significantly greater permeability of
16 the shallow zone in the Juniper SWD Number 1, between the
17 shallow zone and the deep zone?

18 A. No, there's no permeability in the equation.

19 Q. Okay, so you're assuming a cylinder in your
20 model, wouldn't take into account the fact that the upper
21 zones are going to take a lot more water than the lower
22 zones, right?

23 A. Not necessarily, because the head in the well --
24 there's going to be greater head in the lower zones than on
25 the upper zone.

1 Q. Absolutely, but you've seen the pressure data
2 that the previous witness presented, showing that the well
3 was essentially on a vacuum before they moved the packer,
4 and then after the vacuum the pressure went up to 700 to
5 800 pounds; is that correct?

6 A. Correct, but we've reduced thickness by almost
7 two-thirds.

8 Q. Okay, and you don't think that the -- there is a
9 significant difference in the permeability?

10 A. There may be, but we don't have direct
11 permeability data here.

12 Q. Okay. We reduced the thickness by two-thirds,
13 you said, the effective thickness. How did we change the
14 rate?

15 A. Well, the rate declined. However, if I take,
16 say, 100 feet of the La Ventana and try to stuff all the
17 water into 100 feet of it, depending on its permeability it
18 may have pressured up as well.

19 Q. Okay, so from the data presented you don't see
20 any difference in the permeability between the shallow zone
21 and the --

22 A. There's no permeability data presented. There
23 may be a permeability difference between the zones.

24 Q. Okay, I'm talking about the information presented
25 to the Commission. Can we look at the data and say that

1 there's a permeability difference between the shallow zone
2 and the deep zone?

3 A. Since no permeability data is being presented
4 here, you can infer there may be a change in permeability
5 for any 100 feet within the well.

6 Q. Okay, so from the data presented to the
7 Commission you don't see any indication that there would be
8 preferential flow, a significant increase -- a significant
9 difference in the per unit area of flow -- per unit liner
10 flow in the wellbore into the shallow zone over the deep
11 zone?

12 A. Well, if we do that, that would be handled by the
13 maximum porosity, and radius would be closer to the
14 wellbore. If the maximum -- if we go to the minimum
15 porosity as shown on Figure 5A, it's 15 percent.

16 Q. Okay.

17 A. So I mean, the radius may change with you, the
18 permeability may be changing, depending on which 100 feet
19 we take, but in terms of porosity you'd have to take it to
20 a radial-flow model to handle the differential heads, as
21 well as possible differential permeabilities, before you
22 could make a determination whether the radius is closer to
23 the wellbore or farther away from the wellbore.

24 However, because we're taking minimum porosity,
25 it probably -- it will not exceed that minimum porosity.

1 So the radius of 306 feet is the effective maximum, whether
2 it goes in or out. You'd have to close off perfs to change
3 that minimum or maximum radius.

4 Q. Okay. What's in the rock when you start
5 injection? What's in the porosity, what's in the void?

6 A. Generally fluid, water. It's a fluid, whether
7 it's gas, water or oil.

8 Q. Okay, so -- and as you inject -- what was it, 2.5
9 million barrels of water to date?

10 A. No, that was to the change in the SW 1. To date,
11 the amount injected into the well is about 4.3 million
12 barrels.

13 Q. Okay. What does that injection do to the fluid
14 in the reservoir?

15 A. Well, if it's water, which is incompressible, it
16 simply displaces it. It does not mix with it.

17 Q. Okay. So a radius-of-pressure influence is going
18 to be significantly different than the radius of actual
19 volumetric influence; is that correct?

20 A. That's very possible, yes.

21 Q. Let me try to clarify something. You started out
22 your testimony saying that the SD Number 1 was May 16th,
23 2002, and that was probably a swab sample.

24 A. Correct.

25 Q. Okay. What was the total dissolved solids in

- 1 that sample?
- 2 A. May I check my report?
- 3 Q. You may, sir.
- 4 A. The SWD Number 1 was 27,300.
- 5 Q. And which zone was that out of?
- 6 A. That would be all 501 feet of perforations.
- 7 Q. Okay, so that is not the repeat formation tester
- 8 sample that we got out of the shallow zone?
- 9 A. No, that's a different well. That's the SDW
- 10 Number 4, is where the repeat formation tester was used.
- 11 Q. Okay, and that was used to isolate just the La
- 12 Ventana section, right?
- 13 A. May I check quickly?
- 14 Q. Please, because I'm really confused here.
- 15 A. Juniper SW- -- was sampled by RFT tool on
- 16 November 9th, 2005, before being cased. And that sample is
- 17 the SDW Number 4, and that is 9740 milligrams per liter.
- 18 Q. I'm truly confused. The SD Number 1 -- are we
- 19 talking -- With SD Number 4 are we talking a different
- 20 well, or just different sample?
- 21 A. They're different wells and different samples.
- 22 Q. Okay, so the SD Number 1 was sampled in May 16th,
- 23 2002 --
- 24 A. Uh-huh.
- 25 Q. -- and it came from the total 501 foot of

1 perforation, and it tested twenty-seven thousand- --

2 A. -- -three hundred --

3 Q. -- -three hundred p.p.m. TDS.

4 A. I have it as milligrams per liter, which is
5 p.p.m. equivalent.

6 Q. Okay. So SWD Number 4, where is that on our map?

7 A. It's about a mile away, as I believe Mike
8 testified to. Exhibit Number 1 map, SD Number 1 is shown
9 to be in the gray section, Number 16, and SD Number 4 is in
10 the southwest of 17.

11 Q. So it's approximately a mile away?

12 A. Approximately a mile. I have not calculated the
13 distance.

14 Q. And in Number 4 is where they used the repeat
15 formation tester?

16 A. Correct.

17 Q. And the TDS of the sample of the repeat formation
18 tester -- Do you have the exact depth on that?

19 A. Let me look. I may not, I'm sorry. We can
20 certainly get it for you.

21 I don't have a depth in the appendix. We can
22 certainly get it for you.

23 Q. Well, but for the record can you represent to us
24 that that's out of the La Ventana section?

25 A. That's the La Ventana section, as I understand

1 it.

2 Q. Do you have the results of the repeat formation
3 tester? Was there a free-flow on that?

4 A. That I don't know.

5 Q. And the results were 96- --

6 A. 9740.

7 Q. And total injection to date is -- into the SWD
8 Number 1 has been 4.35 million, right?

9 A. Yes, sir.

10 Q. And do you -- just to clarify, what was the date
11 that the packer was moved? Is that mid-2004?

12 A. The packer was installed in January of 2007.

13 Q. 2007.

14 A. It might be December, I don't know. I basically
15 cut it off saying that the --

16 Q. Probably where that crook is in --

17 A. Yeah, December, 2006, was the entire formation.

18 Q. So we're talking about 4 million barrels have
19 been injected when that upper zone was open, right?

20 A. No.

21 Q. No?

22 A. Four million were injected through the end of
23 2007. There's one year when it was not open.

24 Q. Okay, but looking at your curve, if we assume
25 that the change occurred where that break is, the

1 cumulative to date at that point had been about 4 million.

2 Am I reading it wrong?

3 A. At 2007, approximately 4 million, yes.

4 Q. Okay. So what are we arguing about?

5 A. That's your question, sir.

6 (Laughter)

7 Q. But when I ask you the cum'd production to the
8 point at which that packer was moved and I said it would be
9 about 4 million, you told me no.

10 A. Uh-huh, yes. But since the packer has been moved
11 we've had 350,000 barrels put in.

12 CHAIRMAN FESMIRE: Okay. Ms. Munds-Dry, I have
13 no further questions. Do you have a redirect of this
14 witness?

15 MS. MUNDS-DRY: I do not.

16 CHAIRMAN FESMIRE: Commissioner Olson?

17 COMMISSIONER OLSON: Could I follow up a
18 question?

19 CHAIRMAN FESMIRE: Surely.

20 EXAMINATION

21 BY COMMISSIONER OLSON:

22 Q. I guess when you were talking about your
23 calculations on porosity, you were using -- did I
24 understand that right, you were using total porosity versus
25 an effective porosity?

1 A. It is from the density log. Therefore, that
2 would be total porosity until you get some permeability
3 where -- permeability measurements may or may not show
4 total porosity is being used.

5 Q. Want to explain that again?

6 A. Well, if something -- it basically goes back to
7 grain size. If I have a bunch of softballs that have a
8 porosity of 40 percent, the permeability is quite large,
9 since the pore throat is so large. But if I use a bunch of
10 BBs, the pore throats are much, much smaller. It's the
11 same porosity, but the permeability is much less.

12 Q. I don't think that quite answered my question. I
13 was looking at the difference, though -- what you're
14 representing here seems to be total porosity versus
15 effective porosity, which is the interconnected porosity.
16 If you've got a volume of softballs, a series of that area
17 is going to be dead-end pores that you're not going to be
18 pushing fluid into, most likely.

19 A. Yeah, there's no calculation of effective
20 porosity. You'd have to go back and do the radial-flow
21 analysis on it, including permeability. Permeability
22 implies connectivity, which would give you the effective
23 porosity.

24 Q. Right, but I'm just trying to understand that if
25 you're -- your calculations here --

1 A. Uh-huh.

2 Q. -- are based on --

3 A. Total --

4 Q. -- total porosity, right?

5 A. Uh-huh.

6 Q. So if you used effective porosity you would have
7 a larger radius than you're representing here?

8 A. Depending on permeability. Well, volumetricwise,
9 if the effective porosity goes down, the radius will
10 change.

11 However, the minimum radius we have here is 15
12 percent. We'd have to be dropping it below 15 percent for
13 the entire zone to not -- to get below that maximum. In
14 other words, I have a total porosity from 15 to 23 1/2
15 percent. Yes, if for some reason all of this is not
16 interconnected, which the records don't -- you know, we
17 obviously seem to be getting water into it, therefore it
18 appears to be connected -- you'd have to be dropping
19 effective porosity down below 15 percent to really increase
20 that radius beyond 300 feet.

21 Q. Right, but you're saying here that your
22 variations in total porosity are from 15 to 23 percent?

23 A. 23 1/2, I believe. 23 1/2 percent.

24 Q. And not all -- in any formation that you're in,
25 all of the porosity is not interconnected. So if you're

1 representing this as even 15 percent on the low side of a
2 total porosity, your effective porosity, for which fluids
3 are going to flow through, is going to be less than that?

4 A. Yes, but let's say we start at 23 1/2 percent.
5 We have total porosity, it's reduced by 2 percent. You go
6 to the curve and it would be 21 percent, which would be
7 down about, you know, 290 acres. You would have to go all
8 the way to the minimum, the very minimum, of 15 percent,
9 then say all of it's 15-percent porosity. Then all of that
10 15 percent is then -- some of that's not connected, to get
11 below 15 percent.

12 Q. Well --

13 A. So the maximum-minimum radius range is still
14 between 15 and 23 1/2 percent.

15 Q. I guess maybe I'm just confused on what you're
16 representing here. Are you saying that the porosity of the
17 injection zone ranges from 15 to 23 percent, or are you
18 saying that this represents best-case to worst-case
19 scenarios?

20 A. Let me go back to the original report. The
21 density log was calculated porosities. We read the
22 porosities for every foot that had perforations. We then
23 took the upper zone, the La Ventana and Cliff House, had a
24 porosity of 20.5 percent. However, there were some zones
25 as high as 23 1/2 percent.

1 The medium or -- in this case, the Menefee zone
2 was 19.2 percent, the Point Lookout 17.1, but there was one
3 average zone as low as 15 1/2 percent. I just took the 15.
4 Now, therefore I have a max and a min for the entire 501
5 feet of thickness.

6 If we reduce -- if you say some is not -- excuse
7 me, total porosity, some is effective porosity, well, if we
8 reduce 23 1/2 by, say, 3 percent, okay, it's 20 percent.
9 So you can still go to the curve, we are still within the
10 radius range we've calculated.

11 We'd have to go down to the lowest porosity for
12 501 feet, then say all of that is down below even 15
13 percent, to say where our effective porosity -- you know,
14 where our radiuses would be. I think that's highly
15 unlikely.

16 Q. I'm just trying to understand what you're
17 representing. So even at 15-percent porosity, that is
18 still the total porosity versus effective porosity?

19 A. It's the minimum total porosity for the entire
20 zone.

21 COMMISSIONER OLSON: Minimum total porosity,
22 okay. Thank you.

23 CHAIRMAN FESMIRE: May I ask one more question?

24 MS. MUNDS-DRY: But of course you may.

25 CHAIRMAN FESMIRE: It'll probably lead to a

1 couple others.

2 FURTHER EXAMINATION

3 BY CHAIRMAN FESMIRE:

4 Q. Have you done any waterflood work?

5 A. Generally. I would call it more -- we call it
6 inverse dewatering. We do a great deal of dewatering in
7 water -- hydrogeology. True waterfloods, I've been
8 involved in one or two.

9 Q. In oilfield waterfloods?

10 A. Oilfield waterfloods, yes, Uintah Basin.

11 Q. What kind of sweep efficiencies would you
12 generate in a typical waterflood?

13 A. Depends on the permeability.

14 Q. That's true. Say in the permeability of the La
15 Ventana?

16 A. La Ventana is going to be pretty high.

17 Q. What is pretty high?

18 A. I'm converting units in my head, I'm sorry, I --

19 Q. Let's use a percent then.

20 A. If we have reservoir engineering and we have
21 hydrogeology, and -- they're the same science but different
22 terms. And if we go into permeabilities and darcies,
23 you're -- where almost all of oil and gas is in
24 millidarcies, where the La Ventana we are getting into
25 darcy-type permeabilities, your efficiencies are going --

1 your waterflood efficiencies are going to be very, very
2 high.

3 Q. So you have a feeling for the permeability in the
4 La Ventana?

5 A. From all indications from the literature, it is a
6 permeable zone.

7 Q. Okay, what about the lower zone?

8 A. The lower zone generally is lower permeability,
9 but --

10 Q. Orders of magnitude lower permeability, isn't it?

11 A. -- but it has the highest head on it.

12 Q. That's true. Now let's go back to the waterflood
13 example. What kind of waterflood efficiencies are we
14 talking about?

15 A. You're probably getting into the 60-, 70-percent
16 range.

17 Q. Okay. And what is that the result of? Why do
18 you not have 100-percent efficiency like you've modeled in
19 your --

20 A. Oh, why you do not?

21 Q. Yeah.

22 A. Because there is some porosity that is not
23 effective. You know, total versus effective porosity,
24 definitely.

25 Q. And that's for an extremely permeable zone?

1 A. Yes.

2 Q. And it would decrease from there; is that
3 correct?

4 A. It should, yes.

5 CHAIRMAN FESMIRE: No further questions. Any
6 redirect?

7 MS. MUNDS-DRY: I do not.

8 CHAIRMAN FESMIRE: Thank you, Mr. Oldaker.

9 MS. MUNDS-DRY: I tried.

10 (Laughter)

11 CHAIRMAN FESMIRE: Do you want to break for
12 lunch, or do you want to keep going?

13 COMMISSIONER BAILEY: I have to eat.

14 (Laughter)

15 CHAIRMAN FESMIRE: The record contains the reason
16 for the --

17 MS. ALTOMARE: We don't want cranky
18 Commissioners.

19 CHAIRMAN FESMIRE: Is an hour enough?

20 COMMISSIONER BAILEY: More than enough. Forty-
21 five minutes is fine with me.

22 MS. ALTOMARE: Did you say seven minutes?

23 CHAIRMAN FESMIRE: She said 45.

24 Would you all be able to come back in 45 minutes?

25 MS. ALTOMARE: Sure.

1 COMMISSIONER OLSON: Cheryl objects.

2 CHAIRMAN FESMIRE: Oh, we've got an objection
3 from the attorney. How appropriate.

4 Why don't we go ahead and take an hour for lunch
5 and reconvene at 1:15 in this room?

6 Thank you all.

7 (Thereupon, noon recess was taken at 12:13 p.m.)

8 (The following proceedings had at 1:23 p.m.)

9 CHAIRMAN FESMIRE: Okay, let's go back on the
10 record.

11 The record should reflect that it's 1:15 p.m. on
12 Thursday, March 13th, 2008. This is a continuation of Case
13 Number 13,812.

14 The record should also reflect that all three
15 Commissioners are present. We therefore have a quorum.

16 And I believe, Ms. Munds-Dry, you had one more
17 witness to present?

18 MS. MUNDS-DRY: I do, I promise, one more
19 witness.

20 CHAIRMAN FESMIRE: And that is -- ?

21 MS. MUNDS-DRY: Brian Wood.

22 CHAIRMAN FESMIRE: Mr. Wood, do you remember that
23 you've been previously sworn in this case?

24 MR. WOOD: Yes, sir.

25 CHAIRMAN FESMIRE: Please proceed, ma'am.

1 MS. MUNDS-DRY: Thank you.

2 BRIAN WOOD,

3 the witness herein, after having been first duly sworn upon
4 his oath, was examined and testified as follows:

5 DIRECT EXAMINATION

6 BY MS. MUNDS-DRY:

7 Q. Would you please state your full name for the
8 record?

9 A. Kenneth Brian Wood.

10 Q. And where do you reside?

11 A. Santa Fe.

12 Q. And by whom are you employed?

13 A. Permits West, Incorporated.

14 Q. And what is your relationship with Coleman?

15 A. I've worked as a consultant for them for 10
16 years.

17 Q. And have you previously testified before the Oil
18 Conservation Division and were your credentials made a
19 matter of record -- accepted and made a matter of record?

20 A. Yes.

21 Q. And could you summarize your education and work
22 experience?

23 A. I have a bachelor's from the University of
24 Virginia, a master's from the University of Wyoming. I
25 founded Permits West in 1984. We've permitted projects in

1 11 different states on 15 different indian reservations.
2 We've also worked for indian tribes and indian businesses.
3 We've worked on the Navajo reservation since 1984 also.
4 Currently I have several dozen different projects underway
5 on the Navajo reservation.

6 Q. And are you familiar with the Application that's
7 been filed in this case?

8 A. Yes.

9 Q. And what did Coleman ask you to do?

10 A. They asked me to basically shepherd their
11 applications through the tribal-BIA-BLM process, processes.

12 Q. And what is your involvement with respect to the
13 Juniper SWD Number 1 well?

14 A. On the Juniper SWD Number 1 well, my involvement
15 to date has been permitting the electric line that was run
16 into that well several years ago.

17 MS. MUNDS-DRY: We would tender Mr. Wood as an
18 expert in permitting.

19 CHAIRMAN FESMIRE: Any objection?

20 MS. ALTOMARE: No objection.

21 CHAIRMAN FESMIRE: Mr. Wood will be so accepted.

22 Q. (By Ms. Munds-Dry) Mr. Wood, Commissioner Bailey
23 had discussed the issue of whether the well was commercial
24 for the Juniper SWD Well Number 1. Can you tell me the
25 nature of the ownership of the surface for that well?

1 A. The Juniper Number 1 surface is currently BLM
2 surface. It's state minerals. There was a land exchange
3 at some point in the past.

4 Q. And who owns the surface where the Monument Well
5 Number 1 is located?

6 A. Monument Well Number 1 surface is Navajo nation,
7 it's tribal trust land, and the minerals are BLM.

8 Q. Let's march through the approval processes there
9 to give the Commissioners an idea of how long and -- what
10 you've been asked to do and how long it will take to get
11 you there.

12 A. One of the exhibits will go into excruciating
13 detail. But to just kind of summarize, we'll be dealing
14 with five different agencies, Oil Conservation Division
15 being one, the Navajo nation, Bureau of Indian Affairs, the
16 US EPA -- and the reason the US EPA is involved is, if --
17 even if it's just indian surface, they've got jurisdiction
18 as they see it -- and then the BLM.

19 And those are the -- you know, like I say, the
20 five major agencies we deal with. Each of those agencies,
21 of course, have, you know, their own bureaus and branches.
22 Those offices are scattered across five different cities:
23 Gallup, New Mexico; Window Rock, Arizona; Farmington;
24 Aztec; and San Francisco, California. So we've got, you
25 know, five agencies, five cities, three states.

1 Q. Okay, let's turn to what's been marked as Exhibit
2 Number 18, and review this for the Commissioners.

3 A. This 11-page exhibit, the origin of it was, in
4 1995 I was working for Mobil Oil as a consultant. Their
5 management was quite concerned about how long it was taking
6 to get approval for their projects up in the Aneth field,
7 which is tribal minerals and tribal surface. I spent a day
8 with their regulatory affairs manager, and we basically
9 filled up two walls trying to diagram all the individual
10 steps involved in getting approval to drill an oil well on
11 the Navajo nation.

12 You'll notice that this was designed for oil
13 wells. It basically applies to any surface disturbance on
14 tribal land, on Navajo tribal land.

15 A couple points I'd like to make is that this,
16 like I say, it was -- you know, it was created in-house in
17 1995.

18 In 1996, because of a lot of operator complaints
19 about how long it was taking the BLM to approve APDs, Mobil
20 elected to share this with a government-industry task
21 force. That's how it came to be a matter of public record.

22 At that time, the BLM's records indicated that it
23 was taking 13 months to have an APD approved. That
24 somewhat understates the actual time frame, simply because
25 BLM was tracking it from the date at which they received an

1 APD. There's several months of preparation involved before
2 you even get to that point.

3 Another way that this somewhat understates the
4 number of steps is, if you'll turn to page 9, what is shown
5 as signature approval sheet process, you can see there's
6 individual boxes. And what these individual boxes
7 represent are tribal offices.

8 However, it's not as simple as it seems. One
9 example is, for instance, when your package comes to each
10 office -- and it goes consecutively, not concurrently --
11 when it goes to each office, there's basically four steps
12 at each office. A secretary will log it in, then they'll
13 give it to a staff member to review, the staff member will
14 then give it to his manager to approve, and then the
15 manager gives it back to a secretary to move on to the next
16 office.

17 Unfortunately, the way they're staffed, if
18 anybody is sick, you know, it just sits there. There's
19 really no backup, by and large.

20 One other thing that's omitted from this flow
21 diagram again, this was, you know, written to reflect what
22 you have to get it through for an oil well. It does not
23 include the fact that with the Monument Number 1, this
24 being tribal surface, that we're also going to have to deal
25 with the US EPA.

1 Q. Okay, so let's walk through the steps, then, of
2 the different agencies that you'll have to get approval
3 for, and give us some idea of timing for each of those
4 steps.

5 A. The overall time frame is when a client comes up
6 with a project and asks how long will it take, I always say
7 at least one year. I never give them a final date, simply
8 because there's just too many unpredictable actions. We
9 have encountered, over the years I've worked on the Navajo
10 nation, instances of -- there's been a fuel leak where an
11 office was closed for several months with all the files
12 still trapped inside the office. There's been, you know,
13 funding delays where again the Fish and Wildlife Department
14 has basically -- sabbatical for two months. There's just
15 so many unpredictable factors out there that -- like I say,
16 I can give you a minimum, I can't give you a maximum. But
17 I would say, you know, allow at least one year for your
18 standard oil and gas well. With this being a water
19 disposal well, even though it is an existing wellbore, you
20 know, it will be more than a year.

21 Q. And how long to get through the tribal -- to get
22 tribal approval, do you estimate?

23 A. I would say once they receive the application
24 package -- and the application package is going to consist
25 of basically four documents: You've got your archaeology

1 report, you've got your environmental assessment, you've
2 got your actual application, which in this case would be
3 your application for permit to drill, and then also since
4 this is a water disposal well, we will file -- the tribe
5 has their own UIC division, so we'd be filing their
6 application, put it in the package, it would be one
7 physical package.

8 And then the fourth document, the fourth part of
9 the package, is what they call field clearance. And the
10 field clearance is the consent of the grazing permittees.
11 This can take quite a bit of time in itself, not because
12 there's that many people involved, but once we have a
13 project surveyed we send a request to the Navajo Tribe in
14 Window Rock requesting field clearance. They have one lady
15 that's responsible for 80 percent of the reservation.

16 She then goes down to the local chapter house,
17 talks to the local grazing official, who hopefully is
18 there, find out who's got the grazing rights. And these
19 are not always something that's just lined out on a map;
20 lots of times it's just in the guy's head, and you hope the
21 guy is there, and you hope there's no dispute.

22 She then has to go out, find the family or
23 families, as the case may be, get their consent and go back
24 to Window Rock. And like I say, again, not a lot of people
25 involved in this step, but it's a really critical step,

1 because if you can't get the consent of the grazing
2 permittees, the tribe is really, really reluctant to move
3 forward on a project.

4 Now we're not anticipating a problem getting the
5 grazing consent for this project. Coleman already has a
6 gas well in the same quarter section. But nevertheless,
7 there's two unoccupied houses there, you know, it looks as
8 if it's been several years since they've been lived in. My
9 suspicion is, the family uses it, you know, kind of as a
10 summer camp to tend their livestock. But we're 600 feet,
11 you know, from these two unoccupied houses.

12 Q. Once you get approval from the tribe, then where
13 do you go?

14 A. Then it goes on to the BIA. They're basically
15 making sure everything flanges up. They're very
16 protective, very zealous in their exercise of their trust
17 responsibility. You can have a typographical error that
18 may be nothing more than 1/10 of one foot, and it will kick
19 that back, even if the typographical error came from the
20 tribe versus the applicant. They're also going to be the
21 party responsible for issuing the FONSI. The FONSI is the
22 document that approves the environmental assessment.
23 You're looking at several months there.

24 Once it goes from the BIA to the BLM, usually
25 that's a very quick process. I would say on average, two-

1 week turnaround. But like I say, you've got in essence
2 months and months and months before it gets to the BLM.

3 In this case, again, since it's indian surface,
4 we'll be filing an application simultaneously with the US
5 EPA. The last project that we did with US EPA for a water
6 disposal well on Navajo tribal surface, we turned the
7 application, it was two months before we got any feedback,
8 and they do have a representative in Farmington, but he in
9 turn confers with the people in San Francisco. So we got
10 their feedback after two months, responded. It was five
11 months after they got, you know, all the data they needed
12 before the US EPA, you know, issued their approval.

13 Q. Let's turn to Exhibit Number 19. What is this
14 document?

15 A. Last fall -- Things have not changed much over
16 the, you know, intervening decades since this came out.
17 The BLM checked their records, and the average approval
18 time for an APD had gone from 13 months to, according to
19 the BLM records, 351 days. And in essence, they tried to
20 summarize in two pages, you know, what was in 11 pages.

21 Q. And what does that 351 days take into account?

22 A. Again, that's when the BLM first sees the APD and
23 the environmental assessment. But before they can see the
24 environmental assessment, for instance, what we need to do
25 is request a threatened, endangered species database search

1 from the tribal fish and wildlife department. Once we get
2 that database search, we then go out and do the threatened,
3 endangered species field work, write up the report, write
4 the environmental assessment.

5 And once we write the environmental assessment,
6 we send the EA back to the tribal fish and wildlife
7 department where they review it, approve -- or issue an
8 approval document that we put into the EA -- Oh, and one
9 other document we need to have in the EA before we turn it
10 in to the BLM is, the archaeology report has to be not only
11 written, the archaeology report has to be approved by the
12 tribe.

13 So in essence we've got to have two preliminary
14 approval documents in the EA before we turn the EA in to
15 the BLM.

16 Q. Okay, taking all of that into account, then,
17 overall for this project, how long do you think it will
18 take to get all the approvals to get Coleman onto that
19 property to begin the re-entry?

20 A. I would say 15 months minimum, perhaps 18. And
21 again, that's if nothing goes wrong.

22 Q. Okay. Oh, there was a question earlier about
23 pipeline permitting. Are you assisting with that as well?

24 A. Yes, just to bring you up to date on, you know,
25 what's happened so far, we staked -- even the wellbores

1 there, we still went ahead and staked it so that we could
2 have accurate latitude and longitude and have a new C-102
3 form. But in essence, the surveyor went out in the field
4 on January 15th, he, you know, measured where the wellbore
5 was, laid out a well site, staked a pipeline and access
6 route. That was January 15th.

7 On January 26th of this year we filed a notice of
8 staking. This was just a notice to the BLM and to the
9 tribe -- or to the BIA, rather, that, you know, we're
10 surveying, we're planning a well.

11 On January 30th I faxed a memo to the BLM
12 requesting what they call a category determination.
13 Category determination is their language for just saying,
14 this is how much we're going to charge you for a right-of-
15 way fee. In this instance, the water pipeline that will go
16 from the Juniper SWD Number 1 to the Monument Number 1,
17 part of that pipeline route is on BLM surface, it will
18 require BLM right-of-way. That was January 30th.

19 And then on January -- excuse me, on February
20 12th, we actually filed our right-of-way application with
21 the BLM for the BLM portion of the project.

22 Q. How long do you expect it to take to receive
23 feedback whether it's -- approval or not from the BLM?

24 A. On the right-of-way?

25 Q. On the right-of-way.

1 A. I would say they're running three to six months
2 right now. Again, they've got a lady that's retiring in
3 April, they've just got a new manager, they just seem to be
4 somewhat understaffed for their realty workload. You know,
5 I do expect that the water pipeline will be approved far
6 before, you know, everything else is approved.

7 Q. Were Exhibits 18 and 19 either prepared by you or
8 compiled under your direct supervision?

9 A. Yes, compiled under my supervision.

10 MS. MUNDS-DRY: We would move the admission of
11 Exhibits 18 and 19 into evidence.

12 CHAIRMAN FESMIRE: Any objection?

13 MS. ALTOMARE: No objection.

14 CHAIRMAN FESMIRE: Exhibits 18 and 19 will be
15 admitted to the record.

16 MS. MUNDS-DRY: And I pass the witness.

17 CHAIRMAN FESMIRE: Ms. Altomare?

18 CROSS-EXAMINATION

19 BY MS. ALTOMARE:

20 Q. Mr. Wood, you said you've been consulting for a
21 number of years with Coleman, right?

22 A. Yes, 10 years with Coleman, since 1984 overall.

23 Q. Okay. And have you done a number of disposal
24 wells during that time?

25 A. Yes.

1 Q. Okay. What is the longest amount of time that
2 you had seen one of these permit processes take?

3 A. I had one applicant up in Utah that never did get
4 approval. That's been probably 10-plus years. It was
5 federal lease where, you know, they had every legal right
6 to, you know, drill their oil wells, and because of some
7 political issues, social issues within the Navajo nation,
8 it was never approved.

9 Q. Okay. What about where it was ultimately
10 approved but it was just, for whatever reason, delays --
11 the process took longer than --

12 A. Yeah, I would say there's probably been a number
13 where it's been two years.

14 Q. Okay. So would it be fair to say that kind of
15 the upper end of the range that we could expect, if this is
16 -- if this is an application process that is ultimately
17 going to get approved and it's just a matter of jumping
18 through hoops and seeing how long it takes, the upper end
19 of that range would be about two years?

20 A. Yeah, two, I think so. Two to three, yeah.

21 Q. Okay --

22 A. Uh-huh.

23 Q. -- with the lower end being about 16 months in
24 the case of a disposal well?

25 A. Yes.

1 Q. Okay. And as far as where you all are in the
2 process now with the APD preparation for the well, not the
3 pipeline but the well, you've begun preparation of the APD
4 application; is that right?

5 A. Correct.

6 Q. Okay. And what about the environmental
7 assessment and the archaeological survey?

8 A. We've ordered up all of those, we have the
9 threatened/endangered species database search results back,
10 although these are very general. I mean, in essence, they
11 look at the topo map and say, you know, either this has
12 been found or could be found out here. It's -- honestly,
13 it's not a whole lot of help.

14 Q. Okay.

15 A. But, you know, the -- probably the next critical
16 step in the process is conducting the onsite inspection
17 with the BIA and the tribe. The BIA lady that is
18 responsible for that, she's a manager. The guy that had
19 been responsible retired last fall, so in essence she's
20 having to do double duty. She has said, you know, in
21 essence, I'll see you in April.

22 Q. Okay. What would be the date that you would
23 expect to be in a position where you are ready to submit
24 the APD application for permit to drill for the Monument
25 Number 1 well?

1 A. If we look at the entire application package --
2 which is what I think we really need to do, because that's
3 what we will need to get through the process -- I would say
4 June 1st.

5 Q. Okay, so that would be our starting point for
6 calculating this 16-month to two-to-three-year --

7 A. Correct.

8 Q. -- range, if that's what we're looking at?

9 A. Correct.

10 Q. Do you foresee anything happening between now and
11 June 1st that could interfere with that June 1st starting
12 date?

13 A. I do not.

14 Q. Okay. And I think you already testified that the
15 pipeline process is already well underway and is expected
16 to be approved well before --

17 A. Correct.

18 Q. Okay, and construction on that will ensue as soon
19 as that's approved?

20 A. No, I'm sure Coleman will wait till the whole
21 project is approved, because in essence half the pipeline
22 is on BLM and half is on Navajo tribe, and it would be, you
23 know, more cost-effective to just bring the pipeline
24 company out for one trip.

25 Q. But in any event, it will be ready by the time

1 the well is --

2 A. Yes --

3 Q. -- completed?

4 A. -- without a doubt --

5 Q. Okay.

6 A. -- without a doubt.

7 MS. ALTOMARE: All right. I think that that's
8 all I wanted to clarify. I think I'll pass the witness.

9 CHAIRMAN FESMIRE: Commissioner Bailey?

10 EXAMINATION

11 BY COMMISSIONER BAILEY:

12 Q. What additional costs does Coleman entail by
13 conducting operations on indian surface, over and above
14 what it would cost on BLM surface?

15 A. Boy, I would say at least \$5000. For instance,
16 if you're drilling on BLM surface, generally the BLM will
17 write the environmental assessment in house, do all the
18 threatened/endangered species work.

19 The tribe is also going to charge a \$500
20 application fee. They also have a policy that would apply
21 to this particular well. Their policy is that if any lease
22 has been issued after 1990 they charge what they call
23 consideration. It's basically an annual rent that
24 currently is roughly \$13,800 per acre, per year.

25 Q. So \$5000 is a very low, low figure.

1 A. Oh, yes.

2 Q. I'd like to know -- \$5000 for the additional
3 environmental assessment, but you also have the additional
4 T&E surveys and arch surveys and consultant surveys and all
5 of that. I mean, I'm looking for a total --

6 A. Well -- okay. Yeah, well, the \$5000 would
7 encompass, you know, the EA, the T&E work, that type of
8 stuff. The archaeology work, you know, the company would
9 have to pay for that, whether it's BLM surface or Navajo
10 surface.

11 Q. Uh-huh.

12 A. So that's, you know, a wash there. Like I say,
13 the really big cost factor is this annual rent, like I say,
14 and I -- \$14,000 per acre, per year, payable in advance.

15 Q. Okay. So for a saltwater disposal fee which
16 covers, what, 2 1/2 to 3 acres of surface, it's three times
17 \$13,800, plus the \$5000 --

18 A. Right.

19 Q. -- and what do we come up with for that? About
20 \$46,000.

21 A. Yes, I -- you know, commonly we're taking
22 clients' checks into the tribe for that amount and more.

23 Q. And that's a bare minimum fee. Plus we're
24 talking about the loss of production --

25 A. Yes.

1 Q. -- for three years or more?

2 A. Right, one of which is, you know, a state
3 section. In other words, you know, where the Juniper well
4 is, there's also gas wells producing from state leases
5 there.

6 Q. And to a gas operator, gas is going \$10 per MCF
7 right now?

8 A. Yes.

9 Q. So over three years, it seems to me that a better
10 business decision would be not to use indian surface for
11 saltwater disposal alternatives, other than Juniper Number
12 1?

13 A. I don't make the business decisions. I mean --

14 Q. I understand, that's not your role.

15 A. Uh-huh.

16 Q. The maps that were provided to us don't show any
17 other wellbores that may be available throughout the
18 prospects. So we're not getting the information that this
19 is the only wellbore that's available for re-entry and
20 conversion to a saltwater disposal well.

21 My question is, why doesn't Coleman go to BLM
22 surface, when BLM surface is just to the north --

23 A. You know, I believe --

24 Q. -- in very close proximity?

25 A. Yeah. Well, I believe the decision or the

1 rationale is that, okay, we're going to have -- Coleman
2 will have to do something in the Monument 1 wellbore.
3 Okay, so they've got that cost as a given. But they're
4 going to go ahead and re-enter the Monument Number 1
5 wellbore, you know, let's go ahead and just drill out the
6 extra, what, 1000, perhaps 2000 feet, down to the Entrada.

7 And I mean, you know, trying to minimize the
8 surface impact out there. In other words, yes, there's
9 lots of BLM surface out there where they could go, you
10 know, build a new wellpad, put in new pipelines, et cetera.

11 But here the pipeline that they're planning on
12 laying -- basically, they will have to cross about 656 feet
13 of virgin ground with the road and combined pipeline
14 corridor. And once they get to the wellpad -- you know,
15 it's a reclaimed wellpad, so -- and BLM is certainly making
16 a push to, you know, minimize, you know, the disturbance of
17 new ground.

18 Q. But we don't have the information from Coleman to
19 tell us if there are any other wellbores on BLM property in
20 proximity. I mean, my question is always going to be, why
21 choose that wellbore when we don't have the geology for the
22 Entrada to indicate that that's even the best location for
23 another injection well?

24 Another question -- No, that's all I have.
25 That's my point.

1 CHAIRMAN FESMIRE: Commissioner Olson?

2 COMMISSIONER OLSON: I don't have any questions.

3 EXAMINATION

4 BY CHAIRMAN FESMIRE:

5 Q. Mr. Wood, I just want to reiterate something that
6 after I wrote the questions down I think you answered, but
7 I wanted to make sure.

8 What is being proposed here is that Coleman be
9 allowed to move back up and inject into the upper zone in
10 the Juniper SWD Number 1 during the period of time it takes
11 them to get the approvals for the Monument Number 1 well,
12 right?

13 A. (Shakes head)

14 Q. No?

15 A. No. Okay, I guess I'm -- why is it relevant, the
16 time that it will take to get the permit on the Monument
17 Number 1?

18 A. My understanding, and correct me if I'm wrong, my
19 understanding is that, you know, the packer will stay, you
20 know, in the Juniper SWD Number 1 where it's at, isolating
21 those higher zones. Disposal will continue in the lower
22 zones. And as I understand it, you know, what Coleman is
23 seeking is, you know, to continue that practice, you know,
24 until they can get into the Monument Number 1 and do the
25 squeeze job -- I'm not sure if that's exactly what you're

1 planning, but in essence, protect those upper zones. And
2 then as soon as that happens, continue down the wellbore
3 and drill out the plugs, go deeper and into the Entrada.

4 Q. Okay. Now has the OCD in their order put a limit
5 on the amount of time that they can use the -- Am I asking
6 the wrong person?

7 A. You're asking the wrong person.

8 MS. ALTOMARE: Yeah. Mr. Chairman, if I could --
9 maybe I could clarify a little bit for the Commission.

10 The underlying order actually ordered them to do
11 a couple of different things specifically in order to keep
12 using the Juniper well, one of which was to set the packer
13 to isolate off the protectable water. The other was to go
14 ahead and re-enter the Monument well and protect off that
15 particular zone in that well as well, because of the
16 proximity.

17 Coleman looked at that and said, Okay, if we're
18 going to have to go through the APD process on the native
19 surface anyway in order to get into that well to re-enter
20 it and plug it, we might as well make lemonade out of
21 lemons and try and make the best of out of it.

22 The order specifically said they were not -- that
23 they had to complete column A and column B in order to
24 continue injecting. Their request is that, given the time
25 period that we now know it's going to take them to do all

1 of this, that we allow them to continue injecting in the
2 Juniper, even though they haven't completed all the tasks
3 that we've asked them to do or that the underlying order
4 has ordered them to do, given that we now know that they
5 are -- that they have it in the works and -- as long as
6 they meet certain requirements and certain conditions.

7 So that's where we are now. They're not planning
8 on making any other changes to the Juniper well other than
9 possibly asking for an increase in pressure, so that -- am
10 I --

11 CHAIRMAN FESMIRE: Ms. Munds-Dry, is that --

12 MS. MUNDS-DRY: Mr. Chairman, if I could just --
13 I think she's summarized it, but I'd just add that whether
14 or not -- whatever -- regardless of our plans on the
15 Monument Well Number 1, we would still have to get
16 permission to enter the surface, because it's tribal
17 surface.

18 So going back to Commissioner Bailey's question,
19 some of those costs would happen and would incur regardless
20 of what we did, whether we accepted the Division order or
21 continued to try to convert to an SWD well.

22 Now from a business decision you can still argue
23 about the numbers, but regardless of what our plans are
24 with the Monument Well Number 1, there are surface access
25 issue and, you know, other issues that we'd have to address

1 before we can even get to the Monument Well Number 1.

2 So there's still a delay regardless of what we
3 do, and that's why we want to make sure that we still have
4 that authority to inject in the Juniper SWD Well Number 1.

5 CHAIRMAN FESMIRE: Even though the conditions to
6 the initial order have not been met -- will not be met,
7 apparently, for two years or more. Is that the argument?

8 MS. MUNDS-DRY: Correct. And only with respect
9 to the Monument Well Number 1. We've complied with all the
10 requirements in the Division Order in terms of the Juniper
11 SWD Well Number 1.

12 CHAIRMAN FESMIRE: Okay.

13 THE WITNESS: And if I could just, you know, kind
14 of tie it all together, you know, we would still have to go
15 through the same, you know, tribal process, BIA process,
16 BLM process, if all we were going to do is go in, you know,
17 to the Monument 1 and just, you know, squeeze off those
18 upper Mesaverde zones. The only difference is, we would
19 not have to go through the US EPA, and we'd only have to in
20 essence pay one year's rent versus 20 years' rent.

21 CHAIRMAN FESMIRE: Okay. And where does the
22 Monument Number 2 come into the plans?

23 MS. MUNDS-DRY: There was really no issue with
24 the Monument Well Number 2, and I'm sure the Division can
25 speak to that, but they really wanted just more information

1 on where the DV tool was set, and that's what we've been
2 trying to comply with, and that's why Mr. Hanson discussed
3 that, is, we tried to look wherever we can think to look to
4 try to determine where that is, and we've given the
5 Division all the information we can try to find, including,
6 obviously, looking at Division records to try to make that
7 determination.

8 But I don't think there's any other issue with
9 regard --

10 MS. ALTOMARE: (Shakes head)

11 MS. MUNDS-DRY: -- to the Monument Well Number 2.

12 CHAIRMAN FESMIRE: Okay. Mr. Wood, thank you
13 very much, that --

14 COMMISSIONER OLSON: May I try to clarify some
15 stuff for myself?

16 CHAIRMAN FESMIRE: Sure.

17 COMMISSIONER OLSON: So is then -- technically,
18 are they not allowed to inject because they haven't
19 completed the actions on the Monument Number 1?

20 MS. ALTOMARE: Technically that's correct,
21 however they did come to us and said, you know, we've gone
22 and we've done the Juniper work, this is what's going on,
23 we can't get to the Monument well because of this process,
24 however we have an alternative solution.

25 Asked us to consult with our technical people to

1 see if there were environmental issues that were of
2 concern. There were -- didn't seem to be imminent
3 environmental issues. We looked at the monitoring that was
4 involved, and this was the solution that we came up with so
5 that we could continue to be in communication with them, to
6 make sure that there was continued environmental
7 protections in place and still allow them to do business.

8 COMMISSIONER OLSON: Okay, I have no further
9 questions.

10 Ms. Munds-Dry, do you have any redirect of this
11 witness?

12 MS. MUNDS-DRY: I have no -- anything further for
13 Mr. Wood.

14 CHAIRMAN FESMIRE: Okay. Mr. Wood, thank you
15 very much.

16 MR. WOOD: Thank you.

17 CHAIRMAN FESMIRE: Ms. Munds-Dry, do you have a
18 close?

19 MS. MUNDS-DRY: Do you want me to do that now?
20 Are you calling --

21 MS. ALTOMARE: Do I get to do my own case?

22 CHAIRMAN FESMIRE: You do, I'm --

23 (Laughter)

24 CHAIRMAN FESMIRE: I'm getting ahead of myself.

25 MS. ALTOMARE: I'll do whatever you want me to.

1 CHAIRMAN FESMIRE: I'll tell you what, since I
2 slipped I'll give you the choice. I'm assuming you'll wait
3 until after --

4 MS. MUNDS-DRY: I would like to wait.

5 (Laughter)

6 CHAIRMAN FESMIRE: Boy, I'm batting a thousand
7 today.

8 Ms. Altomare, do you have a case to present,
9 starting with an opening?

10 MS. ALTOMARE: I do, and essentially I did some
11 of my opening in just summarizing that.

12 I essentially did want to clarify a little bit,
13 just that we do commend Coleman in essentially trying to
14 make lemonade out of lemons. I think we all wish that the
15 solution had come to light a little bit earlier, because we
16 could have had this done a little bit sooner and gotten the
17 process started. However, it is nice to see that we are
18 moving forward on something in the means that is going to
19 be useful and protecting the environment.

20 We have no objection to the proposal, as long as
21 at every step the monitoring is continued, that, you know,
22 of course once the Entrada is breached, it is tested to
23 make sure that there are not protectable waters there, that
24 the APD process is followed through as it has been laid out
25 here, that the APD process with our Division is followed

1 through with as it has been laid out, and Coleman has been
2 very cooperative in providing extra documentation.

3 As to the Monument Number 2, our only concern was
4 that we were somehow missing records that they might have
5 access to because there seemed to be an absolute absence of
6 records as to what exactly happened at that well, because
7 nobody seemed to know. And we just wanted to make sure
8 that we had all the information that we could possibly have
9 in the records as to what exactly happened at that site.

10 After having consulted with the Hearing Examiner
11 who heard the underlying matter and reading through the
12 documentation that was submitted and consulting with our
13 technical people, we are also comfortable that that
14 particular wellbore is adequately protected.

15 That being said, our only purpose today is
16 basically to make sure that the Commission doesn't have any
17 concerns in the proposal and to establish a time frame and
18 what's going to happen during that time frame to make sure
19 that the environmental issues are addressed and that
20 continued monitoring of the juniper well is maintained, and
21 -- during the continued injection, while the Monument well
22 is re-entered and converted.

23 And with that, I'd like to call my first -- my
24 only witness, Will Jones.

25 CHAIRMAN FESMIRE: Mr. Jones, have you been

1 previously sworn in this case?

2 MR. JONES: Yes, sir, I have.

3 CHAIRMAN FESMIRE: Would you please take the
4 stand?

5 May the record reflect that tomorrow is Mr.
6 Jones's birthday. I promised him that we would put that on
7 the record and tell him happy birthday on the record.

8 MS. ALTOMARE: Didn't you also say you were going
9 to sing?

10 CHAIRMAN FESMIRE: I did not.

11 WILLIAM V. JONES,
12 the witness herein, after having been first duly sworn upon
13 his oath, was examined and testified as follows:

14 DIRECT EXAMINATION

15 BY MS. ALTOMARE:

16 Q. Would you state your name for the record, please?

17 A. William V. Jones.

18 Q. Okay, and where are you employed?

19 A. The State of New Mexico, Oil Conservation
20 Division.

21 Q. And what is your title?

22 A. I'm an engineer for the -- in the engineering
23 bureau.

24 Q. Okay, and you're also a Hearing Examiner,
25 correct?

1 A. On occasion.

2 Q. Okay. Are you familiar with the Oil Conservation
3 Division's administration of the underground injection
4 control program?

5 A. Reasonably familiar with this, yes.

6 Q. Okay, what was your role with the underground
7 injection control program?

8 A. I was the director of the state UIC program for a
9 couple of years.

10 Q. Okay. And you have a degree in civil engineering
11 as well as one in geological engineering; is that right?

12 A. Yes.

13 Q. Okay, and you are a licensed petroleum engineer?

14 A. Yes.

15 Q. Have you previously testified before the Division
16 and the Commission before?

17 A. Both of them, yes.

18 Q. Okay, and have you been accepted as an expert in
19 petroleum engineering?

20 A. Yes.

21 MS. ALTOMARE: At this time I would move that Mr.
22 Jones be accepted as an expert in the area of petroleum
23 engineering.

24 MS. MUNDS-DRY: No objection.

25 CHAIRMAN FESMIRE: Having seen no objection, Mr.

1 Jones's credentials will be so accepted.

2 THE WITNESS: Thank you, Mr. Chairman.

3 Q. (By Ms. Altomare) Okay. Mr. Jones, are you
4 familiar with the wells that we've been discussing today
5 and the case that is at issue today?

6 A. Yes, I am.

7 Q. Okay, and were you here and present for the
8 testimony that was previously today --

9 A. Yes.

10 Q. -- on this matter?

11 With regard to Mr. Emmendorfer's testimony
12 regarding the geology of the area, did you have any
13 concerns or issues about the testimony that was presented
14 with regard to the geology?

15 A. I didn't.

16 Q. Okay.

17 A. I could expound on the areawide issue of concern
18 in the La Ventana. It really hasn't been studied yet, at
19 least not by the Division, but we do have some evidence in
20 this area that waters are -- in situ waters are around
21 10,000 or a little bit less than 10,000.

22 Q. Okay, issues of concern -- What do you mean when
23 you say expound on?

24 A. I was going to say that when this came to light,
25 we looked over all injection wells in the Mesaverde,

1 throughout the whole of San Juan Basin, and we looked at
2 the logs and the wells and everything, and the EPA did the
3 same thing. And this was just one of the ones that we
4 found that we needed to look at a lot closer.

5 Q. With regard to the testimony provided by Mr.
6 Hanson, the operations engineer for Coleman, did you have
7 any concerns regarding any of the testimony provided by Mr.
8 Hanson?

9 A. I didn't. I think we failed to ask him his
10 estimate of whether they could stay in that old wellbore or
11 not, and I think Coleman, as you stated earlier, has made a
12 good choice here that will hopefully satisfy the Division
13 if they can re-enter this well and install casing and
14 cement the casing up to cover the entire Mesaverde so that
15 the Point Lookout, the Menefee and the Cliff House is all
16 covered with cement on the back side.

17 And the well itself in this case is -- you can
18 re-enter it with a 7-7/8 bit, so you could install 5-1/2
19 casing all the way through the Entrada, so -- and you can't
20 do that on the Monument Number 2, which is right next to
21 the Juniper Number 1. And obviously that well being so
22 close is the one we are most concerned about. But that's
23 why we wanted to verify the DV tool setting depth.

24 But that well has casing already in it, so if you
25 deepened that well to the Entrada, you would have to do it

1 through some old-type tools, and Coleman must have made a
2 decision that although some people seem to jump on the same
3 old bandwagon, they didn't want to do it, I guess, on this
4 well.

5 Q. So the plans that you've looked at that were
6 submitted by Coleman regarding the re-entry and completion
7 -- recompletion of the Monument Number 1, did they look
8 adequate and appropriate to you, given what you know about
9 this --

10 A. They do.

11 Q. -- area?

12 A. Sounds like if they can get the permit done to
13 get to it --

14 Q. And the cementing to protect the Mesaverde
15 formation looks adequate and appropriate, given what you
16 know about the protectable waters?

17 A. It does. I noticed that there was a mention of a
18 DV tool in the -- in that completion procedure, and I think
19 it was adequate to be at least a plan to cement that well
20 all the way through the Mesaverde. But we would ask that
21 they run a cement bond log on it if there's any question at
22 all.

23 CHAIRMAN FESMIRE: On the Monument 2?

24 THE WITNESS: Number 1.

25 CHAIRMAN FESMIRE: 1. Is there casing in the --

1 THE WITNESS: The one without the casing that
2 they're planning on re-entering.

3 CHAIRMAN FESMIRE: Oh, so you're asking them to
4 circulate cement and run a DV -- I mean, run a --

5 THE WITNESS: Well, if they -- if they don't
6 circulate cement on both stages, we'd ask them to run a
7 bond log.

8 Q. (By Ms. Altomare) But the plans -- do -- the
9 plans right now, they call for circulation to the surface,
10 right?

11 A. I believe they do. I would have to check that
12 again. I'm sure they do.

13 Q. Okay. With regard to the Juniper well, there was
14 testimony that they were going to request increased
15 pressure with regard to the Juniper well. What concerns,
16 if any, would you have about that request?

17 A. Well, I think -- actually, I kind of wish they
18 had already done that step rate test a few years back. It
19 sounds like they might have missed some production by not
20 having some injectivity out there, so -- they do need to
21 have more injectivity, and if they run a step rate test on
22 that well and -- but we'll look at it real close, of
23 course.

24 And we always use a factor of safety of a clearly
25 defined break on a step rate test, so we'll probably use a

1 little bigger factor of safety here, but they've got the
2 bomb in the hole right above the packer, so...

3 And obviously with the injectivity in the Cliff
4 House being so much higher than the injectivity in the
5 Point Lookout, I agree with what Mike Hanson said, that
6 that pressure sensor should -- the pressure should see it.
7 Now, the Hall plot definitely -- or the injectivity will
8 definitely change dramatically, and they should see it.

9 But we sometimes require operators to run
10 injectivity surveys with the tracer temperature tool within
11 six months after they begin injection on a new well and
12 every five years after that, so it wouldn't -- it's not
13 commonly done in the San Juan Basin, but if they can get
14 tools up there, they should -- we'll probably put that as a
15 condition.

16 Q. Okay. And that would be something you would
17 recommend, given the circumstances in this case?

18 A. Yes, probably so. You'd have to look at the step
19 rate test first --

20 Q. Okay.

21 A. -- to make sure.

22 Q. Regarding the testimony that was given by Mr.
23 Oldaker, tell us a little bit about the salinities in the
24 members of the Mesaverde.

25 A. Okay, and this is something that the

1 Commissioners are probably aware of, is that the Mesaverde
2 is considered one pool, or at least the base of the
3 Mesaverde is basically one pool, I think, in the San Juan
4 Basin, and it's -- the Point Lookout, the Menefee and the
5 Cliff House. Now, sometimes you have the Lewis Shale and
6 Chacra members in there.

7 But because it's all considered one big zone, our
8 C-108 procedures are to require a water sample analysis of
9 injection to make sure it's less than 10,000 before
10 injection is started in a well, so -- we've got lots of
11 them in the files that say that the Mesaverde, overall
12 injection salinity is -- or *in situ* water salinity is, oh,
13 I don't know, 25,000. There's a lot of them that show
14 that.

15 But once you combine the Point Lookout and the
16 Menefee and the Cliff House, sure, they're that. But if
17 you start getting a little closer look at it and look at,
18 in this case, what Coleman has run into, through no fault
19 of their own, is that big La Ventana thick sandstone down
20 there that -- it's in the Cliff House.

21 And if you do a salinity over the whole Mesaverde
22 in this well, in these wells, you're probably way over
23 10,000. But EPA and the State of New Mexico has the 10,000
24 limit that we're not allowed to -- we're required to
25 protect those waters that show that, that can yield up to

1 one gallons per minute. So that's kind of the situation
2 that's happened in the past.

3 Now this -- all of a sudden, this Cliff House or
4 this member of the Cliff House came to the attention of the
5 BLM and our people as being extremely high resistivity,
6 around 20 ohmmeters' resistivity on the deep induction log.
7 So that back-calculates to -- I think this well calculated
8 around 8500, but -- as an equivalent sodium chloride
9 salinity. So it is a calculation, but it's based on
10 inferred resistivity.

11 And in looking at these logs over the San Juan
12 Basin, you can see -- you can see the mud -- the mud types
13 that they used to drill, if they drilled, obviously with a
14 mud type that would have over 10,000 resistivity, your deep
15 induction log would -- and your intermediate induction log
16 would switch, you know, and if they drilled with freshwater
17 muds they would switch the other way, so -- if it was a
18 situation where the *in situ* resistivity was dangerously
19 high, in this case -- like in this case.

20 So it's a pretty clear marker as far as the
21 evidence, but it is an inferred marker, and they -- and
22 then since all this happened, they have -- there has been
23 -- oh, about two miles away there's another company that
24 came to us with a water analysis of the -- of the different
25 -- the Point Lookout, and I think they did the Menefee and

1 the Cliff House. And it shows that the salinity is -- I
2 thought it was around 25,000 in the Point Lookout. So if
3 you're injecting in the Point Lookout, you're displacing
4 25,000 salinity water, if you're injecting other waters,
5 and it's moving out.

6 So I didn't really have a problem with what Mr.
7 Oldaker said about the -- except that we have to also
8 consider just piston displacement of *in situ* waters that
9 could go out and hit another wellbore, so...

10 And in this case, if that old 1970s-era well was
11 not totally grown back up with Mancos shale, well, those
12 waters could hit that Point Lookout and move up
13 preferentially because of less -- higher injectivity into
14 the zone above, and move into that. So you'd be moving
15 Point Lookout waters into the -- into the fresher waters
16 that we're supposed to protect. It's not as bad a
17 situation as if you're injecting right under the Ogallala
18 and something like happens, because obviously we're dealing
19 with higher salinity waters here, but they're considered,
20 at least in an area, to be protectable.

21 Q. When you reference a 1970s well, are you talking
22 about the Monument Number 2 or the Monument Number 1?

23 A. I think the 1, Monument 1.

24 Q. Okay, and you said if it were not cemented --

25 A. If it were not grown totally up with the swelling

1 Mancos shales --

2 Q. Okay --

3 A. -- which you have to assume it's not.

4 Q. Okay. So given what you know and what you just
5 testified to, is there a reason to be concerned about the
6 continued injection in the Juniper with the re-entry of the
7 Monument Number 1?

8 A. I think -- It's 1800 feet away from the -- the
9 well that we're looking at here is 1800 feet away from the
10 other well, and you've got -- we've got a rule against
11 injection moving out of zone within the area of review or
12 within the well itself. That's Rule 702-703. And then
13 we've also got a rule that we protect waters less than
14 10,000. So we've got those two situations, so we are
15 concerned about it.

16 But then we've also got -- we want to prevent
17 waste, and if they need this well to be continued injection
18 to prevent waste of the Fruitland gas, well, that's got to
19 be weighed with that.

20 Q. Okay. Regarding the downhole monitor at the
21 Juniper site, what kind of continued monitoring would you
22 like to see in the interim period while the permitting
23 process ensues with the Monument Number 1?

24 A. Well, our inspector could go out and monitor it
25 and gather those pressures from Coleman. As far asking the

1 Commission to write anything into an order about that, they
2 could -- they could say that -- they could ask Coleman to
3 supply a similar chart like that they have in these
4 exhibits, update it every six months or so.

5 Q. Six months would be adequate for us to -- for the
6 OCD to be able to review it and ensure that --

7 A. I think so.

8 Q. -- the pressures are remaining stable?

9 A. Yeah, because Coleman is gathering the data all
10 the time anyway, so...

11 Q. Okay. So if I understand you correctly, your
12 recommendations are that the Mesaverde formation in the
13 Monument Number 1 be completely cemented and isolated --

14 A. Well, if they were in casing, casing cement
15 should cover the Mesaverde.

16 Q. Right.

17 -- that the downhole monitoring of the Juniper be
18 continued with six-month -- every-six-month reports of some
19 kind being turned into the OCD --

20 A. (Nods)

21 Q. -- that if an increased pressure limit on the
22 Juniper Saltwater Disposal Number 1 well is requested and
23 the step rate test seems to indicate it, that an increase
24 -- or additional monitoring program is implemented?

25 A. I think the step-rate -- I think if the step-rate

1 test shows that a pressure increase is warranted, it should
2 be granted.

3 Q. Okay. What other recommendations would you have
4 for continued monitoring?

5 A. Well, obviously the most likely well to cause any
6 trouble here was the Monument Number 2, which is only 100
7 feet of the well that they were injecting into, and their
8 research shows that that -- the cement -- and I looked at
9 the cement volumes too, and I think the cement volumes are
10 most likely isolating those two formations that we're
11 worried about connecting the Point Lookout and the Cliff
12 House, so -- but that well does have casing in it, so it
13 could be re-entered a lot easier, you know, and a bond log
14 run on it.

15 But -- and I think other than that -- that's just
16 a concern, it's not -- I'm not asking the Commission to do
17 anything on it. That would be the only other one to talk
18 about --

19 Q. Okay --

20 A. -- besides -- I'm sorry, besides a -- some kind
21 of a time limit for Coleman to get this done.

22 Q. So you'd like to see some sort of a timeline
23 consistent with the timeline that they have estimated, that
24 the APD process is going to take?

25 A. I'd like to see some sort of a -- it wouldn't --

1 I don't think it should be open-ended.

2 Q. Okay. But in general, do you feel that the
3 proposals and the plans for re-entry, completion and
4 protection of the protectable waters, as proposed by
5 Coleman for the Monument Number 1, and the continued
6 injection of the Juniper Saltwater Disposal Number 1
7 are --

8 A. I think --

9 Q. -- adequate and appropriate?

10 A. Yes, I think Coleman is to be commended for
11 coming up with this solution that will be a -- it will help
12 their injectivity, and it will also help us protect any
13 potential safe drinking water out there.

14 MS. ALTOMARE: Okay, I think I'll pass the
15 witness.

16 CHAIRMAN FESMIRE: Ms. Munds-Dry?

17 CROSS-EXAMINATION

18 BY MS. MUNDS-DRY:

19 Q. I just have one or two questions, Mr. Jones.

20 You were discussing the water samples that have
21 been taken in this area, and I just wanted to make sure I
22 understood you. Did you say those are water samples taken
23 of the La Ventana or --

24 A. They -- I forget the company's name. It was off
25 to the east there. They took water samples through one

1 perf and swabbed a little swab test of the Point Lookout,
2 the -- I think the Menefee also, and also the Cliff House.

3 And they came to us and showed us that, but we
4 still -- and it did show in the Cliff House that -- their
5 sample that they took out of Cliff House showed around
6 15,000, I think, on TDS, but we still limited them to out
7 of the Cliff House, because it was too -- for several
8 reasons.

9 And we talked this over with our geologist in
10 Aztec, and we also talked it over with the EPA. And we
11 needed to find out more about the sampling, whether the
12 sample was representative or not, and -- the sample was
13 taken before any kind of a breakdown, it was just a perf
14 sample, which may have been okay, but the resistivity log
15 still showed that it's possible that just a little bit away
16 from where they took the sample things could be fresh. But
17 the main reason was that we hadn't done the study to find
18 out the area of this protectable waters.

19 Q. But the water samples you've seen have been over
20 a 10,000 TDS?

21 A. That one did. It was about three miles away, two
22 miles away, something -- it was -- it wasn't -- it was
23 pretty close.

24 Q. Have you seen any other water samples?

25 A. I didn't. I know Coleman testified today, and I

1 think prior to that, that they had done this repeat
2 formation tester sample, but -- you know, I see a lot of
3 water samples in the different members of the Mesaverde.

4 Q. And so the concern stems, then, from calculations
5 that you've done or that the District Office has done?

6 A. Yeah, you can see on -- I think it's Exhibit
7 Number 1 or 2, you can see that massive sandstone in there.
8 It's amazing. It's a big, thick sand, and it's got -- the
9 resistivity logs show a distinct separation through -- a
10 consistent separation through the whole thing. So it's --
11 I'm not a practicing geologist, but I know the geologists
12 could really tell you all about it.

13 MS. MUNDS-DRY: Okay, that's all the questions I
14 have.

15 CHAIRMAN FESMIRE: Commissioner Bailey?

16 COMMISSIONER BAILEY: I have no questions.

17 CHAIRMAN FESMIRE: Commissioner Olson?

18 COMMISSIONER OLSON: I think I just have one.

19 EXAMINATION

20 BY COMMISSIONER OLSON:

21 Q. You were recommending not having it open-ended
22 and having some kind of a time limit. What would you
23 recommend?

24 A. After hearing Brian Wood talk about this -- you
25 know, they don't -- I didn't hear them say anything about

1 the other wells that were -- had to go through this same
2 process, I would think, to get those Fruitland wells
3 drilled, so they should know probably about how long things
4 would take.

5 To answer your question, I would have the same --
6 I would be a -- I would say, you know, a year and a half,
7 and then give a report back to the Division on the progress
8 or -- and then -- this has been -- Coleman kind of got
9 caught in this situation, so -- but it has drug on, after
10 this happened it drug on from the revision, first revision
11 of administrative permit to a couple of Division hearings,
12 I think, on this, so -- It keeps going on, so I would ask
13 the Commission to make some kind of a time limit on it.

14 COMMISSIONER OLSON: Okay, that's all I had.

15 EXAMINATION

16 BY CHAIRMAN FESMIRE:

17 Q. Mr. Jones, I believe it was Mr. Hanson that
18 testified that the shallow perms in the Juniper well
19 couldn't be squeezed. Did you hear that testimony?

20 A. I did, and what happened is, as soon as this all
21 came to light Coleman came up here and talked to us, and
22 that's what they said at that time, and that's when they
23 proposed the pressure sensor above the packer and resetting
24 the packer depth. And then obviously they took a huge hit
25 on their injectivity in that well.

1 That sand looks pretty coarse and pretty
2 permeable. And I'm not a real experienced squeeze person
3 in the area, but I'd have to say Mike Hanson knows a lot
4 more about it than I do, so -- and I've heard it from some
5 other people too, that it's -- it would be very difficult
6 to squeeze and get a really -- a competent squeeze.

7 Now, I see what you're saying, and I kind of went
8 against the grain of not trying, and you know, they could
9 try to squeeze it and then drill it out and put that packer
10 down there and put the pressure sensor right back in, you
11 know, that kind of a thing. But I think if things broke
12 around, they're going to see it right away, so...

13 Q. Well, prior to plugging on that well, they're
14 going to have to get some sort of integrity out of that
15 casing, aren't they?

16 A. Eventual plugging of it?

17 Q. Yeah.

18 A. Well, it would just -- they would have to do a
19 squeeze and, you know, set a plug, obviously at TD and then
20 probably below the Mesaverde and above the Mesaverde and --
21 Well, now that this La Ventana has been found, plugs on the
22 plugging well should be set, a plug above and below that
23 zone to protect it, and obviously below the Fruitland.

24 Q. So we would approve a procedure that didn't
25 involve squeezing those perforations, as long as they

1 isolated above and below, right?

2 A. I think we would. I'm -- the district -- I would
3 have to ask that to the district.

4 Q. Okay, and you're satisfied with the pressure
5 monitoring procedure that we've got in place, the --

6 A. It seems like it. It's not something that --
7 I've heard about a couple that they started doing right
8 before I left the oil patch up in Wyoming, where they put
9 these in the external casing packers, and they had readings
10 from depletion of zones as the wells were being depleted,
11 and they could tell differential depletion, but...

12 I've never seen it in an annulus before, but --
13 it's something new, and the reason I would say that we
14 might lean towards the injection survey is, if that -- La
15 Ventana is extremely permeable, then the fluid level might
16 not stand very high in it, even if it did break around. So
17 the fluid level obviously is what the sensor is going to
18 read, so I think it would probably be okay.

19 Q. Okay. And with respect to the Number 2, the
20 Monument Number 2 well, you're now satisfied with the
21 question you had about the DV tool?

22 A. Yeah, and also because the injectivity in this
23 well has been real poor. So, you know, if it did move over
24 and break -- use that well 100 feet away as a conduit,
25 well, you'd see it real soon. And so -- and the

1 calculations look like it was -- I guess the best way to
2 find out where that DV tool is just to find out where the
3 DV tools are normally set at that point in time, and I
4 don't remember exactly if I saw enough wells to tell that
5 or not.

6 Q. So you would recommend that we accept Coleman's
7 proposed amendments with these additional conditions that
8 you've just outlined; is that correct?

9 A. Yes, the -- pretty much the time -- we think
10 Coleman has come up with a good solution here, we really
11 do.

12 Q. Okay, so we get an uncased well plugged out there
13 -- or not necessarily plugged, but it's no longer a
14 problem?

15 A. No longer a problem, and it's -- it will more
16 than likely be a decent injection well for them.

17 Q. Okay, let's go over those conditions that you
18 recommended in addition to the time limit. You recommended
19 that step rate tests in the Juniper injection well be done
20 and that if an injection pressure increase is warranted,
21 that that be allowed, right?

22 A. Yes. I don't know if that was even part of the
23 Application or not, but --

24 Q. Well, okay, so -- but that's something you
25 wouldn't be opposed to if they came?

1 A. No, I wouldn't.

2 Q. Okay. And they continue the downhole monitoring
3 of the Juniper Saltwater --

4 A. Yes.

5 Q. -- Disposal 1, and what was the last condition,
6 or the other -- ?

7 A. The time delay and the --

8 MS. ALTOMARE: Well, in addition to the step rate
9 test, depending on the results of that, we wanted an
10 injection profile log with radioactive tracer and
11 temperature components.

12 CHAIRMAN FESMIRE: In which well?

13 MS. ALTOMARE: In the Juniper, if increased
14 pressure limits are granted and -- depending on the step
15 rate test results, and I think Coleman indicated they'd be
16 willing to consider -- they'd be willing to do that if it
17 was warranted, they'd work with the OCD on that.

18 CHAIRMAN FESMIRE: So in the order we could write
19 in authorization?

20 MS. BADA: It's not part of the --

21 CHAIRMAN FESMIRE: -- not part of the part of the
22 application. Can we make it a condition of the --

23 MS. ALTOMARE: I think, though, because part of
24 the original order required them to re-enter and reset the
25 packer as part of protecting that Juniper well, in my

1 opinion it's part of protecting that zone. And part of the
2 reason that they need the additional pressure is because --

3 CHAIRMAN FESMIRE: -- increased the
4 injectivity --

5 MS. ALTOMARE: -- is, they increased the
6 injectivity, which is a direct result of the reduced
7 capacity due to the resetting of the packer. So I think
8 it's all tied together. I'll leave that to the Commission
9 to decide, of course, but...

10 And then the other condition that we would
11 request is just that the plans as they are laid out with
12 the casing, that the cement -- completely isolating the
13 Mesaverde formation in the Monument Number 1.

14 THE WITNESS: Yeah, and obviously the Fruitland
15 all the way up, because they're producing out of the
16 Fruitland. They'll do that.

17 Q. (By Chairman Fesmire) But aren't those -- the
18 step rate tests, don't they need to do the step rate tests
19 to come in here with an application for an increase in
20 pressure, and couldn't we make that as conditions at that
21 time?

22 A. Yes, sir.

23 Q. And they're going to file an application, or --

24 A. They will.

25 Q. They will file an application to re-enter the

1 Monument Number 1, and --

2 A. That would be --

3 Q. -- the cementing program would be part of that.
4 So the only thing that we're looking at here is putting a
5 condition -- a time limit on the proposed -- on their
6 proposed application.

7 A. There is one more thing --

8 MS. ALTOMARE: -- monitoring.

9 THE WITNESS: -- we were asking for the progress
10 reports that as things went through the BLM or the tribal
11 permitting process, they be supplied to Charlie Perrin in
12 Aztec, so that -- and he asked for that when we talked to
13 him a day or two ago.

14 MS. ALTOMARE: So that we're kept in the loop as
15 to where they are in the process and have an idea of kind
16 of when we can expect stuff to be coming our way. And then
17 the continued monitoring, the six-month reports of the
18 downhole monitor.

19 CHAIRMAN FESMIRE: Okay.

20 COMMISSIONER OLSON: So if they submitted
21 progress reports, how often would they do that?

22 MS. ALTOMARE: For the downhole monitor, or the
23 progress report?

24 COMMISSIONER OLSON: Just the overall progress
25 reports on the permitting that you're talking about.

1 MS. ALTOMARE: They could probably do it --

2 THE WITNESS: I think they should --

3 MS. ALTOMARE: -- once every six --

4 THE WITNESS: -- check with Charlie Perrin --

5 MS. ALTOMARE: Yeah.

6 THE WITNESS: -- about that, because Charlie did
7 ask for that. He asked us to include that.

8 MS. ALTOMARE: I guess I just figured they would
9 simultaneously submit a copy of whatever they were
10 submitting to the BLM.

11 THE WITNESS: It probably would need to be done a
12 periodic basis, because...

13 CHAIRMAN FESMIRE: Okay. I have no further
14 questions.

15 Do you have any redirect of this witness?

16 MS. ALTOMARE: No.

17 CHAIRMAN FESMIRE: Mr. Jones, thank you very
18 much.

19 Now would you like to close?

20 MS. MUNDS-DRY: I would.

21 CHAIRMAN FESMIRE: Okay.

22 MS. MUNDS-DRY: Thank you.

23 Mr. Chairman, Commissioner Bailey, Commissioner
24 Olson, I'll state again what we want, because there has
25 been some confusion about what we're seeking from the

1 Commission today.

2 We really are only seeking for continued
3 authority to inject into the Juniper SWD Well Number 1.
4 Regardless of the outcome with the Monument Well Number 1,
5 we would still need time to gain access, surface access, to
6 that well.

7 So really, the time limit -- you've heard Mr.
8 Wood's testimony that it can take, worst case two years,
9 best case a year. We leave that to your discretion and we
10 just would respectfully request that we're given enough
11 time to get access and then conduct operations to convert
12 that well to saltwater disposal.

13 We certainly do not disagree and are willing to
14 comply with the Division's additional conditions in terms
15 of progress reports or any additional monitoring, certainly
16 not an issue.

17 And as you heard today, the Division does not
18 object to our proposal.

19 The testimony did show today that we did comply
20 with the Division to set that packer to isolate the Cliff
21 House, and I believe Mr. Jones testified that he's
22 satisfied that that will adequately protect any potential
23 freshwater sources.

24 And Mr. Oldaker also testified regarding the area
25 of influence, and you may disagree about the methodology,

1 but I believe he testified that the radius really would not
2 fluctuate that radically.

3 Now even if you disagree with his 52- to 74-year
4 estimate of reaching the Monument Well Number 1, we're
5 asking for a much smaller window than that. So even if you
6 have concerns about the data in there, we're asking for a
7 much shorter window to give us time to get into the
8 Monument Well Number 1.

9 So at the end of the day, I believe the Division
10 does not disagree that any potential freshwater sources are
11 being protected and it certainly will not be affected by
12 the short window.

13 And really, at the end of it all, this is a win-
14 win situation. The operator is getting additional
15 injection capacity, and the Division's concerns towards,
16 you know, protecting any potential freshwater zones are
17 also being met by this proposal before you.

18 And with that, we would thank you for your time
19 today.

20 CHAIRMAN FESMIRE: Okay.

21 Ms. Altomare, do you have a close?

22 MS. ALTOMARE: Just briefly to reiterate that we
23 don't -- we don't object to the proposal and that we simply
24 want to make sure that the communication lines stay open,
25 because this is anticipated to be a bit of a lengthy

1 process and, at least to me, it is a new process, dealing
2 with the split-estate issues and the native surface issues.

3 I can appreciate wanting to have an end date, as
4 Mr. Jones had testified to, but I'm -- I can also
5 appreciate Commissioner Olson's comment as to, I'm not
6 really quite sure how to come up with one either.

7 I think maybe progress reports might be the best
8 all-around solution. I think, if we make sure that they
9 are comprehensive in nature, that that might be sufficient,
10 as long as we are provided with copies of stuff as it's
11 being submitted to the BLM and the BIA and all of that
12 stuff, we're kept in the loop.

13 I think that it is a really good solution and a
14 good plan, that we're moving things forward in a productive
15 way, so...

16 CHAIRMAN FESMIRE: Okay. Anything further to add
17 to the record in this case?

18 MS. MUNDS-DRY: Nothing further.

19 CHAIRMAN FESMIRE: At this time the record in the
20 case will be -- the record for evidence will be closed.

21 Is it the pleasure of the Commission that we
22 deliberate on this now?

23 COMMISSIONER BAILEY: Sure.

24 COMMISSIONER OLSON: Yeah.

25 CHAIRMAN FESMIRE: Okay, and a public

1 deliberation is called for?

2 MS. BADA: It's entirely up to you.

3 CHAIRMAN FESMIRE: That was kind of Commissioner
4 Bailey's cue.

5 COMMISSIONER BAILEY: It's not our practice, but
6 in the interest of time, since we need to get to the other
7 deliberations, I'll agree to it.

8 CHAIRMAN FESMIRE: And I take it you're
9 anticipating a tough decision on this one?

10 COMMISSIONER BAILEY: Not really.

11 (Laughter)

12 CHAIRMAN FESMIRE: Is that appropriate,
13 Commissioner?

14 COMMISSIONER OLSON: That's just fine.

15 CHAIRMAN FESMIRE: Okay, the Chair would
16 entertain a motion to go ahead and deliberate at this time
17 and begin deliberations.

18 COMMISSIONER BAILEY: I so move.

19 COMMISSIONER OLSON: Second.

20 CHAIRMAN FESMIRE: All those in favor signify by
21 saying aye.

22 COMMISSIONER BAILEY: Aye.

23 COMMISSIONER OLSON: Aye.

24 CHAIRMAN FESMIRE: Aye.

25 I think Coleman has done a good thing, they've

1 taken a well that would otherwise be sitting out there --
2 well, let's use the phrase "vulnerable", and they're going
3 to put it to good use. They've proven that they have a --
4 I think, a satisfactory plan for it.

5 I think the conditions that the Commission is
6 seeking are probably reasonable, and I think we can fashion
7 an order that indicate that and move on.

8 What do you think, Commissioner?

9 COMMISSIONER BAILEY: I agree with you. I think
10 that Coleman has done what they need to do. I support the
11 OCD recommendations to include in the order, and I just
12 wonder if they'll start referring to it as the lemonade
13 well.

14 (Laughter).

15 CHAIRMAN FESMIRE: Commissioner Olson?

16 COMMISSIONER OLSON: I agree with you, and I
17 think in regards to a couple of recommendations which were
18 not quite as definitive, I would maybe suggest that we put
19 a two-year time limit on this. And then as far -- I think
20 progress reports are a good way, maybe if they just give a
21 quarterly progress report as to what's going on. I don't
22 think that's too infrequent, to let us know what's
23 happening.

24 And that would be submitted, then, to the
25 Division, as well as, I guess, you know, a requirement

1 that, you know, copies of documents that are submitted to
2 other agencies -- it sounds like the OCD would like to see
3 those so that those would be submitted as well to OCD. And
4 with that, I think that's a good resolution of this.

5 CHAIRMAN FESMIRE: Commissioner, is the two-year
6 time limit acceptable to you?

7 COMMISSIONER BAILEY: That's fine by me, and the
8 quarterly reports is fine by me.

9 CHAIRMAN FESMIRE: Okay. I think the will of the
10 Commission is pretty clear on that.

11 Counsel, do we have enough to draft an order to
12 effect that?

13 MS. BADA: (Nods)

14 CHAIRMAN FESMIRE: With that, we'll ask counsel
15 to draft the order, to be addressed and signed at the next
16 regular Commission --

17 MS. BADA: As long as it's not --

18 (Laughter)

19 CHAIRMAN FESMIRE: Is there anything else anyone
20 needs to add in this case?

21 With that, we'll adjourn Cause Number 13,812.

22 Thank you all.

23 And I want to thank the folks from Coleman. I
24 think that's a good resolution to a problem well out there.

25 MS. ALTOMARE: Steve Hayden referred to it as an

1 elegant solution.

2 CHAIRMAN FESMIRE: Steve's probably correct.

3 Why don't we take a 15-minute break, and I
4 really, really mean 15 minutes, and --

5 COMMISSIONER BAILEY: We have to call the
6 continuances and dismissals.

7 CHAIRMAN FESMIRE: Oh, I'm sorry, I'm sorry.

8 (Thereupon, these proceedings were concluded at
9 2:40 p.m.)

10 * * *

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Commission was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL March 28th, 2008.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 16th, 2010