

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)

APPLICATION OF CHESAPEAKE EXPLORATION,)
LLC, FOR STATUTORY UNITIZATION OF THE)
QUAIL-QUEEN UNIT AREA, LEA COUNTY, NEW)
MEXICO)

CASE NOS. 100

APPLICATION OF CHESAPEAKE EXPLORATION,)
LLC, FOR APPROVAL OF A WATERFLOOD)
PROJECT AND QUALIFICATION OF THE PROJECT)
AREA OF THE QUAIL-QUEEN UNIT FOR THE)
RECOVERED OIL TAX RATE PURSUANT TO THE)
ENHANCED OIL RECOVERY ACT, LEA COUNTY,)
NEW MEXICO)

and 14,002

(Consolidated)

REPORTER'S TRANSCRIPT OF PROCEEDINGS
EXAMINER HEARING

BEFORE: WILLIAM V. JONES, Jr., Technical Examiner
CAROL LEACH, Legal Examiner

November 1st, 2007
Santa Fe, New Mexico

ORIGINAL

These matters came on for hearing before the New Mexico Oil Conservation Division, WILLIAM V. JONES, Jr., Technical Examiner, Carol Leach, Legal Examiner, on Thursday, November 1st, 2007, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

STEVEN T. BRENNER, CCR
(505) 989-9317

I N D E X

November 1st, 2007
 Examiner Hearing
 CASE NOS. 14,001 and 14,002 (Consolidated)

	PAGE
EXHIBITS	4
APPEARANCES	5
APPLICANT'S WITNESSES:	
<u>TERRY A. FROHNAPFEL</u> (Landman)	
Direct Examination by Mr. Carr	8
Cross-Examination by Mr. Hall	22
Cross-Examination by Mr. Bruce	26
Examination by Examiner Jones	29
Further Examination by Mr. Hall	34
<u>ROBERT MARTIN</u> (Geologist)	
Direct Examination by Mr. Carr	36
Cross-Examination by Mr. Bruce	41
Examination by Examiner Jones	42
<u>GREG ADAMS</u> (Engineer)	
Direct Examination by Mr. Carr	52
Cross-Examination by Mr. Hall	76
Cross-Examination by Mr. Bruce	81
Examination by Examiner Jones	86
PINTAIL WITNESS:	
<u>HARVEY H. MUELLER, II</u> (Engineer; president and founder, Pintail Production Company, Inc.)	
Direct Examination by Mr. Hall	100
Cross-Examination by Mr. Carr	109
Cross-Examination by Mr. Bruce	113
Examination by Examiner Jones	114
Further Examination by Mr. Carr	119

(Continued...)

CLOSING STATEMENTS:

By Mr. Bruce	121
By Mr. Hall	123
By Mr. Carr	124

REPORTER'S CERTIFICATE

130

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	10	22
Exhibit 2	10	22
Exhibit 3	10	22
Exhibit 4	11	22
Exhibit 5	11	22
Exhibit 6	12	22
Exhibit 7	19	22
Exhibit 8	20	22
Exhibit 9	20	22
Exhibit 10	37	41
Exhibit 11	38	41
Exhibit 12	39	41
Exhibit 13	39	41
Exhibit 14	40	41
Exhibit 15	54	75
Exhibit 16	56	75
Exhibit 17	57	75
Exhibit 18	58	75
Exhibit 19	58	75
Exhibit 20	61	75
Exhibit 21	62	75
Exhibit 22	62	75
Exhibit 23	63	75
Exhibit 24	70	75
Exhibit 25	72	75

* * *

Pintail	Identified	Admitted
Exhibit 1	104	-
Exhibit 2	107	-
Exhibit 3	106	-
Exhibit 4	107	-

* * *

A P P E A R A N C E S

FOR THE DIVISION:

CAROL LEACH
General Counsel
Energy, Minerals and Natural Resources Department
1220 South Saint Francis Drive
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

HOLLAND & HART, L.L.P., and CAMPBELL & CARR
110 N. Guadalupe, Suite 1
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: WILLIAM F. CARR

FOR PINTAIL PRODUCTION COMPANY:

MILLER STRATVERT, P.A.
150 Washington
Suite 300
Santa Fe, New Mexico 87501
By: J. SCOTT HALL

FOR PRIDE ENERGY COMPANY:

JAMES G. BRUCE
Attorney at Law
P.O. Box 1056
Santa Fe, New Mexico 87504

* * *

1 WHEREUPON, the following proceedings were had at
2 11:44 a.m.:

3
4
5 EXAMINER JONES: Okay, let's continue on, and
6 we'll call Cases 14,001 and 14,002 and consolidate those
7 cases for purposes of testimony. And if it's all right
8 with you, we'll issue one order covering both of these
9 cases.

10 MR. CARR: However you propose to handle it is
11 fine with us.

12 EXAMINER JONES: And call for appearances --
13 Cases 14,001, 14,002, this is the Application of Chesapeake
14 Exploration, LLC, for statutory unitization of the Quail-
15 Queen Unit Area, Lea County, New Mexico;

16 And it's the Application of Chesapeake
17 Exploration, LLC, for approval of a waterflood project and
18 qualification of the project area of the Quail-Queen Unit
19 for the recovered oil tax rate pursuant to the Enhanced Oil
20 Recovery Act, Lea County, New Mexico.

21 Call for appearances.

22 MR. CARR: May it please the Examiner, my name is
23 William F. Carr with the Santa Fe office of Holland and
24 Hart, L.L.P. We represent Chesapeake in this matter, and I
25 have three witnesses.

1 EXAMINER JONES: Other appearances?

2 MR. HALL: Mr. Examiner, Scott Hall of the Miller
3 Stratvert law firm, Santa Fe, appearing on behalf of
4 Pintail Production Company, Incorporated, and I have one
5 witness this morning.

6 EXAMINER JONES: Okay, other appearances?

7 MR. BRUCE: Mr. Examiner, Jim Bruce of Santa Fe,
8 representing Pride Energy Company. I have no witnesses.

9 EXAMINER JONES: Okay, other appearances?

10 In our records we have -- Gene A. Snow Operating
11 Company has made an appearance through Lisa Gray --

12 MR. CARR: Yes.

13 EXAMINER JONES: -- and she's not here today.

14 Mr. Hall, the -- you say you have one -- you have
15 one witness?

16 MR. HALL: Yes, sir.

17 EXAMINER JONES: The prehearing statement was a
18 little bit late. Do we have any objection to Mr. Hall
19 presenting his witness?

20 MR. CARR: No, we do not.

21 EXAMINER JONES: Okay. Okay, let's -- Will the
22 witnesses please stand to be sworn?

23 (Thereupon, the witnesses were sworn.)

24 MR. CARR: May it please the Examine, at this
25 time we would call our land witness, Mr. Frohnafel.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

TERRY A. FROHNAPFEL,

the witness herein, after having been first duly sworn upon
his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. CARR:

Q. Would you state your name for the record, please?

A. Terry Frohnapfel.

Q. Spell your last name, please?

A. F-r-o-h-n-a-p-f-e-l.

Q. Mr. Frohnapfel, where do you reside?

A. Edmond, Oklahoma.

Q. And by whom are you employed?

A. Chesapeake Energy Corporation.

Q. What is your current position with Chesapeake
Energy Corporation?

A. Senior landman.

Q. Have you previously testified before the New
Mexico Oil Conservation Division?

A. Yes, I have.

Q. At the time of that testimony were your
credentials as an expert in petroleum land matters
accepted --

A. Yes.

Q. -- and made a matter of record?

A. Yes, they were.

1 Q. Are you the person responsible for the land
2 issues related to the formation of the Quail-Queen Unit?

3 A. Yes.

4 Q. Are you familiar with the Applications filed in
5 each of the consolidated cases that are now before the
6 Division for hearing?

7 A. Yes, I am.

8 Q. Are you familiar with the status of the lands in
9 the proposed Quail-Queen Unit area?

10 A. Yes.

11 MR. CARR: We tender Mr. Frohnapfel as an expert
12 in petroleum land matters.

13 EXAMINER JONES: Any objections?

14 MR. HALL: No objection.

15 MR. BRUCE: (Shakes head)

16 EXAMINER JONES: Mr. Frohnapfel is qualified as
17 an expert in petroleum land matters.

18 Q. (By Mr. Carr) Would you briefly summarize for
19 the Examiner what it is that Chesapeake seeks in this case?

20 A. Statutory unitization of the proposed Quail-Queen
21 Unit, 840 acres, approval of a waterflood project in the
22 unit area, and qualification of the project for the
23 incentive tax rate by the -- authorized by the New Mexico
24 Enhanced Oil Recovery Act.

25 Q. Would you refer to what has been marked for

1 identification as Chesapeake Exhibit Number 1 and identify
2 that and review it for the Examiner?

3 A. Okay, that's the same exhibit that's in the unit
4 agreement, and it shows the unit boundary. It's
5 approximately 25 miles southwest of Hobbs.

6 Q. Do you know when this field was originally
7 discovered?

8 A. 1967.

9 Q. And this exhibit shows the current Queen wells in
10 the unit area?

11 A. Correct.

12 Q. What is the character of the land in the unit
13 area?

14 A. It's all 100-percent state land.

15 Q. Let's go to Exhibit Number 2. Would you please
16 identify that?

17 A. That is the unit agreement, which is a standard
18 form by the State Land Office.

19 Q. And this is the form that provides for waterflood
20 operations?

21 A. Waterflood, and sets out the basis for the
22 participation of each of the owners.

23 Q. Would you identify Exhibit Number 3, please?

24 A. Okay, that's the tract participating factors, the
25 same as what's attached to the unit agreement, Exhibit C.

1 Q. This actually shows the share of the unitized
2 production that would be allocated to each of the tracts in
3 the unit area; is that correct?

4 A. That's correct.

5 Q. And the basis for the unit participation is set
6 forth in the unit agreement itself?

7 A. Yes.

8 Q. Will Chesapeake call an engineering witness to
9 review that participation formula?

10 A. Yes.

11 Q. What is Exhibit 4?

12 A. That's a list of all the Queen wells which are
13 part of the unit.

14 Q. And this shows their redesignation once the unit
15 is formed, their unit name?

16 A. Right, just renaming them.

17 Q. And what is Exhibit Number 5?

18 A. It's the unit operating agreement.

19 Q. And basically is this a -- contain standard
20 provisions?

21 A. It contains standard provisions, outlines
22 supervision and management of the unit by the operator,
23 defines the rights and duties of partners, working interest
24 owners, and discusses cost, overhead and things like that,
25 similar to a JOA.

1 Q. Now Mr. Frohnafel, could you review for the
2 Examiner -- you may want to refer to Exhibit Number 6 as
3 you do this and review for the Examiner the efforts you
4 made to obtain voluntary participation by the working and
5 royalty interest owners in this proposed unit and
6 waterflood project?

7 A. Okay, I sent out a package to all the interest
8 owners that contained copies of the unit agreement and unit
9 operating agreement.

10 The working interest owners got a different
11 package, they got one that had a feasibility study and the
12 unit operating agreement, unit agreement, ratification,
13 election ballot and -- with instructions that we were
14 wanting them to review our plan and send back their
15 response on whether or not they wanted to participate or --
16 it had -- the letter covered various aspects on what our
17 plan was going to -- how much we were going to spend, and
18 if they had any questions they could call, you know, our
19 office and discuss it further, so...

20 Q. Is a copy of that letter the first document in
21 Chesapeake Exhibit 6?

22 A. Yes.

23 Q. And it identifies the attachments that were sent
24 to each working interest owner at that time?

25 A. Yes, it does.

1 Q. You said there was a different package that went
2 to the royalty owners. That package did not include an
3 operating agreement; is that correct?

4 A. Right.

5 Q. Because they don't sign the operating agreement?

6 A. Right.

7 Q. If we look at Exhibit 6, the third page of that
8 exhibit, would you explain what that shows?

9 A. The first page?

10 Q. The third page of Exhibit 6.

11 A. Third page. Okay, I only have two pages of mine.
12 Oh, okay, I didn't...

13 That's the vote tabulation of -- after we got
14 responses from all the working interest owners and mineral
15 owners and royalty owners, we just keep a tally on how many
16 of them are responding and look -- and we just kept a
17 balance of, you know, the working interest owners that we
18 did receive response from. Almost 96 percent are in favor
19 of the unit, and a little bit more than 4 percent we didn't
20 get a response from. So that was 12 out of 17 that we did,
21 you know, receive a favorable response from.

22 Q. Did any working interest owner contact you and
23 tell you they were opposed, or did they just not respond to
24 your letter?

25 A. We did have a couple that called just asking

1 questions. Nobody gave us any indication that they had any
2 opposition. They were mainly just asking questions, and --

3 Q. Did Read and Stevens contact you?

4 A. Read and Stevens did contact us, and they had
5 some questions about our overhead cost, and we did adjust
6 those downward, reduced them down. And they said that they
7 were okay with that after the adjustment, and they went
8 ahead and signed that ratification and turned it in.

9 Q. If we go to the next page in that exhibit, is
10 that a list of all the working interest owners?

11 A. It is.

12 Q. Has Pintail committed to the unit agreement?

13 A. No, they haven't.

14 Q. Could you just review for the Examiner your
15 efforts to solicit their input and obtain their
16 participation?

17 A. Okay, they were sent the package, had all their
18 information about the unit, the unit feasibility study and
19 unit agreement, unit operating agreement, probably sent out
20 first part of September. I think the letter was dated
21 August 29th, so they probably had it for two months now.

22 And then another notice was sent out by Mr.
23 Carr's office about the hearing that was coming up. The
24 first hearing was going to be October 1st, but we did try
25 to contact everybody that hadn't received any of the

1 ratifications back yet. They were on the list, so it was
2 just routine to call everybody, and we left word with them.

3 And we found out later that our hearing was --
4 they had filed, I guess like a -- for a continuance of the
5 case. So we went ahead and rescheduled it for today. It
6 was based on them not receiving notice from Bill Carr's
7 office about the hearing taking place on October 3rd.

8 So we essentially tried to talk to them by
9 telephone, and we sent a landman by their office to --

10 Q. You tried to call them, did you not?

11 A. Yes, we tried to call them several times and --

12 Q. Were you able to reach them by telephone?

13 A. Just voice mail, and I did receive a voice mail
14 back from them, so didn't have a real good communication
15 there as far as getting hooked up before the first hearing,
16 so that's why we went ahead and scheduled for the
17 rehearing, or for the continuance, so...

18 Q. Did you actually send someone to their office to
19 meet with them?

20 A. Yes, we did.

21 Q. And what was -- what happened?

22 A. He found their office and knocked on the door,
23 and after a while somebody finally answered. And the
24 person he talked to is Harvey Mueller, and he was busy at
25 the time but -- so our landman was unable to talk to him.

1 A few days later I did receive a phone from Mr.
2 Mueller and discussed some of the language in the unit
3 agreement, unit operating agreement. Most of his questions
4 were engineering-related, so I just recommended that he
5 contact Greg Adams who works -- he does all the reservoir
6 engineering for -- on this project.

7 And Greg's name has been in the letters all
8 along, so -- I'm not sure if -- Mainly I wanted to know if
9 he had any questions beyond a notification problem, and I
10 wasn't sure if he had any or not, so -- He and Greg never
11 got in touch with each other. I think Greg had tried to
12 call him at his house and called him at the office several
13 times, left messages. I don't believe Greg ever received
14 any contact from him. And that's about the last we heard.

15 Q. And the next contact was the prehearing statement
16 filed this week?

17 A. Right.

18 Q. What about Pride Energy?

19 A. Okay, we did not receive a response back from
20 them as far as a ratification of the unit plan. Greg -- I
21 myself never was successful in contacting him. I tried to
22 call him, I don't think they had an answering machine. But
23 Greg did talk to him, and so that would -- I think he
24 discussed a few things. I'm not real sure what all the
25 details were, but --

1 Q. But you have been in discussion with Pride?

2 A. Our group has.

3 Q. Gene A. Snow, what is the status of that
4 interest?

5 A. Okay, they haven't signed off as approving -- you
6 know, they haven't ratified the plan either. Greg and I
7 both have talked to him, and --

8 Q. How much is their interest?

9 A. They have a minimal interest, probably about .2
10 of 1 percent.

11 Q. Have they been discussing the possibility of
12 selling their interest to you?

13 A. They did, and they weren't real sure -- they
14 didn't give us a firm yes or no, they just said they were
15 still looking at it.

16 Q. Is Chesapeake willing to continue discussing this
17 with Gene A. Snow?

18 A. Yes.

19 Q. The other two interest owners on this list who
20 have not yet ratified are William Bradshaw and Patricia
21 Pruitt. Do you know who they are and what the status of
22 their participation is?

23 A. We have good addresses on them, we -- and some of
24 our group has talked to these people, and we're probably
25 going to make offers to buy their interest out. I don't

1 think they are wanting to participate with their interest
2 at this time.

3 Q. And those negotiations will continue?

4 A. Right.

5 Q. When you -- When Read and Stevens requested that
6 you adjust downward the overhead and administrative costs,
7 you did that, did you not?

8 A. Right.

9 Q. And that required changes in the unit agreement
10 as originally sent out?

11 A. Yes.

12 Q. And that is the agreement for which these
13 interest owners have ratified?

14 A. Yes.

15 Q. Did you also make various typographical
16 corrections in the unit agreement when you sent it out
17 again?

18 A. Yes, we did.

19 Q. And following the continuance of the case, did
20 you resubmit the unit agreement to all the working interest
21 owners?

22 A. Resubmit?

23 Q. Did you send it out again to all the working
24 interest owners --

25 A. No.

1 Q. -- with your notice?

2 A. No.

3 Q. With the notice letter, did the unit agreement
4 go?

5 A. Yes.

6 Q. There were revisions in the agreement. Did any
7 revision, in terms of any of the corrections of
8 typographical errors, have any impact on any working
9 interest owner or participation or any tract participation?

10 A. No. No, it didn't change anybody's interest.

11 Q. You had numbers like you transposed numbers and
12 at depth and things of that nature?

13 A. Right.

14 Q. And those were corrected?

15 A. Uh-huh.

16 Q. What percentage of the working interest
17 originally -- ratified the original agreement?

18 A. 95.8.

19 Q. And you haven't sought a second ratification?

20 A. Right.

21 Q. That will happen after this hearing and once an
22 order is --

23 A. Correct.

24 Q. Could you identify Chesapeake Exhibit Number 7?

25 A. Okay, that's the preliminary approval letter back

1 from the State of New Mexico. They own 100 percent of the
2 minerals. And that would grant us preliminary approval to
3 have a hearing, and --

4 Q. But at this point, if you receive final approval
5 from the Commissioner of Public Lands, 100 percent of the
6 royalty interest will be committed to the unit?

7 A. Yes.

8 Q. And assuming that since you made no change in
9 anybody's interest, you right now stand with 95.8 percent
10 of the working interest having committed to the unit?

11 A. Yes.

12 Q. Do you believe you've done all you reasonably can
13 do to obtain voluntary participation in this unit agreement
14 from all affected interest owners?

15 A. Yes.

16 Q. Would you identify Chesapeake Exhibits 8 and 9,
17 please?

18 A. Affidavits confirming that the notice of the
19 Application has been provided in accordance with the Rules
20 of the Oil Conservation Division, statutory unitization
21 notice sent out to all the working interest owners.

22 Q. Did you also notify the non-cost-bearing interest
23 owners in the unit area?

24 A. Yes.

25 Q. Did you notify the offset operator?

1 A. Yes.

2 Q. What about with the waterflood project? To whom
3 was notice provided?

4 A. All leasehold operators within a half mile of the
5 seven injection wells, owners of surface, and all the
6 interest owners.

7 Q. Were Exhibits 1 through 9 either prepared by you
8 or compiled at your direction?

9 A. My direction.

10 Q. Can you testify as to their accuracy?

11 A. Yes.

12 MR. CARR: At this time, Mr. Examiner, we'd move
13 the admission into evidence of Chesapeake Exhibits 1
14 through 9.

15 EXAMINER JONES: Any objection?

16 MR. HALL: No objection.

17 MR. BRUCE: (Shakes head)

18 EXAMINER JONES: Is what we're looking at here
19 the latest, the unit agreement and --

20 THE WITNESS: Yeah, you know, like I said, we
21 didn't -- we had some typo errors that we adjusted, and we
22 had a little bit better title from some of the working
23 interest owners that had, you know, bought or sold in the
24 interim, and we updated all that, so it should be right the
25 way it is on record, so -- Nothing that we did changed any

1 of the interest that anybody owned. You know, the tract
2 participating factors weren't changed or anything, and
3 we've got just as many tracts as we had before, so
4 everything is in accordance, pretty much like the first
5 plan was.

6 The main reason we rescheduled the hearing was
7 for the -- so we wouldn't have any chance to have a
8 continuance because of a notification problem.

9 EXAMINER JONES: Okay, Exhibits -- 1 through 9,
10 is it? --

11 MR. CARR: Yes, sir.

12 EXAMINER JONES: -- will be admitted to evidence.

13 MR. CARR: And that concludes my direct
14 examination of Mr. Frohnapfel.

15 EXAMINER JONES: Okay, who wants to go first?
16 Okay.

17 CROSS-EXAMINATION

18 BY MR. HALL:

19 Q. Mr. Frohnapfel, if you could refer to your
20 Chesapeake Exhibit 3, it's your schedule of tract
21 participation.

22 A. Uh-huh.

23 Q. Can you tell us how Chesapeake arrived at a 40-
24 percent weight for the usable wellbores factor in the
25 participation formula?

1 MR. CARR: May it please the Examiner, we have an
2 engineering witness who will address that.

3 Q. (By Mr. Hall) That's fine. Can you shed any
4 light on that? Did you participate in that or --

5 A. I didn't, that's all reservoir engineer -- he's
6 the expert in that area, so -- I know there's -- he's got
7 some good support for it.

8 Q. Let's turn to your Exhibit Number 5, your unit
9 operating agreement. If I understand your testimony, there
10 was more than one version of an operating agreement
11 circulated to the working interest owners?

12 A. The first mailout, we had made a couple of typos
13 since --

14 MR. CARR: Scott, are you talking about --

15 THE WITNESS: -- when we refiled it.

16 MR. CARR: Just a minute. Are you talking about
17 the unit agreement or the unit operating agreement?

18 MR. HALL: Your Exhibit 5.

19 THE WITNESS: Okay, that's the unit operating
20 agreement.

21 MR. CARR: Okay.

22 THE WITNESS: The main correction we made was in
23 the COPAS. We adjusted the overhead, page 4 of the very
24 last attachment, and the drilling well rate to \$8500 per
25 month and producing rate to \$850.

1 Q. (By Mr. Hall) What rates were originally
2 proposed, do you recall?

3 A. They were -- I think the drilling well rate was
4 about \$12,000, and the producing well rate was 10 percent
5 of that. It was about \$1200.

6 Q. How did you determine that the reduction was
7 necessary?

8 A. We just tried to justify it by the fact that
9 these wells would probably -- wouldn't take as much
10 maintenance as a regular oil well, because about half of
11 them would be injection wells. And so instead of using our
12 standard rates we just -- we lowered it, to make it be, you
13 know, more in line with the -- probably the average of the
14 industry.

15 Q. All right. What is Chesapeake's standard rate,
16 just out of curiosity?

17 A. It's different for, you know, each state and
18 however deep the wells are. But this one would have been
19 -- we've got some in place now that were at those figures
20 that I told, at \$1200 and \$12,000.

21 Q. All right. Let's turn to, in the main body of
22 the operating agreement, your Exhibit 5, to page 8. You
23 see Article 3.2.4. What is the ceiling on the AFE
24 expenditure authority there?

25 A. We've got \$100,000.

1 Q. And how did you arrive at that figure for an AFE
2 authority?

3 A. Well, it's just an amount that, you know, since
4 the prices have gone up over the years, that it provides us
5 to do work without -- we would get the work done quicker
6 without having a 30-day wait, you know, for the responses
7 from all the partners.

8 And I know it looks like a lot but, you know,
9 prices have gone up, and we've even adjusted some of the
10 ones that we have in place that are 10, 15 years old, you
11 know, to a higher figure, so...

12 Q. Do you know if other operators in this area are
13 using that AFE, authority limitation?

14 A. I don't know. I think like on a single well it
15 would probably be lower, maybe half of that. But with a
16 unit, you know, so many wells involved, it just works a lot
17 more smoothly if you have a higher amount.

18 Q. Okay. To your knowledge, isn't it the custom and
19 practice in the process of formation of a unit to convene a
20 working interest owners' meeting?

21 A. It's not required by the -- you know, any of the
22 rules. We've had them before, we've done it both ways. If
23 there's working interest owners out there that notify you,
24 like the letter that we sent out, they could be, you know,
25 talking with us in between the hearing, say, Hey, let's get

1 together and have a meeting. That would be fine.

2 But we didn't ever have any response in that
3 direction, none of the working interest owners -- Most of
4 them, if they'd call, we'd just go through whatever
5 question they had, and most of the time it was feasibility-
6 related, and answer their question. We'd invite them to
7 the -- you know, our offices if they wanted to, but -- We
8 could have one or we could not have one, we didn't have any
9 problem with it. We just didn't have any responses that
10 anybody wanted to.

11 Normally, you know, we don't go out there and say
12 we're going to have one unless we think that there's a real
13 need for one.

14 Q. And so the record is clear in this case, you did
15 not intend to have a meeting for this unit?

16 A. We didn't schedule one, but we were hoping to
17 have one, if anybody was -- any working interest owner
18 request one, we would have one.

19 MR. HALL: Pass the witness, Mr. Examiner.

20 CROSS-EXAMINATION

21 BY MR. BRUCE:

22 Q. Exhibit 6, was that your first proposal letter
23 regarding the unit?

24 A. Yes.

25 Q. Dated August 29th. Wasn't the Application filed

1 before that letter went out?

2 A. No, it wasn't. The Application was filed -- oh,
3 I think it was probably -- this is a proposed Quail-Queen
4 unit, so the Application -- we didn't know when the first
5 hearing date was going to be. Ended up that it was going
6 to be October the 3rd, and we didn't know that at the time,
7 but we were sending this Application out -- or this notice
8 out to all the interest owners --

9 Q. Okay --

10 A. -- prior to --

11 Q. -- so the original hearing was going to be
12 October 3rd, so that the Application had to have been filed
13 at least 30 days before that; is that correct?

14 A. I believe so.

15 Q. So if this letter went out before the Application
16 was filed, it was only a day or two before that Application
17 was filed, correct?

18 A. I'm not real sure when the Application was filed.
19 I think Bill's trying to find it right now, but --

20 MR. CARR: The Application was filed September
21 the 4th.

22 THE WITNESS: September 4th, and the hearing
23 would have been the 3rd, so that would have been 30 days,
24 or pretty close.

25 Q. (By Mr. Bruce) Okay.

1 A. I don't know about it, it would be a problem now
2 since we did reschedule the hearing for today to give ample
3 time. It did --

4 Q. With respect to Chesapeake's leases, are there
5 any lease expirations affecting Chesapeake's leases?

6 A. Now all the leases that we have are held by
7 production.

8 Q. What are the approximate depths of these wells?
9 I know you're not a geologist or an engineer, but --

10 A. 5000 to 5400.

11 Q. Do you happen to know what the Ernst and Young
12 overhead rates would be for wells of that depth in this
13 area of New Mexico?

14 A. I don't know off the top of my head, but we've
15 got several in place that are right in line with what we
16 propose to charge in our operating agreement.

17 Q. And Mr. Hall asked you about the overhead rates.
18 Now I've seen other data where Chesapeake separately, in
19 addition to the overhead rates, builds up time for its own
20 in-house geologists and engineers. Are you planning on
21 doing that with respect to this waterflood unit?

22 A. That will not be part of the overhead, so that
23 would be in addition, that's correct.

24 Q. One final thing. On your Exhibits 8 and 9, the
25 notice exhibits, Mr. Frohnapfel --

1 A. Okay.

2 Q. -- were there letters accompanying the documents
3 sent to the working and overriding royalty interest owners?

4 MR. CARR: Yes, there were. Yes, there were.
5 And I can provide copies, they were just inadvertently
6 omitted --

7 MR. BRUCE: Okay.

8 MR. CARR: -- from the affidavit.

9 THE WITNESS: Those were sent out of his office.

10 MR. BRUCE: That's all I have.

11 EXAMINATION

12 BY EXAMINER JONES:

13 Q. Mr. Frohnapfel, were you involved with the
14 allocation percentages for the tract? Did you work with
15 the --

16 A. -- engineer?

17 Q. -- engineer and the geologist?

18 A. No, leave that up to them.

19 Q. But have you been involved in other statutory
20 units?

21 A. Yes.

22 Q. Okay, so you probably know what kind of objection
23 -- or which factors would -- I guess my question is, do you
24 know -- did you advise your engineer about whether you
25 would get some resistance from a certain way of --

1 A. -- allocation?

2 Q. -- allocation --

3 A. I've never seen two that were the same --

4 Q. Okay.

5 A. -- and he had good support. We did discuss it,
6 like we always do, no matter what formula he comes up with,
7 and he had good support to arrive at the figures that he
8 did, to use the allocations that he did, and I'm sure he'll
9 discuss it later.

10 But yeah, he can give you better detail, an
11 in-depth discussion on it than I could. But I didn't
12 foresee any problem or we wouldn't have sent it out, so...

13 Q. Okay. Could you guys after the hearing give me a
14 -- some kind of a COPAS average that -- whatever the common
15 form is you have for COPAS -- or can you -- in addition to
16 that, can you also give an example of other projects where
17 you do charge at least \$8500 for the drilling rate and \$850
18 for the --

19 A. We had one that was approved about two years ago,
20 similar, deeper, 9000 Wolfcamp, Abo, and we've bumped it up
21 \$50 since then. It was approved at \$800.

22 Q. You review that every year for changes up or
23 down?

24 A. Yes.

25 Q. Okay. And in order to effect a change, you have

1 to have a certain percentage of the working interest that
2 -- vote for that, right?

3 A. That's correct.

4 Q. And this unit, you would always have the dominant
5 working interest, wouldn't you?

6 A. We need 75 percent plus one vote.

7 Q. Okay. But you always have -- you have over 75
8 percent, don't you?

9 A. Right, but we're requesting one other vote --

10 Q. Yeah.

11 A. -- so if we didn't get that, then the change --
12 the amend- -- we wouldn't be able to amend the plan.

13 Q. Okay. Okay, the working interest owners meeting
14 -- what would you normally discuss at a working interest
15 owners meeting?

16 A. Most of it -- well, we'd go through the land,
17 geology and engineering. But it's -- probably just present
18 it the way it was mailed out, and -- you know, the
19 feasibility study -- most of it's going to be engineering,
20 he'll go through the cost and the plan, two phases, plan
21 for this project, and then it will have like an open forum,
22 just for discussion.

23 We're not trying to collect ballots or get people
24 to ratify, we're just out there to inform them and, you
25 know, they could -- we've had them at our office, we've had

1 them off-campus, we've had them, you know, in other towns,
2 it just -- sometimes we didn't have them. It just depended
3 what the -- how much interest there was.

4 So this one in particular, we did own close to 90
5 percent, and a lot of the other working interest owners
6 were -- you know, not a real high amount, and this -- we
7 felt, you know, we could have a working interest meeting,
8 no problem. There's only 17 working interest owners, and
9 it would be real easy to assemble it. But we never had
10 anybody responding.

11 And we kept in contact, we didn't have had
12 addresses on any of them, so we felt like -- and we got 12
13 out of 17 pretty quick, and the other five that were
14 representing, you know, less than 5 percent, none of them
15 ever requested having a working interest meeting. And we
16 were always -- you know, our phone lines were always open
17 if anybody wanted to call or e-mail us with any questions
18 about, you know, anything in the plan, unit agreement, unit
19 operating agreement, the cost, so...

20 It's kind of like the -- Read and Stevens, they
21 called us and we made the changes.

22 Q. Okay, what about the -- I guess before I forget,
23 could you guys give me some support -- additional support
24 on the COPAS a little bit, maybe some common rates --

25 MR. CARR: We'll provide after the hearing other

1 unit rates, and also the -- We'll provide both COPAS and
2 Ernst and Young for wells in the area.

3 Q. (By Examiner Jones) Okay. And as far as having
4 no working interest owners meeting and -- what about debate
5 on the tract participation parameters? Did you get letters
6 that you have that -- from other working interest owners
7 proposing a different formula?

8 A. None that I know of, unless -- None came to me,
9 and I don't think that Greg got any, and I don't think he
10 had any telephone calls about it.

11 Q. Nobody proposed anything different then?

12 A. None -- not -- none to my knowledge.

13 Q. Okay. Okay now, what about the boundaries of the
14 proposed -- from a land standpoint -- you had to set up --
15 you had some boundaries. From your viewpoint, was there
16 any debate about including or not including certain areas
17 on the perimeter?

18 A. There is one area of 120 acres that's federal
19 property. It's down in the southeast portion of Section
20 14, and it's under review for -- it's open acreage. We
21 wanted to nominate it and obtain the lease, but it's under
22 review for a sand dune lizard study, so the report hasn't
23 been done yet and -- don't know when it will be.

24 And so there -- one day it might be open for us
25 to lease, and we can include it in with probably some

1 restrictions, hopefully, so...

2 Q. Okay. But no other boundaries that were debated?

3 A. That would be an engineering question, and from
4 what my knowledge -- the entire reservoir out there in this
5 area has been included, outside the 120 acres.

6 EXAMINER JONES: Okay, that's -- Carol, do you
7 have any questions?

8 MS. LEACH: (Shakes head)

9 EXAMINER JONES: Any other questions for this
10 witness?

11 FURTHER EXAMINATION

12 BY MR. HALL:

13 Q. Mr. Frohnapfel, if -- since there have been
14 changes made to the unit operating agreement terms, isn't
15 the unit operator required to re-ballot the unit to the
16 participants?

17 A. We will do that after the hearing, according --
18 on the -- Bill Carr has recommended that because they said
19 it's pretty normal to do that after hearing, because they
20 can make other amendments that we don't know about. And so
21 instead of going back and forth -- you normally do it one
22 last time. Is that correct?

23 MR. CARR: I had advised them that it wasn't
24 necessary to seek another set of ratifications inasmuch as
25 the statute doesn't require it prior to coming to you. It

1 does require, however, a re-ratification once an order is
2 obtained. If you should change overhead rates, that would
3 require a third ratification.

4 And so instead of doing it over and over again, I
5 advised them that since they hadn't changed any interest,
6 we would stand on that and when we obtain an order we would
7 seek ratification of that as a precondition, as it always
8 is, to the effectiveness of the order.

9 Q. (By Mr. Hall) Mr. Frohnapfel, won't you be
10 requesting the Division to incorporate the plans of the
11 unit agreement and unit operating agreement by reference?

12 A. By reference?

13 MR. CARR: Do you know?

14 THE WITNESS: I don't understand the question.

15 Q. (By Mr. Hall) Do you plan on requesting the
16 Division Examiner to incorporate the terms of the unit
17 agreement and unit operating agreement in his order by
18 reference?

19 A. By reference?

20 MR. CARR: May it please the Examiner, I can
21 answer that. Of course we will, that's the point of the
22 hearing.

23 MR. HALL: Nothing further.

24 EXAMINER JONES: Okay. Okay, thank you very
25 much, Mr. Frohnapfel.

1 MR. CARR: May it please the Examiner, at this
2 time I'd call Robert Martin, our geologic witness.

3 ROBERT MARTIN,
4 the witness herein, after having been first duly sworn upon
5 his oath, was examined and testified as follows:

6 DIRECT EXAMINATION

7 BY MR. CARR:

8 Q. Would you state your name for the record?

9 A. Robert Martin.

10 Q. Mr. Martin, where do you reside?

11 A. In Edmond, Oklahoma.

12 Q. By whom are you employed?

13 A. Chesapeake Energy.

14 Q. What is your position with Chesapeake Energy?

15 A. I'm a senior geologist for the Permian north
16 group.

17 Q. Have you previously testified before the New
18 Mexico Oil Conservation Division?

19 A. Yes, I have.

20 Q. At the time of that testimony, were your
21 credentials as an expert in petroleum geology accepted and
22 made a matter of record?

23 A. Yes, they were.

24 Q. Are you familiar with the Applications filed in
25 these cases?

1 A. Yes.

2 Q. Have you made a geological study of the area that
3 is involved in these cases?

4 A. Yes.

5 Q. Are you prepared to share the results of your
6 work with Mr. Jones?

7 A. Yes, I am.

8 MR. CARR: We tender Mr. Martin as an expert in
9 petroleum geology.

10 EXAMINER JONES: Objection?

11 MR. HALL: No objection.

12 MR. BRUCE: No objection.

13 EXAMINER JONES: Okay, Mr. Martin is qualified as
14 an expert.

15 Q. (By Mr. Carr) Mr. Martin, have you prepared
16 exhibits for presentation here today?

17 A. Yes, I have.

18 Q. Would you refer to what has been marked as
19 Chesapeake Exhibit Number 10, identify that and review it
20 for Mr. Jones?

21 A. Yeah, this is the type log for the Quail-Queen
22 Unit. This comes from our Read and Stevens Quail State
23 Number 1, which is now the Chesapeake Quail State SWD
24 Number 1.

25 What I wanted to show on here was the Queen --

1 the top of the Queen formation, which is a map that I'll
2 refer to later as a structure map, and then show the two
3 Queen sand zones that we're going to be particularly
4 looking into for waterflood, which is our Queen B and our
5 Queen C.

6 Q. Is this the log that is referenced in the unit
7 agreement to identify the unitized formation?

8 A. Yes, it is.

9 Q. Has the portion of the reservoir which is the
10 subject of this Application been reasonably defined by
11 development?

12 A. Yes, it has.

13 Q. Generally describe the Queen formation in the
14 area.

15 A. Okay, the Queen pay within this area is made up
16 of two distinct B and C zone. They're sandstones that are
17 on the northwest shelf, shallow water, marginal marine type
18 of sandstones.

19 The C zone is our most prolific zone, it's the
20 biggest zone, with a permeability range of 20 to 40
21 millidarcies and a maximum range of 20 to 23 percent in
22 porosity.

23 Q. Let's go to Exhibit Number 11. Would you
24 identify and review that, please?

25 A. Okay, Exhibit Number 11 is just a simple

1 structure map on the top of the Queen that I refereed to in
2 the type log. Once again, just showing that this is a
3 shelf environment, there's no real structure involved as
4 far as closure.

5 Q. And it shows the type log --

6 A. And it shows where the type log is, that's
7 correct.

8 Q. -- the unit.

9 A. The proposed unit.

10 Q. Let's go to Exhibit Number 12, the north-south
11 cross-section. What does this show?

12 A. Okay, this is a stratigraphic cross-section
13 that's hung on the datum on the top of the Queen. It shows
14 our target zones in the Queen B and the Queen C and also
15 has our type log within there, and it just shows the
16 continuity of our sands across the field.

17 Q. Let's go now to the Queen B net porosity map,
18 Exhibit 13.

19 A. Okay, this is a net isopach porosity on the
20 density, with 14-percent cutoff, showing a north-south
21 trending sandstone within the unit.

22 Q. And this is one of the two primary objectives?

23 A. This is the lesser of the two, but it is one of
24 two, that's correct.

25 Q. Let's look, then, at the isopach map for the

1 Queen C sand, Exhibit Number 14.

2 A. The Queen C is probably our main objective in
3 this unit, and once again it shows the north-to-south-
4 trending stratigraphic nature of the sand where your
5 porosity tends to pinch out to the east, west, north and
6 south.

7 Q. What geological conclusions can you reach from
8 your study of the area?

9 A. That we do have a continuous reservoir within the
10 boundary that we've defined and that it does have good
11 flood potential for us.

12 Q. In your opinion, does all acreage included within
13 the unit area have the potential of contributing reserves
14 to the unit?

15 A. Yes, it does.

16 Q. Has the reservoir been adequately defined to
17 reach reliable geological conclusions on the nature and
18 extent of it?

19 A. Yes.

20 Q. Can the portion of the pool that's included in
21 the proposed unit area, in your opinion, be efficiently and
22 effectively operated under a unit plan of development?

23 A. Yes, it can.

24 Q. Were Exhibits 10 through 14 prepared by you?

25 A. Yes.

1 MR. CARR: I move the admission of Chesapeake's
2 geological exhibits, 10 through 14.

3 EXAMINER JONES: Objection?

4 MR. HALL: No objection.

5 MR. BRUCE: No objection.

6 EXAMINER JONES: Exhibits 10 through 14 will be
7 admitted to evidence.

8 MR. HALL: I have no questions.

9 MR. BRUCE: I just have one.

10 CROSS-EXAMINATION

11 BY MR. BRUCE:

12 Q. On your Exhibit 13 --

13 A. Okay.

14 Q. -- again, I was writing something down and I
15 probably wasn't -- I guess your Exhibits 13 and 14,
16 exhibits. I wasn't listening as much as I should have.
17 What are the contour lines here?

18 A. These are net isopach, the porosity DPPI, the
19 density porosity, 14-percent cutoff --

20 Q. Okay.

21 A. -- and above, correct.

22 Q. Okay. And again, what do the colors signify? I
23 got the zero line, obviously, but beyond that?

24 A. Oh, the colors just show an increase in the
25 thickness of that porosity, or --

1 Q. What is the thickest? The purple, obviously --

2 A. I did not put that --

3 Q. -- on Exhibit 13?

4 A. -- information on here, but these are five-foot
5 contour intervals.

6 Q. Okay. On both exhibits?

7 A. That's correct.

8 MR. BRUCE: Okay, thanks.

9 That's all I have, Mr. Examiner.

10 EXAMINATION

11 BY EXAMINER JONES:

12 Q. The -- What about the top of the Queen there?
13 What's wrong with that? Am I going blind or something?
14 Nobody wants to perforate it? At 4800 feet?

15 A. Okay, I'm not sure, actually. I'm not sure if
16 that was ever tested in this unit or not.

17 Q. Okay. What about the vertical definition of this
18 unit? What -- On this type log where does it go from and
19 to, the top and the bottom?

20 A. Are you asking specifically about the unit itself
21 or --

22 Q. Yeah, defined vertical limits. I guess I can
23 pull it out here.

24 A. I know it's in that book.

25 Q. Unit operating agreement? No, it would be unit

1 -- unit agreement.

2 MR. CARR: What are we looking for here?

3 EXAMINER JONES: The top and bottom of the --

4 THE WITNESS: I believe it was 5034 to 5294 or
5 something like that. I'd like to be correct on that
6 number.

7 EXAMINER JONES: Yeah, unitized --

8 MR. CARR: The unitized formation definition, is
9 that what you're looking for?

10 EXAMINER JONES: Yes, I'm sorry.

11 MR. CARR: That's in the unit agreement on page
12 4.

13 Q. (By Examiner Jones) Page 4, okay, there we go.
14 So it's at 5033 to 5- -- Okay, so -- to -54.

15 So basically, you're not unitizing this upper
16 section at all?

17 A. No.

18 Q. So it's --

19 A. Above the Queen B, no.

20 Q. What pool is producing here, as far as the state
21 goes? What do they call this pool?

22 A. It's the Quail-Queen.

23 Q. Quail-Queen Pool?

24 A. Yes, sir.

25 Q. And the boundaries of that, does it coincide

1 pretty much with this unit?

2 A. That I do not know. Mr. Frohnapfel may be able
3 to answer that for us.

4 Q. I guess -- Yeah, I guess I should have asked him
5 about that.

6 But I guess the question is, is the vertical
7 limits of the pool the same as the vertical limits of the
8 unitized -- it probably won't be.

9 A. I don't know.

10 Q. It's a subset of the pool itself. I can find
11 that out, I can look it up.

12 Because sometimes these pools that include the
13 Queen include the Yates-Seven Rivers-Queen-Grayburg, you
14 know --

15 A. Right.

16 Q. -- but this is west of Hobbs just a little ways;
17 is that right?

18 A. That's correct.

19 Q. Kind of deep for a Queen, isn't it?

20 A. Yes, it is. From what I've worked on in the
21 Central Basin platform, it is deeper than what I'm used to.

22 Q. Okay, and the -- it's -- How does it relate to
23 any other Queen floods, as far as geologically speaking?

24 A. I looked at the West Pearl-Queen Unit, which I
25 believe the engineer will be talking about a little bit as

1 an example --

2 Q. Okay.

3 A. -- and they're on the same stratigraphic level.

4 Q. So is that -- is that unitized in this Queen B
5 and Queen C also?

6 A. Yes, it is. I don't know if they call it the
7 Queen B, Queen C, but it is the same interval.

8 Q. If the movie is not out already, it will be.

9 A. Right.

10 Q. I think it is out.

11 Let's see. So basically you put a 14-percent
12 cutoff. Does that correspond to any of your core data,
13 showing adequate permeability?

14 A. Well, the -- most of the work initially was done
15 by the geologist and associate geologist, Lee Wescott, and
16 my understanding in talking to him was, the cutoff was
17 based on experimenting with 16 percent versus 14 versus 12,
18 and --

19 Q. Okay.

20 A. -- 14 is what seemed to fit the model the best.
21 I don't know if he did a permeability study or not.

22 Q. Okay. And so you're shooting these Queen sands,
23 which is -- but they're -- they've got some radioactivity.
24 Is that -- What kind is that? Is that potassium, in the --
25 In other words, do you have any spectral gamma-rays?

1 A. I do not, but I know for a fact in working a lot
2 of the Queen in this area that there's a lot of K feldspars
3 that tend to bring up the potassium in it --

4 Q. Okay.

5 A. -- which is why they're so hot-looking.

6 Q. Okay, and -- It must not be a case of uranium and
7 thorium, otherwise you'd be running the spectral gamma-ray,
8 I guess?

9 A. Right.

10 Q. So why do you differentiate these two, between a
11 Queen B and a Queen C? Is it just two different porosity
12 stringers that --

13 A. Yeah, and I believe part of that, like -- as you
14 can see from the map, there is a difference in the width of
15 these and the length of these, and as he was going in and
16 mapping he felt that that would be the best for breaking
17 these out initially, which I agree with.

18 Q. Okay, you agree with that?

19 A. I do.

20 Q. What about boundary rocks above and below where
21 you're going to be putting this high pressure water into?
22 How are you going to contain it, and what's going to
23 contain the water?

24 A. Well, a lot of what you have above and below are
25 some really tight dolomites that are anhydritic, and

1 anhydrites --

2 Q. Okay.

3 A. -- ought to self-contain that pretty well.

4 Q. So basically you've got high-stress rocks above
5 and below, and it's going to contain your injection?

6 A. Should be. And we've seen that in the West
7 Pearl-Queen, that there has not been a problem with that,
8 so...

9 Q. Okay. What about completions out here? Are you
10 concerned about any completion fluids that anybody uses as
11 a geologist? Probably have to frac these wells; is that
12 correct?

13 A. I believe that's correct.

14 Q. And so you're not much --

15 A. Right at this point I don't have any concern,
16 from what I've seen from other field studies.

17 Q. Okay. The Queen floods sometimes have ~~higher~~ ^{IRON}
18 carryover. Is that coming out of the formation, or is
19 that --

20 A. I'd have to refer that to the engineer.

21 Q. That could be a corrosion-type issue, maybe, or a
22 -- I didn't know whether it was coming out of the formation
23 or the tubulars, or something like that.

24 MR. ADAMS: I think it's from the tubular-
25 related...

1 Q. (By Examiner Jones) Okay. And have you looked
2 -- I guess the engineer will know about the makeup water.
3 Are you going to have to have freshwater makeup water?

4 A. There will be, and he will address that with --

5 Q. Okay.

6 A. -- one of the wells that we have to the north.

7 Q. So you're not -- you don't make much water out of
8 this Queen; is that right?

9 A. No, we do not --

10 Q. And is that evident on your --

11 A. -- right now.

12 Q. -- saturations?

13 A. I'm not sure I understand what you're asking.

14 Q. I mean, if you look at your saturation -- at your
15 resistivity log, I'm sorry --

16 A. Oh, okay.

17 Q. -- does that pretty much tell you what's coming
18 out? I mean, can you tell from looking at the resistivity
19 log whether you're going to make water?

20 A. Unfortunately not, these are low-resistivity
21 pays, and that makes it a little more difficult.

22 But since this is not a water drive, we can't
23 really supply our own water from within this field, if
24 that's what you're asking.

25 Q. And you can't find it from other -- Have you done

1 a geologic study to find other fresh water -- or other
2 water supplies to use here?

3 A. Just a well that we are -- we're working on right
4 now to the north, that we might be able to get a supply,
5 and that will be addressed by the engineer.

6 Q. A freshwater well?

7 A. I don't believe it's fresh.

8 MR. ADAMS: No, it's Bone Springs.

9 THE WITNESS: No.

10 EXAMINER JONES: Bone Springs is bad water, isn't
11 it?

12 MR. ADAMS: Well, we had -- we just recently
13 recompleted it, and so we haven't done a compatibility
14 test.

15 EXAMINER JONES: Okay, but you --

16 MR. ADAMS: There's also a secondary water source
17 at the West Pearl-Queen Unit, which will be Queen
18 saltwater.

19 EXAMINER JONES: Okay. I guess I'd better target
20 the -- any more geology questions here.

21 Q. (By Examiner Jones) That little area down in the
22 south part of Section -- southeast of Section 14, was it
23 your desire to add that to this unit?

24 A. Yes, it is, definitely.

25 Q. Okay. And as a geologist, why didn't you want to

1 do that? Why didn't you do that?

2 A. I'm not sure what the process was in getting this
3 initial --

4 MR. FROHNAPFEL: The sand dune --

5 THE WITNESS: -- boundary. Was it the study that
6 we had to wait on, yeah, the sand dune --

7 MR. CARR: We'll be calling -- There's a witness
8 here in a minute, we can review those --

9 EXAMINER JONES: Okay.

10 MR. CARR: -- at that time.

11 Q. (By Examiner Jones) Okay. But as a geologist,
12 you can see a continuity across this --

13 A. Yes.

14 Q. -- reservoir, so you can -- it's a decent
15 waterflood candidate?

16 A. Absolutely.

17 Q. On this spacing, or would you recommend infill
18 drilling?

19 A. I think the 40-acre spacing is plenty enough for
20 this kind of sand.

21 Q. Okay. So there's plenty of continuity on 40
22 acres, and if you drill to 20 you wouldn't get that much
23 benefit?

24 A. I don't think there's be enough to make it
25 economic --

1 Q. Okay.

2 A. -- at this point.

3 Q. But you would get some more?

4 A. You might. I haven't --

5 Q. Okay.

6 A. -- done a study to say whether we could go down
7 to 20s or not, but just in my --

8 Q. Okay.

9 A. Yeah.

10 Q. But someday in the future you might?

11 A. It's a possibility.

12 Q. Possibility, it's --

13 A. Always a possibility?

14 EXAMINER JONES: -- always a possibility. With
15 \$200 oil or whatever, you might be out here drilling.
16 Okay.

17 Okay, I don't have any more geology questions.

18 Any more questions for this witness?

19 MR. HALL: No, sir.

20 MR. BRUCE: No, sir.

21 MR. CARR: May it please the Examiner, at this
22 time we'd call Greg Adams.

23 EXAMINER JONES: Is everybody okay with
24 continuing on?

25 COURT REPORTER: Yes, sir.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

GREG ADAMS,

the witness herein, after having been first duly sworn upon
his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. CARR:

Q. Would you state your name for the record, please?

A. Greg Adams.

Q. Mr. Adams, where do you reside?

A. Edmond, Oklahoma.

Q. By whom are you employed?

A. Chesapeake Energy.

Q. And what is your position with Chesapeake Energy?

A. I'm a senior reservoir engineer working the
Permian Basin.

Q. Have you previously testified before the New
Mexico Oil Conservation Division?

A. No, I haven't.

Q. Would you review for Mr. Jones your educational
background and work experience?

A. Yes. I received a BS degree in mechanical
engineering from Texas A&M University in 1980.
Subsequently went to work for Amoco Production in their
Brownfield office and then moved on to their Houston
office. I worked for them for about six and a half years.
Since then have worked in a capacity as a reservoir

1 engineer and infrequently as a production engineer for
2 about six different other companies, mostly in Houston.

3 Most recently, in the last four years, we've
4 moved to -- I moved to Venice Petroleum and worked for
5 about a year and a half with them in Tulsa, and then since
6 December of '04 I've been with Chesapeake and have worked
7 in the Permian north area.

8 Q. Are you familiar with the Applications filed in
9 these cases?

10 A. Yes.

11 Q. Have you made an engineering study of the area
12 that's the subject of this hearing?

13 A. Yes, I have.

14 Q. Are you prepared to share the results of that
15 work with the Examiner?

16 A. Yes.

17 MR. CARR: Are Mr. Adams' qualifications
18 acceptable?

19 EXAMINER JONES: Objections?

20 MR. HALL: No objection.

21 MR. BRUCE: No, sir.

22 EXAMINER JONES: Did you have to move to Edmond?

23 THE WITNESS: Yes, from Tulsa.

24 EXAMINER JONES: Okay.

25 THE WITNESS: Sure did. Yeah, it's a little bit

1 of a commute.

2 EXAMINER JONES: Okay, he's qualified as an
3 expert.

4 MR. CARR: No matter where he lives?

5 EXAMINER JONES: No matter where he lives.

6 Q. (By Mr. Carr) Mr. Adams, have you prepared
7 exhibits for presentation here today?

8 A. Yes, I have.

9 Q. Let's go to what's been marked as Chesapeake
10 Exhibit Number 15. Would you identify that and review this
11 for the Examiner?

12 A. This is what's taken out of the feasibility
13 study, and it's just an executive summary that goes over
14 some of the reservoir parameters that were used in the
15 study.

16 There's currently 12 active wells that are
17 producing, eight are inactive. The daily production in
18 this particular unit, our proposed unit, is 23 barrels of
19 oil, zero MCF, and 56 barrels of water, indicating a pretty
20 dead oil at this time.

21 Our pressures initially were about 2300 pounds
22 per square inch. Currently we estimate it based on some
23 bottomhole pressure testing in '06 to be about 400, 500
24 p.s.i., which means that basically we're at -- 91 percent
25 of the primary recovery has been recovered, very little

1 left, very little pressure, and therefore it's a prime
2 candidate to be waterflooded and get that pressure back up
3 and try to recover some additional oil.

4 The original oil in place is 3.8 million barrels.
5 Cumulative primary/secondary recovery -- the reason I say
6 secondary is because there has been some secondary recovery
7 produced out here for a short time due to a saltwater
8 disposal well that was injecting into the same formation,
9 and we did see some response, and that's about 10,000
10 barrels of this 800,000 barrels that's been produced to
11 date.

12 And then there's an estimated -- another 78,000
13 barrels of primary oil that's left to be produced, based on
14 decline curve analysis, giving us an ultimate primary
15 recovery of 854,000 barrels, which is about 22 percent of
16 the oil in place.

17 Q. Current production from this area out of 12
18 active wells is only 23 barrels of oil a day; is that --

19 A. That's correct.

20 Q. As we go through the next exhibits, it might be
21 helpful to keep the Exhibit 1 unit map out. It may be
22 helpful to refer to that.

23 I think perhaps, Mr. Adams, in response to a
24 question from the Examiner, before we get into this, how
25 does the unit boundary compare to the pool boundary?

1 A. Basically, we took into account all of the
2 penetrations, and -- the ones that are productive in the
3 Queen, and included them in the unit, with the exception of
4 that 120-acre federal lease that's in Section 14. And we
5 would like to have included it, however we could not
6 nominate it because of the study that was going on and
7 wasn't scheduled to be completed until '09.

8 Q. Let's go to Chesapeake Exhibit 16. Would you
9 identify that for Mr. Jones and review it, please?

10 A. This is a four-well montage of the 80-acre
11 fivespot pattern that you would visualize around the SWD
12 well that I mentioned we did inject some fluid. Actually,
13 it was a previous operator that started the injection
14 process as a disposal well, into the Quail SWD Number 1,
15 which is in the southwest of the southeast quarter of
16 Section 11.

17 Q. And this is the well we had the type log on?

18 A. Yes.

19 Q. Okay.

20 A. We saw very clear response on four -- or actually
21 five of the six offsets. I only included the four nearest
22 offsets here. You can see from the four-well montage that
23 we -- I have included a primary decline based on what the
24 well would have produced without that additional energy
25 from the SWD well.

1 You can see at the time that that injection
2 period started, the GOR started decreasing, and eventually
3 the gas just went away. So that's a good indication that
4 you're getting good pressure increase, and the GOR
5 collapsed basically.

6 And it's very clear from these four wells, the
7 production decline here, that each one of them saw some
8 response. And that was even due to a very low volume of
9 injection in that disposal well. It was about -- the
10 maximum that it got to was about 100 barrels per day. So
11 that was one of the reasons why we thought this would be an
12 excellent candidate for waterflooding.

13 Q. Let's go to Chesapeake Exhibit 16. Would you
14 identify that? I'm sorry, 17.

15 A. This is just a Midland map, a section of it
16 that's been captured here. It shows the Quail-Queen area
17 up to the northwest there that's spotlighted, and the
18 distance to the West Pearl-Queen Unit to the southeast
19 there that's spotlighted. It's about two to three miles
20 away from our Quail Unit.

21 Not only is it used for our analogy in the
22 feasibility study, but it's also, like I mentioned, a
23 secondary objective for our water source. We've been in
24 contact with Xeric, who is the operator of that unit. It's
25 been waterflooded since the '60s, and they have excess

1 water now that they are willing to pipeline to us.

2 Q. Let's go to Exhibit 18.

3 A. Exhibit 18, I mentioned the analogy that I used
4 for waterflooding. Basically, the West Pearl-Queen Unit is
5 quite a bit bigger, about three times bigger than our unit.
6 Thicknesses are similar, the depths are similar, pressures
7 are similar. Basically this is a laydown for what we
8 propose to waterflood in the Quail-Queen.

9 Their initial oil in place, of course, was quite
10 a bit bigger than ours, and they recovered about 12 percent
11 of it under primary recovery, and we're going to recover
12 about 19 percent.

13 Under secondary recovery, they've recovered about
14 2.3, 2.4 million barrels. We anticipate around 725,000
15 barrels, which is again -- ours is about 16 percent of the
16 oil in place, and theirs would be about 10. And I have an
17 idea that their oil-in-place number may be a little high,
18 otherwise those percentages would be closer.

19 Secondary-to-primary ratio are very similar also.

20 Q. All right, Mr. Adams, let's talk about the
21 participation formula, and I ask you to refer to Chesapeake
22 Exhibit 19. Could you start by just identifying the four
23 basic factors in the participation formula?

24 A. This is a spreadsheet that was used to arrive at
25 the TPFs. There's any number of factors that are used in

1 waterflood units. These are four of the more common ones,
2 I would say. The four parameters that we're using are:

3 Usable wellbores. And they are color-coded here
4 with different colors, so we've got the usable wellbores in
5 yellow there.

6 The average rate, current rate, in red.

7 The estimated ultimate primary oil in green.

8 And then the reservoir pore volume, that's the
9 blue area there.

10 The first two, usable wells and average rate, are
11 pretty much indisputable. You know, there's not going to
12 be much discussion as to whether a well is producible and
13 whether it's usable or not. Therefore I thought that would
14 be an excellent parameter to put some extra weight on
15 because of that indisputable evidence, that you've actually
16 got a usable wellbore available to you.

17 The second parameter is average rate. Again,
18 this is an area where there's not much dispute as to what a
19 well is producing.

20 The ultimate primary oil and the reservoir pore
21 volume are two other areas that are usually the matter,
22 subject matter, of a lot of discussion by the working
23 interest owners in a discussion of TPF. And therefore,
24 with that possibility for a lot of discussion there and
25 those being not as indisputable as the other two, I felt

1 like they deserved a lesser weight, and therefore gave them
2 a lesser weight.

3 Q. In selecting these, you put a 40-percent value on
4 two factors. Was it your testimony that these were the
5 most reliable factors in terms of predicting what the
6 tracts would contribute?

7 A. Yes.

8 Q. And then if we take this and we look at the tract
9 in which Pintail has its interest, what tract is that?

10 A. That is tract 3, down at the southeast corner.

11 Q. And Pintail does have a wellbore on that tract;
12 is that right?

13 A. Yes, the Atlantic Richfield well is a producing
14 well. It's making about 3 barrels of oil per day, which is
15 one of the high producers out here, and it's also a usable
16 wellbore. So from the two 40-percent weighting factors,
17 that tract received a quite high tract participation factor
18 because of that.

19 Q. If we go back to Exhibit 3 -- Do you have Exhibit
20 3, the unit agreement there?

21 What percentage of total unit production is
22 attributed under this formula to the tract in which Pintail
23 owns an interest?

24 A. Tract Number 3 has 10.3 percent TPF.

25 Q. And that is a 40-acre tract?

1 A. Yes, it is.

2 Q. If we compare what is allocated to this tract
3 with other tracts in the unit, are you -- of any other
4 tract that is assigned a higher value per acre than this
5 tract?

6 A. I don't believe so. I haven't looked at that
7 specifically, but that's just a 40-acre tract. The other
8 four higher tracts I'm sure are more than 40 acres.

9 Q. In your opinion, does this formula allocate
10 production to the separately owned tracts in the proposed
11 unit on a fair, reasonable and equitable basis?

12 A. Yes.

13 Q. In your opinion, will unitization and adoption of
14 the proposed unitized methods of operation benefit all
15 working interest owners and all royalty interest owners in
16 the area affected by the Application?

17 A. Yes.

18 Q. Let's now talk for a minute about the waterflood
19 Application. I'd ask you to identify -- I think to start
20 with, I think we should take a look at Chesapeake Exhibit
21 Number 20. What is this?

22 A. Exhibit Number 20 is a map that shows the unit
23 boundaries, first of all, and it also shows the first six
24 wells that we'll be converting to injection. Those are
25 signified by the blue triangle that's surrounding them.

1 And as a result of those six conversions, we will have one
2 complete 80-acre fivespot there in the middle of Section 11
3 and then some partial fivespots to the northeast and to the
4 south.

5 Q. Okay. And then let's go to your next exhibit,
6 Exhibit 21. What is this?

7 A. This is the second capital expenditure project
8 that is envisioned two to three years out in the future,
9 depending on the kind of response that we get from the
10 first capital expenditure phase. We plan on drilling two
11 additional wells in that particular phase, those being
12 shown by the red circles down in Section 14. And then we
13 would also convert one of those wells to injection.

14 And then the Mobil well in Section 13 that's
15 currently a plugged and abandoned well, that would also be
16 a candidate for conversion to injection. And the cost to
17 do that was included in the capital expenditures.

18 Q. Let's go now to Chesapeake Exhibit Number 22.
19 Would you identify and review that for Mr. Jones?

20 A. This is simply a production plot that shows our
21 anticipated secondary production profile as a result of
22 converting these wells and starting a waterflood. The peak
23 rate, you can see, is going to be reached sometime in '09
24 of about 150 barrels of oil per day, which is about -- you
25 know, a 7- or 8-percent -- or a seven- or eight-time

1 increase of what the unit is currently producing.

2 Q. Let's go now to the application for authorization
3 to inject, Form C-108, which has been marked Chesapeake
4 Exhibit 23. Does this exhibit contain all the information
5 required by Form C-108?

6 A. Yes.

7 Q. Is this an expansion of an existing project?

8 A. No, it's not.

9 Q. And how many wells are included in the
10 application, injection wells?

11 A. There are six wells.

12 Q. Does Chesapeake seek authority to commit
13 additional wells to injection at a later date through the
14 Division's administrative procedures?

15 A. Yes, we will.

16 Q. Let's go to page 9 in this exhibit, and what is
17 this?

18 A. This is the area of review and the area of
19 interest. It's a Midland map, you know, one-inch-equals-
20 4000-foot map, that shows the area that we propose to
21 unitize and all of the wells that have been drilled and/or
22 plugged and abandoned and/or are shut in, and therefore we
23 had to take into account all of these wells that are within
24 a half mile of the proposed injection wells and to see that
25 they were properly plugged and abandoned so that we

1 wouldn't have any migration of fluids up the hole or down
2 the hole.

3 Q. Does this exhibit contain all of the information
4 required by the Oil Conservation Division --

5 A. Yes.

6 Q. -- for each of the wells in the area of review
7 which penetrate the injection interval?

8 A. Yes, it does.

9 Q. And is that information set out in this exhibit
10 on pages 12, 18, 22, 27, 32 and 37?

11 A. Yes.

12 Q. And this information is presented in this exhibit
13 by individual injection well; is that correct?

14 A. Yes.

15 Q. Are there plugged and abandoned wells within the
16 area of review?

17 A. Yes, and they've been included.

18 Q. And are diagrammatic sketches of each of those
19 included on pages 41 through 52 of this exhibit?

20 A. That's correct.

21 Q. Have you reviewed the data available on the wells
22 within the areas of review for this waterflood project and
23 satisfied yourself that there is no remedial work required
24 on any of these wells to enable Chesapeake to safely
25 operate this project?

1 A. Yes, that's correct.

2 Q. What injection volumes does Chesapeake propose?

3 A. Based on the offset unit, the West Pearl-Queen
4 Unit, they were able to put about 200 to 300 barrels of
5 water per day into their injection wells initially, and
6 that's what we're expecting here.

7 Q. And what would that total be for all the wells in
8 the project?

9 A. At 300 we anticipate, you know, probably closer
10 to 300 barrels per day initially into these six wells, and
11 that would be about 1800 barrels.

12 Q. Now you talked briefly about the source of the
13 injection water being from the offset unit. Are there
14 other sources of water that you're considering using?

15 A. Well, the first choice is the Hornet State well
16 to the northwest that we mentioned is a Bone Springs
17 producer, not a very good producer, that we found out the
18 last couple of weeks.

19 We perforated the top 10 foot of about a 50-foot
20 clean sand and produced some amounts of oil and gas, but it
21 has since pretty much dried up. And therefore our plans
22 are to go in and perforate some additional water sand that
23 we've identified below it, and try to get the volume of
24 water that we'll need.

25 It would be our first choice, because it's

1 closest to the Quail-Queen unit. We wouldn't have any
2 major road crossings. It's about a mile away, so it would
3 be about a mile and therefore much less expensive.

4 The secondary objective, and if we're not able to
5 get the amount of water that we need from the Hornet State,
6 then we would go to the West Pearl-Queen Unit, which is
7 about two to three miles to the southeast. And we have
8 contacted Xeric Oil and Gas, who's the operator of that
9 unit, and they have expressed an interest in selling to us
10 any water that we might need, and that would be Queen water
11 that we would use.

12 Q. Will you use any fresh water?

13 A. Absolutely not.

14 Q. And is there a water analysis of this Queen water
15 in --

16 A. Yes --

17 Q. -- in this exhibit --

18 A. -- in --

19 Q. -- on page 58 of the exhibit?

20 A. Yes, it is.

21 Q. Will this be an open or a closed system?

22 A. It'll be closed.

23 Q. And what injection pressures is Chesapeake
24 proposing?

25 A. Initially we're hoping for pressures in the 1000-

1 to 1500-pound range, but as we approach fill-up we fully
2 anticipate this pressure to go up to around 3000 pounds.
3 But at that time we'll go ahead and follow the statutes and
4 do step rate testing and get permission from the State to
5 increase our pressures as deemed necessary in the future.

6 Q. Prior to the time you conduct the step rate test,
7 will the pressure limitation of .2 pound per foot of depth
8 to the top of the injection interval be satisfactory for
9 Chesapeake's purposes?

10 A. That will be for some of the better injection
11 wells, but I think -- that's about 1000 pounds, a little
12 over 1000 pounds, and I think it's going to take a little
13 bit more than that in most cases.

14 Q. When you go above that, will you seek approval
15 from the Division, following step rate tests that are
16 witnessed by the Division?

17 A. Yes, we will.

18 Q. What is the current status of the wells that
19 Chesapeake is proposing to utilize for injection?

20 A. There's six wells that are slated for conversion.
21 I'll just go over them one by one. There's -- five of them
22 are current producers, make about 7 1/2 barrels of oil per
23 day combined, and then the sixth well that is temporarily
24 abandoned is that Quail saltwater disposal well that's been
25 mentioned so much, so far in the hearing. It's currently

1 temporarily abandoned because of some casing, mechanical-
2 integrity issues that we plan on going in and remediating
3 and converting that well to injection.

4 Q. How will Chesapeake monitor these wells to assure
5 the integrity of the wellbores?

6 A. We'll have pressure gauges on the casing side and
7 the tubing side, just like most conventional injection
8 wells have.

9 Q. And the annular space will be filled with a
10 fluid?

11 A. In there a fluid, yeah.

12 Q. And you'll comply with the Federal Underground
13 Injection Control Regulations?

14 A. Yes.

15 Q. In your opinion, will the proposed injection in
16 these wells pose any threat to any underground source of
17 drinking water?

18 A. No.

19 Q. Are there freshwater wells in the area?

20 A. Yes.

21 Q. What is the freshwater formation?

22 A. It's the Ogallala, if I'm not mistaken.

23 Q. And at about what depth does this produce --

24 A. 200 to 300 feet.

25 Q. And no injection will be in any of these

1 formations, obviously?

2 A. That's correct.

3 Q. Are there freshwater wells within a mile of any
4 of these proposed --

5 A. Yes.

6 Q. -- injection wells?

7 And are these identified in the exhibit?

8 A. They are.

9 Q. And is there a water analysis provided for each
10 of these wells --

11 A. There is --

12 Q. -- in Exhibit 23?

13 A. Yes.

14 Q. Those are on pages 57 and 58?

15 A. Yes.

16 Q. Are the wells in the project area properly
17 completed and cased so as to prevent any problems with
18 these water wells?

19 A. Yes.

20 Q. In your opinion, will the injection of waters
21 proposed by Chesapeake pose a threat to any water supply?

22 A. No.

23 Q. Have you examined the available engineering and
24 geologic data on the reservoir, and as a result of that
25 examination have you found any evidence of open faults or

1 other hydrologic connections between the proposed injection
2 interval and any underground source of drinking water?

3 A. No, I have not.

4 Q. Let's ow take a look at your Application for
5 qualification under the Enhanced Oil Recovery Act, your
6 Exhibit 24. Is this letter your Application?

7 A. Yes, it is.

8 Q. Is it signed by you?

9 A. Yes.

10 Q. Does the Application meet all the requirements of
11 Division Rules?

12 A. Yes, it does.

13 Q. Is it complete?

14 A. Yes, it is.

15 Q. What are the estimated additional capital costs
16 to be incurred in this project expansion?

17 A. On page 3 of the letter there's a description of
18 the capital costs that are anticipated, and this is for
19 both capital phase 1 and capital phase 2, and the total
20 would be right at \$5 million.

21 Q. And those would be your total project costs?

22 A. Yes.

23 Q. How much additional production does Chesapeake
24 hope to obtain from this project?

25 A. The estimated secondary reserves on the order of

1 anywhere from 680,000 barrels to 780,000 barrels, and I've
2 used a median number of about 725,000 barrels for our
3 recovery that will generate approximately -- at \$70 per
4 barrel of oil, which is quite a bit less than it's selling
5 for now -- about \$40 million in future revenues. That's
6 100 percent. And then to the working interest owners it's
7 about \$27 million.

8 Q. Now behind this letter Application, attached to
9 it you have as Exhibit A a plat of the unit area, the
10 redesignation of the wells, the type log, and then what are
11 the Exhibits D 1 and D 2?

12 A. D 1 is the historical production for the unit
13 since 1970, whenever public records were made available,
14 and it also gives the anticipated future primary decline
15 rate of about 5 percent.

16 Then we move to the D 2 exhibit, which is just
17 the secondary recovery production profile that is
18 anticipated with another 725,000 barrels.

19 Q. Without unitized management, operation and the
20 further development of this area as you propose, is it your
21 opinion that these additional reserves will be left in the
22 ground and wasted?

23 A. Yes.

24 Q. Is unitized management operation and further
25 development of the pool necessary to effectively carry on

1 secondary recovery operations?

2 A. Yes.

3 Q. Will the methods that you propose to utilize
4 prevent waste of oil and gas and to a reasonable
5 probability substantially increase the amount of
6 hydrocarbons produced from the reservoir?

7 A. Yes, it will.

8 Q. Would you identify what has been marked
9 Chesapeake Exhibit Number 25?

10 A. That's the waterflood feasibility study that was
11 done by myself in order to convince our management to go
12 forward with this project, and also to use as a mailout to
13 all the working interest owners for their review and
14 comments that they may have.

15 Q. Does it include a fairly detailed executive
16 summary that goes beyond just what you've shown in your
17 presentation today?

18 A. Yes, there's also the capital expenditure.

19 Q. And does this exhibit -- this study, contain
20 exhibits on the tract participation and all the factors
21 that you considered --

22 A. Yes, it's a pretty comprehensive feasibility
23 study that includes both engineering, geology and land
24 matters.

25 Q. In late October there was a letter from

1 Chesapeake that sent this feasibility study, the unit
2 agreement, unit operating agreement and other documents to
3 working interest owners. And in that letter your telephone
4 number was given and operators were invited to call you
5 with questions and concerns?

6 A. That's correct.

7 Q. Did you receive any contacts from Pride?

8 A. As Terry had mentioned, yes, I did receive a
9 phone call from John Pride, and we had a fairly lengthy
10 discussion and basically just wanting to know about the
11 tract that he has an interest in and what our future plans
12 were for it, and just general discussion.

13 Q. Did he request a working interest owner meeting?

14 A. No, he did not.

15 Q. Did he propose any change in the participation?

16 A. No, he did not.

17 Q. Did you talk to Gene Snow?

18 A. I did.

19 Q. And what was the nature of that conversation?

20 A. That conversation, they have a very small
21 interest, and mostly he was interested -- and since it was
22 a small interest, that we perhaps take a look at that and
23 try to make him an offer for that small interest and try to
24 buy him out.

25 At the present time we haven't made an offer to

1 him. Once we receive the anticipated unitization order, at
2 that time we'll probably attack quite a few of the smaller
3 working interest owners and try to buy them out, just to
4 reduce the amount of paperwork that we have to put out.

5 Q. Did you receive a call -- or did Mr. Snow propose
6 an alternative participation formula?

7 A. No.

8 Q. Did he ask for a working interest owner meeting?

9 A. No.

10 Q. Did you receive a call from Pintail concerning
11 this proposed unit?

12 A. I did not myself.

13 Q. Did you attempt to contact Pintail?

14 A. I called on the day that the original hearing was
15 scheduled, and we heard about the call for a recess, for
16 continuation. We tried to contact Mr. Mueller, both at his
17 office -- we received his answering service, and we gave
18 him, or her, our number to call us -- we also made an
19 attempt to call him at his house and again received an
20 answering machine and left our numbers there. And I have
21 not heard from him since.

22 Q. In your opinion, will approval of this
23 Application and the implementation of this proposed
24 waterflood project be in the best interest of conservation,
25 the prevention of waste and the protection of correlative

1 rights?

2 A. Yes.

3 Q. How soon does Chesapeake anticipate commencing
4 the enhanced recovery operations --

5 A. Well, we're anticipating a unit order before
6 year-end. I'm not trying to put any pressure on the
7 Examiner --

8 (Laughter)

9 A. -- but we'd like to have that by year-end. And
10 we have plenty of money scheduled or budgeted for first
11 quarter of '08 to go ahead and commence that work.

12 Q. Mr. Adams, were Exhibits 15 through 25 prepared
13 by you or compiled at your direction?

14 A. Yes.

15 MR. CARR: May it please the Examiner, at this
16 time we'd move the admission into evidence of Chesapeake
17 Exhibits Numbers 15 through 25.

18 EXAMINER JONES: Any objections?

19 MR. HALL: No objection.

20 MR. BRUCE: No objection.

21 EXAMINER JONES: Exhibits 15 through 25 will be
22 admitted.

23 MR. CARR: And that concludes my direct
24 examination of Mr. Adams.

25 EXAMINER JONES: Mr. Hall?

CROSS-EXAMINATION

BY MR. HALL:

Q. Mr. Adams, are we in agreement that the unit encompasses less than the entirety of the productive limits of the pool?

A. Yes, because of the federal acreage I mentioned before.

Q. Do you have an opinion -- Well, let's refer to your Exhibit 20. Do you have that in front of you there?

A. Give me one second here. That's capital expenditure project phase 1?

Q. No, it's a plat -- attachment 19, I think, to your feasibility study.

A. Right, that's it.

Q. The pattern map?

A. Yes, I have that.

Q. Okay. The federal acreage is in the south half of 14; is that correct?

A. That's correct.

Q. And can you tell us, does Chesapeake have that on nomination with the BLM --

A. We tried to, but they were not nominated because of the referenced lizard study that's ongoing.

Q. And did the BLM give you any idea how long that might delay --

1 A. Well, it's scheduled to be completed by '09, if
2 I'm not mistaken.

3 Q. That's an estimate?

4 A. Yes.

5 Q. Did you communicate with BLM at all about your
6 proposed waterflood?

7 A. I did not.

8 Q. Do you know if anyone at Chesapeake did?

9 A. I'd have to refer that to Terry, the landman.

10 Q. If you look at your Exhibit 20, it looks like you
11 have an injector there in what I guess would be unit G in
12 Section 14; is that right?

13 A. That's right, that's the State BG Number 2.

14 Q. And you have a producing well over in the
15 southwest quarter of 13?

16 A. Yes, the Atlantic Richfield Number 1.

17 Q. Do you have an opinion, Mr. Adams, whether unit
18 operations and the waterflood will have any adverse effect
19 on the federal acreage in the south half of 14?

20 A. Not any adverse effect. If anything, it would be
21 pushing oil down to that particular tract.

22 Q. Will the federal acreage be drained by the well
23 in the southwest quarter of 13?

24 A. A portion of it possibly could be. It's pretty
25 far -- you know, it's two locations away, and this is

1 pretty tight rock. But we have seen -- like I mentioned
2 the four-well montage exhibit, we have seen some response
3 from some wells that far away from the limited amount of
4 disposal that we had in that Quail State SWD Number 1. So
5 I'd say that it would recover some of those reserves.

6 Q. All right. Do you have any opinion whether
7 there's any risk that the Queen B and C intervals in the
8 south half of Section 14 might be watered out by injection
9 operations so as to reduce recoveries there?

10 A. You know, it's hard to say. One of the reasons
11 why we're implementing this program in two different phases
12 is to see what sort of direction we have for our injection
13 and what kind of banks we're going to be building up and in
14 what preferential direction these banks are going to be
15 built up.

16 If there is good permeability to the south, in a
17 north-south direction, and in -- the same in an east-west
18 direction, then a small portion of that federal acreage --
19 I would say the northeastern part of it, possibly could be
20 watered, could, you know, have some watering. I don't
21 think watered out, but there definitely would be some
22 watering effect there in that northeastern part of it.

23 Q. All right. Let's discuss your tract
24 participation formula and your allocation factors. I think
25 it would be helpful if you had Exhibit Number 3 to look at

1 in conjunction with your Exhibit 19. Do you have Exhibit 3
2 also?

3 A. Yes.

4 Q. Can you tell us how you arrived at a 40-percent
5 weight for the usable wellbore factor and the producing
6 rate factor?

7 A. It's pretty arbitrary, and it usually is whenever
8 people are coming up with these sorts of matters. 40
9 percent would be about the highest that I would use in a
10 four-parameter TPF, and 10 would probably be the least that
11 I would use. If you're going to use them as parameters, I
12 think they should at least deserve 40 percent on the high
13 side and 10 percent on the low side. And that's basically
14 -- it's just an arbitrary number that was arrived at.

15 Q. I believe I heard you say in response to some of
16 Mr. Carr's questions that there might be some precedent for
17 this allocation formula for other units in the area. Do
18 you recall saying something like that?

19 A. No, I don't.

20 Q. Do you know what the formula is for the West
21 Pearl-Queen Unit?

22 A. I do not.

23 Q. Can you point the Examiner to any example in the
24 area where an allocation formula like this is being used?

25 A. No, but in my experience with all the waterflood

1 units that have been put together, there are quite a
2 variety of parameters that are used. Like I mentioned,
3 these four are pretty generic and pretty conventional as
4 four of the ones that are used. Sometimes there's more,
5 there's very seldom less than four parameters that are
6 used.

7 But I wouldn't say that there's a generic one
8 that's used, that I've been able to determine over my 30
9 years of experience.

10 Q. Let's look at your Exhibit 19, let's talk about
11 the weighting you ascribe to the average production rate,
12 and that's shown in your red column there; is that right?

13 A. Yes.

14 Q. And what is the average rate you show there? Is
15 it 23?

16 A. Well, the total rate is 23.

17 Q. All right. And tell us how you came up with 40
18 percent for a production average rate for that factor.

19 A. Weight factor?

20 Q. Yes, sir.

21 A. I've already explained that, it's pretty much
22 arbitrary.

23 Q. Pretty much arbitrary.

24 A. And also like I said, you know, the average rates
25 and the usable wellbores, there's not going to be any

1 question from any of the working interest owners on those
2 two factors. Therefore I felt they deserved a higher
3 weight.

4 The other factors are the ones that are usually
5 debated, you know, sometimes for years, delaying input, you
6 know, of a waterflood unit, and those are the ones I
7 thought were the most debatable and therefore I put the
8 least amount of weight on.

9 Q. Okay. Is it correct to say that the greater
10 weight you accord a factor, the more sensitive it will be
11 to the data?

12 A. Yes.

13 Q. And that -- as I understood, you said there was
14 no dispute as to the producing rates, the production rates?

15 A. Yes.

16 MR. HALL: I believe that's all I have, Mr.
17 Examiner.

18 EXAMINER JONES: Okay.

19 MR. BRUCE: Give me a minute, Mr. Examiner, and
20 maybe I can eliminate some of these questions I had.

21 CROSS-EXAMINATION

22 BY MR. BRUCE:

23 Q. Mr. Adams, look at your Exhibit 20. And I
24 counted -- is it 18 or 19 wellbores on that plat within the
25 unit area?

1 A. That are currently usable?

2 Q. Just total wellbores.

3 A. There's been -- in the executive summary it
4 mentioned the total number of wells that have been drilled
5 out here, and there's about 20 wells, if I'm not mistaken.

6 Q. Okay. When you are talking usable wellbores,
7 which wells are you talking about?

8 A. I'm talking about the ones that have not been
9 plugged and abandoned.

10 Q. And how many of those are there?

11 A. There's five, I believe.

12 Q. Five plugged and abandoned?

13 A. Yes.

14 Q. Okay, I was asking the flip side, but we got to
15 the same number.

16 So you are not giving -- If you look at the
17 acreage Pride Energy owns as the west half, northwest
18 quarter of Section 13, you're not giving any credit to
19 those wellbores?

20 A. That's correct, they've been plugged and
21 abandoned.

22 Q. But then again you said that you have in your
23 capital cost the potential to turn that ~~mobile~~ well into a
24 producer; is that correct?

25 A. I do have some money in the second capital

1 development phase to try to re-enter that well and convert
2 it to an injection well.

3 Q. So just because a well -- isn't it common, just
4 because a well is plugged and abandoned doesn't mean it's
5 unusable?

6 A. Well, I think if you look at most people, the way
7 they identify a usable wellbore, if it's been plugged and
8 abandoned it's not usable, because there's quite a bit of
9 risk involved in re-entering a plugged-and-abandoned well,
10 especially one that's had casing pulled, and you're going
11 to have to go in and stab into that pulled casing. And in
12 both of these wells there is pulled casing whenever they
13 abandoned the wells --

14 Q. Okay --

15 A. -- therefore there's quite a bit of risk
16 involved.

17 Q. Okay. So you can't tell me that you're going to
18 have any producing or injection wells on the west half,
19 northwest quarter of Section 13?

20 A. I can't tell you with certainty, no.

21 Q. Then why have that acreage in the unit?

22 A. It's clearly a part of the geologic pool that
23 we're unitizing.

24 If you look at the maps that have been provided
25 and developed by our geologist, that's -- clearly contains

1 some productive Queen interval. Those two wells did
2 produce early on in their life, they made about 10,000
3 barrels of oil between the both of them, for an average of
4 about 5000 barrels. I'll admit it is on the edge, but
5 therefore I don't think it should be included, because it
6 is part of the same pool.

7 Q. But -- so if you look at your exhibit -- Mr. Hall
8 referred you to your Exhibit 19. If I'm reading this
9 right, it's -- if you look at tract 4, which is the Pride
10 acreage, its reservoir pore volume is about what, 12 to 14
11 percent of the unit area, correct?

12 A. Yes, it says 13 percent.

13 Q. Okay. But yet you're giving virtually -- very,
14 very little credit to any acreage that has a good reservoir
15 pore volume?

16 A. That's correct.

17 Q. One final thing. On -- Looking at your Exhibit
18 21 --

19 A. Okay.

20 Q. -- looking at the proposed new drills in the east
21 half, northeast quarter of Section 14, obviously the
22 northernmost well is a new drill?

23 A. Yes.

24 Q. Will that be produced first? Or will it become
25 an injector immediately?

1 A. Well, you know, that's part of the second phase
2 of the capital expenditure program, so it's going to be two
3 or three years down the road. In that time, amount of
4 time, there could be some oilbank that's been built up in
5 that area, and we'll just have to wait and see whenever we
6 drill the well. We might produce it for a little bit, but
7 eventually it will be converted to an injection to complete
8 that -- or almost complete that fivespot.

9 Q. And then the second new drill -- There's already
10 a well there. Are you planning on re-entering it or --

11 A. That will be a new drill.

12 Q. A new drill. So you're not using that existing
13 well, the State -- what is it, State BG 1?

14 A. Yes.

15 Q. I can't read the numbers very well.

16 A. That's it.

17 Q. You know, in looking at the geologic plats, at
18 least with respect to the Queen C, that appears to be the
19 -- along with the adjoining acreage in the southeast and
20 the south half, southeast of Section 11 and the Pride
21 acreage, that appears to be the sweet spot of the acreage.
22 Why would you drill injection wells in the sweet spot,
23 rather than try to force the water from the bad areas, from
24 the poorer areas of the reservoir into the sweeter part of
25 the reservoir?

1 A. I learned pretty early on in my career, at
2 looking at waterfloods, that the best producers make the
3 best injectors. And therefore there's a lot of oil to be
4 moved in that area, and there's no reason not to initially
5 produce the flush production but then go ahead and convert
6 it to an injection well.

7 Q. And you don't dispute that your geologist's maps
8 show quite a bit of good acreage on the Pride Energy
9 acreage?

10 A. No, I don't.

11 Q. Or quite a bit of reservoir?

12 A. Yes, I don't dispute that.

13 MR. BRUCE: That's all I have, Mr. Examiner.

14 EXAMINER JONES: Okay, I have some more questions
15 for Mr. Adams.

16 Let's take a 10-minute break.

17 (Thereupon, a recess was taken at 1:28 p.m.)

18 (The following proceedings had at 1:42 p.m.)

19 EXAMINER JONES: Okay, I guess we can go back on
20 the record this afternoon, and I'll start asking questions
21 also.

22 EXAMINATION

23 BY EXAMINER JONES:

24 Q. The -- if you were going to -- if you had all
25 this acreage under your operation right now, what would you

1 do to -- as far as to recover more remaining primary from
2 all of this acreage? What would you -- what would you do
3 to the wells, what would you do --

4 A. I think the most bang for your buck would be to
5 do what we're proposing to do today, you know, to get --
6 maximize reserves. But as far as just recovering the
7 additional primary reserves, I don't think there's a whole
8 lot you can do, because the existing pressure out here is
9 so minimal that just about anything you would attempt to do
10 would just have marginal success in my mind.

11 Q. Okay, but you wouldn't go in and re-frac any of
12 these wells, or you wouldn't clean them out or anything? I
13 mean, are you going to plan on anything like that as part
14 of the startup of the waterflood, is to go check the TDs
15 and go acid wash them or put some more corrosion in them?
16 I mean, these old Queen things are pretty bad sometimes,
17 you know.

18 A. I'm not a production engineer by training. I
19 have done some in the past, and I'm not real familiar with
20 Queen production, per se, so I don't know the proclivities
21 and problems that they have on primary production. But I
22 know that all these wells were initially frac'd, and
23 they're relatively newer wells. You know, they're not 50
24 years old, they're more 30 years old or 20 years old.

25 And therefore -- you know, we could go out and do

1 some fracs, but we'd have to consider the advanced
2 depletion that we have in the area and design a frac so
3 that, you know, we could recover that frac fluid as soon
4 as possible and not leave it out there in the formation.

5 Q. Energize frac or something?

6 A. Right.

7 Q. But would you not re-enter those two -- what -- I
8 guess the question I should ask is, Now that you guys have
9 studied this thoroughly, and you've got your geologist to
10 draw this wonderful map, and you own this acreage over in
11 Section 13, would you not re-enter those wells and try to
12 recover more? I mean, why did they recover only 10,000
13 barrels, if this map is accurate?

14 A. I don't know the answer to that.

15 And as far as why they didn't recover more, as to
16 would we re-enter them, you know, I mentioned that they've
17 been plugged and abandoned and casing has been pulled, and
18 therefore it's a very expensive and very risky prospect to
19 go back in these wells and re-enter them. You would have
20 to set a certain amount of money that you're willing to
21 spend.

22 And when you get to that point, you know, these
23 things tend to be black holes once you get started in them,
24 and you just start throwing money away. And therefore we
25 would probably have some set amount that we would be

1 willing to spend to try to get that well back on
2 production. And if we weren't to a point where we had pre-
3 designed that we should be at that expenditure time, then
4 we would go ahead and abandon it and just redrill the well.

5 Q. Okay. But you would drill two new wells in these
6 red spots, east half of the northeast quarter of 14, I
7 guess?

8 A. Right. One of them does not have a well at all,
9 it never has had one. That's one of the locations, the
10 northern location, is the one that we would drill a new
11 well.

12 The other one is a well that we have -- has been
13 plugged and abandoned, and so it's in the same boat that
14 the ones on the -- the two there in Section 13 are, except
15 I believe the casing was not pulled in that particular
16 well. So there might be a chance we could re-enter that
17 one with a little bit more success than we could the other
18 two.

19 Q. Is the Queen damaged by -- It's not like a Morrow
20 or something like that, it's an oil zone so you can always
21 re-enter an old well and maybe make a well out of it?

22 A. Yes.

23 Q. You know, I guess all those years of being
24 sandblasted in Brownfield you've learned quite a bit of
25 reservoir engineering. I really like your waterflood

1 feasibility studies. It's nice, concise, seems to be real
2 thorough.

3 And I don't think any -- I don't think any
4 engineer totally would agree with another one as far as
5 participation parameters go. You might have a few, but --
6 and I realize you guys are in the driver's seat on the
7 acreage here, but it might have been helpful to have a
8 little bit of -- more debate.

9 You know, I realize you didn't get some debate
10 from your working interest owners, so you can't control
11 that. But it seems like it would have been a little
12 helpful for some other viewpoints for you to consider,
13 especially after you have this geology map sitting here in
14 front of you, and drawing other peoples acreage into it.

15 A. Can I comment on that?

16 Q. Go ahead, yeah.

17 A. Like I mentioned briefly I think earlier, you
18 know, if you go to four different geologists, just like the
19 remaining reserves on the -- for the reservoir engineers,
20 you're going to get four different opinions. They may be
21 pretty much the same, but they're going to be different.

22 And that's -- it's been my experience that
23 anytime you try to put a unit together, hydrocarbon pore
24 volume, or pore volume for that matter, and remaining
25 reserves or proposed secondary reserves, those are the

1 three big issues that you're going to be squabbling over
2 with geologists and reservoir engineers, because everybody
3 has their own opinion.

4 And that is precisely the reason why I weighted
5 those two parameters like I did, because I didn't -- You
6 know, first of all I wasn't trying to hide anything,
7 because in the unit agreement, it's in the feasibility
8 study, the working interest owners had that in plenty of
9 time to look at it and call up and make some suggestions.
10 And I fully anticipated that they would and was surprised
11 that they did not. And it wasn't because of timing, it
12 wasn't because we didn't try to get ahold of them, because
13 we did. And therefore I assumed, and I have to assume,
14 that everything was copasetic.

15 Q. Okay, this well that's making 9 barrels -- or
16 this tract, I guess, is making 9 barrels a day, and --
17 versus the others. Is there something in evidence about
18 that, that shows it making that much?

19 A. Yes, in Appendix A of the waterflood feasibility
20 study, which is Exhibit 25, I think, there's an Appendix A,
21 and it has each individual well's production. And I think
22 the one that makes the most there probably is the Stage BG
23 Number 2 well. So if you could see that in the title block
24 at the top, that's the well you're looking for.

25 Q. Okay. Okay, I'm having a little trouble -- Is

1 there page numbers on these things or --

2 A. No. I'll help you locate it here.

3 Q. Okay, I've got the -- Okay, Appendix A. Which --
4 which page would it be for that?

5 A. Okay, you probably should start at the back.
6 Start at the back of Appendix A, and it's the first well, I
7 believe, the State BG Number 3, is the first well at the
8 back.

9 Q. Got you, here it is.

10 A. It's making about 3 barrels a day.

11 Q. Okay, that line -- that number was taken off of
12 the curve; is that right? Or was it taken off for lack of
13 point?

14 A. That number is actually the last three months,
15 and at that time -- this was back in the summertime, and
16 it's an average of the last three months, like May, June,
17 July, I think, were the three months.

18 Q. Okay, and how many wells is represented here?

19 A. That's just one well --

20 Q. Just one well.

21 A. -- because they're individual plots.

22 Q. Okay. And this is barrels per day --

23 A. Yes.

24 Q. -- which is nice. Because I don't see -- the
25 next line up from 1 is 2, right? So it's -- it's close to

1 3 to 4 is what it looks like there, instead of 9.

2 A. Yeah, for that particular well, but it's a two-
3 well lease --

4 Q. Okay.

5 A. -- so that's -- If you page back one more plot,
6 you'll see the other well.

7 Q. Okay, the State BG Number 2? Okay.

8 A. And as you see, the actual primary decline that I
9 put on there is lower than the last several months of
10 production.

11 Q. Okay, yeah. But you're basing the parameter on
12 the average of three months, right?

13 A. Right.

14 Q. Certain three months.

15 A. Right.

16 Q. Are those written -- are those written in here,
17 in the unit agreement?

18 A. It is in the feasibility study.

19 Q. Okay. Okay. One thing, before I forget. Could
20 you guys reprint these exhibits with some bigger notations
21 on the wells? We can't hardly see -- and if we scan these
22 in, we're not going to be able to see anything once -- Is
23 there a way you can do that?

24 A. Sure, we can do that.

25 Q. And send it to Steve Brenner here, so -- through

1 your attorney, because all that matters is what gets
2 scanned in, I can see with my...

3 A. I think the reason we, you know, have it so small
4 is, we're trying to fit it on an 8-1/2-by-11 page --

5 Q. I understand.

6 A. -- and we can blow that up and give it to you in
7 a bigger format, if that's what you want.

8 Q. Well, if there's any way you can blow up the
9 lettering instead of the page size --

10 A. Okay, okay.

11 Q. -- that would be better, at least for that
12 critical -- for some stuff that's kind of critical to look
13 at.

14 Okay, because that one tract's with 9 barrels a
15 day, I guess that's two wells -- it's getting a pretty big
16 parameter, participation parameter.

17 And I realize also, if you don't get something
18 done here, nobody ever recovers anything, secondary. You
19 know, you have to make a stab at it and go. I understand
20 that.

21 Your -- did you subtract out the estimated -- as
22 far as your ultimate -- did you subtract out the recovery
23 that you're projecting -- the increased recovery around
24 that saltwater disposal well when you figured your primary,
25 ultimate primary?

1 A. Yeah, that was subtracted out, and it's --

2 Q. Okay.

3 A. -- you know, it's estimated. I believe it was
4 around 10,000 barrels that we estimated was secondary oil.

5 Q. Okay. And you decided to go with an interior --
6 kind of interior injection wells here, instead of a
7 peripheral flood. Now was that because you wanted to make
8 sure you didn't affect offset people? But there is no
9 offset people, right? Everything's dry around it. Just so
10 you could get water in the ground, and you got a good
11 mobility ratio; is that the deal? You --

12 A. Well, that's --

13 Q. -- you know you can sweep oil?

14 A. Yeah, the mobility ratio is .57 --

15 Q. Yeah.

16 A. -- which is favorable mobility ratio.

17 Q. Yeah.

18 A. We also have the West Pearl-Queen Unit, which was
19 developed on 40 acres, and there's 80-acre fivespot
20 patterns, and that's been in existence since the late '60s,
21 when it was unitized, and they recovered -- I don't
22 remember the exact figure but it's around, you know, 15
23 percent of additional oil in place from that type of flood
24 pattern, and therefore...

25 And this one pretty much, because of the

1 injection that we've already experienced in the Quail State
2 Number 1, that one, of course, was going to have to be an
3 injection well. And if you just -- the way the wells are
4 situated, you pretty much have to design it this way.

5 Q. Yeah, okay. As a reservoir engineer, 80-acre
6 fivespots are still okay? You wouldn't want to drill
7 infill wells in an \$80-a-barrel --

8 A. Well, you know, I think that's something that we
9 will certainly look at in the future. But like I said, the
10 West Pearl-Queen Unit went for 30-plus years on 80-acre
11 fivespots, and not to my knowledge have they tried to drill
12 any infill, 20-acre infill wells. But it's certainly
13 something that I would want to look at in the future.

14 Not initially, just because of the cost of
15 drilling. You know, we'd have to drill probably 10 or 15
16 wells to fully develop, you know, a 40-acre fivespot, and
17 therefore it would be cost-prohibitive, unless we saw --
18 put in some sort of pilot in the future sometime and
19 drilled some 20-acre wells and saw that we picked up some
20 additional pay and got some better continuation or
21 conformance of pay as a result of drilling a denser
22 pattern.

23 Q. Okay, and that wouldn't involve any kind of
24 change in the parameters? If you did develop this thing on
25 20-acre well spacing, and given the amount that's been

1 drawn by your geologist, would you change your
2 participation parameters at all if --

3 A. I think what we would do, like I mentioned, is
4 try to put in a pilot 40-acre fivespot or two, perhaps.
5 This is a very small unit. It doesn't really lend itself
6 to doing a full-scale 20-acre infill, so I would say
7 probably do a -- one pilot-type fivespot, you know, a 40-
8 acre fivespot, and see what kind of results we got.

9 Probably would have to do that as a result of
10 meeting with working interest owners and deciding, you
11 know, we'll go ahead and try this pilot with the same TPFs,
12 and depending on the results of that, then we may want to
13 go ahead and do a phase-2-type interest reallocation as a
14 result of where we decide to drill, or infill drill, the
15 rest of the wells.

16 Q. Okay.

17 A. But that's -- you know, that's several years down
18 the road --

19 Q. Okay.

20 A. -- unless we do get to 200 barrels --

21 Q. Yeah.

22 A. -- or \$200 a barrel recently.

23 Q. Yeah, okay. Okay, that -- that's -- I guess the
24 C-108 data should -- you're convinced all the wellbores are
25 fine, as far as cements over every --

1 A. Yeah --

2 Q. -- all the zones?

3 A. -- we included the detailed wellbore sketches on
4 all those wells, and you can, you know, look at those
5 yourself. They're pretty self-explanatory. In my opinion,
6 yes, they're -- they're -- will be protecting any migration
7 of the injection fluid to other zones.

8 Q. What kind of injection-withdrawal ratio do you
9 anticipate out there in this flood?

10 A. Well, initially -- you know, you usually get a
11 2-to-3 initially, and then of course you want to keep it
12 above 1, just so you're putting in more than you're taking
13 out and can maintain that pressure. But I would say 2 or 3
14 initially, and then trying to maintain it in the 1 1/2 to 2
15 level through out the life.

16 Q. Have you looked at other Queen floods and what
17 their injection-withdrawal ratio is?

18 A. I have not. The West Pearl-Queen Unit, like I
19 mentioned, was unitized in the late '60s, and so there's a
20 lot of early time data in that unit that I don't have
21 access to. And therefore I wouldn't be able to make a
22 good, definitive study of that, in that particular
23 analogous unit that I did look at.

24 Q. What about the current injection-withdrawal
25 ratio, the instantaneous, like what it is right now in the

1 West Pearl-Queen?

2 A. Well, they pretty much -- they're below an
3 injection-withdrawal ratio of 1 right now, it's pretty much
4 just a disposal --

5 Q. Okay.

6 A. -- type project.

7 EXAMINER JONES: Okay, okay. Well, I don't -- I
8 don't have any more questions.

9 Do you guys have any more?

10 MR. BRUCE: I don't have any.

11 MR. HALL: No.

12 MR. CARR: No.

13 EXAMINER JONES: All right, thank you very much,
14 Mr. Adams.

15 MR. ADAMS: Thank you.

16 EXAMINER JONES: Does that conclude the
17 Applicant's case?

18 MR. CARR: Yes, it does, Mr. Examiner.

19 EXAMINER JONES: Can you guys say again what your
20 flight schedule is?

21 MR. MARTIN: I think we've rescheduled.

22 EXAMINER JONES: You've rescheduled. Santa Fe is
23 not such a bad place to spend the tonight.

24 MR. ADAMS: Not at all.

25 MR. MARTIN: Just have to do that.

1 MR. HALL: Mr. Examiner, we'll call our one
2 witness, ask Harvey Mueller to take the stand.

3 HARVEY H. MUELLER, II,
4 the witness herein, after having been first duly sworn upon
5 his oath, was examined and testified as follows:

6 DIRECT EXAMINATION

7 BY MR. HALL:

8 Q. For the record, say your name say your name,
9 please, sir.

10 A. Harvey Herman Mueller, II.

11 Q. And would you spell your last name for the
12 reporter, please?

13 A. M-u-e-l-l-e-r.

14 Q. Mr. Mueller, where do you live and by whom are
15 you employed?

16 A. Fort Worth, Texas. I'm employed by Pintail
17 Production Company, Inc.

18 Q. And what do you do for Pintail?

19 A. I'm the president and founder of Pintail, and I
20 wear every hat there is.

21 Q. All right. Are you a petroleum engineer by
22 trade?

23 A. I'm a petroleum engineer and a registered
24 professional engineer.

25 Q. Have you previously testified before the Oil

1 Conservation Division here in New Mexico and had your
2 credentials accepted as a matter of record?

3 A. I have not.

4 Q. If you would, please, give the Hearing Examiner a
5 brief summary of your educational background and work
6 experience.

7 A. I graduated in 1982 from Texas A&M University
8 with a BS in petroleum engineer, went to work for Bass
9 Enterprises Production Company in Midland. I was tasked as
10 a production engineer to a couple of southeast New Mexico
11 large federal units, the Big A Unit, Poker Lake Unit.

12 After about a year I moved to Fort Worth and
13 spent three years as a consulting reservoir engineer. And
14 starting in 1986 I worked with a private family in Fort
15 Worth and in 1988 actually founded Pintail, but from '86
16 and '88 forward we have done all kind of production and
17 drilling to the point that we've had an interest in more
18 than 1000 drilled wells.

19 I've also in the last six or seven years gotten
20 into unconventional resource plays. My group has done 10
21 of those, aggregating more than 350,000 acres in about six
22 different basins in the United States.

23 I've drilled offshore -- or have participating
24 interest in offshore wells and just run the whole gamut on
25 the engineering side of life.

1 Q. Do you have experience in southeast New Mexico?

2 A. Yes.

3 Q. Are you familiar with the lands that are the
4 subject of Chesapeake's Application?

5 A. Yes.

6 Q. And is Pintail an interest owner in the proposed
7 unit?

8 A. Yes, they are.

9 MR. HALL: At this point, Mr. Examiner, we'd
10 offer Mr. Mueller as a qualified expert petroleum engineer.

11 MR. CARR: No objection.

12 EXAMINER JONES: Mr. Mueller is qualified as an
13 expert petroleum engineer.

14 Q. (By Mr. Hall) Mr. Mueller, first off if you
15 could give me a very brief answer: Do you have an opinion
16 on whether Chesapeake's proposed plan of allocation results
17 in the allocation of unitized hydrocarbons on a fair,
18 reasonable and equitable basis?

19 A. I do have an opinion.

20 Q. And what is that?

21 A. It is different than Chesapeake's.

22 Q. And do you believe that it does allocate on a
23 fair, reasonable and equitable basis?

24 A. No, I do not.

25 Q. All right, let's start this way: Would you tell

1 us what efforts Chesapeake made to communicate with Pintail
2 and obtain their voluntary participation in the unit?

3 A. They've about described it, with a little bit of
4 nuancing, fairly correctly. A certified piece of mail
5 showed up on my door. The actual notice for the original
6 hearing I received after the date to give qualified the
7 first time, so that's why it was delayed. There were a
8 couple of phone calls from Mr. Frohnappfel and I believe one
9 from Adams, and I did return Mr. Frohnappfel's call. He had
10 multiple calls, I only called one.

11 But I was very surprised by the fact that there
12 was no call for a working interest owners' meeting. I'm
13 not saying it's on purpose, but from my standpoint, being a
14 single small company going by itself up against Chesapeake,
15 if we were to just converse via the phone, versus having an
16 entire working interest group in a room, even a group of
17 mice can fight back against a large company.

18 There might be some commonality among the
19 engineers against what Chesapeake's proposing, whereas if
20 you get into one-on-one dialogue with them, I think --
21 because on just a pure working interest for -- tract-
22 allocation standpoint, if you were just to run straight-up
23 numbers, which I haven't done, I think they're probably in
24 the 85- to 90-percent ratio, so -- I mean, it's a strong-
25 arm-type situation.

1 So, you know, I did not communicate with them,
2 that is the truth, but I was still hoping that there would
3 be some type of group-type -- of course -- group-type
4 effort made, and that never occurred. So that's why I'm
5 here.

6 Q. All right. Do you agree with Mr. Adams'
7 testimony that the allocation formula that Chesapeake has
8 proposed is arbitrary?

9 A. I do.

10 Q. Let's look at some of the exhibits you've
11 prepared today. If you would turn to Pintail Exhibit
12 Number 1 -- and actually this is also Chesapeake's Exhibit
13 19, I believe -- what do you propose to demonstrate by
14 this?

15 A. This is what -- the four factors that Chesapeake
16 proposes to use to calculate tract participation factors.
17 They have them highlighted on here. Blue, reservoir pore
18 volume at 10 percent; green, estimated EUR primary, 10
19 percent; then they have in red current average daily
20 production rate at 40 percent; and then all the way at the
21 very far left in the orange, that's usable wells, which is
22 also factored -- proposed to be factored at 40 percent.

23 Q. Do you agree with the weightings that Chesapeake
24 has attributed to the wellbore factor?

25 A. I do not.

1 Q. And why not? What's your problem with that?

2 A. I've never seen it that high. I do agree with
3 Mr. Adams, no one can argue with that, and when you get two
4 engineers in a room they typically don't even see eye to
5 eye, so much less when you get more of them there, that's
6 going to be -- and we can all -- we all learned to count,
7 you know, before kindergarten. So that's an easy parameter
8 to fill out on the table and get people to say -- rally
9 behind it and say, Let's not argue about this one.

10 But on an average well basis for this flood, I
11 believe using Chesapeake's proposed secondary to primary,
12 you're talking around 40,000 barrels per well at today's
13 prices, whether you're talking 70, 90 or 200, whatever that
14 is, the value of 30-year-old wellbores versus the proposed
15 hydrocarbons to be produced out of those wellbores, I think
16 is inequitable.

17 You know, I don't do as much waterflooding as
18 some other people do. I've done, you know, more than half
19 a dozen, but I did talk to other engineers, when I call an
20 engineer on the streets, where I basically just pick up the
21 phone, call an engineer friend of mine, or actually
22 consulting engineers, and said, Here's something that I'm
23 looking at, throw me some -- throw me some numbers out on
24 the table.

25 And to a man, all of them weighted the wellbore

1 -- they actually, by the way, picked these four, and
2 basically what Mr. Adams said -- I've been in -- I was in
3 one that had as many as nine parameters, and that was a
4 complete struggle to even begin to try to come to a
5 consensus on that. So four is fine, but to have the
6 salvageable value, or just a simple well count versus the
7 future present value, or even a gross value coming out of a
8 well, I just think is inequitable.

9 Q. All right. Continue to look at Pintail's Exhibit
10 1, Chesapeake Exhibit's 19. Look at the column they have
11 in red for the average daily production rate. Do you have
12 it? Do you agree with the data they've reflected there?

13 A. No, I don't.

14 Q. And why not?

15 A. Not being the operator of the field, the only
16 thing I had to go by is NMOC D reports, and that's actually
17 -- I went to the NMOC D Internet site and looked up the
18 production as reported to the State. You know, my Exhibit
19 3, which everybody has, I turned around and used quarter 2
20 production, which -- in their proposal to the State, that's
21 the three months of production that they chose to use for
22 the average current daily production rate. I put a square
23 or a rectangle, if you will, around those three months and
24 annotated off to the side what that quarter's production
25 was, both as a gross barrel, as well as a net barrel per

1 day.

2 I then on Exhibit 2, which I call my Exhibit A,
3 tallied that. And the average is not 23 barrels a day, it
4 is 19.2. That's a fact issue.

5 So then you turn around and have the daily field
6 production off to the right, which obviously has that up to
7 100 percent, and if you just turn around and change those
8 correct as reported to the NMOCD daily production -- or
9 quarterly production, it will alter -- without changing the
10 four parameters' weighting, still keeping at 40-10-40-10,
11 the tract participation factors will change across the
12 board.

13 Q. Does that result in an unfairness in the
14 allocation, then?

15 A. As proposed, it does.

16 Q. All right. Let's look at Pintail Exhibit Number
17 4, and actually this is an excerpt from Chesapeake Exhibit
18 25, their feasibility study; is that right?

19 A. It is. Yeah, what I'm showing here in Exhibit 4
20 -- and again, it's right out of the -- and Mr. Adams did
21 wonderful work. I mean, he did really good work on this --
22 on -- I'm able to pick at a piece of it, but -- in the
23 third line it talks about the remaining primary
24 predominantly coming from three wells, being the Quail
25 State 2, BG 2 and 3.

1 Well, right behind it is the calculations of the
2 to-date secondary recovery, versus the primary. And then
3 the third page to this exhibit is the four-well montage
4 that shows the response that was -- on those .224 pore
5 volume -- what I call dump flood, which was a -- you know,
6 a decent response, considering that there was not very much
7 water put in.

8 But those -- those three wells, the remainder --
9 if you take out the secondary, there's actually four wells
10 that are going to make the remaining of the -- almost
11 equally, the remaining primary, and that will be the Quail
12 State 2, the BG 2 and 3, as well as the Atlantic Richfield
13 1. They're all pretty well even, if you take the secondary
14 out from the primary. So just a small bone. Okay?

15 Q. Mr. Mueller, do you agree with Mr. Adams'
16 statement that there is some possibility that waterflood
17 operations may adversely affect portions of the pool
18 outside of the unit boundaries in the south half of Section
19 14?

20 A. It could. Absolutely it could. Again, we don't
21 know what the sweep is going to be, we need directional
22 permeability. There's a lot of things that are going to
23 manifest itself over time that you'll be able to back-
24 calculated into, banked oil -- you know, there's a lot of
25 things. But sitting here today, yes, it's possible.

1 Absolutely.

2 Q. Were Exhibits -- Pintail Exhibits 1 through 4
3 compiled by you from the Chesapeake materials and from OCD
4 materials available on their website?

5 A. Yes.

6 MR. HALL: At this point, Mr. Examiner, we would
7 offer Pintail Exhibits 1 through 4.

8 EXAMINER JONES: Any objection?

9 MR. CARR: No objection.

10 MR. HALL: And that concludes our direct of Mr.
11 Mueller.

12 CROSS-EXAMINATION

13 BY MR. CARR:

14 Q. Mr. Mueller, do you disagree with waterflooding
15 this project area?

16 A. No.

17 Q. You do agree there will be benefits that can be
18 obtained from a waterflood project?

19 A. Yes, I do.

20 Q. And you expressed some concern about potential
21 damage to acreage in 14 outside the boundary. You're not
22 suggesting that they defer waterflood operations because
23 the federal government won't lease the land?

24 A. No, not at all.

25 Q. Okay.

1 A. I mean, the question -- could be read back to me
2 by the stenographer -- but is, Could it slightly in the
3 corner? And the answer is, yes, it could, but --

4 Q. But you weren't recommending there be --

5 A. No. No, no, no, no, no, no, no --

6 Q. You did --

7 A. -- that's a very fair question.

8 Q. -- you stated you didn't communicate with
9 Chesapeake?

10 A. That's correct.

11 Q. If I understood your testimony, there was no
12 point to it, they owned 89 percent?

13 A. That's pretty much the way I felt, as well as
14 it's a one-on-one arm-wrestle with me against Hulk Hogan.
15 That's a losing proposition.

16 Q. You did request a continuance?

17 A. Yes, I did.

18 Q. And you did get that --

19 A. Yes, I did.

20 Q. -- so you did communicate at that level?

21 You stated you talked to engineers about --

22 A. Yes.

23 Q. -- what the appropriate -- but for some reason,
24 you didn't want to talk to Chesapeake's engineer who called
25 you?

1 A. No, that's -- I needed to have my -- my ducks in
2 a row, for lack of a better -- I needed to have someone
3 say, This is what I do every day, these are consulting
4 reservoir engineers, both of them do primary-secondary --
5 actually both of them -- having the presence of consulting
6 reservoir engineer companies, because I could be out in
7 left field.

8 No, I did not. But again, I felt that this was a
9 better forum to have that discussion than over a phone.

10 Q. And --

11 A. And again -- and part of it's because of what's
12 come up today, when you get into the iterations of, Well,
13 we'll agree with you, and then we have to send it back out
14 to everybody else. I mean, we can play this certified-mail
15 game for six months, so...

16 Q. You did receive the feasibility study, did you
17 not?

18 A. Yes.

19 Q. And it had a phone number in there, and you could
20 have called Chesapeake?

21 A. Yes.

22 Q. And you decided not to do that?

23 A. Correct.

24 Q. You thought you'd get better information from
25 other engineers than the engineer in charge of the project?

1 A. That's not what I said.

2 Q. Well, did you call the engineer in charge of the
3 project?

4 A. No, I did not.

5 Q. Okay. Now, you stated you were surprised there
6 wasn't a working interest owner meeting?

7 A. Correct.

8 Q. Do you think that would have been different than
9 talking to Chesapeake one on one?

10 A. Absolutely.

11 Q. They still would have owned 89 percent, would
12 they not?

13 A. Well, depending on how you ultimately allocate
14 the tract factors, but --

15 Q. But they have still owned the vast majority of
16 the unit?

17 A. They would have owned the vast majority of the
18 interest. But what happens when you get -- and again, even
19 two engineers don't see eye to eye. But again, when you
20 get several in a room, presuming that the biggest six all
21 sent engineers to the meeting, you get some pretty strong
22 advocates, and you get commonality against a position. And
23 I think that could have been maybe discussed better than
24 one-on-ones.

25 Q. Other than Chesapeake's ownership position, do

1 you have any evidence of anything that -- any time
2 Chesapeake refused to talk to anybody about this unit?

3 A. I don't -- I have -- the other 16 owners, I have
4 no clue.

5 Q. That's all, thank you.

6 A. I do not know.

7 EXAMINER JONES: Mr. Bruce?

8 CROSS-EXAMINATION

9 BY MR. BRUCE:

10 Q. I'm just curious, Mr. Mueller. I mean, have you
11 ever seen, or the people you've talked with seen any unit
12 allocating 40 percent to usable wellbores?

13 A. No.

14 Q. Isn't 5 to 10 percent a much more common figure?

15 A. The -- the one -- one guy I talked to -- And yes,
16 my answer is yes. But also, again, it's a common engineer.
17 The one guy said, If you want to count that it's typically
18 5 to 10. The other one flat said 10.

19 I mean, that's what it is. And I can tell you
20 that the person that made the appearance and then didn't
21 show up today was on the same -- because I talked to them,
22 they were on the same horse.

23 MR. CARR: Are you talking about Pride?

24 THE WITNESS: No, no, I was talking about Ms.

25 Curry, was for --

1 EXAMINER JONES: Snow?

2 THE WITNESS: -- Snow Operating. So they were on
3 the wellbore horse.

4 Q. (By Mr. Bruce) On these Queen and San Andres
5 waterflood, isn't ultimate recovery a major factor?

6 A. Typically it is, EUR. And the one thing I didn't
7 quite -- I'm not completely -- I'm glad you asked, because
8 I purely answered my counsel's question. But the EUR
9 lease, the way I looked at it, with the exception of one of
10 the wells, as presented in this green, actually has that
11 incremental secondary involved. One of them does not,
12 which I think is the BG State 3.

13 But the BG State 2, Quail -- Quail 2, 4, 6, all
14 have -- as drawn out in the back of your feasibility study,
15 actually shows the higher current production rate, which is
16 obviously a response to that dump flood. So these EUR
17 numbers as presented aren't quite correct either.

18 But I do agree with Mr. Adams, that's opened up a
19 can of worms, so I kind of left those alone. But those
20 could be jiggered too, I mean, because that's -- that's
21 primary, and this dump flood's secondary.

22 MR. BRUCE: Okay, thank you.

23 EXAMINATION

24 BY EXAMINER JONES:

25 Q. Mr. Mueller, where is Pintail's acreage?

1 A. Pintail's in tract 3, the Atlantic Richfield.

2 Q. It's totally tract 3?

3 A. Yes, which by the way has the highest EUR out
4 there.

5 Q. Okay, the -- re-entering a plugged well that has
6 had some casing removed -- is your background production
7 engineering, drilling engineering --

8 A. I've done it all. I've fiddled with everything.
9 I would say I can wear 20 hats at once, probably don't wear
10 any of the 20 fantastically well, but probably get along
11 okay at everything.

12 But, Mr. -- I'm going to presume where you're
13 going. I'd need to let you ask your question, but Mr.
14 Adams is right. Anytime I'm looking at re-entering a well,
15 particularly of this age -- that's even some of the problem
16 I have with the well count here, because obviously we had
17 an injection well that's had mechanical failure. It looks
18 like, just looking at the production one -- the other
19 wells, again, I'm not a working interest owner, and one of
20 those Quail State wells looked like it failed.

21 So you've got some integrity problems as is out
22 there because of the age of these wells. Much less why do
23 I want to go and tie on -- regardless of the difficulty of
24 tying on in that -- why do I want to tie on to an old well,
25 you know, and its -- you know, concomitant mechanical

1 problems -- or probability of problems?

2 So yeah, I -- that's pretty well verboten. I'd
3 spend the money for new.

4 Q. At 5000 feet deep?

5 A. Yeah, 5000 feet. We may be talking a better --
6 different pill to swallow at 9000 or 10,000. But 5000,
7 it's -- any more drilling guys and bits and hydraulics, you
8 can get there quick.

9 Q. But the actual location itself -- did you do any
10 mapping yourself?

11 A. No, actually I went in, I started this deal and
12 looked at it and I said how -- and I try to take in
13 everything I do a very middle-of-the-road, what's best, one
14 of those things, it is what it is, you know. I don't try
15 to nuance it and spin it, I just look at it straight up.

16 And I looked at Mr. Adams' work and it's very,
17 very good. It's -- he did good work. I'm going to presume
18 that the geologist absolutely -- I mean, it's kind of hard
19 when the numbers -- and this pretty simple, shallow stuff,
20 there's not any faulting, there's -- you know, the
21 stratigraphy, all these other things that can make things
22 difficult, it's not apparent here.

23 So as presented, the study is fine.

24 Q. Okay, I guess the bottom line is, did you propose
25 any participation --

1 A. I did, that's my Exhibit C, and I a little bit
2 took the easy way out too in that I did not -- and again
3 for argument's sake, I did not mess with the EUR
4 allocations the way I did with the daily production rate
5 allocation, mainly because the daily production rate
6 allocations is something that anybody in this state with a
7 computer can pull down, and that's public record. There's
8 EUR -- there's some nuance.

9 Well, I -- I blew off that 10,000, 12,000 barrels
10 of secondary that got tacked onto the primary, let it ride,
11 even though it does -- for those -- for those immediate
12 four wells around that dump -- and Mr. Adams is right,
13 there's a couple of wells that are second tier out that
14 you're seeing -- pretty obvious from a reservoir standpoint
15 that you're seeing response to, you know, after -- after
16 very low pore volume injection.

17 But anyhow, my Exhibit C, essentially all I did
18 was flip-flop the EUR and the --

19 MR. CARR: Mr. Examiner, we can't find Exhibit C.

20 EXAMINER JONES: Okay, it's --

21 THE WITNESS: It's at the back, okay. It's my
22 Exhibit C at the back of Exhibit 2, is where it is. It's
23 the --

24 Q. (By Examiner Jones) Okay, so basically you're
25 going from 10- -- on your -- on your tract 3, you -- that

1 would change it from 10.3 to 14.4?

2 A. Well, but I -- but I think the better thing, Mr.
3 Examiner, is that really my Exhibit B, which I'm to presume
4 a fact issue that will switch the daily production rate,
5 okay. So -- so my -- so my Exhibit B would be with the
6 correct production ^{Rate} date as reported to the NMOC, was
7 really 11-06.

8 Q. Oh.

9 A. So it's page 2 to page 3, is the swing.

10 Q. Okay.

11 A. And if I were to take out the secondary it would
12 get higher, but -- I'll let that alone, because it -- just
13 for ease of getting this done. I mean, Mr. Adams is right,
14 you know, every month that goes by, it's a little bit --
15 little bit of your present value is lost. And it's a good,
16 viable flood. I mean, it's down at low pressures. We've
17 obviously had response off a low pore volume injected. I
18 mean, it's -- it's a very viable, economic flood.

19 EXAMINER JONES: Okay. Okay, I -- Go ahead.

20 MR. HALL: That's all I have, Mr. Examiner.

21 THE WITNESS: Oh, I got -- I got something else.

22 EXAMINER JONES: Okay, go ahead.

23 THE WITNESS: We were talking earlier about the
24 Ernst and Young and the overhead rates. I don't know where
25 they are. That's going back to one of my -- it is what it

1 is.

2 But you know, Chesapeake said that Read and
3 Stevens called up and they lowered it on a voluntary basis
4 because of the ease of keeping up with -- and monitoring
5 the injection wells on a -- versus -- versus production
6 wells, which is a pretty true statement. There's -- as
7 time goes on, that might get a little bit out of whack.

8 But you know, I don't -- whatever those Ernst and
9 Young numbers are, there may still need to be a discount to
10 that to -- from a normal producing well, because we do have
11 some injection wells as part of the parameters that's being
12 -- being calculated in.

13 The other thing which I think needs to be touched
14 on is the \$100,000-no-AFE number. Prices have gone up,
15 everything is more expensive. But my offshore wells have a
16 \$100,000-AFE spending limit, and I think onshore in a unit,
17 that's just -- that's a lot of latitude that I don't think
18 is really justified.

19 MR. CARR: Just an additional question.

20 THE WITNESS: Sure.

21 FURTHER EXAMINATION

22 BY MR. CARR:

23 Q. I want to be sure. The formula you're
24 recommending is 40 percent current volume?

25 A. Yes.

1 Q. And that's the same number that Chesapeake --

2 A. I just flip-flopped two, correct.

3 Q. Okay, you flip-flopped the next two. Volume went
4 from 10 percent to 40 percent in your calculation, the well
5 count went from 40 percent to 10 percent?

6 A. Okay, current volume is 40.

7 Q. Current volume is 40, it was 10, and --

8 A. It was 10, right.

9 Q. -- and then well count is now in your proposal
10 10, and it was 40?

11 A. Well count is 10, that's right. Pore volume was
12 10, it is 10. EUR was 40, is 40.

13 MR. CARR: Thank you.

14 EXAMINER JONES: Okay, anybody else have anything
15 in this case -- in these cases?

16 MR. HALL: (Shakes head)

17 MR. BRUCE: (Shakes head)

18 MR. CARR: I have a closing, like always.

19 EXAMINER JONES: Okay, thank you, Mr. Mueller.

20 MR. MUELLER: Thank you.

21 EXAMINER JONES: Some closing statements --

22 MR. CARR: I go last.

23 EXAMINER JONES: Oh, you want to go last?

24 Who wants to go first on these?

25 MR. BRUCE: I'll go first.

1 EXAMINER JONES: Okay.

2 MR. BRUCE: Go in reverse order.

3 Mr. Examiner, I'm going to propose alternative
4 relief. First of all, you know, I think this is unique in
5 the lack of time between submitting a unitization proposal
6 and going to hearing. The proposal letter for the unit was
7 dated August 29th, which -- counting my fingers and toes,
8 was a Wednesday. And then the following Tuesday the
9 Application for unitization was filed.

10 You know, even in the force pooling proceeding
11 when you're just dealing with one well, the Division likes
12 to see 30 to 45 days pass between a proposal letter going
13 out and an application being filed. Generally in
14 unitization, as their engineer, Mr. Adams, said, it is much
15 more complicated, there are more factors to consider.
16 We're not just looking at acreage.

17 I just don't think there's been enough time. I
18 think you should deny the Application. There have been
19 insufficient efforts made to obtain voluntary unitization
20 in this case. This would -- the dismissal, of course,
21 would be without prejudice, so they could refile. But
22 there's just not been enough time.

23 Secondly, as you can see from the exhibits, as to
24 the Pride acreage, the west half, northwest quarter of
25 Section 13, there's not going to be any producing wells on

1 it, there's not going to be any injection wells on it, why
2 do you need it? Pride Energy would rather develop this
3 acreage -- its acreage, independently, and would request
4 that that acreage be deleted from the unit.

5 Also, Pride does not believe that the
6 participation formula fairly allocates substances among the
7 unit tracts. If you look at the exhibits -- you know, there
8 hasn't been much ultimate from Pride's tract. But when you
9 look at the geologic exhibits, those tracts are as good as
10 any. They're given virtually no credit for their
11 hydrocarbon pore volume.

12 If neither of the first two requests, either
13 deletion of the acreage or denying the Application, is
14 granted, I think the Division should come up with a more
15 fair allocation formula based on ultimate primary as in the
16 recent Beach Exploration unitization case, or on reservoir
17 pore volume as in the West Lovington-Strawn Unit.

18 This -- the numbers -- using 40 percent for
19 wellbores -- I've been to plenty of unitization cases
20 before the Division, and I've never seen that factor that
21 high. It's just not reasonable.

22 And finally, I'd point out, if the Division does
23 grant unitization, under the Statutory Unitization Act the
24 Division does have the authority to approve the unit
25 operating agreement, unlike in the force pooling situation,

1 and it should exercise its authority to reduce the overhead
2 rates to something reasonable, and also -- also, to deny
3 Chesapeake the right to bill out its geologic and
4 engineer's time to the working interest owners. That's
5 just not reasonable.

6 Thank you.

7 MR. HALL: Mr. Examiner, on behalf of Pintail
8 Production Company, we think that Chesapeake needs to start
9 over. There is a procedure set forth in the Statutory
10 Unitization Act.

11 I agree, I think there's a question whether or
12 not Chesapeake made a good faith effort to secure all of
13 the unit participants' voluntary joinder, their voluntary
14 participation. I think they do need to have a working
15 interest owners' meeting. That was not really attempted.

16 Further, Statutory Unitization Act requires you
17 to make a finding that the allocation formula proposed by
18 the Applicant results in the allocation of unitized
19 substance on a fair, reasonable and equitable basis.
20 There's a question whether you can make that finding in
21 this case.

22 By Chesapeake's own admission, the allocation
23 formula they are proposing is arbitrary. I think that
24 phrase was used to describe their own formula several times
25 here today. If it's arbitrary, what the Act directs you to

1 do is take the available data from the hearing and come up
2 with your own formula.

3 We would submit that you might refer to Pintail's
4 proposed allocation formula, and I think you can come
5 closer to establishing a fair, reasonable and equitable
6 allocation.

7 Otherwise, I think the direction from the
8 Division to Chesapeake ought to be, Start over, have a
9 working interest owners' meeting and get it right, then
10 come back to the Division for approval.

11 MR. CARR: May it please the Examiner, Chesapeake
12 is before you seeking authorization under the Statutory
13 Unitization Act to form an 840-acre unit in the Queen.

14 It is a reservoir where today there are 12 wells
15 that have a combined total daily production of only 23
16 barrels of oil per day. It's a reservoir that has been
17 pressure-depleted from 2300 pounds down to 350 pounds.

18 The owners of 95 percent of the working interest,
19 not just Chesapeake, support the proposal. A hundred
20 percent of the working interest will be committed when the
21 State Land Office gives its final approval, as it has given
22 its preliminary approval.

23 You know, Chesapeake does own most of this. And
24 there's a plus and a minus in that, because what they're
25 interested in is effectively and efficiently producing the

1 remaining reserves in this acreage, and this waterflood
2 project is the best way to do it.

3 So what did they do? They developed a
4 feasibility study, which you have before you, and we invite
5 you to read that to see if that isn't a full presentation
6 of every possible engineering and geologic factor we can
7 pull together to support this Application.

8 Now they sent it by certified mail to everyone,
9 including the clients of Mr. Bruce and Mr. Hall. They put
10 Greg Adams' phone number in it, and if you have a question,
11 call him.

12 Well, we did have two calls. We had one from
13 Read and Stevens, who proposed lowerhead [sic] overhead and
14 administrative costs, and we agreed. We had another call
15 requesting a continuance, we agreed.

16 We had no request for a working interest owner
17 meeting, and that is not standard and -- or required by
18 statute.

19 We had no proposals to change any factor, other
20 than what they brought to you today. No change was
21 recommended to us in the participation formula.

22 But what they've done is come in -- and they like
23 to do it here, because their objective is not changing the
24 formula, it's trying to delay, trying to prevent this from
25 going in. And the result is delay, costs us, and

1 ultimately them, money.

2 If you look at the Statutory Unitization Act, I
3 wrote the Statutory Unitization Act. It was designed to
4 enable people to combine tracts for the purpose of enhanced
5 recovery operations. It was not designed to give somebody
6 with an edge tract, like Pride, an opportunity to either
7 veto the project or sit on the edge and get the benefit of
8 somebody else's waterflood project.

9 This is not something that is done by consensus,
10 it is done because you are a conservation agency and you
11 decide this is a good project and it prevents waste.

12 And so how do we get there? We make a good faith
13 effort.

14 Now I think it's one thing that gets carried --
15 people get carried away with in these hearings, and it's
16 happened in this same situation before. They forget that
17 good faith is a two-way street. If you ask someone to call
18 you if they have concerns and they don't, I don't think
19 that's good faith.

20 But I think when you do what Chesapeake has done,
21 put together this feasibility study, sent it to people like
22 -- people like Snow, who own less than .2 of 1 percent,
23 have your engineer sit down and talk with them, invite them
24 to comment and question and have a record in this case of
25 having gotten two comments and responded completely to

1 both, I think you have good faith.

2 I think when you send this to Pintail, when you
3 call them about it and they don't return your call, when
4 they ask you to continue your case so they can look at it
5 and you do, when you call them and they don't return your
6 call so you send someone to their office and they're busy,
7 so they call you three days later and they don't talk about
8 this report, they talk about trout fishing and say they
9 need an engineer, so you have your engineer call, and he
10 calls them at home and he calls them at work, and they
11 don't call back, because their strategy is to call some of
12 their friends who are engineers instead of the engineers
13 who are responsible for the project, and then come here and
14 say our formula figures are arbitrary, and all they do is
15 switch 40 for 10 and 10 for 40, they are arbitrary for us,
16 they are arbitrary for them.

17 And the Statutory Unitization Act does say you
18 can rewrite the formula based on the record before you.

19 Mr. Examiner, this is the record before you, not
20 somebody else's numbers that they just lay out without
21 technical support. You can't change the formula. The
22 record in this case will not support it.

23 What is just, fair and reasonable is a formula
24 that, if you look at Pintail's tract and you compare it to
25 the best tract, the one with 9 barrels a day, the tract in

1 which Pintail has an interest -- which incidentally we own
2 66 percent of, not trying to screw anybody, we'd screw
3 ourselves -- but that 40-acre tract produces 3 barrels a
4 day. The tract that's so good produces 9 on 120 acres.
5 When you divide that out on a per-acreage basis, they are
6 the same.

7 And then you have a 40-acre factor for usable
8 wellbores. The 120-acre tract has two, the 40-acre tract
9 has one. On that score, the Pintail tract gets a higher
10 value even per acre than the tract that has 9 barrels a day
11 coming from it.

12 I submit to you that the formula is just, it's
13 fair and it's reasonable.

14 And to come in say, Oh, well, start over --
15 That's a typical thing. Go back, look at EnerQuest.
16 That's what happens when you really don't have anything
17 else to say.

18 But the most amazing thing is that you would come
19 in, then, and start saying, Oh, well, you ought to look at
20 things like the hydrocarbon pore value, which we did in the
21 West Lovington-Strawn.

22 Go back and look at that case. Do you know what
23 happened with hydrocarbon pore volume in that case? They
24 couldn't get Phillips to ratify until the geologist
25 reworked it and gave them more hydrocarbon pore volume.

1 That's the kind of gamesmanship you get when you
2 start fooling around with these factors.

3 We took those that are reliable, that you can
4 depend on, and that work, and we have presented to you an
5 Application that complies with statute, following a good
6 faith effort with a fair, just and reasonable formula, and
7 we ask you to act not like somebody who mediates a
8 compromise but somebody who does their duty under the Oil
9 and Gas Act and approves the Application.

10 EXAMINER JONES: Thank you, Mr. Carr, Mr.
11 Bruce --

12 MR. BRUCE: Thanks for working through lunch.

13 EXAMINER JONES: -- Mr. Hall. That's all right.
14 I've got lots of extra lunches here anyway.

15 With that we'll take -- we will take Case 14,001
16 and Case 14,002 under advisement.

17 And that being the last cases on this docket,
18 this hearing will be adjourned.

19 (Thereupon, these proceedings were concluded at
20 2:40 p.m.)

21 * * *

22 I do hereby certify that the foregoing is
23 a complete record of the proceedings in
24 the Examiner hearing of Case No. _____
25 heard by me on _____.

_____, Examiner
Oil Conservation Division

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL November 4th, 2007.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 16th, 2010