

1 STATE OF NEW MEXICO  
2 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
3 OIL CONSERVATION DIVISION  
4

5 IN THE MATTER OF THE HEARING CALLED  
6 BY THE OIL CONSERVATION DIVISION FOR  
THE PURPOSE OF CONSIDERING:

CASE NO. 14122

7 APPLICATION OF PECOS OPERATING COMPANY  
8 FOR APPROVAL OF A NON-COMMERCIAL  
SALTWATER DISPOSAL WELL, LEA COUNTY,  
9 NEW MEXICO

COPY

10

11

12

13

REPORTER'S TRANSCRIPT OF PROCEEDINGS

14

EXAMINER HEARING

15

16 BEFORE: DAVID K. BROOKS, Legal Examiner  
17 WILLIAM V. JONES, Technical Examiner  
TERRY G. WARNELL, Technical Examiner

18

May 15, 2008

19

Santa Fe, New Mexico

20

21 This matter came for hearing before the New Mexico Oil  
Conservation Division, DAVID K. BROOKS, Legal Examiner,  
22 WILLIAM V. JONES, Technical Examiner, and TERRY G. WARNELL,  
Technical Examiner, on May 15, 2008, at the New Mexico Energy,  
Minerals and Natural Resources Department, 1220 South St.  
23 Francis Drive, Room 102, Santa Fe, New Mexico.

24

REPORTED BY: JOYCE D. CALVERT, P-03  
Paul Baca Court Reporters  
25 500 Fourth Street, NW, Suite 105  
Albuquerque, New Mexico 87102

2008 MAY 28 PM 4 44  
RECEIVED

## INDEX

1		
2	Examiner Hearing	
	CASE NO. 14122	
3		PAGE
4	APPEARANCES	3
5	APPLICANT'S WITNESS:	
6	STEVEN D. GRAY	
	DIRECT EXAMINATION BY MR. FELDEWERT	6
7	CROSS-EXAMINATION BY MR. HALL	24
	EXAMINATION BY MR. JONES	31
8	EXAMINATION BY MR. BROOKS	40
9		
10	APPLICANT'S EXHIBITS 1 - 12	24
11		
12	PROTESTANT'S WITNESS:	
	DONALD M. HARROD	
13	DIRECT EXAMINATION BY MR. HALL	43
	EXPERT EXAMINATION BY MR. FELDEWERT	45
14	CONTINUING DIRECT EXAMINATION BY MR. HALL	48
	CROSS-EXAMINATION BY MR. FELDEWERT	56
15	EXAMINATION BY MR. JONES	63
	EXAMINATION BY MR. WARNELL	69
16		
17	PROTESTANT'S EXHIBITS 4 - 5	56
18		
19	REPORTER'S CERTIFICATE	72
20		
21		
22		
23		
24		
25		

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A P P E A R A N C E S

FOR THE APPLICANT:

Michael H. Feldewert, Esq.  
HOLLAND & HART, LLP  
110 North Guadalupe, Suite 1  
Santa Fe, New Mexico 87501

FOR THE PROTESTANT:

J. Scott Hall, Esq.  
MONTGOMERY & ANDREWS LAW FIRM  
325 Paseo De Peralta  
Santa Fe, New Mexico 87501

1 MR. JONES: Okay. Let's go back on the record, and  
2 call Case No. 14122. It's in the matter of the Application of  
3 Pecos Operating Company for Approval of a Non-commercial  
4 Saltwater Disposal Well, Lea County, New Mexico.

5 Call for appearances.

6 MR. FELDEWERT: If it pleases the Examiner, Michael  
7 Feldewert with the Santa Fe office of Holland & Hart, for the  
8 applicant, Pecos Operating Company.

9 MR. JONES: Other appearances?

10 MR. HALL: Mr. Examiner, Scott Hall with Montgomery &  
11 Andrews appearing on behalf of H&M this morning. I have one  
12 witness.

13 MR. JONES: Will all the witnesses please stand to be  
14 sworn?

15 MR. BROOKS: Will you state your names for the  
16 record, please.

17 [Witnesses sworn.]

18 MR. FELDEWERT: Mr. Examiner, before I begin, we do  
19 have a motion I'd like to address. It was to dismiss the  
20 objections filed by H&M Disposal. As you know, this case was  
21 set for hearing only because they filed an objection. And we  
22 informed the Division both by letter and then by motion of the  
23 fact that this objection is untimely and fell well outside the  
24 15-day period provided by Rule 701.

25 And I submit to you that if that 15-day period in

1 Rule 701 has any real meaning, this objection should not be  
2 entertained or considered by the Division, and we should use  
3 this time, since we're here, to address whatever the questions  
4 the Division has about the application.

5 But I suggest that H&M really has no standing here to  
6 object, because they waived any objection by failing to respond  
7 in a timely manner under Rule 701. So we would move that the  
8 Division dismiss the objections filed by H&M Disposal so that  
9 we can just proceed here today and address whatever questions  
10 the Division may have about the application.

11 MR. JONES: Mr. Hall?

12 MR. HALL: Mr. Examiner, were I permitted to make an  
13 offer of proof, I would have Mr. Don Harrod, a principal of H&M  
14 Disposal, testify to you that on receipt of the administrative  
15 application from Pecos, he attempted to contact Pecos directly  
16 to discuss his objections with them. He never established  
17 contact with them. And it is correct, I believe, he indicated  
18 an objection to the Division. I believe it was one or more  
19 days after the 15-day deadline under the rules.

20 Notwithstanding, I think the Examiner has the  
21 discretion to hear H&M's objections in this hearing today. And  
22 the information, testimony, and exhibits that we could offer  
23 through H&M will be useful to the Division in its  
24 decision-making process. I would urge you to exercise your  
25 discretion and allow our testimony.

1 MR. JONES: I'm going to defer to Mr. Brooks here.

2 MR. BROOKS: I have always interpreted it as my view  
3 that the protest date under our administrative rules are  
4 similar to the answer date in litigation, that failure to  
5 observe it does not constitute a waiver unless an order is  
6 entered prior to the time that the objection is actually filed.

7 So I would advise that motion be overruled -- that  
8 Mr. Feldewert's motion be overruled.

9 MR. JONES: I'm going to go with my legal advice  
10 here, and we're going to deny the motion to cancel this, and  
11 we're going to go ahead and hear the case, Mr. Feldewert.

12 MR. FELDEWERT: Under those circumstances,  
13 Mr. Examiner, then, we call Mr. Steve Gray to the stand.

14 STEVEN D. GRAY  
15 after having been first duly sworn under oath,  
16 was questioned and testified as follows:

17 DIRECT EXAMINATION

18 BY MR. FELDEWERT:

19 Q. Mr. Gray, would you please state your full name  
20 for the record.

21 A. My name is Steven Gray.

22 Q. And by whom are you employed and in what  
23 capacity?

24 A. I'm a manager and part owner of Pecos Operating  
25 Company.

1 Q. And how long have you been with the company?

2 A. The company has only been in existence for about  
3 a year and-a-half now.

4 Q. What was the company's form prior to Pecos  
5 Operating Company?

6 A. I was also a partner in a previous company called  
7 Pecos Production Company for the last seven or eight years.

8 Q. Okay. Have you previously testified before this  
9 Division?

10 A. No, I have not.

11 Q. Have you testified before other regulatory  
12 agencies?

13 A. Yes, I have.

14 Q. What were those?

15 A. I had previously testified in front of Oil & Gas  
16 Commission hearings in Texas and in Louisiana and in  
17 Mississippi.

18 Q. Why don't you briefly describe your  
19 credentials -- well, let me ask you something: Were you  
20 certified as an expert witness by those commissions?

21 A. Yes, I was.

22 Q. In what field?

23 A. As a petroleum engineer.

24 Q. Why don't you briefly describe for the Examiner  
25 your credentials as a petroleum engineer.

1           A. Okay. I received my Bachelor's of Science degree  
2     in petroleum engineering at Texas Tech University in 1982. I  
3     was later registered as a professional engineer in the state of  
4     Louisiana in about 1986. I have been a practicing petroleum  
5     engineer for about 26 years now.

6           Q. Are you a member of any professional  
7     organization?

8           A. I'm not an active member at this time, but in the  
9     past, I've been a member of the Society of Petroleum Engineers.

10          Q. How long were you a member?

11          A. I was a member for over 20 years.

12          Q. Okay. Can you briefly outline your work  
13     experience as a petroleum engineer in Southeast New Mexico?

14          A. Yeah. Since about 1990, I've worked as both a  
15     reservoir engineer and a production engineer, almost  
16     exclusively in Permian Basin and predominantly in Southeastern  
17     New Mexico during that time.

18          Q. Have you had an opportunity, Mr. Gray, to study  
19     the reservoir that is the subject of this application in the  
20     Devonian?

21          A. Yes, I have.

22          Q. And how long have you been engaged in the study  
23     of this reservoir?

24          A. We first got involved in studying this reservoir  
25     in about September of last year, so it has been over six months



1 now.

2 Q. And did you prepare the C-108 application for  
3 authorization to inject?

4 A. Yes, I did.

5 MR. FELDEWERT: Mr. Examiner, I would tender Mr. Gray  
6 as an expert in petroleum engineering and in reservoir  
7 engineering.

8 MR. JONES: Any objection?

9 MR. HALL: No objections.

10 MR. JONES: Mr. Gray, did you intend to get a  
11 professional engineering qualification in New Mexico? You said  
12 you had one in Louisiana, right?

13 THE WITNESS: Yeah. I had one in Louisiana. I have  
14 a partner that's registered in Texas, and neither one of us are  
15 yet registered in New Mexico.

16 MR. JONES: Do you intend to do that?

17 THE WITNESS: I have not intended to do that right  
18 now.

19 MR. JONES: Okay. We're going to qualify Mr. Gray as  
20 an expert in petroleum engineering.

21 Q. (By Mr. Feldewert): What I'd like you to do,  
22 Mr. Gray, is turn to Pecos Exhibit No. 1, and just briefly  
23 state what your company seeks to do under this application.

24 A. Okay. Exhibit No. 1 is just a well  
25 identification map of the area that we're going to be

1 discussing today. Pecos is seeking approval to re-enter an  
2 existing well that has been plugged. It's located in the  
3 Caudill Devonian Field in Lea County.

4 This well was marked with the red A-prime on the  
5 cross section that I'll show you later, to deepen it and to  
6 utilize it as a non-commercial saltwater disposal well. This  
7 disposal well will be utilized for Pecos' existing Devonian  
8 producer, the State GA No. 1, which is shown here. Near the  
9 center of the map is the red A -- which will also be on our  
10 cross section -- and also utilize it for other planned  
11 re-entries of existing wells on our lease.

12 Q. Is this going to be a non-commercial disposal  
13 well?

14 A. Yes, it is.

15 Q. Just for your produced water on your lease?

16 A. That's correct.

17 Q. Let's deal with a couple of preliminary matters  
18 real quick. Is Exhibit No. 2 the C-108 application that was  
19 filed with the district office?

20 A. Yes, it is.

21 Q. And what is the status of the land in which this  
22 disposal well is to be utilized?

23 A. The surface is private, and the minerals are  
24 owned by the State of New Mexico.

25 Q. Was a copy of this application and notice of this

1 hearing provided to the surface owner?

2 A. Yes, it was.

3 Q. And who is that?

4 A. Mrs. Wanda Alexander.

5 Q. And was a copy of this application and notice of  
6 this hearing mailed to all the Division-designated operators  
7 within a half mile?

8 A. Yes, it was.

9 Q. Is Pecos Exhibit No. 3 the affidavit with  
10 attached letters giving notice of this hearing?

11 A. Yes.

12 Q. Now, as I look through this, I note, Mr. Gray,  
13 that Cimarex had not filed a return receipt. Have you had any  
14 discussions with Cimarex about this project?

15 A. Yes, I have.

16 Q. And when did those take place?

17 A. Yesterday.

18 Q. And can you identify to the Examiner the nature  
19 of your discussions?

20 A. Yes. We noticed yesterday that we had not  
21 received a receipt from the notice that we sent to Cimarex. We  
22 did some checking and found out that they moved their office  
23 about the same exact time that we mailed our notice. So we  
24 don't know how it got lost or whether they actually received  
25 it, but we called Cimarex's office and spoke to their landman

1 in Midland yesterday and explained the nature of the case and  
2 the application, and he mailed us a signed waiver letter saying  
3 that they had no objection to this application.

4 Q. Has that been marked as Pecos Exhibit No. 4?

5 A. Yes, it has.

6 Q. During your conversation, did this individual  
7 indicate the nature of Cimarex's activity in this area?

8 A. He indicated that most of their activity is in  
9 the Wolfcamp Formation in this area. And, therefore, a  
10 Devonian disposal should not have any bearing or impact on  
11 their operations, in that the Devonian is deeper and below the  
12 depth of the wells that they are drilling.

13 Q. So they had no objection to your application?

14 A. That's correct.

15 Q. Is Pecos Exhibit No. 5 an affidavit of  
16 publication in the Lovington Leader of this hearing?

17 A. Yes.

18 Q. Okay. And let's -- why don't we turn to Pecos  
19 Exhibit No. 6. Why don't you identify that for the Examiner.  
20 And using this map, would you describe in more detail your  
21 proposed development of this area and, in particular, how you  
22 plan to use your proposed disposal well?

23 A. Okay. Yes. Exhibit 6 is a structure map of the  
24 Caudill field on top of the Devonian Formation. You can see  
25 that the field is a large anti-cline, and it's bounded on the

1 west by a large down to the west fault, and there are several  
2 smaller faults that run through that major fault that generally  
3 cut east/west or northeast -- northwest/southeast through the  
4 field.

5 The field originally had about a 300 oil column on  
6 top of a fairly large water aquifer. The initial wells that  
7 were drilled were very prolific. The GA No. 1 well, which is  
8 our current producer in the center of the map, for example, had  
9 an initial potential for over 2000 barrels of oil a day.

10 The field was developed in the 1950s by Shell Oil  
11 Company and others. By the late 1960s, the entire field had  
12 been plugged after making about 5.2 million barrels of oil. In  
13 1976, the GA No. 1 well located in the southeast quarter of the  
14 northwest quarter of 16 was re-entered to test for bypassed  
15 attic oil on the top of Devonian. You can see from the  
16 structure map that the GA No. 1 is located near the highest  
17 structural point in the reservoir.

18 This well made a commercial completion that initially  
19 produced about 200 barrels of oil a day and about 50 barrels of  
20 water a day. So this re-completion proved that given enough  
21 time, some of these old water-dry reservoirs that had water  
22 coned into the old producers, there was some resegregation of  
23 the oil and water column in the field. And so based on that,  
24 we feel like that there are probably other wells in this field  
25 that would be candidates to do the same.

1 I'd also point out that there are other fields in the  
2 area that we're seeing redevelopment doing the exact same thing  
3 right now, like the Denton Field, for example. Since 1976, the  
4 GA No. 1 well has made about 400 -- I'm sorry -- about  
5 340,000 barrels of oil. The well still currently produces  
6 about 30 barrels of oil a day with about a 40 percent oil cut.

7 So based on the successful re-entry of this well, we  
8 believe there are other wells on the lease that we would like  
9 to re-enter and test the Devonian.

10 Q. How does your proposed disposal well fit into  
11 this development project?

12 A. Well, obviously, the Devonian here is a fairly  
13 strong water drive. And our producing well, the GA No. 1, for  
14 example, produces with a very high water cut. So I'm sure the  
15 other wells that we re-complete will be similar. And so  
16 without adequate and inexpensive disposal capacity, this type  
17 of reservoir would not be economical to redevelop.

18 Our production is currently restricted due to lack of  
19 saltwater disposal capacity. Right now, our produced water  
20 goes to H&M's commercial disposal well. It's located at the  
21 top of this map. The well at the very top -- I think on  
22 Exhibit 1, it is identified as a water disposal well with a red  
23 circle around it. That is the commercial disposal well that  
24 our water goes to at this time. But due to their capacity  
25 constraints, they can only take about 700 to 800 barrels of

1 water a day. Our well tests indicate that we could produce  
2 additional oil and water if we had a place to go with the  
3 water.

4 Q. Let me stop you right there. How do you get your  
5 water from your producing well up to the disposal well?

6 A. It's piped.

7 Q. Okay. And are you restricted as to the time  
8 period in which you can pipe the water to the H&M disposal  
9 well?

10 A. Yes.

11 Q. When is that?

12 A. Well, we've worked out an arrangement with H&M  
13 where during the night when they don't have trucks coming in  
14 and unloading to their commercial disposal well, we're able to  
15 send them water. During the day when they're unloading trucks,  
16 they're limited on the capacity they can take. So we've worked  
17 out a schedule to accommodate everybody.

18 Q. Now, you mentioned you anticipate the development  
19 or re-entry of some of these other wells located on this map.  
20 Are you in the process of doing that, and is your proposed  
21 disposal well important to that effort?

22 A. Yes. We're currently re-entering, as we speak,  
23 the GA No. 6 well that's located up in the northwest corner of  
24 Section 16 to test the Devonian.

25 Q. What are your thoughts about the ability of the

1 Devonian reservoir to -- as a source of this disposed water?

2 A. Well, obviously, if our redevelopment is  
3 successful, we'll produce a large amount of water. And in  
4 looking at this area, we believe that the Devonian is really  
5 the obvious choice. It's really the only reservoir that makes  
6 sense for us to use to dispose of the water.

7 Q. What's the relationship of your proposed disposal  
8 well structurally to the other existing -- your existing  
9 producing well and your proposed well?

10 A. Well, we picked the No. 7 well, primarily because  
11 it's the lowest well structurally on our lease.

12 Q. Okay. Why don't we then turn to what's been  
13 marked as Pecos Exhibit No. 7. I'd like you, then, to address,  
14 Mr. Gray, the questions that were raised by the Division in  
15 this letter, starting with Paragraph 1.

16 A. Sure. Referenced in Paragraph 1, our legal  
17 advertisement correctly listed the proposed total depth of our  
18 well as 13,900 feet. It's a re-entry, but we would like to  
19 deepen it a little bit to expose more of the Devonian  
20 Formation. And if you turn to the cross section, it's labeled  
21 Exhibit A. I can sort of clarify that for you.

22 This stratigraphic cross section, A A-prime, shows  
23 the Devonian interval in your producing well, the GA No. 1, and  
24 then on the well that we're proposing to re-enter is an  
25 injector. You can see that in the GA No. 1. It topped the



1 Devonian Reservoir at about 13,360 feet. And when they TD'd  
2 the well at 14,000, they were still in the Devonian. So the  
3 Devonian section here is at least 700 feet thick. And the  
4 GA No. 7, our proposed injector, it topped the Devonian at  
5 about 13,450 feet. We'd like to deepen it. They TD'd it at  
6 about 13,006. We'd like to deepen it to about 13,900. We will  
7 have about 450 feet of Devonian exposed if we do that.

8 Q. Now, the Division's letter also references it  
9 wants to make sure that VF Petroleum and Cimarex Energy were  
10 notified of this application. Were both of those companies on  
11 your notice list?

12 A. That's right. They were.

13 Q. And we've already addressed Cimarex, and VF  
14 Petroleum received and returned a return receipt for the notice  
15 of this hearing, correct?

16 A. That's correct.

17 Q. All right. Why don't you, then, address the  
18 Division's other concern about a plugged well that's located  
19 within the half-mile area of the review here?

20 A. Okay.

21 Q. And maybe use Exhibit No. 6.

22 A. Yes. We did do a study. And I believe that the  
23 Commission was referring to the Mayme Graham #1 well that's  
24 located in the southwest/southwest of Section 9. If you look  
25 at Exhibit 6, which was the structure map, you can see a dry

1 hole symbol up there that has an estimated top for the Devonian  
2 for minus 9776 feet. That's because that well was on the down  
3 thrown side of a fault, and it never reached the Devonian. So  
4 it's similar depth to our Devonian wells, but the Devonian  
5 section was never penetrated.

6 So if you'll go on to Exhibit 10 for a minute, I can  
7 demonstrate that for you. The log on the left side of this  
8 little cross section is the old dry hole that we're referring  
9 to. And you can see the other two wells on the cross section.  
10 One is H&M's disposal well and the other --

11 Q. Is that the cross section in the middle?

12 A. That's the log in the middle, yes.

13 Q. Oh, the middle. I'm sorry.

14 A. The log on the right is the GA No. 7 which we're  
15 proposing, and it's evident from these logs that you can see  
16 the Woodford section and Devonian section in the two wells on  
17 the right. The well on the left, they were still in the  
18 Mississippian whenever they TD'd the well. And, obviously, the  
19 reason they stopped there was they were very low, and they were  
20 out of luck for the Devonian.

21 Additionally, if you look at our Exhibit No. 9, they  
22 came out of the Commission's well records for that particular  
23 well. And it was June of 1956 they had a notice to -- they  
24 filed for a notice of intention to temporarily abandon that  
25 well. The very first sentence states that they TD'd at 13,547

1 in the Mississippi line.

2 So based on that, we believe the bottom of that well  
3 is 100 feet above the Woodford and probably 200 feet above the  
4 Devonian. So we don't think it would be an issue for this  
5 disposal well. And not only that, but I would note that if it  
6 were going to be an issue, it probably would have appeared by  
7 now. Because H&M's disposal well is closer to it than the well  
8 that we're proposing.

9 Q. Okay. Then let's turn to Pecos Exhibit No. 11,  
10 which is the untimely objection letter that was filed by H&M  
11 Disposal, and just address the concerns that they raise in this  
12 letter as we understand it.

13 A. Okay. First of all, I would like to point out  
14 that we're applying for a disposal well that's located 660 feet  
15 from the north lease line of our lease, which is the exact same  
16 distance that H&M's well was from their lease line.

17 In 1986, H&M -- or their predecessor -- re-entered  
18 the Mayme Graham No. 1 well located in the southeast quarter of  
19 the southwest quarter of Section 9 and made a commercial  
20 disposal well in the Devonian.

21 Q. It would be helpful, Mr. Gray, to direct the  
22 Division back to Exhibit 1.

23 A. Yeah. I think Exhibit 1 is probably the best  
24 place to focus your attention.

25 Later on, during the time that well was completed, it

1 was deepened, so you'll see an old TD and a new TD. And I  
2 believe they are injecting into an open hole interval similar  
3 to where our application is. This well is located about half a  
4 mile north of our producer, the State GA No. 1, and it's been  
5 an active injector and been in operation since 1986, to the  
6 best of my knowledge. In this 20-plus years that this well has  
7 been an active injector, we have not seen a noticeable change  
8 in reservoir pressure in our producer. In fact, last month we  
9 measured a static fluid level in our well at 1707 feet from the  
10 surface. Knowing the specific gravity of Devonian water, we  
11 can calculate the bottom hole pressure in our well to be  
12 5288 psi at a datum of 9600 feet sea level.

13           According to the study published by Roswell  
14 Geological Society, marked as our Exhibit 12, the bottom hole  
15 pressure measured in the GA No. 6 well in 1955 was 5307 psi at  
16 this same datum. So even though that active injector well has  
17 been there for 20 years, the data I have indicates that there  
18 has been very little change in the bottom hole pressure in the  
19 last 50 years, even though that well has injected over 10  
20 million barrels of water into the reservoir. This leads me to  
21 a conclusion that the Caudill Devonian field is a large  
22 reservoir, and it's a very permeable reservoir, that and other  
23 data like the initial potential of some of those wells.

24           So I'd like to also address their concerns about the  
25 maximum pressure that we applied for. In recent years, our

1 producing fluid level in the GA No. 1 well has been measured  
2 several times at approximately 2300 feet from surface while  
3 pumping at a rate of about 1200 barrels of water a day.  
4 Knowing that our static fluid level was about 1700 feet from  
5 surface, we can calculate that at 1200 barrels a day we only  
6 have a 600 foot drawdown in fluid level, which equates to  
7 269 psi drawdown at the reservoir.

8 From these numbers, a productivity index for this  
9 well can be calculated at about four-and-a-half barrels of  
10 production per day per psi of drawdown in the reservoir. Now,  
11 this GA No. 1 well has 72 feet of perforations open. The well  
12 that we are applying for, the disposal well, will have over  
13 300 feet of open hole.

14 So based on the relationship of those two numbers, we  
15 hope and we think that the GA No. 7 well will have over three  
16 times the injectivity, or conversely, the productivity that our  
17 GA No. 1 well does. So assuming for a minute that that's the  
18 case, then we should have a well that's capable of injecting  
19 about 13-and-a-half barrels per day per psi of reservoir  
20 injection pressure, which means we could inject 8000 barrels a  
21 day at a net bottom hole injection pressure of only 592 psi  
22 above the reservoir pressure.

23 Now, neglecting friction for a moment, we have a  
24 static fluid level at 1700 feet. A column of water to the  
25 surface would exert a head of 764 psi, which is greater than

1 the net injection pressure required to inject into this  
2 reservoir. So that means if we have a well with the kind of  
3 injectivity that we think we'll have, ignoring friction for a  
4 moment, we could inject 8000 barrels of water a day on a  
5 vacuum.

6 Now, if that's the case, then why did we ask for a  
7 maximum of injection pressure of 1500 psi? And the simple  
8 answer to that is friction pressure. For example, based on  
9 standard friction charts for oil field tubulars, and assuming  
10 nine pounds saltwater and 8000 barrels a day through  
11 13-and-a-half thousand feet of 2 7/8-inch tubing, the friction  
12 pressure loss would be 2362 pounds per scare inch. However,  
13 under those exact same conditions with 3 1/2-inch tubing, the  
14 friction loss would only be 945 psi.

15 So that's why you see in our application we propose  
16 to use either 3 1/2-inch tubing or a combination of 3 1/2 and  
17 2 7/8. Frankly, that's limited by the 5 1/2-inch casing that's  
18 in the well. So basically, my conclusion is the maximum  
19 pressure we're going to see with these high rates is more  
20 friction pressure than it is reservoir pressure.

21 Q. For guys like me who are not an engineer, your  
22 1500 psi pressure rate in your application is really a surface  
23 pressure and not your anticipated reservoir; is that correct?

24 A. That's correct.

25 Q. All right. Mr. Gray, what conclusions have you

1 drawn with respect to H&M concerns about increased reservoir  
2 pressure from your proposed disposal well?

3 A. Well, I think that with the kind of reservoir we  
4 have here, even with the rate we're talking about, the net  
5 bottom hold pressure will only be a few hundred psi above the  
6 current reservoir pressure. And given the large size and high  
7 permeability of the Devonian, we should not affect any well a  
8 quarter mile away from our injector, including H&M's disposal  
9 well.

10 Additionally, I'd like to make the comment that,  
11 unlike H&M's well, what we plan to do is to reinject produced  
12 water from the Devonian. So during our operation, we're going  
13 to produce Devonian oil and water, we're going to extract and  
14 sell the oil, and we're going to reinject the water. So if  
15 anything, we're going to lower the bottom hole pressure, not  
16 increase the bottom hole pressure -- or the reservoir  
17 pressure -- in the reservoir.

18 Q. Mr. Gray, in your opinion, will the granting of  
19 this application be in the best interests of conservation and  
20 prevention of waste and protection of correlative rights?

21 A. Yes. We need a disposal well to avoid the  
22 continued curtailing of our production, and this disposal well  
23 is essential to our plans to re-enter additional wells and try  
24 to recover additional bypassed oil in the Devonian.

25 Q. Okay. And is your disposal well, situated where

1 it is, the most preferable location for a disposal well in the  
2 Devonian?

3 A. Yes. On our lease, it's the lowest structurally  
4 located well.

5 Q. Were Pecos Exhibits 1 through 12 prepared by you  
6 or compiled under your direct supervision?

7 A. Yes, they were.

8 MR. FELDEWERT: Mr. Examiner, at this time, I would  
9 move the admission into evidence of Pecos Exhibits 1 through  
10 12.

11 MR. JONES: Did you talk about 1 through 12? All of  
12 them.

13 MR. FELDEWERT: Yes.

14 MR. JONES: Okay. Any objections?

15 MR. HALL: No objections.

16 MR. JONES: Okay. We'll admit Exhibits 1 through 12.  
17 And before we get started --

18 MR. BROOKS: Well, let's see how long. Let's go to  
19 Mr. Hall for cross-examination. Then we'll talk about break  
20 for lunch.

21 MR. JONES: Okay.

22 MR. HALL: I don't think I'll be long.

23 CROSS-EXAMINATION

24 BY MR. HALL:

25 Q. Mr. Gray, looking at your Exhibit 1, Pecos is the

**PAUL BACA PROFESSIONAL COURT REPORTERS**

0b7b4a63-dda3-4b25-b887-a6230c398c72

**PAUL BACA PROFESSIONAL COURT REPORTERS**

0b7b4a63-dda3-4b25-b887-a6230c398c72



1 owner of the State Lease L-214, is that right?

2 A. We are an owner of a portion of the lease, that's  
3 correct.

4 Q. Okay. Do you own the entire 240 acres that's  
5 shown on there?

6 A. The lease is currently owned by OXY as successor  
7 to City Service, and we own and operate a portion of that  
8 lease. We did a farmout from City Service.

9 Q. Is it something less than the 240 acres shown?

10 A. Yes. It's 120 acres.

11 Q. Can you identify that for us?

12 A. If you look at Exhibit 1, it's identified in a  
13 red hatcher outline.

14 Q. I see. Okay. So if I understand correctly, it's  
15 Pecos' proposal to ultimately re-enter all of those other  
16 Devonian wells shown in that northeast -- I'm sorry --  
17 northwest quarter of 16?

18 A. Yes, sir.

19 Q. That acreage there. You'll agree with me,  
20 Mr. Gray, won't you, that since your proposal is for a  
21 non-commercial disposal facility, you're not an economic  
22 competitor with Mr. Harrod's operation.

23 A. That's correct.

24 Q. What is Pecos' right to inject? Is it limited to  
25 just its rights under its oil and gas lease on farmout?

1           A. I can't answer that question. I'm not sure. I'm  
2 not the legal expert. But I have had a conversation with OXY,  
3 who is the operator of record on the remaining lease, L-214,  
4 and they were noticed of this hearing. And they stated  
5 verbally they had no objection.

6           Q. Is there some prospect that Pecos will take water  
7 from other wells within that lease that are outside of your  
8 farmout acreage?

9           A. We have no plan for that right now.

10          Q. Have you discussed that possibility with OXY or  
11 any other interest owner?

12          A. No, we haven't.

13          Q. Would you be agreeable to a limitation in the  
14 Division's order that might result from this case that Pecos be  
15 restricted to taking water only from wells on its farmout  
16 acreage?

17          A. No, sir.

18          Q. Why not?

19          A. Well, I don't know what will happen out there,  
20 but if we spend the kind of capital that we spent to make this  
21 well and then say we don't do well in the producing wells, and  
22 we have excess capacity for that well, I can see a situation  
23 where OXY or someone else right there might want to use that  
24 well.

25          Q. So are you seeking to reserve the option to

1 preserve the well for commercial operations down the road?

2 A. There's a possibility that years down the road  
3 that that could happen, that's correct.

4 Q. Okay. Do you have a business lease from the  
5 State of New Mexico to offer a commercial disposal facility on  
6 Section 16?

7 A. No, we do not.

8 Q. Do you plan to apply for one?

9 A. We do not.

10 Q. Could you explain to the Hearing Examiner your  
11 physical layout, your well configuration, and then your surface  
12 facilities?

13 A. We have a surface facility located in the  
14 northwest quarter of Section 16 near the No. 1 well. And I  
15 believe that that will be the only battery that we will have in  
16 Section 16 to develop this lease with.

17 Q. How many tanks are on that battery?

18 A. Well, there are two. There's two oil tanks in  
19 operation. And there are two oil tanks that we recently set  
20 there that are inactive. And there is two active water tanks  
21 that are small for this type of project, like 200-barrel tanks.  
22 And we recently set two 500-barrel water tanks that we plan to  
23 utilize once we get this well complete -- the new well  
24 complete.

25 Q. And you'll have surface pump facilities as well?

1 A. Right.

2 Q. What horse power?

3 A. I don't know.

4 Q. Do you anticipate it'll be large?

5 A. I don't know anticipate it will be large.

6 Q. But right now, do you anticipate using those  
7 facilities only for the dis-positioning of water from your  
8 GA No. 1 well?

9 A. Yes, the GA No. 1 and, hopefully, the GA No. 6,  
10 which we're currently re-entering.

11 Q. What current daily rates are you -- what current  
12 daily volumes of water are you delivering from the GA No.1 to  
13 H&M?

14 A. I believe that it varies on the amount of time we  
15 run. But the average has probably been 700 barrels a day.

16 Q. Okay. And do you anticipate similar rates for  
17 the other well you seek to re-enter?

18 A. I think it will produce -- I think the No. 1 is  
19 capable of producing much more than that. We're producing with  
20 a producing fluid level 2300 feet from the surface at a  
21 1200-barrel a day rate, but we're only producing 12 hours a  
22 day. So I believe that well is capable of producing as much as  
23 3- to 4000 barrels of water a day if we have the proper pump  
24 installation in it. And I would assume that the No. 6 well  
25 would be a similar well to that.

1 Q. If your completion of the No. 6 well -- your  
2 re-entry and completion of the No. 6 well is not successful,  
3 can you make the economic justification for your disposal well  
4 and all of the surface facilities just to dispose of water from  
5 the GA No. 1 well?

6 A. Probably. There are a couple of scenarios that  
7 could happen. There are shower formations that are productive  
8 in that area. If the No. 6 is unsuccessful in the Devonian, we  
9 could possibly apply to re-complete it to the Wolfcamp, for  
10 example. Another option would be if the No. 6 well is  
11 unsuccessful in the Devonian and the Wolfcamp, then perhaps we  
12 could apply to use it as our disposal well rather than the No.  
13 7 well.

14 Q. If I understand your testimony, if you utilize  
15 the 3 1/2-inch tubing you discussed, the well would be capable  
16 of taking significant volumes under gravity flow; is that  
17 right?

18 A. Yes, sir.

19 Q. Without pressure, what would those volumes be, do  
20 you estimate?

21 A. I don't have those calculations in front of me.  
22 I would imagine that we would be limited to somewhere in the  
23 neighborhood of 3000, possibly 4000 barrels a day. That's  
24 totally an estimate on my part.

25 Q. And -- I'm sorry. I didn't write down the figure

1 you testified to, but you said with the 3 1/2-inch tubing, you  
2 would have minimal friction loss.

3 A. Correct.

4 Q. Can you recall what percentage that was?

5 A. I recall saying that at 8000 barrels a day, which  
6 is what the maximum rate we applied for was, the friction loss  
7 would be less than 600 psi utilizing 3 1/2-inch tubing.

8 Q. And under what pressure?

9 A. 592, I believe, was the number.

10 Q. Mr. Gray, would Pecos be agreeable to accepting a  
11 4000-barrel of water per day limit for injection on this  
12 proposed well?

13 A. No, we wouldn't.

14 Q. Would Pecos be agreeable to notifying offset  
15 operators of any amendment proposal to amend its injection  
16 authority, provided the Division grants you injection authority  
17 pursuant to your application here today?

18 A. Yes, we would.

19 MR. HALL: Nothing further, Mr. Examiner.

20 MR. JONES: Okay. Let's break for lunch and return  
21 at 1:15.

22 [Noon recess was taken from 11:52 to 1:15.]

23 MR. JONES: Okay. Let's go back on the record. I  
24 forgot what we were talking about, but I think it's time for me  
25 to ask questions.

1 MR. HALL: I finished my cross of Mr. Gray.

2 EXAMINATION

3 BY MR JONES:

4 Q. My turn. We'll try to all ask questions real  
5 similar here. Let's see here. I don't have these organized,  
6 but first of all, do you use a Nodal Analysis Program for your  
7 IPRs and all that?

8 A. No. I wish I did.

9 Q. Plot a couple of points and draw a straight line?  
10 And VF Petroleum was noticed, right?

11 A. Yes, they were.

12 Q. They were noticed. And 3000 foot is kind of a  
13 standard for the Devonian, isn't it? For standing water level?

14 A. Well, I think that the bottom hole pressure that  
15 was referenced in that Roswell Geologic Society publication was  
16 that they thought that the original reservoir pressure was  
17 about 5500. So it's never varied more than 2- or 300 pounds,  
18 to my knowledge.

19 Q. But you guys are skimming basically, right?

20 A. That's pretty much the case.

21 Q. What size of pumps are you using?

22 A. It's an electric submersible pump that's in the  
23 well right now. I don't know the exact horsepower of it, but  
24 it's set at 3000 feet.

25 Q. Okay.

1 A. It's probably about a 30 or 40 horse.

2 Q. You just try not to burn it up.

3 A. Right.

4 Q. Are you going -- if you get more capacity, are  
5 you going to lower your pump and increase the capacity, speed  
6 it up or something?

7 A. Yes. I think that's the plan. We've seen it  
8 pump at different rates with affecting the oil cut, so I think  
9 our plan would be to try and upsize the pumping equipment on  
10 that well.

11 Q. Are you going to stay vertical in all these  
12 wells?

13 A. Right now the plans are to stay vertical,  
14 although it probably is a pretty good horizontal candidate.

15 Q. This Devonian, speaking of permeability,  
16 obviously, it got decent permeability. Porosity is decent too?

17 A. You know, the 1950s vintage logs are not very  
18 good, so I can't really testify to exactly what porosity they  
19 have. I've seen a few cores. They're not real high. I know  
20 parts of it are in the order of 10 percent. There are probably  
21 some much higher streaks, though.

22 Q. Have you seen any vertical or horizontal  
23 permeability relationships?

24 A. No, I haven't.

25 Q. What can you say about that? Is it bottom water



1 drive or is it side water drive, or --

2 A. I believe it is bottom water drive, and I believe  
3 that the original wells were all coned water when they were  
4 produced. You know, they were produced at high rates, 4- or  
5 500 barrels a day initially.

6 Q. Those hydraulic pumps?

7 A. Yeah. The old hydraulic pumps, primarily. And  
8 the production date that I've seen, a lot of them were  
9 abandoned producing around 5 percent.

10 Q. In the '50s?

11 A. In the '60s.

12 Q. And at oil prices of what?

13 A. Less than \$3.

14 Q. \$3 for lower tier?

15 A. The thing that's changed, I guess, the most is  
16 the electric submersible technology for one thing, and then  
17 just the economics of the price of oil is the other thing.

18 And then the evidence that we've seen -- well, in the  
19 GA No. 1 and then some of the other Devonian fields around  
20 there were wells -- like the GA No. 1 was producing at 5  
21 percent oil cut when it was plugged. 10 years later they  
22 re-entered it, and it came in at a better than 50 percent oil  
23 cut. So there does seem to be some resegregation of the oil  
24 and water columns in these old fields if you give them enough  
25 time.

1 Q. So is this similar to what Hallidan is doing?

2 A. Yes.

3 Q. They're doing some horizontal work, though,  
4 right?

5 A. I don't know the details, but I think that's  
6 right.

7 Q. And the size of the casing you'd run?

8 A. Well, unfortunately, the casing is a 5 1/2 casing  
9 that was cut off that we're going to have to tie back together  
10 when we do these re-entries. So we'll be limited to 5 1/2  
11 casing.

12 Q. That was 8 5/8 intermediate, right?

13 A. That's correct.

14 Q. That's the biggest you can go?

15 A. It would be pretty tough to go bigger than that,  
16 I think. 7 7/8 holes, probably.

17 Q. What's your odds of getting back in that casing?

18 A. Well, there's been a couple of wells in that  
19 field that have been re-entered successfully, the GA No. 1  
20 being one. It was in the exact same mechanical condition when  
21 it was re-entered, and they were able to tie it back  
22 successfully.

23 Q. Do you do that? Do you design that? Or do you  
24 set on it? Do you get a fishing company?

25 A. We've got a fishing and rental tool company that

1 will supervise us doing that. And then my partner is a  
2 drilling engineer. He will be there supervising.

3 Q. And you've got 700 feet of Devonian. So  
4 basically, not to talk about the other well in this case, but  
5 as an engineer, what would you -- did you ever talk to them  
6 about increasing their capacity in their well before you try to  
7 re-enter your own, spend the money to re-enter your own?

8 A. Yeah, we've talked off and on about them  
9 increasing their capacity, I think there's some -- they could  
10 do that to some extent and maybe enough for this one well we  
11 have, but not if we re-enter another well or two.

12 Q. Okay.

13 A. They may have the capacity. You can ask them  
14 that.

15 Q. You're definitely going to need some more  
16 capacity.

17 A. That's correct.

18 Q. How's the -- just quickly, how's the San Andres  
19 in this area? Has it ever been tried?

20 A. It's not productive in this area. I've seen a  
21 drill-stem test where it was wet. I think the San Andres in  
22 this area -- I don't know a lot about it. I've seen no  
23 production records of it. It would be normally pressured, and  
24 it probably would take a fair amount of water. My concern  
25 would be that over time you would pressure it up because you're

1 pumping into a closed system in the reservoir and not taking  
2 anything out of it.

3 Q. We've had several hearings here to do with that,  
4 and it was also highly corrosive in the lower San Andres.

5 A. That's correct. The Permian interval -- the  
6 upper Permian interval of the San Andres/Glorieta is all sour  
7 and corrosive. Everything from about 8- or 9000 feet down you  
8 get into the Wolfcamp or Pandy or Sweet, so the old casing  
9 that's in these wells should be in pretty good shape. But the  
10 interval from 4000 to 9000 feet that was pulled, we're going to  
11 replace with new casing and then cement it back to tie it back  
12 in.

13 Q. Okay. And that Permo-Penn or Wolfcamp -- or what  
14 they call Wolfcamp, has that been abandoned in a couple of  
15 these wells already?

16 A. Yes. If you can look at Exhibit 1, you can see  
17 that it actually produced in several of these wells. The green  
18 color, or what's called Permo-Penn on here, which is what  
19 Cimarex and others call the Wolfcamp, I believe, it produced in  
20 several wells in Section 16. So it's also perspective in the  
21 wells on our lease.

22 Q. What about the Morrow-Atoka?

23 A. There's been some production in the area from the  
24 Morrow-Atoka to the west and north of us. Again, we're dealing  
25 with 1950s logs, so we have possible Morrow-Atoka pay in our

1 wells, but it's really hard to tell from those old logs how  
2 good it is.

3 Q. So you're not worried at all about anything  
4 getting over to that ground well that's not cemented that's  
5 just right above the top of the Permo-Penn there, and it's got  
6 a plug there and nothing below it --

7 A. Right.

8 Q. -- because it's drilled into the Mississippian,  
9 and it's got a fault right there, right?

10 A. Yeah. Their well stopped drilling, about  
11 100 feet above the Woodford shelf, which is already right above  
12 the Devonian. So the bottom of their well to the Devonian  
13 should be at least 200 feet.

14 Q. So in your opinion, neither one of these wells  
15 would threaten your well, or the H&M well --

16 A. Right.

17 Q. -- would threaten the Atoka production in that  
18 area?

19 A. Right.

20 Q. Not that it's very good production anyway.

21 A. Right, that's correct.

22 Q. Okay. This deal from OXY on this, they still  
23 control the minerals under this well, right?

24 A. They still have the base lease under this, so  
25 they had -- under a farmout to our predecessor, they had farmed

1 out that 120 acres that's outlined in red on Exhibit 1 and  
2 retained an override in the lease.

3 Q. Okay. But they farmed it out to your  
4 predecessor, who is still -- your company still has valid  
5 farmout of it?

6 A. Right, that's correct. It's been in  
7 continuous -- No. 1 has produced continuously and maintained  
8 that farmout since it was re-entered in '76, I believe.

9 Q. Okay. And the State Land Office is the surface  
10 owner there?

11 A. No.

12 Q. Wanda --

13 A. Wanda Alexander is the surface owner.

14 Q. Where is this located?

15 A. It's about three or four miles north of  
16 Lovington.

17 Q. Oh, yeah. I think I might know those. I think  
18 her son might have been a summer engineer for us in Lovington  
19 one time.

20 A. Right.

21 Q. It's possible, but I'm not positive. So she  
22 definitely owns the surface. She's not a lessee from the State  
23 Land Office, right?

24 A. Right. I believe they are patent lands that at  
25 one time belonged to the State, and they sold the surface and

1 maintained -- retained the minerals, I believe.

2 Q. Okay. But you're an engineer, but you're still  
3 willing to say that, that it definitely is patented land?

4 A. I've read an abstract on it, and I'm relatively  
5 certain that that's the case.

6 Q. And why didn't you choose No. 7 instead of -- no,  
7 no -- No. 5 here instead of No. 7?

8 A. The --

9 Q. It looks like it's on the same structural  
10 location.

11 A. It's similar, and it's probably a second choice.  
12 It looked like the mechanical condition of No. 7 would have  
13 made it a little more advantageous or a little easier to  
14 re-enter. There's a little more going on down hole in No. 5  
15 that might have created some problems as far as getting some  
16 old perms that were squeezed that might have left -- the old  
17 records are kind of sketchy, but it looked like they might have  
18 left some more equipment in that well.

19 Q. How good is this -- how easy is it to separate  
20 the Devonian oil from the water? Do you have to put some soap  
21 in it or something?

22 A. No. Because the Devonian gravity is very high  
23 gravity. It's 50-plus gravity oil. It almost looks like  
24 diesel fuel, so it separates easily at ambient temperature.  
25 You don't even have to put heat on it to separate it. It'll

1 separate through a gun barrel.

2 Q. As long as your volume is okay in your gun  
3 barrel?

4 A. As long as you got the retention time in your gun  
5 barrel. We don't have any problems.

6 Q. So you don't have a carryover. Even if you did,  
7 you're injecting right back into the Devonian?

8 A. Correct.

9 MR. JONES: Okay.

10 Terry, do you have any questions?

11 MR. WARNELL: You pretty much covered it.

12 MR. JONES: Mr. Brooks?

13 EXAMINATION

14 BY MR. BROOKS:

15 Q. Wanda Alexander is the surface owner at the  
16 location of the No. 7 well, the proposed injector?

17 A. Yes, she is.

18 Q. Do you have any kind of lease or license from her  
19 to utilize this well?

20 A. We have a surface use agreement in place that was  
21 negotiated with her that incorporates all of our operations  
22 including surface damages, use of the disposal well, et cetera.  
23 And it's been negotiated, and I believe it's been signed.

24 Q. Okay. Now, this well is not on your farmout  
25 acreage?



1 A. That's correct.

2 Q. It's on the acreage that's retained by OXY?

3 A. That's correct.

4 Q. Now, did you testify that you had oral  
5 authorization from OXY?

6 A. I testified that I had spoken to OXY and  
7 explained to them what our situation was. And keep in mind,  
8 they have an economic interest in us producing this well  
9 because it holds their lease. So they had no objections. In  
10 fact, they have an economic interest through and via an  
11 override; and secondly, this well is what maintains that lease.

12 Q. You mean the No. 1 well?

13 A. Right. Our No. 1 well.

14 Q. Right.

15 A. Because it's all one state lease.

16 Q. And none of the other wells on this lease are  
17 producing at this time?

18 A. That's correct.

19 Q. Don't you suppose your lawyers would feel a  
20 little more comfortable if you had written authorization from  
21 OXY?

22 A. Perhaps.

23 Q. Now, you had indicated that you were not willing  
24 to have -- you were not willing to agree to having a license  
25 for this well or permit for this well limited to use for water

1 produced on this lease; is that correct?

2 A. I believe that's correct.

3 Q. And, of course, you would understand that in  
4 order to inject water that did not come from this lease, you  
5 would have to get approval to do that from the surface owner?

6 A. Yeah. My understanding is we'd also probably  
7 have to get an agreement from the surface owner, and probably,  
8 a new application for a commercial disposal well would be in  
9 order.

10 MR. BROOKS: Okay. I believe that's all my  
11 questions.

12 MR. JONES: You guys want to ask him some more  
13 questions?

14 MR. FELDEWERT: I do not.

15 MR. JONES: Okay. Thanks a lot, Mr. Gray.

16 Does that conclude the Applicant's case?

17 MR. FELDEWERT: We admitted the exhibits into  
18 evidence, I believe.

19 MR. JONES: 1 through 12.

20 MR. FELDEWERT: Yes. And that concludes our  
21 presentation.

22 MR. JONES: Mr. Hall?

23 MR. HALL: Mr. Examiner, at this time we will call  
24 Don Harrod to the witness stand.

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

DONALD M. HARROD

after having been first duly sworn under oath,  
was questioned and testified as follows:

DIRECT EXAMINATION

BY MR. HALL:

Q. For the record, please state your name.

A. Donald M. Harrod.

Q. Mr. Harrod, where do you live, and by whom are  
you employed?

A. I live in Lovington, New Mexico. I am the  
president of Erico, Incorporated, which operates H&M Disposal.

Q. All right. Do you have a set of the Pecos  
Operating exhibits in front of you?

A. I do. It's Exhibit 4. Oh, no, not their entire  
exhibits. No, I do not.

Q. Okay. Let me put one in front of you.

Mr. Harrod, are you familiar with the lands that are  
the subject of the Pecos Operating application here today?

A. I am.

Q. And are you familiar with the well they propose  
to convert to an injection operation?

A. I am.

Q. Does H&M Disposal operate the Mayme Graham No. 1  
SWD well in Section 9?

A. It does.

1 Q. And if you look at the Pecos Operating  
2 Exhibit No. 1, there are two M Graham ls reflected on there.  
3 Which one is yours?

4 A. It would be the Mayme Graham No. 1, which would  
5 be in Section 9 of the adjoining township.

6 Q. Right. And what is the approximate distance of  
7 the H&M Disposal well from the Pecos Graham No. 7?

8 A. 1320 feet.

9 Q. All right. Mr. Harrod, are you familiar with the  
10 construction and operation of saltwater disposal systems?

11 A. Having operated H&M and installed several  
12 disposal systems in the last 20 years, to that degree that I am  
13 familiar in that respect of disposals, yes.

14 Q. You're not a petroleum engineer, are you?

15 A. I am not a petroleum engineer.

16 Q. Would you give the Hearing Examiner a brief  
17 summary of your educational background and work experience?

18 A. I am a graduate of Texas Tech University as a  
19 range management major, which is the management of semiarid  
20 grazing lands. I operate a ranch in Lea County. I've operated  
21 H&M Disposal for 20 years. I have a small rental tool company  
22 that does most of its business in Texas, in Seminole.

23 Q. And you're familiar with the characteristics of  
24 the injection interval for the Devonian Formation for both your  
25 well and Pecos' proposed well?

1           A. I believe I am. After 20 years I'm familiar with  
2 those. Plus I have some land west of Lovington, which has had  
3 some Devonian exploration on it also.

4           MR. HALL: At this point, Mr. Examiner, we would  
5 offer Mr. Harrod's testimony as an expert on saltwater disposal  
6 systems and operations by virtue of his background and  
7 experience.

8           MR. JONES: Objection?

9           MR. FELDEWERT: Let me ask a few questions, if I may.

10                           EXPERT EXAMINATION

11 BY MR. FELDEWERT:

12           Q. Mr. Harrod, you mentioned you have been operating  
13 your disposal system for 20 years.

14           A. Yes.

15           Q. Have you operated any other disposal systems?

16           A. Yes.

17           Q. Where?

18           A. State AJ in Arkansas Junction, which is a  
19 Devonian system.

20           Q. Do you still operate that?

21           A. No.

22           Q. How long ago was that?

23           A. Actually, I sold out of that in '91.

24           Q. And how long did you operate that State AJ  
25 system?

1 A. Two years.

2 Q. And were you actually -- when you say "operate,"  
3 what do you mean by operate the system?

4 A. We drilled and developed the well.

5 Q. Did you personally oversee the drilling?

6 A. Yes.

7 Q. And did you oversee the injection operations?

8 A. I did.

9 Q. You did? I'm sorry?

10 A. I did.

11 Q. Okay. Any other disposal facility?

12 A. I have one that is currently permitted and under  
13 construction and Loco Hills.

14 Q. And in what formation are you planning to inject?

15 A. In Loco Hills, it would be the Wolfcamp.

16 Q. At what stage of the process are you in?

17 A. The casing is drilled out and pressure tested.  
18 We haven't shot the casing yet. We're trying to get all our  
19 ducks in a row and all our federal paperwork lined up.

20 Q. So that is not an operational --

21 A. It's not operational at the moment, no.

22 Q. So the only operational system that you currently  
23 have is the --

24 A. It's the H&M, the Mayme Graham No. 1.

25 Q. Okay. And do you oversee those disposal

1 operations personally, or do you have someone that works for  
2 you?

3 A. Largely personally.

4 Q. Okay. And I apologize if you already told me  
5 this and I forgot. Did you actually drill that?

6 A. The Mayme Graham? We took -- VF had drilled it  
7 to the bottom of the casing and perfed it in the Devonian and  
8 abandoned the project, and we took the well over from VF and  
9 deepened it to its current TD.

10 Q. So you were the party that converted it into an  
11 injection well?

12 A. Yes.

13 Q. And what role did you have in that process?

14 A. Actually, from start to finish, everything that  
15 needed to be done. That would include planning the project,  
16 overseeing the drilling, and construction of the facility.

17 MR. FELDEWERT: I would, at this point, tender an  
18 objection to an expert in saltwater disposal systems. That's  
19 to me a very generic label that's, as I understand it, based  
20 almost exclusively on the fact that he's operating this one  
21 disposal system in this particular part of the county for 20  
22 years.

23 MR. BROOKS: Well, given the expertise that the  
24 Examiner has in this field, I don't think he's likely to be led  
25 astray by junk science. I'll recommend to overrule the

1 objection, and we'll have the witness be qualified.

2 MR. JONES: I think I want to qualify the witness as  
3 an expert as an SWD operator and --

4 MR. HALL: I'll be asking him for an express opinion  
5 on SWD operations.

6 MR. JONES: Okay.

7 DIRECT EXAMINATION (CONTINUED)

8 BY MR. HALL:

9 Q. Mr. Harrod, let's make it clear. H&M does not  
10 seek to have the Division deny Pecos Operating's application  
11 outright, does it?

12 A. No.

13 Q. All right. Would you please explain to the  
14 Hearing Examiner the configuration and operation of the Mayne  
15 Graham No. 1 well?

16 A. It is a vacuum system, has been for 20 years.  
17 The bottom of the casing is at 13,600 foot. We deepened the  
18 well to -- I think the TD is actually 13,890 foot. And we run  
19 a surface battery and plastic-coated tubing.

20 And I've lost track of where I was in answering the  
21 question. What was it?

22 We run a commercial operation. We've been in  
23 business for 20 years. The greatest portion of our business  
24 comes from trucking. We do and have for probably 15 years  
25 accepted water through a pipeline from formerly CW Trainer, now



1 Pecos Operating.

2 Q. Your injection intervals are the Devonian  
3 Formation, correct?

4 A. Yes.

5 Q. If I may approach the witness, Mr. Examiner. I  
6 apologize for not distributing these earlier.

7 Mr. Harrod, let me refer you to what's been marked as  
8 H&M Exhibit No. 4. Can you identify that for the Examiner,  
9 please?

10 A. It is VF's application for the disposal, for  
11 H&M's disposal.

12 Q. Is Exhibit No. 4 a copy of Division Order  
13 SWD 300?

14 A. Yes, it is.

15 Q. And this was issued to VF Petroleum in 1986?

16 A. Yes.

17 Q. And this authorized injection operations into the  
18 Mayme Graham No. 1; is that correct?

19 A. That's correct.

20 Q. And appended to that is an earlier order,  
21 Order R7960. Would you explain why there are two orders?

22 A. VF initially was going to inject into the  
23 Devonian perms, and I'm not -- I'd have to read both of these  
24 to tell you, because I don't have the one.

25 Q. All right. These two orders constitute H&M's

1 regulatory authority to conduct an injection operation; is that  
2 correct?

3 A. Yes, it is, if it includes -- there was the  
4 order, and then we applied for administrative approval to amend  
5 the order and deepen the well.

6 Q. All right. Explain to the Hearing Examiner what  
7 constitutes your right to inject.

8 A. My right to inject, I have an assignment of VF's  
9 rights to the well. I have a letter of agreements with the  
10 surface owner as to paying royalties and complying with state  
11 regulations.

12 Q. And your agreement with the surface owner covers  
13 what acreage?

14 A. It covers, actually, his -- there's no  
15 restriction on the acreage, so as far as I know, it would  
16 actually cover his whole holdings, which is 320 acres.

17 Q. Is that the south half of Section 9?

18 A. Yes.

19 Q. What current rates are you injecting into the  
20 Mayme Graham State No. 1 well?

21 A. We were running an average of about 62,000  
22 barrels a month, which is slightly over 2000 barrels a day,  
23 although some months I think we have gone as high as 76-,  
24 78,000 barrels.

25 Q. Let me show you what we've marked as Exhibit 5.

1 Did you compile Exhibit 5?

2 A. Yes, I did.

3 Q. Does it show your injection columns?

4 A. It does.

5 Q. And again, what is your average daily rate?

6 A. 2022 barrels per day would be the average rate.

7 Q. And does that volume include deliveries of water  
8 from the Pecos GA No. 1 well?

9 A. Yes, it does.

10 Q. And how much water are you currently accepting  
11 from that well?

12 A. Currently we are accepting 720 barrels a day.

13 Q. All right. You heard Mr. Gray testify earlier  
14 today. Is there a limitation on the number of the hours a day  
15 that they can use your facility?

16 A. Currently, we have an agreement that they were  
17 using it about 10 hours per day. At night we upped the hours,  
18 but yeah, their system comes on after 6 o'clock in the evening.  
19 It pumps all night long into the disposal.

20 Q. All right. Prior to that time, was Pecos  
21 restricted from delivering during the day?

22 A. No.

23 Q. All right. Could you give the Hearing Examiner  
24 an indication of what water rates the GA No. 1 well was  
25 actually capable of delivering to you?

1           A. It operated for years at 1400 -- anywhere from  
2   1410 to 1450 barrels a day.

3           Q. Okay. Mr. Harrod, are you concerned that the  
4   operation proposed by Pecos will interfere with the operation  
5   of your disposal facility?

6           A. I am.

7           Q. And what's the basis of your concern?

8           A. Well, the basis of my concern is over the years  
9   I've had an opportunity to pump on H&M wherever we replace  
10   tubing and noticed an increase in pressure. And after about 45  
11   minutes, it seems to stabilize at about three-and-a-half  
12   barrels a minute due to formation friction.

13           And this well is proposing to inject some 8000  
14   barrels 1300 feet away, and my concern is -- I will concede the  
15   Devonian will accept a lot of water. It is porous. And the  
16   formation as a whole will accept great volumes. My concern is  
17   that over a given distance -- I recognize that the pressure  
18   will dissipate, but that is so close to my well bore -- I don't  
19   think that those kinds of pressures will dissipate within that  
20   distance, and it's likely to raise whatever pressures I am  
21   required to maintain my current injection rate.

22           Q. All right. If Pecos is permitted to inject at  
23   the 8000-barrel per day volumes at the 1500 psi pressures, will  
24   that adversely affect your injection rates?

25           A. It is my opinion that it will adversely affect my

1 injection rate. It would likely cause me to install pumping  
2 equipment, which we have not done in the past.

3 Q. Is that something you seek to avoid having to do?

4 A. It is expensive to do; it adds to the cost. And  
5 I have some concerns about some of the wells in the area that  
6 were plugged by a company called Hobbs Pipe and Supply back in  
7 the '60s. And I don't know whether -- I'm sure some of the  
8 Examiners have heard of some of their work, but most of their  
9 paperwork is close to fiction -- and that's a personal  
10 opinion -- plus experience with some plugged by Hobbs Pipe and  
11 Supply on the ranch where the whole well contained a three-foot  
12 surface plus, and that was it. They plugged a lot of Shell  
13 wells, and they plugged quite a few of the wells in this area.  
14 And I have not been an advocate of pumping at high pressures on  
15 wells in this area.

16 Q. Is there some concern that the cement tops  
17 reflected on the plugging information on file with the Division  
18 may not reflect reality?

19 A. It would be conjecture on my part just from a  
20 limited exposure to some of their wells, but even at that, the  
21 tops of the cement on most of these old wells are reported at  
22 like 12,000 foot or lower. That's -- I'm not certain how  
23 accurate that is.

24 Q. Now, you understand that Pecos' application is  
25 for non-commercial disposal only. Is there some concern on

1 your part that operations may not be limited just to disposal  
2 of lease water?

3 A. I recognize their desire and need for an on lease  
4 disposal. I contacted both Mr. Gray and Mr. Hux prior to  
5 objecting to this and said if they were going to limit their  
6 operations to on lease disposal, then we would not object.

7 And I believe Mr. Gray declined to give such  
8 assurance. And on several occasions, Mr. Hux did also. And  
9 that placed a competing commercial venture virtually on my  
10 doorstep, which I have some concerns.

11 Q. Are you requesting the Division to approve a  
12 lower daily injection rate than requested in the Pecos  
13 application?

14 A. I am uncomfortable with their maximum. We would  
15 accept the 4000-barrel-a-day rate as acceptable. Anything over  
16 that, we're looking at injecting higher pressures. Mr. Gray  
17 apparently feels that they're going to encounter --

18 Q. Do you think a 4000 daily volume restriction is  
19 adequate to accommodate all of the water that's anticipated to  
20 be produced from the re-entered and re-completed wells on the  
21 Pecos Operating lease?

22 A. I'm not certain that I understand exactly how  
23 many wells are on their operating lease. And my understanding  
24 was there were only two or three, and at 1200 barrels a day  
25 each, that would be adequate. I don't know.

1 At one time, CW Trainor had two wells piped into  
2 H&M Disposal, both Devonian wells, and I think his maximum rate  
3 was about 2100 barrels a day from both those wells combined.

4 Q. Is it reasonable to anticipate that the adjoining  
5 wells would produce volumes approximating 1200 barrels a day of  
6 water?

7 A. It would be within reason to anticipate that they  
8 might produce more.

9 Q. Okay. Are you asking the Division to  
10 specifically provide in its order that the Pecos Operating well  
11 be limited to accepting water just from its lease acreage?

12 A. At one time I believe I proposed to Mr. Hux that  
13 we would be satisfied if they would just limit their operation  
14 to Section 16, and they declined to do that also.

15 Q. Are you also requesting that the Division's order  
16 include a provision that if there are any subsequent  
17 applications to amend any injection authority, to increase  
18 volumes, increase pressure, increase rates, or to accept  
19 commercial volumes of the water, that H&M Disposal be notified  
20 first?

21 A. I would certainly expect us to be notified first.  
22 But my opinion is we're here because it seemed they were headed  
23 at some point into statements that they would need at some  
24 point to recover the disposal, which would make it a commercial  
25 disposal.

8                   A. Yes, it is.

11 A. Yes, it was.

15 MR. JONES: Any objections?

16 MR. FELDEWERT: No, Mr. Examiner.

19 MR. HALL: These are all I'm tendering.

20 MR. JONES: Okay.

21 MR. HALL: Pecos beat me to it.

23 BY MR. FELDEWERT:

24 Q. Mr. Harrod, I'm trying to catch up with your  
25 approval authority here. It looks like initially you were



1 approved to accept produced water only from certain areas,  
2 correct?

3 A. Initially, it started out as an on-lease disposal  
4 for VR Petroleum.

5 Q. And that's reflected in the --

6 A. I'm sure that's reflected in the first order,  
7 that it was going to be reinjected to the -- back in the  
8 Devonian perms in that original well.

9 Q. And then --

10 A. And then it was amended to be a commercial  
11 disposal.

12 Q. And that was done by VF Petroleum?

13 A. The application was made by VF. It was  
14 actually -- and then that was amended, and it was actually --  
15 it was approved as a commercial disposal, and then it was  
16 amended to deepen the well out of the casing.

17 Q. And that's about the time that you took over  
18 operations; is that correct?

19 A. That is when we took over operations.

20 Q. Okay. So you took over operations after it had  
21 been approved as a commercial well?

22 A. VF made the application, and then we took over  
23 the well and did the work.

24 Q. Okay. And you are permitted to have a wellhead  
25 injection pressure of up to 2720 psi, correct?

2720 vs. 1500

1 A. We are.

2 Q. In this application that's been filed by Pecos  
3 Operating, you're objecting to our request for 1500?

4 A. Yes.

5 Q. And your primary concern is that we are somehow  
6 going to be competing with your commercial operation, if I'm  
7 understanding you correctly?

8 A. My primary concern is that you're going to be  
9 injecting a large volume of water in close proximity to my  
10 well. My secondary concern is that it potentially is going to  
11 turn into a competing commercial operation.

12 Q. And your concern about the disposal of additional  
13 water into the Devonian -- or it is a concern for you because  
14 it may cause you to somehow change your operation, if I'm  
15 understanding you correctly?

16 A. You're understanding me correctly.

17 Q. Okay. And apparently it's an investment that you  
18 would be unwilling to make to keep your -- to maintain your  
19 commercial operation?

20 A. It would not be an investment I would be  
21 unwilling to make. I'm uncomfortable with pumping at pressures  
22 on these old wells, as I believe I stated.

23 And I say it is an expense that -- if you wanted to  
24 get into pumping more, I guess my injection pressure is  
25 1200 pounds more than yours. I mean, that's not the issue of

1 what's behind this. This is just a very proximity of this well  
2 to my existing well. And I have an economic interest to  
3 protect the wells as well as the land owners.

4 Q. I understand. And you have been injecting into  
5 the Devonian now for over 20 years?

6 A. I have.

7 Q. And you have been injecting into the Devonian for  
8 over 20 years within a half mile of an existing producing well  
9 in the Devonian -- isn't that correct --

10 A. I'm not certain that --

11 Q. -- give or take a few feet --

12 A. Chuck Bah operated that well where he was  
13 producing when H&M Disposal was put in. I couldn't really say.

14 Q. -- when you have been injecting into roughly the  
15 same depth of the Devonian that Pecos is seeking approval here  
16 today?

17 A. Exactly.

18 Q. And contrary to what Pecos is seeking permission  
19 to do, you have been injecting produced water from not just the  
20 Devonian, but from various other formations; is that right?

21 A. That's true. It's a commercial operation.

22 Q. So you are injecting, if I understand it,  
23 additional fluid into the Devonian Formation?

24 A. That's true.

25 Q. And I believe, based on your estimates, you have

1    been injecting additional fluid into the Devonian at what rate,  
2    if I'm looking at your Exhibit 5?

3                   A.   The average is 2020 barrels a day.

4                   Q.   Okay.

5                   A.   Some months we approach 80,000 barrels.   It's  
6    generally around 60,000 barrels.

7                   Q.   And what would be the yearly rate?

8                   A.   60,000 -- about 720,000 barrels.

9                   Q.   Per year?

10                  A.   Per year.   Is that not 6000 times 12?

11                  Q.   I'll accept your math.   And you've been doing  
12    that for 20 years.   So let's see.   So I guess 10 million  
13    barrels over the 20-year period wouldn't be an unreasonable  
14    estimate?

15                  A.   In fact, it's closer to 11 or 12.

16                  Q.   Okay.   And you haven't seen any -- you can't  
17    point to any study indicating any kind of a pressure change in  
18    your well bore as a result of this 20 years of injecting 11 or  
19    12 million barrels of additional water into the Devonian?

20                  A.   Well, I would -- although not on a lease, a great  
21    deal of that water comes from VF's operation.   So again, the  
22    biggest water producers in the area are Devonian wells.   A  
23    great percentage of that is Devonian water.

24                  Q.   But my question is --

25                  A.   But your question is, there's additional water

1 added to that, and I have not seen a significant change in the  
2 water level at H&M.

3 Q. You haven't seen any change, have you?

4 A. No.

5 Q. Okay. Do you agree that the Devonian is a large  
6 permeable reservoir?

7 A. I do.

8 Q. And are you operating at full capacity today?

9 A. No.

10 Q. This Exhibit 1 shows a plugged well that's close  
11 to your operations. It's been the subject of discussions, that  
12 M Graham No. 1. Are you looking at our Exhibit No. 1?

13 A. Your Exhibits No. 1 would be the M Graham No. 1.  
14 Okay. I know the well I think you're talking about.

15 Q. Okay. You're familiar with that well?

16 A. No, not particularly.

17 Q. Wasn't that part of the study that resulted in  
18 your approval?

19 A. I am assuming that it was, yes.

20 Q. Do you have anything to indicate that it was not  
21 part of the study?

22 A. No. I'm sure it was included in the original  
23 application.

24 Q. And that's actually closer to your disposal well  
25 than it would be to Pecos' proposed well, correct?

1 A. Yes.

2 Q. And when this application was approved by the  
3 Division, are you aware of any concerns that were raised about  
4 that particular plugged well?

5 A. I am not aware of any concerns that were raised.

6 Q. And to your knowledge, over the last -- given  
7 your 20 years of injecting additional water into the Devonian  
8 at the rates we discussed, you haven't observed any concerns  
9 arising out of that plugged well?

10 A. No. Because I'm a vacuum system. I'm not  
11 pumping on my well.

12 Q. And would you agree, then, that that plugged well  
13 is not a cause for concern for injection operations in the  
14 Devonian?

15 A. Conditionally, depending on the pressures  
16 involved. I am not an engineer. I would think it would be in  
17 direct relation.

18 Q. Will it cause a concern if you take advantage of  
19 your ability to inject pressures of up to 2695 psi?

20 A. It would certainly concern me, yes. Essentially,  
21 I am not pumping on that well for a reason.

22 Q. So if I'm understanding your testimony, are you  
23 saying that you would not take advantage of your authority to  
24 inject at higher pressure without first looking at the  
25 condition of that well?

1 A. I am certainly telling you that.

2 Q. Okay.

3 A. I would state for a fact I have no intention to  
4 inject at those kind of pressures.

5 Q. And do you disagree with Mr. Gray's projections  
6 of what the injection pressure will be bottom hole, based on  
7 their tubing size and their planned operations?

8 A. I do disagree.

9 MR. FELDEWERT: I don't have any other questions.  
10 Thank you.

11 MR. JONES: I would like to ask a few, Mr. Harrod.

12 EXAMINATION

13 BY MR. JONES:

14 Q. This Hobbs Pipe and Supply. Which offset wells  
15 are you a little bit concerned about, as far as plugs set?

16 A. I'd have to go back. They, in fact, plugged the  
17 Mayme Graham. And there was -- they were prone to pulling on  
18 the casing and setting off dynamite and if the casing didn't  
19 move, lowering another charge. And I think -- and shot off  
20 three charges in the H&M before -- well, the casing is recorded  
21 as being shot off at a certain depth, but it took a  
22 considerable amount of squeezing to discover those other zones  
23 where it had been blasted and had not been parted.

24 Q. Okay.

25 A. The same is true on some of the wells I have on

1 the ranch west of Lovington. On some of those, any -- like I  
2 say, one of them had cast-iron bridge plugs set and plugs set,  
3 and when I was trying to -- Charles Gillespie went back in  
4 them, and there was three foot of cement at the surface and  
5 some aluminum pipe in the bottom of the hole, and that was all  
6 it was -- in a Wolfcamp well.

7 It had additionally been plugged by Hobbs Pipe and  
8 Supply and had three or four places where -- when they set off  
9 a charge, if the casing didn't come, they didn't make any real  
10 report. They just came up hole and did it again and again and  
11 again.

12 And they have plugged any number of wells out in the  
13 area. And they plugged most of the Shell wells in that time  
14 frame.

15 Q. Okay. Hopefully, our inspectors are watching  
16 plugging operations closer nowadays. But I guess that might be  
17 of concern to Pecos to re-enter that well, but I guess they  
18 take their chances on that.

19 This well that they have chosen, would you have  
20 rather they had chosen the No. 5 well?

21 A. I didn't really have a rather. The only reason,  
22 I believe I stated, we were concerned about the volume, all the  
23 conversations we attempted to have with Pecos was that they --  
24 whatever the application said about non-commercial, they had  
25 intentions to expand that. And if any of their operations did



1 not pan out, then they would have to recoup their costs by  
2 turning it into a commercial operation.

3 So I had a concern about the volume they were  
4 proposing to inject. And I felt I had some economic interest  
5 in what I thought might affect my operations in existing wells.  
6 So here we are.

7 Q. If they weren't injecting at night, couldn't you  
8 contract more water to come into your well at night?

9 A. I could. I take more water during -- it's  
10 largely a matter of timing. You get trucks going out. They  
11 haul their first load back in first thing in the morning until  
12 noon. They're lined up. They all go away. And then in the  
13 evening the last load back into the yard, you get -- truck  
14 traffic comes in big lumps. I mean, I can install a booster  
15 pump and increase my rate. I lock it up at night because we've  
16 had a lot of trouble with unaccounted for fluids and drilling  
17 fluids going through it.

18 So this has only been a recent develop with them. I  
19 had some cleanup work to do, intended to replace a battery  
20 that's -- these days you just don't go out and buy supplies or  
21 go get work done. Everything is not immediately available. So  
22 for several months now, we've been in the process of redoing  
23 our battery and some other things. And they have generously  
24 cooperated by running 12 hours a day, basically, rather than  
25 24. But that was for -- the past number of years, they have



1 set at 13,500 foot. In our view, it tended to lighten the  
2 string a little bit, and we weren't running near as close to  
3 the mechanical limits of the pipe that way.

4 Q. That kind of restricts your -- even though it's a  
5 plastic line, it does restrict your rate a little bit.

6 A. It does to an extent. We can always go to bigger  
7 tubing or other things. We've operated it more as a matter of  
8 with the lease maintenance and lease costs rather than trying  
9 to maximize the volume. We're kind of the cheap guy on the  
10 block, price-wise.

11 Q. It sounds like you've been in the oil patch a  
12 long time and -- the business about pressuring up after  
13 three-and-a-half barrels a minute, what I heard is you're  
14 saying the Devonian itself is causing the restriction at  
15 that --

16 A. Yes. It's formation restriction. Every -- we  
17 had occasion over the 20 years to replace our tubing several  
18 times. And after we pass the state pressure test, we have  
19 always gone back and pressured up on the well, basically, to  
20 flush out the well bore and make sure that we were maintaining  
21 integrity from pressure inside the tubing also.

22 And when you first start pumping, you can pump it  
23 five-and-a-half barrels a minute with very little pressure.  
24 And then you start getting away from the well bore, and you  
25 start running into formation -- I assume it's formation

1 friction. The pressure will come up, and you will go from  
2 five-and-a-half barrels a minute to three-and-a-half.

3 And after about 45 minutes, you're down to three  
4 barrels a minute or so at a constant pressure. And we've never  
5 had occasion to pump at any higher pressure or any longer than  
6 that. That's from my experience doing it three or four times.  
7 You can get an initial high rate, and then it slows down  
8 significantly as you start to load up the formation.

9 Q. What did you do to that open hole? Did you just  
10 drill it out and acidize it?

11 A. We just drilled it out and acidized it.

12 Q. Okay. Are you familiar with the procedure that  
13 the Division uses when a well goes from a lease disposal well  
14 to a commercial disposal well?

15 A. Currently, I'm not. I know we did it mostly  
16 administratively back 20 years ago when this was done through  
17 the Hobbs office.

18 Q. Okay. That's why you got an attorney. You talk  
19 to him.

20 A. I will ask him.

21 Q. Do you have anything going in District Court  
22 right now about this issue?

23 A. Do I? No.

24 Q. Nothing between two parties in District Court  
25 about this issue?

1 A. No, not that I'm aware of. I might ask my  
2 attorney.

3 Q. I'm still trying to figure out if a saltwater  
4 disposal well has correlative rights or not. You guys can say  
5 something about that later.

6 MR. BROOKS: Well, as Legal Examiner, one of my  
7 functions is to answer your questions, but I don't know that we  
8 need to do that on the record.

9 MR. JONES: Okay.

10 MR. HALL: Mr. Examiner, be careful what you ask for.

11 MR. JONES: It's nice to have all the questions  
12 answered.

13 Terry, do you have any questions?

14 EXAMINATION

15 BY MR. WARNELL:

16 Q. Yeah. I do have a question for Mr. Harrod.  
17 Sitting here looking at the math, Pecos accounts for about a  
18 third of the water that you're injecting into the well right  
19 now? Give or take?

20 A. Give or take. If you go back, though, where they  
21 were shut down for several months, our volume didn't go down.  
22 Anything that Pecos does not put in there is made up for by  
23 trucking.

24 Q. So if they stopped being a customer of yours,  
25 that wouldn't be a financial burden to your operation?

1 A. No, not particularly. I mean, there were two  
2 months there where they were shut down completely, and I don't  
3 think our disposal volume dropped at all.

4 Q. Okay.

5 MR. JONES: Mr. Hall, do you want to ask any more  
6 follow-up questions?

7 MR. HALL: I'm finished. Thank you.

8 MR. JONES: Mr. Feldewert, would you like to ask any  
9 more questions of this witness?

10 MR. FELDEWERT: No, Mr. Examiner.

11 MR. JONES: Okay. Thank you very much.

12 MR. HALL: That concludes our case, Mr. Examiner.

13 MR. JONES: You want to have some -- who wants to go  
14 first?

15 MR. FELDEWERT: In terms of a closing, I'm not sure  
16 we need a closing. I think you hit it dead on. I don't think  
17 anybody has a monopoly over a disposal operation, so long as  
18 our client has met the criteria required by the Division,  
19 they're entitled to have a disposal well.

20 MR. JONES: Mr. Hall?

21 MR. HALL: Mr. Examiner, let me make clear once again  
22 that H&M does not seek to have the Division deny outright  
23 injection authority as Pecos proposes.

24 We ask that you do take their application at face  
25 value and that the order issued by the Division provide that

1 disposal operations will be limited to lease operations only.

2 If you look at Pecos Operating Exhibit No. 1, they have 120  
3 acres of lease acreage on there. There's one re-completion  
4 producing, one more probable candidate, another possible  
5 candidate.

6 But based on experience, I think we know that a  
7 volume limitation of 4000 barrels a day would be more than  
8 adequate to accommodate any water production from that lease.  
9 We think this is the middle -- the reasonable middle ground.  
10 We would also ask that the order issued by the Division provide  
11 that if Pecos wants to come back and apply to increase that  
12 limit, that they provide notice to H&M, we go through another  
13 hearing process rather than doing it administratively. Notice  
14 is not always so certain, as you know.

15 Again, we're not seeking to deny them. We recognize  
16 there's a need for capacity out there. But we think this is a  
17 reasonable middle ground.

18 MR. JONES: Okay. Thank you very much.

19 Case No. 14122 will be taken under advisement.

20 [Hearing concluded.]

21

22

23

24

25

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. \_\_\_\_\_,  
heard by me on \_\_\_\_\_.

\_\_\_\_\_, Examiner  
Oil Conservation Division

## REPORTER'S CERTIFICATE

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I, JOYCE D. CALVERT, Provisional Court Reporter for the State of New Mexico, do hereby certify that I reported the foregoing proceedings in stenographic shorthand and that the foregoing pages are a true and correct transcript of those proceedings and was reduced to printed form under my direct supervision.

I FURTHER CERTIFY that I am neither employed by nor related to any of the parties or attorneys in this case and that I have no interest in the final disposition of this proceeding.

---

JOYCE D. CALVERT  
New Mexico P-03  
License Expires: 7/31/08



1 STATE OF NEW MEXICO )  
2 COUNTY OF BERNALILLO )

3

4 I, JOYCE D. CALVERT, a New Mexico Provisional  
Reporter, working under the direction and direct supervision of  
5 Paul Baca, New Mexico CCR License Number 112, hereby certify  
that I reported the attached proceedings; that pages numbered  
6 1-71 inclusive, are a true and correct transcript of my  
stenographic notes. On the date I reported these proceedings,  
I was the holder of Provisional License Number P-03.

7 Dated at Albuquerque, New Mexico, 15th day of  
May, 2008.

8

9

10

11

12

13

14

15

16

17

18

19

20


21

22

23

24

25



Joyce D. Calvert  
Provisional License #P-03  
License Expires: 7/31/08



Paul Baca, RPR  
Certified Court Reporter #112  
License Expires: 12/31/08