

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BLDG.
SANTA FE, NEW MEXICO

13 June 1983

EXAMINER HEARING

IN THE MATTER OF:

Application of TXO Production Com-
pany for an unorthodox location and
a nonstandard proration unit, Lea
County, New Mexico.

CASE
7895

BEFORE: MICHAEL E. STOGNER, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Oil Conservation
Division:

W. Perry Pearce, Esq.
Legal Counsel to the Division
State Land Office Bldg.
Santa Fe, New Mexico 87501

For the Applicant:

Chad Dickerson, Esq.
LOSEE, CARSON, & DICKERSON P.A.
P. O. Drawer 239
Artesia, New Mexico 88210

A P P E A R A N C E S

For Maurice L. Brown: W. Thomas Kellahin, Esq.
KELLAHIN & KELLAHIN
P. O. Box 2265
Santa Fe, New Mexico 87501

I N D E X

JOHN R. TARBOX

Direct Examination by Mr. Dickerson	4
Cross Examination by Mr. Kellahin	13
Redirect Examination by Mr. Dickerson	27
Cross Examination by Mr. Stogner	27

C. L. VICKERS

Direct Examination by Mr. Dickerson	29
Cross Examination by Mr. Kellahin	35
Redirect Examination by Mr. Dickerson	39

HURALD I. MILLER

Direct Examination by Mr. Kellahin	40
Cross Examination by Mr. Dickerson	47

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

3

I N D E X

W. M. GROESBECK

Direct Examination by Mr. Kellahin	48
Cross Examination by Mr. Dickerson	55
Cross Examination by Mr. Stogner	63

STATEMENT BY MR. KELLAHIN	65
---------------------------	----

STATEMENT BY MR. DICKERSON	68
----------------------------	----

E X H I B I T S

TXO Exhibit One, Plat	8
TXO Exhibit Two, Map	9
TXO Exhibit Three, Structure Map	10
TXO Exhibit Four, Map	11
TXO Exhibit Five, Estimate	30
TXO Exhibit Six, Drainage Estimate	31
Brown Exhibit One, Cross Section	41

MR. STOGNER: Call next Case Number
7895.

MR. PEARCE: That case is on the
application of TXO Production Company for an unorthodox
location and a nonstandard proration unit, Lea County, New
Mexico.

MR. DICKERSON: Mr. Examiner, I'm
Chad Dickerson of Artesia, New Mexico, on behalf of the appli-
cant.

We have two witnesses.

MR. KELLAHIN: If the Examiner please,
I'm Tom Kellahin of Santa Fe, New Mexico, appearing in oppo-
sition to the applicant on behalf of Maurice L. Brown.

I have two witnesses.

(Witnesses sworn.)

JOHN R. TARBOX,
being called as a witness and being duly sworn upon his oath,
testified as follows, to-wit:

DIRECT EXAMINATION

BY MR. DICKERSON:

Q Will you state your name, your occupation,

1
2 and where you reside, please?

3 A. My name is John R. Tarbox. I'm a geologist
4 for TXO Production Corp. in Midland, Texas.

5 Q. Mr. Tarbox, will you briefly summarize your
6 educational background for the examiner?

7 A. I attended Southern Methodist University
8 from 1978, graduating in 1982; receiving a Bachelor of Science
9 degree in economic systems analysis and a Bachelor Science
10 degree in geology.

11 Q. And what has been your employment history
12 since your graduation, Mr. Tarbox?

13 A. Upon graduation I started working for TXO
14 Production Corp. in Midland, and worked there since that time.

15 Q. And what do your duties involve insofar as
16 the land surrounding this application is concerned?

17 A. I've been a geologist in charge of New Mex-
18 ico for the entire period of my employment.

19 Q. Do you have any drilling experience with
20 wells in the vicinity of this Vada-Penn Pool?

21 A. Yes, sir, I completed a well just last week
22 approximately six miles north of the proposed location.

23 Q. And are you familiar with the production and
24 performance history of the wells in this pool?

25 A. Yes, sir.

1
2 Q Are you familiar with the application which
3 TXO has filed in this proceeding?

4 A Yes, sir.

5 Q MR. DICKERSON: Is the witness con-
6 sidered qualified, Mr. Examiner?

7 MR. STOGNER: The witness is consi-
8 dered qualified.

9 Q Mr. Tarbox, would you very briefly state the
10 purpose of TXO's application?

11 A In 1968 Order 3179-B established 160-acre
12 spacing for the Vada-Pennsylvanian Pool of Lea and Roosevelt
13 Counties, New Mexico, and also provided that wells should be
14 located within 150 feet of a governmental quarter quarter
15 section in this field.

16 TXO is requesting an exception to the spacing
17 rule, that a one-well io-acre exception be granted.

18 Q And an unorthodox location as well?

19 A Yes, sir, and an unorthodox location, a well
20 to be located 660 feet from the north line and 2615 feet
21 from the west line, Section 17, Township 10 South, Range 34
22 East.

23 MR. DICKERSON; Mr. Examiner, I might
24 point out thattthe application originally filed here sought
25 a nonstandard proration unit consisting of 160 acres, com-

posed of the east half of the northwest quarter and the west half of the northeast quarter.

Subsequently an amended application was filed which we're here upon today, which requests an exception to the 160-acre well requirement with this proposed well location to be the east half of the northwest quarter to be dedicated to that well.

MR. STOGNER: Thank you, Mr. Dickerson.

MR. DICKERSON: And in the event that the Division feels that there's any further necessity for republication or anything of that nature, we would ask that our testimony here today just be taken and held open subject to any further objection.

Q. Mr. Tarbox, is there any precedent for 80-acre development in this Vada-Penn Pool?

A. Yes, sir. On March 3rd, 1982, Order Number NSP-1291 was granted to Mr. Robert L. Thornton for development of the Vada Pool on an 80-acre proration unit.

Previously Case 6527, Order No. R-6000, and Case 7091, Order No. NSP-1218 provided for the same section.

Q. Mr. Tarbox, would you briefly summarize the nature of the geology of this subjective Bough C formation?

A. The Bough C is a limestone, Pennsylvanian

1
2 in age, which stratigraphically traps production in the area.
3 It consists of a series of generally southeast dipping
4 phylloid algal mounds. Lithology is tan to white biosparite
5 with good primary and secondary intercrystalline and vuggy
6 porosity, grading into a tan to gray biomicrite with poor
7 intercrystalline and vuggy porosity.

8 Production in the area is controlled locally
9 by a degree of porosity development.

10 Q Mr. Tarbox, have you prepared certain exhibits
11 upon which you intend to rely?

12 A Yes, sir, I have.

13 Q Would you refer to what is marked Exhibit
14 Number One and describe for the examiner what is shown on
15 that map?

16 A Exhibit Number One is a land plat indicating
17 the landowners in the immediate area of the proposed location.
18 As you'll note, the color -- the area colored yellow, 160
19 acres in Section 17, is the acreage owned by TXO Production
20 Corp.

21 The 80 acres offsetting our acreage to the
22 east is owned by Maurice L. Brown.

23 The 80 acres to the west is currently open,
24 State land.

25 Other offset landowners are indicated on the

1
2 plat.

3 The proposed location is marked on there,
4 being 660 from the north line, 2615 from the west line.

5 Q. So that acreage colored yellow there is the
6 only acreage which TXO has in this section?

7 A. Yes, sir, that is all that we hold.

8 Q. Mr. Tarbox, refer to your Exhibit Number
9 Two and describe what's shown on that map.

10 A. Exhibit Number Two is a production map in-
11 dicating the production history and current rates of the
12 wells in the area. Well names and operators are listed on--
13 beside each well. The number above the line is cumulative
14 production as of January 1st, 1983. The status is indicated
15 below the line as an average daily rate for December, 1982.

16 Q. It would appear from looking at your map
17 that the great majority of the wells in this vicinity are
18 depleted and plugged and abandoned. Is that correct?

19 A. Yes, sir, there are only approximately three
20 wells in the area that are still producing. All of the others
21 have been P&A'd.

22 Q. Do you have any of these wells which you
23 would like to specifically describe in a little more detail
24 for the Examiner?

25 A. Yes, sir. We have four wells in particular,

1
2 the immediate offsets, the first one being the Morrison No.
3 1 State 17, located approximately 2300 feet south of the
4 proposed location.

5 This well penetrated and produced out of the
6 Bough C formation, producing 215,718 barrels of oil. It's
7 currently producing 24 barrels per day, one of the few active
8 wells in the field.

9 Approximately 2100 feet southwest of the pro-
10 posed location is the Atlantic Richfield No. 1 Hanagan State.
11 This well produced 116,422 barrels of oil and has been plugged
12 and abandoned.

13 Approximately 2100 feet northwest of the pro-
14 posed location we have the Union Texas No. 1-8 State. It also
15 produced out of the Bough C formation, 101,908 barrels of oil.

16 And the eastern offset to our proposed loca-
17 tion is the Morrison No. 1-A Atlantic State, producing
18 113,184 barrels of oil. It has also been P&A'd.

19 Q. Mr. Tarbox, turn to your Exhibit Number 3
20 and describe for the Examiner what is reflected on that
21 exhibit.

22 A. Exhibit Number Three is a structure map
23 using datums on the top of the Bough C formation, which is
24 the producing interval in the area.

25 You'll note beside each well a subsea datum

1
2 for each well, which is the top of the Bough C.

3 Q What conclusion do you draw from looking at
4 your map as far as the proposed location?

5 A Well, sir, the proposed location is in an
6 up dip location, which is in an area -- the Bough C has a
7 strong water mechanism in it, and we would like to remain as
8 far up dip as possible in order to prevent the -- to minimize
9 the water cut in our well.

10 Q These wells in this pool traditionally make
11 a large volume of water?

12 A Yes, sir, they make extremely large amounts
13 of water, the average being three barrels for each barrel of
14 oil.

15 Q Mr. Tarbox, look at your Exhibit Number Four
16 and state what is shown on that exhibit.

17 A Exhibit Number Four is a Phi-H map, Phi being
18 porous interval, H being thickness. What I have mapped in
19 here is a foot by foot indication of the reservoir quality.
20 The numbers beside each well, for example,
21 directly east of our proposed location in the Morrison No. 1-
22 A Atlantic State, encountered 44 porosity feet of Bough C.
23 This is an indication of the porous profile, an indication
24 of quality of the Bough C.

25 If you will refer back to Exhibit Number Two

1
2 and in comparison you'll see that the Atlantic State No. 1-A
3 had 44 porosity feet of Bough C and it produced 113,000 bar-
4 rels of oil.

5 To the south of our location the Morrison
6 No. 1 State 17 had a 100 porosity units. It produced over
7 215,000 barrels of oil.

8 Southwest of our location is the Atlantic
9 Richfield Hanagan State No. 1, had 70 porosity units of Bough
10 C and it produced 116,000 barrels of oil.

11 To the northwest we have the Union Texas No.
12 1-8 State, 114 porosity units of Bough C, producing 101,000
13 barrels of oil.

14 As you can see from that discussion, the Phi-
15 H porosity units is correlative to production, not directly,
16 but relatively. The greater Phi-H number you have, the
17 higher the production you have.

18 You can see that the indicated proposed loca-
19 tion is expected to encounter approximately 120 -- or 130
20 porosity feet of Bough C.

21 Q Mr. Tarbox, in your opinion is the proposed
22 TXO location the optimum location geologically in an attempt
23 to encounter productive Bough C?

24 A Yes, sir, I believe it is, based on production,
25 structure, and Phi-H.

1
2 Q Were Exhibits One through Four prepared by
3 you?

4 A Yes, sir, they were.

5 MR. DICKERSON: Mr. Examiner, at this
6 time I move admission of the Exhibits One, Two, Three, and
7 Four.

8 MR. STOGNER: Exhibits One through
9 Four will be admitted into evidence.

10 MR. DICKERSON: And I have no further
11 questions of this witness.

12 MR. STOGNER: Are there any further
13 questions of this witness?

14 MR. KELLAHIN: If the Examiner please.

15 MR. STOGNER: Mr. Kellahin.

16
17 CROSS EXAMINATION

18 BY MR. KELLAHIN:

19 Q Mr. Tarbox, you explained to us your experience
20 in this area. Would you tell me again what your first ex-
21 perience was in completing a well in Vada-Penn Pool?

22 A Yes, sir, I have just drilled and we're un-
23 dergoing completion of the TXO No. 1 Price Federal, located
24 in Section 5, Township 9 South, Range 34 East.

25 Q This was the well that's some six miles to

1
2 the north of -- approximately six miles to the north of the
3 current proposal?

4 A. Yes, sir.

5 Q. And that was your first occasion to drill a
6 Vada-Penn Pool well?

7 A. That is the first well I've drilled.

8 Q. All right, sir. Prior to that time, Mr. Tar-
9 box, did you work in any way as a geologist for any other pool
10 in the Vada-Penn?

11 A. Pardon me, I --

12 Q. Yeah, prior to actually working on this well,
13 that was completed last week, did you directly or indirectly
14 do any geology for anyone else on any other Vada-Penn Pool
15 well?

16 A. Not for anyone other than TXO Production,
17 although I have worked on the Vada Pool since before November
18 several months now.

19 Q. All right, sir. Let me ask you something
20 about the relationship of your proposed unorthodox location
21 to what the pool rules require for a standard location.

22 I think you told us that the pool rules re-
23 quire a well to be located within 150 feet of the center of
24 a quarter quarter section.

25 A. Yes, sir.

1

2 Q All right, sir. If you'll look at your --
3 any of your maps here, and locating the unorthodox location,
4 in terms of the distance from the quarter section line that
5 separates the northeast quarter from the northwest quarter --

6 A Uh-huh.

7 Q -- let's work from that line.

8 A Yes, sir.

9 Q Moving to the west, how far west would you
10 go before you encountered your unorthodox location?

11 A 25 feet.

12 Q All right, sir, 25 feet off the line. Where
13 is the closest standard location as you move to the west from
14 that same line?

15 A From that line?

16 Q Yes, sir.

17 A It is 530 feet.

18 Q All right, sir. Standard location would be
19 530 feet and you're moving to --

20 A Pardon me, sir, it's 510 feet, yes, sir.

21 Q It's 660 minus 150 --

22 A Right.

23 Q -- to 510. All right. So that's the dif-
24 ference between a standard location and the proposed unortho-
25 dox location.

1
2 All right, let's look then, first of all, at
3 your structure map, which is your Exhibit Number Three, and
4 I think -- correct me if I'm wrong, Mr. Tarbox -- I believe
5 you concluded from this exhibit that based upon the strong
6 water drive in the reservoir, that you wanted to be up dip.

7 A Yes, sir, but as I mentioned in my original
8 testimony, this is -- production is primarily controlled
9 stratigraphically, which would indicate that the quality of
10 the reservoir, in this particular case the drainage pattern,
11 which we'll refer to at a later time, is more important than
12 the structure.

13 Q All right, but if we look at the structure
14 alone for a moment --

15 A Uh-huh.

16 Q -- subject to your qualifications, it would
17 appear that you would improve your structural position by a
18 well at a standard location as opposed to the unorthodox
19 location.

20 A A standard location would be up dip.

21 Q All right, let's go to Exhibit Number Four,
22 then. Having looked at the structure, then you prepared this
23 Phi-H map, which I understood you to say was a relative cor-
24 relation between the porosity units and the productivity of
25 the wells, and you made a comparison between the Morrison

1
2 1-A Well in the northeast of the northeast to the Maurice L.
3 Brown Well 117 there in the southwest quarter. I note that
4 you have drawn a contour line showing 125 porosity units.
5 I assume that is generally the optimum area within the section
6 for which to test the Vada-Penn.

7 A. Yes, sir.

8 Q. All right. Now, could you show me any dif-
9 ference on this exhibit in the terms across the units between
10 a standard location and an unorthodox location?

11 A. No, sir.

12 Q. All right, sir. So there doesn't seem to be
13 any advantage in looking at the Phi-H map between a standard
14 location or an unorthodox location?

15 A. Based only on that map, that's true.

16 Q. All right. Let's turn now to the proposition
17 that we ought to have an 80-acre non-standard proration unit.
18 Let me ask you some questions about Section 17, Mr. Tarbox.

19 Within Section 17 I think you've located for
20 us some four wells that either now or in the past have pro-
21 duced from the Vada-Penn.

22 A. Yes, sir.

23 Q. In terms of each of those four wells, Mr.
24 Tarbox, have all of them been dedicated to a standard 160-
25 acre proration unit?

1

2

A. To the best of my knowledge. Yes, sir.

3

4

5

Q. All right, sir. The ARCO Hanagan State Well in the northwest quarter, while it produced, the northwest quarter 160-acre proration unit was dedicated to that well?

6

A. I believe so.

7

8

Q. And the same is true of the northeast quarter with the Morrison Atlantic State Well?

9

A. Yes, sir.

10

11

Q. And currently that's true with the Brown Well in the southwest quarter?

12

A. Yes, sir.

13

14

15

16

17

Q. All right, sir. Now, you made reference to a two or three--I think there were three instances of 80-acre non-standard proration units that you had found in the Vada--Penn Pool. Would you identify for us where those are in relation to this well?

18

19

20

21

22

A. Yes, sir. The first case that I mentioned, Administrative Order NSP-1291, allowed for the drilling of the Jubilee Energy No. 1 State 17, located in Section 17, Township 9 South, Range 34 East, approximately four to five miles north of the proposed location.

23

Q. All right, sir. And how about the next one?

24

25

A. I'm not familiar with the well names of the following two cases.

1

2

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

Q Just give me the general location, where you can find them. You don't know?

A I don't know.

Q All right.

MR. DICKERSON: That was, I think, Section 14 instead of Section 17.

A Section 14.

Q The first well was Section 14 in the township adjoining this township?

A Yes, sir.

Q All right. And you're not certain of where the other two are located?

A That's correct.

Q Okay. Now under the Vada-Penn rules as I understand them, Mr. Tarbox, your non-standard proration unit is subject to a reduced allowable, is it not??

A Yes, sir.

Q All right. When we talked about a standard allowable for a 160-acre proration unit, in terms of barrels of oil per day, what would be allowed for a well at this depth?

A I believe it's 362 barrels a day. 382 barrels a day, sir.

Q All right, sir. A 160-acre proration unit

1
2 is allowed 382 barrels a day?

3 A. Yes, sir, as provided by Order No. R-4429,
4 in Case 4829.

5 Q. All right, sir. And under the rules, if we
6 have 80 acres, then we simply divide that in half?

7 A. Yes, sir.

8 Q. All right. Have you examined the production
9 from the wells in this general area to determine what is the
10 --what is or has been the general ability of the wells to
11 produce a certain quantity of oil on a daily basis?

12 A. Yes, sir.

13 Q. And what, in your opinion, is that general
14 average?

15 A. Well, as this is a unique case, infilling
16 amongst several P & A'd wells, which is something that has not
17 really been done before, we do not know. We can only guess
18 what the average daily rate would be.

19 Q. What is your best estimate, Mr. Tarbox?

20 MR. DICKERSON: Objection, Mr. Ex-
21 aminer. There is--this was neither testified to on direct
22 examination nor has there ever been any foundation laid that
23 Mr. Tarbox is qualified to even give an estimate on such
24 matters.

25 MR. KELLAHIN; If the Examiner

1
2 please, I don't think it has to be directly in point with the
3 question asked under direct. It is certainly relevant to,
4 material to the question of what the productive capacities
5 of the wells are. Mr. Tarbox has already admitted that he
6 has a figure in mind, and I'd like to know what that figure
7 is.

8 MR. DICKERSON: Mr. Examiner, Mr.
9 Kellahin has his own witnesses and if he's got some figures
10 he's free to have them testify as to what their opinions are.
11 On the other hand, our next witness will be a reservoir en-
12 gineer who may be more qualified to testify on such matters,
13 assuming he has knowledge of it, than this geologist.

14 MR. STOGNER: Mr. Kellahin, would
15 you have any objections to asking the reservoir engineer at
16 that time, when he is on the witness stand?

17 MR. KELLAHIN: I intend to ask the
18 reservoir engineer, and I'd like the geologist to tell me
19 what number he's got in his head.

20 MR. PEARCE: Could you restate your
21 question please, Mr. Kellahin?

22 MR. KELLAHIN: Yes, sir. I asked
23 him if he knew what the general average production was from
24 the wells in the area on a daily basis, and whether or not
25 he had an opinion or an estimate as to what he might expect

1
2 the proposed well to generate on a daily basis. He said,
3 with some qualification, he did have that number in mind,
4 and I'd like to know what it is.

5 MR. PEARCE: It seems to me that if
6 the witness is being asked for his expectation that he can
7 form an expectation without being a formally qualified res-
8 ervoir engineer. I think it's appropriate for the witness
9 to answer that question, if he has an answer to that question,
10 Mr. Examiner.

11 MR. STOGNER: Thank you, Mr. Pearce.

12 A. What I in fact said was that I could only
13 estimate, since there have been no other wells drilled on an
14 infilled basis like this. The estimate I would give, since
15 I'm not an engineer, would be a broad range. All I could
16 really say that I would not expect it to exceed the 191 bar-
17 rel a day half allowable.

18 MR. PEARCE: I'm interested--I un-
19 derstood Mr. Kellahin's question to have another piece of it,
20 and perhaps it didn't. Do you know what the average daily
21 production rate of the other wells in the section were?

22 A. Naturally, when they were new it was higher,
23 and declined.

24 MR. PEARCE: But you don't--

25 A. Over time it would change.

1
2 Q Let me ask another question. Do you know
3 what the general average is for a new well when it first
4 comes on production in this area of the Vada-Penn, in terms
5 of barrels of oil a day?

6 A I believe most of the wells potential for
7 several hundred barrels a day.

8 Q Of the wells involved in Section 17 or
9 immediately in this area, Mr. Tarbox, what is the current
10 daily oil production of any of those wells?

11 A As I indicated earlier, the Maurice Brown
12 No. 1 State 17 is currently making 24 barrels a day. The
13 only other active wells in the area are the Champlin State
14 No. 3-18, located in the southwest of the southeast Section
15 18, which is currently making 9 barrels a day. And also in
16 Section 18, southeast of the northwest, is the C. B. Reed
17 No. 1 Continental State, currently making 11 barrels a day.
18 In the southeast of the northeast quarter, Section 7, Kaiser
19 Francis Murphy State No. 3-B, Currently making only 2 barrels
20 a day. Also, in Section 8, in the northeast of the northeast
21 is Maurice Brown No. 1-8 State, currently making 2 barrels
22 a day.

23 Q Mr. Tarbox, your original application asked
24 for a 160-acre proration unit, split between the two quarter-
25 sections. Why have you amended that application, Mr. Tarbox?

1
2 MR. DICKERSON: I am going to object
3 again that this witness is a geologist, you know. He's not
4 a lawyer, Mr. Examiner, nor is he the one who gives instructions
5 from TXO as to what's to be done, and so there is absolutely
6 no reason that he should have any answer to that question.

7 MR. KELLAHIN: If the Examiner
8 please, the witness is the one that testified that originally
9 the proration unit was as defined on the exhibit and that they
10 had changed it. I'm asking why. If it's a legal reason,
11 he can say it's a legal reason. If it's a geological reason,
12 then I think I'm entitled to an answer from him.

13 MR. DICKERSON: Why don't you ask him,
14 Mr. Kellahin, if it is to his knowledge based on a geologic
15 reason?

16 MR. KELLAHIN: I like my question
17 the way it was asked, Mr. Examiner. I want to know if there
18 is a reason he can tell me.

19 MR. STOGNER: Mr. Kellahin, would
20 you please restate the question?

21 MR. KELLAHIN: Yes, sir. I asked
22 Mr. Tarbox ~~the~~ the original application split the quarter
23 section in half, dedicating 160 acres to it. I asked him
24 why it had been amended now to a nonstandard 80-acre prora-
25 tion unit.

1
2 MR. STOGNER: Mr. Tarbox, would you
3 please respond to that question?

4 A. We had originally filed a 160-acre proration
5 unit, in keeping with the field rules, with our location lo-
6 cated roughly in the center of our unit. It was a decision
7 handed down by management that we should change our proposal
8 to an 80-acre unit. The reasons why are not completely clear,
9 to me.

10 Q. To the best of your knowledge they were not
11 made for geologic reasons, Mr. Tarbox?

12 A. No, sir.

13 Q. To the best of your knowledge, Mr. Tarbox,
14 is a second well planned in Section 17 by TXO at this time?

15 A. No, sir.

16 Q. Are you aware of any geologic reason why
17 the northwest quarter cannot be dedicated to this well and
18 thereby compose a standard 160-acre proration unit?

19 A. Geologic reason? No, sir, but--

20 MR. DICKERSON: Just a minute. Did
21 you say the northeast quarter?

22 MR. KELLAHIN: I'm sorry. I meant
23 the northwest. I think I said the northeast. I meant the
24 northwest.

25 A. I'm sorry; I heard it as northwest.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q. All right, sir.

A. TXO only owns the east half of the northwest.

Q. Is that a geologic reason, or some other reason?

A. That's another reason.

Q. All right, sir. You don't have any geologic reason?

A. No, sir, I don't.

Q. For not dedicating the northwest quarter.
All right. Mr. Tarbox, have you considered whether or not the unorthodox location ought to be penalized by the Division because it is unorthodox?

MR. DICKERSON: Objection. That is clearly a legal consideration, Mr. Examiner, and the question calls for a legal conclusion. The witness doesn't have anything to do with penalizing.

MR. KELLAHIN: I have no further questions. I concur with Mr. Dickerson on that question. We'll give him that one. I have no other questions for this witness.

MR. STOGNER: Thank you, Mr. Kella-
hin.

REDIRECT EXAMINATION

BY MR. DICKERSON:

Q Mr. Tarbox, just two questions.

Number one, though you're merely a humble geologist, I assume that you know that you cannot dedicate acreage to a well which you do not own.

A Yes, sir, that's true.

Q Assuming you did own the west half of the northwest quarter of Section 17, is there any geologic reason that you would not think that was the greatest acreage to dedicate to a new well?

A The west half of the northwest quarter of Section 17 has already been significantly drained by the Atlantic Richfield Hanagan State No. 1.

MR. DICKERSON: No further questions.

CROSS EXAMINATION

BY MR. STOGNER:

Q Mr. Tarbox, I have a couple of questions, especially on the -- concerning the AR Morrison No. 1. When was that P&A'd?

A Pardon me, which well?

Q The one in the west half of the northwest quarter, the R. R. Morrison No. 1.

1
2 MR. DICKERSON: That's the ARCO
3 Hanagan State, Mr. Examiner.

4 MR. STOGNER: I'm sorry, I'm sorry.
5 I was looking at the name below, the Hanagan State No. 1.

6 A. The Hanagan State No, 1, sir, was P&A'd in
7 1975.

8 Q. And how about the R. R. Morrison No. 1 in
9 Unit A?

10 A. In the northeast of the northeast?

11 Q. Yes, sir.

12 A. That well was -- is currently inactive. I
13 do not have an P&A date on that, sir.

14 Q. Thank you.

15 MR. STOGNER: I have no further
16 questions of this witness.

17 Are there any other questions of
18 Mr. Tarbox? He may be excused.

19
20 C. L. VICKERS,
21 being called as a witness and being duly sworn upon his oath,
22 testified as follows, to-wit:
23
24
25

DIRECT EXAMINATION

BY MR. DICKERSON:

Q Mr. Vickers, would you please state your name, your occupation, and where you live?

A My name is Clark Vickers. I am employed by TXO Production Corporation in Midland, Texas.

Q Mr. Vickers, would you briefly summarize your educational background for the Examiner?

A Yes, sir, I attended Texas Tech University between 1974 and 1979, and received a Bachelor of Science degree in chemical engineering.

Q And what has been your work experience since your graduation?

A Upon graduation I was employed by Amoco Production Corporation in Andrews, Texas, for a period of approximately two years as a production engineer.

In April of 1981 I went to work for TXO Production Corporation and have currently been with them for approximately two years as a reservoir engineer.

Q And do your duties with TXO Production Corporation involve you in the area of the Vada-Penn Pool?

A Yes, they do.

Q And are you familiar, Mr. Vickers, with the existing wells and the application that TXO has filed in this

proceeding?

A. Yes, sir, I am.

Q. And have you made certain studies of some of the production histories of these other producing Vada-Penn Pool wells upon which you intend to testify?

A. Yes, sir, I have.

MR. DICKERSON: Mr. Examiner, I tender this witness as an expert engineer.

MR. STOGNER: Mr. Vickers is qualified.

Q. Mr. Vickers, would you refer to what you have marked as TXO Exhibit Number Five and describe what is shown by that exhibit?

A. This exhibit is just an estimate of the original oil in place underneath the lease, the TXO Production Corp. lease, highlighted in Mr. Tarbox' previous exhibit.

The equation shown is a very simple volumetric equation. The porosity and water saturation listed here are fieldwide averages, these numbers taken, I believe, from the Roswell Geological Society literature. The area, of course, the 160 acres under lease, the average thickness, a number arrived at by Mr. Tarbox, across our lease, and the original formation volume factor, which is an estimate, of 1.1 reservoir barrels per stocktank barrel. Incorporating

1
2 these figures into the equation above we arrived at an origi-
3 nal Oil in place estimate of 1,149,200 barrels of oil.

4 Q That's the figure assuming all oil originally
5 in place could, in fact, be produced at the surface.

6 A Correct. That's -- that's qualified to the
7 original oil in place.

8 Q Mr. Vickers, what use do you make of such
9 information as this?

10 A It is basically a starting point to deter-
11 mine potential recoverable reserves.

12 Q And does your Exhibit Number Six bear on
13 that question?

14 A Yes, sir, it can.

15 Q Would you refer to Exhibit Number Six and
16 describe for the examiner what you have done on that exhibit?

17 A Basically what I have done here is to indi-
18 cate the approximate drainage of seven of the offset wells
19 immediately surrounding the TXO lease. The equation used is
20 the same equation listed on the previous exhibit, and in this
21 case, in this exhibit I assumed that 20 percent of the oil
22 in place underneath the circles drawn was recovered by
23 each of the wells. This is pretty much a twist-off of a
24 fieldwide study that was conducted in this area. The 20 per-
25 cent factor seems to be fairly consistent throughout the

1
2 field and what these circles show is a very idealized drain-
3 age pattern, and the intent of this exhibit is to show the
4 major areas of depletion in the area, and in conclusion, the
5 proposed location is what I feel to be the optimum location
6 that would encounter the least amount of drainage.

7 Q Is there anything on this exhibit, Mr.
8 Vickers, which would bear on Mr. Kellahin's obvious question
9 of why not move your proposed location to an orthodox loca-
10 tion?

11 A I believe the question was to move the loca-
12 tion farther to the west, and in my opinion, doing so, we
13 would tend to encounter more and more depletion as we move
14 west.

15 The optimum direction for us to move in this
16 particular case, in my opinion, would be to move north.

17 Q Where, in your opinion, Mr. Vickers, would
18 the -- would the best location to drill be on TXO's acreage
19 to encounter, or have the best chance of encountering unde-
20 pleted Bough C formation?

21 A I feel the best location on our lease is
22 the proposed location.

23 Q And is it your opinion that if the well were
24 to be located at some other point that oil would be left in
25 the ground which may be recovered through TXO's proposed well?

1
2 A. Yes, sir, I believe that, and the reason I
3 would say that is that should we move into an area of more
4 depletion, it would tend to enhance the chances of us reaching
5 an economic limit much quicker, making it -- making it unable
6 for TXO to continue to produce the wells economically.

7 Q. In your opinion, Mr. Vickers, would the
8 granting of this application result in the overall production
9 of more oil than would otherwise be recovered?

10 A. Yes, sir, it's my opinion that it would.

11 Q. Let's assume, Mr. Vickers, that the Division
12 grants this application and TXO is allowed to drill its well
13 at the proposed location and dedicate the east half of the
14 northwest quarter to the well, what would your opinion be as
15 regards the possibility of a second location in the west half
16 of the northeast quarter?

17 A. It would depend a great deal on what kind
18 of data we receive from this well drilled at this location.
19 My opinion at this point in time is that a well in the east
20 half of the -- excuse me, in the west half of the northeast
21 quarter would not be an economical well. It would not pay
22 out or meet TXO's economic criteria.

23 Q. So based on that current level of your
24 knowledge, there would be no current plans by TXO to drill
25 in the northeast quarter?

1
2 A. That is correct, there are no current plans
3 at this time.

4 Q. You heard Mr. Tarbox testify, Mr. Vickers,
5 to the depleted wells in the area which are also shown on
6 your Exhibit Number Six, would you concur with his statement
7 that the acreage, for instance, dedicated to that ARCO Hanagan
8 State Well in the west half of the northwest quarter of Sec-
9 tion 17 would not be attractive as far as drilling a new well
10 either on that acreage or dedicating that acreage to a new
11 well to be drilled?

12 A. That is correct. I do not feel there are
13 sufficient reserves remaining on that 80-acre tract that would
14 allow a well to be drilled.

15 Q. Mr. Vickers, were Exhibits Five and Six
16 prepared by you?

17 A. Yes, sir, they were.

18 MR. DICKERSON: Mr. Examiner, move
19 admission of TXO Exhibits Five and Six at this time.

20 MR. STOGNER: Exhibits Five and Six
21 will be admitted into evidence.

22 Q. Mr. Vickers, in the -- in your opinion would
23 the granting of TXO's application be in the interest of con-
24 servation, the prevention of waste, and the protection of
25 correlative rights?

1
2 A. Yes, sir, I believe it would.

3 MR. DICKERSON: I have no further
4 questions, Mr. Examiner.

5 MR. STOGNER: Mr. Kellahin, your
6 witness.

7 MR. KELLAHIN: Thank you, Mr. Exam-
8 iner.

9
10 CROSS EXAMINATION

11 BY MR. KELLAHIN:

12 Q Mr. Vickers, are you aware that the Vada-
13 Penn Pool requires, unless an exception is granted, 160-acre
14 proration unit be dedicated to Vada-Penn Pool well?

15 A. Yes, sir.

16 Q Based upon your engineering studies, Mr.
17 Vickers, do you concur with the finding in that order that
18 one well in the Vada-Penn Pool can be expected to drain 160-
19 acre proration unit?

20 MR. DICKERSON: Objection, Mr. Exa-
21 miner, there's been no foundation laid that he has reviewed
22 the evidence upon which that order was based.

23 MR. KELLAHIN: I asked him if he
24 knew that the Vada-Penn Pool was based under the proposition
25 that one well would drain 160-acre proration unit. He said

1
2 he was, and I'm going to ask him -- I'm going to ask him if
3 based upon his study of the -- engineering study of the area,
4 whether he believes that one well is going to drain 160-acre
5 proration unit.

6 MR. STOGNER: Please respond to the
7 question, Mr. Vickers.

8 A. Yes, sir. If I was understanding your first
9 question correctly, Mr. Kellahin, my response was intended to
10 be that the pool rules are indeed 160 acres; for what reason
11 they were established, I do not know.

12 And in response to your second question, I
13 feel there are some wells in the Vada-Penn Pool that are
14 capable of draining 160 acres. I believe that is shown on
15 this map, indeed, by the Signal State 1-AP, located in the
16 northeast corner of the southeast quarter. I believe that well
17 has drained somewhere around 160 acres.

18 Again, there are several wells in the field,
19 such as the R. R. Morrison L-B, located up in Section 8 north
20 of our location, that has only drained approximately 60
21 acres by my estimate.

22 So I believe that the drainage is extremely
23 varied throughout the field.

24 Q. If I understood your direct testimony cor-
25 rectly, Mr. Vickers, you have proposed or concur in the pro-

posals as to this well location because in your opinion it is the optimum location from which to drain the TXO lease, the 160-acre unit outlined in yellow.

A. Yes, sir.

Q. All right. So what you're doing is taking one well, simply dedicating 80 acres to it, with the knowledge, however, that you won't have to drill a second well in order to drain your entire 160-acre lease.

A. I believe in my direct testimony I may or may not have stated this, but I believe that the -- a substantial part of our lease, primarily in the southern half, is reasonably depleted already.

Q. All right, let's take your lease and split it in half with a west half 80 and an east half 80 --

A. Very well.

Q. -- and we draw a line vertically north to south. Based upon your studies of the reserves underlying your section, I mean your quarter section, what portion of the potential reserves do you attribute to the west half of the northeast quarter?

A. I have not made a study in that kind of detail. Again, I stated that a lot of the numbers used are assumed numbers and it would be very difficult to arrive at an exact number.

1
2 Q Can you give us your best estimate of what
3 percentage of those reserves are going to be recovered in the
4 west 80 acres as opposed to the east 80 acres?

5 A I believe the -- it could be about 50/50,
6 about half and half.

7 Q Based upon your Exhibit Number Six, and the
8 drainage patterns that you have drawn on Section 17, in order
9 to drill a well that will fairly and reasonably drain the
10 80-acre proration unit that you're going to dedicate to this
11 well, can you do that with a well at the proposed location or
12 can you do that more adequately with a well drilled at the
13 closest standard location, which would be 510 from that
14 dividing line we've been talking of?

15 A Is your question strictly for the 80-acre,
16 the west half 80-acre section?

17 Q Yes, sir.

18 A If that's all our concern was for, yes, sir,
19 a proposed location farther to the west would be ideal.

20 Q Are you familiar with how the proration
21 units have been and are now aligned in Section 17 with regards
22 to those other wells that are spotted?

23 A No, sir, I am not.

24 Q For instance, you don't know what the acreage
25 dedication was to the R. R. Morrison Atlantic State Well in

1
2 the northeast 160?

3 A. No, sir, I do not.

4 MR. KELLAHIN: I have no further
5 questions of Mr. Vickers, Mr. Examiner.

6 MR. DICKERSON: Just a couple, Mr.
7 Examiner.

8
9 REDIRECT EXAMINATION

10 BY MR. DICKERSON:

11 Q. Mr. Vickers, I suppose you would admit in
12 response to Mr. Kellahin's question, had he asked it, that
13 this 160-acre lease of TXO could in fact be drained by two
14 wells, could it not?

15 A. Yes, sir, it could.

16 Q. It could be drained by 10 wells, couldn't
17 it?

18 A. Yes, sir.

19 Q. In your opinion, if you drilled two wells
20 on this acreage or 10 wells, would that result in the drilling
21 of unnecessary wells?

22 A. Yes, sir, I believe it would.

23 Q. Is that a definition, as far as your under-
24 standing goes, of the term "economic waste"?

25 A. Yes, sir, as I understand the term, yes,

1
2 sir, I believe it is.

3 MR. DICKERSON: No further questions.

4 MR. STOGNER: Are there any further
5 questions of Mr. Vickers? If not, he may be excused.

6 MR. DICKERSON: Mr. Examiner, that
7 concludes our case.

8 MR. STOGNER: Thank you, Mr. Dick-
9 son. Mr. Kellahin?

10
11 HURALD I. MILLER,
12 being called as a witness and being duly sworn upon his oath,
13 testified as follows, to-wit:

14
15 DIRECT EXAMINATION

16 BY MR. KELLAHIN:

17 Q Mr. Miller, for the record would you please
18 state your name and occupation, sir?

19 A Yes. My name is Hurald I. Miller, and I
20 am a geologist for the Maurice L. Brown Company.

21 Q Mr. Miller, when and where did you obtain
22 your degree in geology?

23 A I obtained my degree in geology from the
24 University of New Mexico. It was granted in 1950 by the Uni-
25 versity.

Q. Subsequent to graduation, would you summarize where you have worked as a geologist?

A. Yes. Worked for Shell Oil Company for 25 years, retired. I did a short piece of work for the New Mexico Bureau of Mines in Socorro. I worked a short time for the Bureau of Land Management in Kingman, Arizona, and I also worked about 15 months for the Arizona State Land Department in Phoenix, Arizona.

Q. How long have you been employed as a geologist by Maurice L. Brown Company?

A. I was hired effective July the 1st, 1981.

Q. Mr. Miller, are you familiar with the geology in the Vada-Penn Pool in Lea County, New Mexico?

A. I have a limited knowledge of it, yes.

Q. Have you studied the geologic data and information with regards to Section 17 and the adjoining sections identified by the applicant on his exhibits?

A. Yes. Yes, I have.

Q. Have you made a study of the wells within Section 17 and reduced them to a cross section?

A. I have, yes.

Q. And is that what is before you as Brown Exhibit One?

A. Yes, sir, that is the document.

1
2 Q All right.

3 MR. KELLAHIN: If the Examiner please,
4 we tender Mr. Miller as an expert geologist.

5 MR. STOGNER: Mr. Miller is so qual-
6 ified.

7 Q Mr. Miller, let me see if we can't move this
8 on just a little bit.

9 A Okay.

10 Q In terms of your cross section, I also would
11 like you to look at, and I'll ask you some questions about
12 the applicant's Exhibit Number Four, which he's referred to
13 as his Phi-H map, and his Exhibit Number Three, which is his
14 structure map.

15 Mr. Miller, I'm particularly interested in
16 one opinion from you and that is whether or not, in your op-
17 inion, there is any geologic difference for a well drilled
18 25 feet from the quarter section line dividing the northwest
19 quarter and the northeast quarter as the applicant proposes,
20 as opposed to the closest standard location, which would be
21 510 feet from that dividing line?

22 A I think it's very possible there's absolutely
23 no difference.

24 Q Let's go to your cross section and have you
25 run through, then, the wells that you have located on your

1
2 cross section and identify them for us.

3 A. Yes. This cross section is called A-A'. It
4 begins in the southwest quarter of Section 8 with the Union
5 Texas Petroleum Corporation State 8 No. 1. It goes southeast
6 to the northwest quarter of Section 17 to the Atlantic Rich-
7 field Hanagan State No. 1. It goes southwest in the south --
8 in the northwest quarter of Section 17 to the R. R. Morrison
9 Atlantic State No. 1. It terminates in the southwest of Sec-
10 tion with the Maurice L. Brown Company State 17 No. 1 Well.

11 Q. Based upon your studies, Mr. Miller, and
12 the cross section which you've just identified, what is your
13 opinion with regards to the characteristics or continuity of
14 the Vada-Penn Pool in Section 17?

15 A. Well, I think they change very little over
16 the -- the entire Section 17, very locally, they could be
17 different.

18 Q. Let me have you identify for us within
19 Section 17 what acreage Maurice L. Brown Company has under
20 lease.

21 A. All right, they hold, with the 17 No. 1,
22 the southwest quarter of Section 17.

23 They hold by production the east half of the
24 northeast of Section 17.

25 They hold by production the south half of

1
2 the southeast of Section 17.

3 Q Let me -- let me clarify something. ON the
4 southwest quarter of 17, that Brown acreage is held by the
5 well depicted upon that 160-acre proration unit.

6 A Yes.

7 Q All right, sir, now when we look at the east
8 80 acres in the northeast quarter, there's obviously a plug-
9 ged and abandoned well.

10 A Yes.

11 Q That lease acreage is still held by Brown.

12 A This is correct.

13 Q All right, and the same is true of the south
14 80 acres in the southeast quarter.

15 A Yes, I believe that is correct, sir.

16 Q All right, let me have you identify for us
17 what objection you have to the applicant's proposed unortho-
18 dox location, 25 feet from that quarter section line.

19 A My -- I think I probably have two, I have
20 two reasons that I would object to it. One would be that by
21 moving it, possibly west, to conform with a normal spacing,
22 there is just no reason geologically that it couldn't be as
23 good, it might actually be enhanced by that. That possibi-
24 lity is there.

25 The second is, I believe that by leaving it

1
2 at the 2615 from the west, 660 from the north of Section 17,
3 I believe it possibly could very easily harm the Maurice L.
4 Brown Company's right in normal spacing that has already
5 been established there by -- by the Atlantic Richfield Hana-
6 gan State No. 1.

7 Q With regards to the proposal of an 80-acre
8 nonstandard proration unit, Mr. Miller, consisting of the
9 east half of the northwest quarter, what, if any, objection
10 does the Maurice L. Brown Company have to the establishment
11 of an 80-acre nonstandard proration unit in Section 17?

12 A I'm sorry, I don't quite follow you.

13 Q All right, sir. I asked you in -- we talked
14 about the unorthodox location.

15 A Yes.

16 Q Now I want to talk about the proposed non-
17 standard proration unit, all right?

18 A Uh-huh.

19 Q Standard spacing is 160; they've asked for
20 80 acres.

21 A Uh-huh.

22 Q What, if any, objection does Maurice L.
23 Brown Company have, to your knowledge, with regards to the
24 dedication of only 80 acres as opposed to 160?

25 A Well, I think the main objection is that --

1
2 that it probably does not enhance the potential of the loca-
3 tion that would conform to normal -- to normal spacing.

4 Another objection would be there it esta-
5 blishes a precedent for something that does not exist at the
6 present time.

7 Q Based upon your studies, Mr. Miller, are
8 you aware of any geologic reason why one well in Section 17
9 would not be capable of developing and draining a 160-acre
10 proration unit?

11 A I understand, I'm not a real expert on poro-
12 sity, per se, in the Vada-Penn, but I think that the -- the
13 unit is so -- so uniform it could seem to me have very little
14 very little reason that it would not drain 160-acre spacing.

15 Q Was applicant -- I'm sorry, was Maurice L.
16 Brown Exhibit Number One compiled by you or compiled under
17 your direction and supervision?

18 A It was compiled by me under my supervision
19 with the help of a draftsman.

20 Q All right, sir.

21 MR. KELLAHIN: That concludes my
22 examination of Mr. Miller.

23 MR. STOGNER: Thank you, Mr. Kella-
24 hin. Mr. Dickerson, your witness.
25

CROSS EXAMINATION

BY MR. DICKERSON:

Q. Mr. Miller, I just wonder in your review and your becoming familiar with this Vada-Penn Pool, have you had occasion to become familiar with other Pennsylvanian special pools in this same general area of northern Lea County and Roosevelt County?

A. No. No, not recently, no.

Q. Are you aware that there are other Pennsylvanian pools there?

A. The total Pennsylvanian section?

Q. No, this same --

A. Bough C, yes. Yes.

Q. Do you know what the spacing --

A. No, I --

Q. -- rules are in effect on those?

A. No, I'm sorry, I do not.

MR. DICKERSON: No further questions, Mr. Examiner.

MR. KELLAHIN: I have nothing else for Mr. Miller. Thank you.

MR. STOGNER: Are there any further questions of Mr. Miller? If not, he may be excused.

WILLIAM M. GROESBECK,

being called as a witness and being duly sworn upon his oath,
testified as follows, to-wit:

DIRECT EXAMINATION

BY MR. KELLAHIN:

Q. Would you please state your name for the
record?

A. I'm W. M. Groesbeck, G-R-O-E-S-B-E-C-K.

Q. Would you tell the Examiner what, if any,
professional degrees that you hold?

A. Bachelor of Science in petroleum engineering.

Q. And when and where did you get that?

A. University of Texas in Austin.

Q. And in what year, sir?

A. I graduated in 1952.

Q. All right. Subsequent to graduation have
you worked as an engineer in the Vada-Penn Pool, particularly
in Lea County, New Mexico.

A. Yes, yes, and all over the State of Texas
and Wyoming.

Q. All right, sir. Let's take a moment and

1
2 have you describe for the examiner what has been your general
3 experience with the Vada-Penn Pool?

4 A. I was manager of the drilling department
5 for BTA in the very active drilling and development stage of
6 the Vada-Penn Field in 1968.

7 I was also drilling engineer for Tenneco Oil
8 Company for several years during later development in the
9 field.

10 I've been a production engineer. All the
11 time I haven't been in drilling I have been in charge of pro-
12 duction for various companies in the Vada-Penn Field since
13 1968.

14 Q. What is your employment with Maurice L.
15 Brown Company?

16 A. I'm associated with the Maurice Brown Com-
17 pany. I'm not an employee. I operate their properties and
18 I'm called a District Engineer. I own an override in all of
19 their production. I own working interest in most of it.

20 Our well being affected here, I own both
21 working interest and override.

22 Q. In terms of the numbers of Vada-Penn Pools
23 that you have worked on or participated in, can you give us
24 some estimate of the number of wells that you've had some
25 involvement in?

1
2 A. Probably 75 wells I've been associated with
3 the drilling or -- and/or re-entry of.

4 Q. Currently within the immediate area depicted
5 by the applicant on their exhibits, what, if any, personal
6 interest do you have in any of these Vada-Penn wells?

7 A. Well, I own interest in the two Maurice
8 Brown Company wells that are shown on the plat here, the
9 State 8 in Section 8, State 17 in Section 17, offsetting
10 their property there.

11 Q. As a petroleum engineer are you aware of the
12 general production characteristics and the other engineering
13 matters with regards to production and drilling a Vada-Penn
14 well?

15 A. Yes.

16 MR. KELLAHIN: We submit our engineer
17 as an expert professional petroleum engineer.

18 MR. STOGNER: He is considered
19 qualified.

20 Q. Let me show you what Mr. Vickers has used as
21 an exhibit. Mr. Groesbeck, I show you Applicant's Exhibit
22 Number Six, which shows a drainage map, and if you need to
23 look at it, Exhibit Number Five is oil in place calculation.

24 Let me direct your attention first of all
25 to the 160-acre proration unit consisting of the northeast

1
2 quarter of 17. There is or has been a Vada-Penn well in the
3 northeast of the northeast. Do you concur in Mr. Vickers
4 conclusion that that well has significantly drained and de-
5 pleted the Vada-Penn with regards to that proration unit?

6 A. No.

7 Q. On what do you base your opinion?

8 A. This would still make a good well, the R. R.
9 Morrison Atlantic State, would still make a good well, it
10 has good porosity. It was not plugged because of depletion;
11 it was plugged because of uneconomic operation with gas at
12 10 to 15 cents an Mcf, with oil at \$3.50 a barrel, thereabouts,
13 it would -- it would make an economic well at the present.

14 Q. Do you have an opinion as to whether or not
15 the northeast quarter still has remaining recoverably hydro-
16 carbon reserves?

17 A. This is the area I'm talking about, the Mor-
18 rison Well in the northeast quarter, and it should be adequate
19 to drain that northeast quarter.

20 Q. Based upon your experience, Mr. Groesbeck,
21 do you have an opinion as to whether or not a Vada-Penn Well
22 in this area can be expected to drain 160-acre proration unit?

23 A. If it has good porosity and permeability,
24 it has probably the capability of draining the entire section.

25 Q. What is your objection, if any, to the ap-

1
2 plicant's proposed unorthodox location as we've been discus-
3 sing?

4 A. I didn't hear the first --

5 Q. Yes, sir. I want to direct your attention
6 to that portion of the Applicant's application that talks
7 about the location, 25 feet off of that dividing line. What,
8 if any, objection do you have for them doing that?

9 A. It would drain the northeast quarter, which
10 we should have a right, either to drill a replacement well in
11 the northeast quarter, or re-enter the R. R. Morrison.

12 Q. Are you familiar with the proration unit
13 that was originally used for the R. R. Morrison Atlantic
14 State Well in the northeast quarter?

15 A. I see on the map that it was drilled on 160-
16 acre spacing. I don't know that that was a rule. I don't
17 know that the field rule was established at the time the well
18 was drilled.

19 Q. Do you know whether or not the west half of
20 the northeast quarter participated in the production from
21 that Morrison well?

22 A. Why, certainly, I would assume that it did.

23 Q. Let's turn now to the portion of the appli-
24 cation that discusses an 80-acre nonstandard proration unit.
25 All right, sir? What, if any, objection do you have to appro-

1
2 val of such an 80-acre nonstandard proration unit?

3 A. It would establish a precedent in the area
4 which would allow possible drilling of four wells in the area,
5 three of which would be unnecessary.

6 Q. Mr. Tarbox discussed with us earlier this
7 morning a 160-acre allowable of 382 -- 382 barrels of oil a
8 day. Based upon your knowledge of the Vada-Penn Pool pro-
9 duction, Mr. Groesbeck, what would you anticipate a Vada-Penn
10 well -- Pool well producing on a daily basis? Can you give
11 me some --

12 A. Under 50 barrel a day, probably on the order
13 of 25 barrel a day.

14 Q. Upon what do you base that opinion?

15 A. Because the entire Bough C trend area, the
16 Vada Field, is pressure depleted and if they should make a
17 good well there that will -- it would even, at the location
18 they picked, would affect production on our well to the south.
19 We can't -- we can't prevent a well being drilled in the
20 northeast -- or northwest quarter, but if one is drilled and
21 is successful, it certainly would affect the drainage even
22 on our well, the State 17 No. 1.

23 Q. Mr. Groesbeck, have you been able to calcu-
24 late or determine a recommendation to the Examiner for a
25 penalty factor to be imposed against the applicant?

1
2 A. I think any reasonable penalty would not have
3 any effect whatsoever, because they won't make a quarter of
4 allowable, a penalty applied has no effect at all in easing
5 the situation of damage that would be done to us, either on
6 our existing well or our possible re-entry in the northeast
7 quarter.

8 Q. In conclusion, Mr. Groesbeck, do you have an
9 opinion as to whether or not as a petroleum engineer you would
10 recommend to the Examiner that the application be granted or
11 denied?

12 A. As I understand they're requesting 80-acre
13 spacing, we would want to oppose that very, very much. There
14 is no -- no justification anywhere. The record's filled --
15 filled up with reasons where that is not necessary through-
16 out the Vada-Penn Field, 30 miles. We sense any time there
17 is a well shutdown within a half a mile of us, we feel it
18 within just two or three days, or if another well is started
19 up close to us, we feel it very rapidly.

20 Q. Are you aware of any engineering reason
21 why the Applicant should not be required to drill at the
22 closest standard location as opposed to the proposed unortho-
23 dox location?

24 A. I think they should be required to drill
25 the standard location if they drill at all.

1
2 MR. KELLAHIN: That concludes my ex-
3 amination of Mr. Groesbeck.

4 We move the introduction of Maurice
5 L. Brown Company Exhibit Number One.

6 A. Could I add one thing?

7 Q. Well, let's wait and see what the questions
8 are, Mr. Groesbeck. Why don't you stay there? You'll be
9 asked some questions.

10 A. All right, fine.

11
12 CROSS EXAMINATION

13 BY MR. DICKERSON:

14 Q. Mr. Groesbeck, I'm just curious when this
15 well in the northeast quarter of Section 17 was plugged, if
16 you know.

17 A. I don't have that date. I would assume in
18 the early seventies, but I don't have that, but many, many
19 wells were plugged during '71-'72.

20 Q. Was it your recommendation to plug that well?

21 A. That was not our well. We have acquired
22 that acreage.

23 Q. Since that time?

24 A. Yes, we acquired it when we acquired the
25 State 17 No. 1.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q. And when did you acquire that?

A. About four years ago.

Q. So you bought a new lease from the State of New Mexico.

A. No, sir, we bought a well that was fixing to be plugged by Tom Brown Drilling Company. We made -- they had a casing problem. We made a proposition to buy their salvage contingent upon our being able to buy the lease from the State of New Mexico.

We bought the lease. We had it put up for bid. We bought it and then we bought the salvage from Tom Brown and we acquired the east half of the northeast and the south half of the southeast quarter.

Q. But when you did acquire the east half of the northeast you did purchase it directly from the State of New Mexico.

A. Yes.

Q. Do you know how much Mr. Brown paid for that lease?

A. No, sir, I don't have that.

Q. My map, Exhibit Number One shows \$68.75; that sound about right?

A. Whatever I paid, I paid my proportionate share of it.

1
2 Q Have you recommended to your employer, Mr.
3 Groesbeck, that he either re-enter that well or drill himself
4 a new well there on the northeast quarter?

5 A Yes, we've discussed it. We continue dis-
6 cussing it. We have wells like that all over the field.

7 Q But have you recommended to him --

8 A Certainly, we have.

9 Q What have you recommended?

10 A To consider re-entering and we have attempted
11 re-entering many wells throughout the field and probably will
12 that one in time.

13 Q Just as a general proposition, Mr. Groesbeck,
14 would you think that assuming TXO desires to drill a dry hole
15 or a stinker that they should be perfectly free to do that?

16 A Yes, sir, as long as they don't take our
17 production by a nonstandard location.

18 Q You would recognize, would you not, Mr.
19 Groesbeck, that TXO could move to a standard location that
20 would be considerably closer to your producing well --

21 A Absolutely.

22 Q -- in the southeast --

23 A Yes, sir, I understand that they could.

24 Q So are you not glad that they're not moving
25 closer to your well in the south half?

1
2 A. Our company has moved to allow or not oppose
3 the nonstandard location if Texas Oil and Gas would give up
4 on the 80-acre spacing, which we object to very much.

5 Q. But you heard the testimony, did you not,
6 that Texas Oil and Gas does not own the adjoining 80-acre
7 tract in the northwest quarter?

8 A. WE didn't own the southeast quarter or the
9 south half of the southeast or the east half of the northeast,
10 either, when we started dealing for the State 17-1. We
11 bought it, and there is nothing preventing them from having
12 this lease put up. The state would be glad to do that.

13 Q. Well, there's nothing preventing Maurice L.
14 Brown from doing the same thing, is there not?

15 A. We don't want it.

16 Q. You don't want it but TXO should want it?
17 Why would that make any sense?

18 A. Well, we don't want them to affect and
19 drain our northeast quarter.

20 Q. Well, that's obvious by your being here, I
21 think, but still you concede, do you not, that Maurice L.
22 Brown does not desire to have the acreage in the west half
23 of the northwest quarter.

24 A. NO, we did own it; we turned it loose.

25 Q. How about if it were given to you, would

1
2 you take it if it were given to you?

3 A. Well, never turn down a gift.

4 We owned the entire section at one time.
5 We allowed that to expire.

6 Q. Assuming TXO Production Company drills this
7 well at its proposed unorthodox location, and further assuming
8 that this Division allows them to dedicate an 80-acre unit
9 to the well, and further assuming that you're correct that
10 they make a 25 barrel a day well in excess of 10,000 feet
11 deep, wouldn't you think that's penalty enough?

12 A. I don't -- I'm not -- I'm saying that a
13 penalty that might be assessed would have no bearing -- it
14 would be -- offer no help to us at all, because it would --
15 it would have no meaning because they will not have thit kind
16 of production, unless they're going to assess it at 1/10th,
17 or something like --

18 Q. So under the existing rule, assuming an
19 80-acre unit were allowed to TXO here, that under that rule
20 they would be entitled to 191 barrels of oil per day, you
21 think that highly unlikely, I guess.

22 A. Yes, very unlikely.

23 Q. Are you familiar with some of the other
24 Pennsylvanian Pools in this area of northern LEa County --

25 A. OH, yes.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q. -- and Roosevelt County?

A. Yes.

Q. Do you know what -- could you name two or three of them?

A. Bough Field, Crossroads, Allison Field to the north. South Lane Field, it used to be called down here. The Seminola Field, BTA well right here, I probably was in on the drilling of that well, in SEction 20, just south, that used to be a field, Seminola Field.

Q. Are you -- are you familiar with the spacing rules in those pools?

A. Well, there's not been a hearing. BTA is the one, I understand, that called a hearing to get the 160-acre spacing set in the Vada-Penn. This is the only one that has had the hearing. Otherwise it goes by the statewide rules of 40 acre.

Q. And isn't it true that there's some 80-acre development in those other pools, sir?

A. 40-acre, too, just to the west of here is 40-acre --

Q. But I take it you --

A. It was not in the Vada-Penn only prior to the time that the field rules were established.

Q. Yeah.

1
2 A. There have been individual wells produced
3 more oil than any reservoir engineers could compute for an
4 entire section based upon the porosity and pay thickness.

5 Q. Mr. Groesbeck, when was it that H. L. Brown,
6 your employer, or --

7 A. M. L.

8 Q. Maurice L. Brown drilled his last well in
9 the Vada-Penn Pool?

10 A. Our last one we drilled was about three
11 miles mainly west from here, a well we called Blue Quail,
12 which we lost from casing collapse, and that was about three
13 years ago.

14 We re-entered wells periodically but as far
15 as drilling top to bottom, this was the last well we drilled.

16 Q. As to your objection that TXO's application
17 in this case, if granted, would create a precedent for such
18 things to happen in the future, Mr. Groesbeck, are you aware
19 that there have been a series of exceptions in this pool al-
20 ready?

21 A. Are you talking about Jubilee? There's
22 probably no wells, no producing wells, close to them for the
23 operator to object. Anyone that has a Bough C well is going
24 to object to someone drilling an unorthodox location, getting
25 close to them, because if he knows anything about Bough C,

1
2 he knows that's going to hurt him.

3 Q But you would concede, Mr. Groesbeck, that
4 TXO could move to an orthodox location much closer to Brown's
5 acreage.

6 A We would give up our fuss on the location
7 but we don't want to give up our fuss on the 80-acre.

8 Q Why is that? I gather from that --

9 A Because it allows the drilling of four ad-
10 ditional wells in the area.

11 Q Allows, it may require the drilling of ad-
12 ditional wells in the area.

13 A And this is a waste, isn't it?

14 Q And you would assume that -- or I would as-
15 sume MR. Brown does not want to do that.

16 A No, certainly not.

17 Q You don't think there's any oil under this
18 TXO acreage in substantial quantities to be recovered.

19 A One well should be adequate to do it.

20 Q But there have been two wells already in
21 the north half of Section 17, correct?

22 A North half.

23 Q Right.

24 A Yes, one in the northeast quarter, yes,
25 still would be a good well.

1
2 Q Well, why don't you buy that -- why don't
3 you recommend to your employer that he buy that 80-acre State
4 lease, which is unleased, on the west half of the northwest
5 quarter and get after it?

6 A I don't like that location.

7 Q It's got a good well on it, though.

8 A No, it does not.

9 MR. DICKERSON: No further questions.

10 A I didn't say that was a good well. I said
11 the one in the northeast quarter is a good well.

12 MR. KELLAHIN: I have nothing further
13 of this witness, thank you.

14
15 CROSS EXAMINATION

16 BY MR. STOGNER:

17 Q Mr. Groesbeck, you stated in your testimony
18 that you felt when a well in the Vada-Penn was plugged and
19 abandoned, or started up, you all felt -- you all felt this.
20 Could you please elaborate on that a little further?

21 A Oh, yes. I've experienced this for fifteen
22 years, at least, from back in the late sixties, early seven-
23 ties. I usually know now an offset well, when it quits pro-
24 ducing, not even on my lease, another operator, I can tell
25 from the effect it gives in my well pretty quick. And I may

1
2 know that other company has a problem in their well before
3 they know, because of this effect upon my well half a mile
4 away, and even more.

5 Q. How does this affect your well?

6 A. Well, if there's -- if we're having to handle
7 a lot of water, then it's a help to me when their well is
8 producing good because they're helping me produce the water.

9 If it's in an area where there's not much
10 water, I suffer a reduction in oil production, when their well
11 is producing good.

12 Q. How does this affect you when a well next
13 to you is plugged and abandoned?

14 A. It prolongs the life of my well and that's
15 why the whole field has a little more gentle decline now.
16 In 1970 - '71 there was about a 50 percent annual decline
17 rate. People were plugging wells left and right. BTA had
18 120 wells. By 1975 they had 17 wells left, and we bought
19 those, and they were preparing to plug them.

20 Q. Mr. Groesbeck, the R. R. Morrison No. 1 in
21 the northeast of the northeast quarter of Section 17, how
22 was that plugged and abandoned? Was the casing -- was the
23 production string pulled?

24 A. Oh, I'm sure it was shot, probably, many
25 times. I have this in my files but I do not recall it, the

1
2 details of it right now. 8-5/8ths would be shot and probably
3 in several places, and the long string shot, no doubt, many
4 places, and salvaged.

5 It may or may not be re-enterable.

6 Q. Thank you, Mr. Groesbeck. I have no further
7 questions.

8 MR. STOGNER: Does anybody else have
9 any questions of Mr. Groesbeck? If not, he may be excused.

10 MR. KELLAHIN: That concludes our
11 presentation, Mr. Stogner.

12 MR. STOGNER: Thank you, Mr. Kella-
13 hin.

14 MR. DICKERSON: MR. Stogner, if s
15 may, I'll be very brief.

16 MR. KELLAHIN: Wouldn't you like to
17 go last? Do you want me to say something first?

18 MR. DICKERSON: Go ahead.

19 MR. KELLAHIN: What we're trying to
20 avoid is quite obvious, Mr. Stogner, is the precedent estab-
21 lished with a nonstandard 80-acre proration unit.

22 The applicant has the burden of proof
23 in the case and we believe he has not sustained the burden
24 to establish either of the things he wants to accomplish.

25 ADmittedly, the applicant doesn't

1
2 control the west half of the northwest quarter. There is
3 nothing precluding him from having the State put up that ac-
4 reage for sale, compulsory pooling, all kinds of options.
5 That's not an impediment.

6 We think that the reduced allowable
7 as a solution for a nonstandard proration is not appropriate
8 because you can see from our witness' testimony the production
9 characteristics of the well, the wells in the area, demonstrate
10 that they're going to produce less than 30 barrels of oil on
11 a daily basis, so 50 percent of allowable is 191 barrels; it
12 means nothing.

13 The other problem is that by estab-
14 lishing a precedent of 80-acre proration units, it creates the
15 potential for drilling up the rest of the section on 80 acres
16 when we already know that 160-acre spacing is going to be
17 more than adequate.

18 The other concern we have is that
19 TXO, by locating the well where they propose, are indirectly
20 trying to accomplish what they realize they can't accomplish
21 directly, and what they're doing is trying to drain their 160-
22 acre lease with one well. Well, that would be all right ex-
23 cept that half of their lease is attributable to a proration
24 unit in which we have a 50 percent interest.

25 I think it's significant that the

1
2 Morrison Atlantic State Well in the northeast quarter produced
3 for the life of that well based upon a proration unit of 160
4 acres. That well has been abandoned, but there is testimony
5 that there are significant reserves left in place which can
6 be recovered and attributable to that 160-acre proration
7 unit.

8 But we've shared the production in
9 the past and now we are precluded in the future from sharing
10 in the production. I think the geologist from TXO has demon-
11 strated it for us better than anyone that there is no signi-
12 ficant difference between moving from 25 feet off the line
13 to 510 off the line. All his exhibits demonstrate that. In
14 fact he moves up structure, his PHI-H map shows no difference.

15 I think what they're doing is they
16 have drawn a drainage circle using the offsetting wells in
17 trying to locate a well in their lease to drain as best they
18 can with one well. We object to doing that because by doing
19 it, it captures, at least Mr. Vickers tells us, perhaps 50
20 percent of the production which would be attributable to our
21 interest in the northeast quarter, and we object to that.

22 As a solution, the COMmission some-
23 times comes up with a penalty factor based upon location.
24 If you take the acreage allowable for 80 acres, 191 acres,
25 and use that as the starting point and come up with a per-

1
2 centage between 510 feet and 25 feet, that's about 5 percent,
3 I would suggest that by making the calculation you can come
4 up with a penalty factor of about 10 barrels of oil per day.
5 That might be a reasonable way to get to a solution.

6 I think it's probably better, based
7 upon the evidence, to deny the unorthodox location and re-
8 quire them a standard location, but if the applicant still
9 thinks this is where he wants to be, one solution is to do
10 the arithmetic calculation showing the encroachment and there-
11 by assigning allowable of about 10 barrels a day.

12 That concludes our comments on this
13 case. Thank you.

14 MR. STOGNER: Thank you, Mr. Kella-
15 hin. MR. Dickerson?

16 MR. DICKERSON: Mr. Examiner, I'd
17 like to complement Mr. Kellahin on his superb ability to com-
18 pare apples and oranges. The only thing I find wrong with it
19 is the omission of the fact that the proposed TXO location
20 is hundreds of feet from Mr. Brown's nearest acreage, and as
21 admitted by Mr. Brown's own witnesses TXO could without any
22 objection from Brown drill at orthodox locations much closer
23 still. It's obvious from what the witnesses testified to that
24 they're not here to object on any engineering basis. They're
25 here to object on the basis that they do not desire to have

1
2 to develop in the future their acreage further upon 80-acre
3 spacing. It's very apparent to me, and I hope to the Division,
4 that that's the objection of the parties appearing in protest
5 to TXO's application.

6 It's certainly true, as the witnesses
7 admitted, that TXO could, or other parties could, drill addi-
8 tional wells on this acreage, but it's also true that it is
9 be definition economic waste when unnecessary wells are
10 drilled to recover oil that would be recovered even without
11 the drilling of those wells.

12 AS to Mr. Brown's persistent ob-
13 jections that this establishes some kind of precedent, if
14 the Examiner will recall, the testimony is that other Vada-
15 Pennsylvanian -- or the other Pennsylvanian pools in this
16 same general area do not operate traditionally under this
17 160-acre spacing rule and if the Examiner will review the
18 records of the Vada-Penn rule, you'll find that originally
19 this pool, under R-3179, was developed on 80-acre spacing and
20 has gone to 160 on a temporary and then later a permanent
21 basis, but the fact remains that TXO, whether it turns out
22 to be right or wrong, has a 160-acre spacing lease that it
23 feels it can adequately drain with one well. IT has the
24 right to do that. It certainly has the right to drill a dry
25 hole, and it certainly has the right to believe that it might

1
2 be able to make a good producer here and recover oil that
3 would not otherwise be recovered. That again, by definition,
4 is in the interest of the prevention of waste and protection
5 of correlative rights, and we don't think that there's any
6 question but that TXO has carried its burden of proof here,
7 and that we respectfully ask that the Examiner recommends to
8 the Division that TXO's application be granted.

9 MR. STOGNER: Thank you, Mr. Dick-
10 erson.

11 Is there anything further in Case
12 Number 7895?

13 This case will have to be readver-
14 tised for the July 6th, 1983, Examiner Hearing. Therefor,
15 this case will remain open pending that Examiner Hearing.

16
17 (Hearing concluded.)
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 7895, heard by me on June 8 1983.

Michael E. Stogner, Examiner
Oil Conservation Division

SALLY W. BOYD, C.S.R.

Rt. 191-B
Santa Fe, New Mexico 87501
Phone (505) 455-7409