

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)
APPLICATION OF BEACH EXPLORATION, INC.,)
TO INCREASE THE MAXIMUM SURFACE)
INJECTION PRESSURE WITHIN THE WEST HIGH)
LONESOME (PENROSE SAND) UNIT WATERFLOOD)
PROJECT, EDDY COUNTY, NEW MEXICO)

CASE NO. 13,127

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: WILLIAM V. JONES, JR., Hearing Examiner

August 7th, 2003

Santa Fe, New Mexico

RECEIVED
AUG 21 2003
Oil Conservation Division

This matter came on for hearing before the New Mexico Oil Conservation Division, WILLIAM V. JONES, JR., Hearing Examiner, on Thursday, August 7th, 2003, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

August 7th, 2003
 Examiner Hearing
 CASE NO. 13,127

	PAGE
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>JACK M. ROSE</u> (Engineer)	
Direct Examination by Mr. Bruce	4
Examination by Examiner Jones	30
REPORTER'S CERTIFICATE	40

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	5	30
Exhibit 2	8	30
Exhibit 3	14	30
Exhibit 4	16	30
Exhibit 5	28	30
Exhibit 22	5	30

* * *

A P P E A R A N C E S

FOR THE DIVISION:

DAVID K. BROOKS, JR.
Assistant General Counsel
Energy, Minerals and Natural Resources Department
1220 South St. Francis Drive
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

JAMES G. BRUCE
Attorney at Law
P.O. Box 1056
Santa Fe, New Mexico 87504

* * *

ALSO PRESENT:

GAIL MacQUESTEN
Deputy General Counsel
Energy, Minerals and Natural Resources Department
1220 South St. Francis Drive
Santa Fe, New Mexico 87505

* * *

1 WHEREUPON, the following proceedings were had at
2 1:55 p.m.:

3 EXAMINER JONES: Call Case 13,127, Application
4 of Beach Exploration, Incorporated, to increase the maximum
5 surface injection pressure within the West High Lonesome
6 (Penrose Sand) Unit Waterflood Project, Eddy County, New
7 Mexico.

8 Call for appearances.

9 MR. BRUCE: Mr. Examiner, Jim Bruce of Santa Fe,
10 representing the Applicant. I have one witness.

11 EXAMINER JONES: Okay, any other appearances?
12 Will the witness please stand for being sworn in?
13 (Thereupon, the witness was sworn.)

14 JACK M. ROSE,
15 the witness herein, after having been first duly sworn upon
16 his oath, was examined and testified as follows:

17 DIRECT EXAMINATION

18 BY MR. BRUCE:

19 Q. Would you please state your name and city of
20 residence for the record?

21 A. Jack Rose, and I live in Midland, Texas.

22 Q. Who do you work for and in what capacity?

23 A. I work for Beach Exploration, Incorporated, and
24 I'm a petroleum engineer.

25 Q. Have you previously testified before the Division

1 as an engineer?

2 A. I have.

3 Q. And were your credentials as an expert accepted
4 as a matter of record?

5 A. They were.

6 Q. And are you familiar with the engineering matters
7 related to this Application?

8 A. I am.

9 MR. BRUCE: Mr. Examiner, I tender Mr. Rose as an
10 expert petroleum engineer.

11 EXAMINER JONES: Mr. Rose is so qualified.

12 Q. (By Mr. Bruce) Now, Mr. Rose, this case involves
13 Beach's West High Lonesome (Penrose Sand) Unit. Were you
14 the engineer who testified in this case when the unit was
15 organized a couple, three years ago?

16 A. I was.

17 Q. Okay. Could you -- Mr. Examiner, when you look
18 at the first exhibit it's marked Beach Exhibit 22. That is
19 actually Exhibit 22 from the original unitization hearing.
20 I haven't renumbered it.

21 But Mr. Rose, could you maybe take Exhibit 22 and
22 then the underlying Exhibit 1 and give the Examiner a
23 little history of the unit and orient him with the area and
24 the other waterfloods in the area.

25 A. Yes, this is just northwest of Loco Hills about

1 six miles, and this is a depleted field that has been
2 depleted since 1991. It's a Penrose member, sand member of
3 the Queen sand, and it produces from about 1750 feet,
4 approximately.

5 This area on primary production produced about
6 550,000 barrels of oil. And as we'll see on the next
7 exhibit, there are several other Queen units in the area,
8 Penrose waterfloods that have been successful in this area,
9 and they generally recover an additional 1-to-1 secondary
10 to primary, so we expect to recover another half a million
11 barrels, approximately, a little over.

12 This was the original proposal that was put
13 forth, and that is the unit outline as it stands today. It
14 consists of 27 wells. The idea was to -- and the sweet
15 spot of this reservoir is up in the northern portion, and
16 we're going to peripheral flood that area. And we have two
17 phases of injection.

18 The first phase was going to be 13 injectors,
19 which are the darker injectors on this exhibit, and the
20 lighter-colored injectors would be Phase 2. And the idea
21 was to produce those wells until they watered out from the
22 bordering injection wells and then convert them to
23 injection. And probably two-thirds of the reserves are up
24 in that northern portion where you see Well Numbers 5, 4, 3
25 and 4. And so that's the main area we're interested in.

1 So that's what we went in with as a plan.

2 The next exhibit, titled Exhibit Number 1, is an
3 area map depicting the other Queen-Penrose floods in the
4 area. The West High Lonesome Unit is crosshatched and so
5 designated with nomenclature also. These all are Queen-
6 Penrose sand-member floods, which is the same thing we're
7 flooding here. They've all been fairly successful in
8 flooding this interval, and some of them are quite a bit
9 older than ours.

10 And we've just been -- They hired me about three
11 years ago, and we got this flood going and I put it in, and
12 that's why they've been a little bit slow in getting going
13 with this one.

14 The other significance is that -- when we get
15 into it later is, these other waterfloods have typically
16 injected -- and this was out of testimony at a 1981 hearing
17 on the Red Lake Unit to increase the pressure on that unit.
18 But testimony was given at that hearing that these other
19 floods used surface pressures from 1360 up to 1800 pounds
20 to successfully waterflood these.

21 Q. And what pressure are you seeking?

22 A. We're seeking 1100 pounds. 1100 pounds was
23 requested at the original unitization hearing, and we were
24 told at that time that they couldn't grant 1100 pounds but,
25 if we submitted additional data, that they would

1 administratively consider that and probably approve it,
2 because they knew we were going to need more pressure.

3 Q. Okay, and we'll get into that in a minute. Why
4 don't you move on, then, to the Exhibit 2 and discuss a
5 little bit of the unit performance and when it went on
6 line, et cetera.

7 A. The -- Before we go to Exhibit 2, the second page
8 on Exhibit 1 is a current status of the existing unit, the
9 only difference being -- between the original plan, is, the
10 Well Number 19, over on the western edge, was originally
11 intended to be an injector, and we ran into a casing leak
12 on that well and spent about \$80,000 trying to fix that
13 casing leak, and the OCD finally allowed us to just call it
14 a producer, and we're producing that well rather than
15 injecting.

16 Again, this shows Phase 1 and Phase 2 injectors.
17 We're still in Phase 1 at this time, which are the solid
18 triangles. The dark triangles on this represent what wells
19 we have step-rate tests on right now, and we may refer back
20 to that at a later point in time.

21 Q. Okay.

22 A. Going to the next exhibit, Exhibit Number 2
23 consists of two pages. The first page is a daily
24 performance of the High Lonesome Unit, and it includes
25 water that we've injected, water that we've produced and

1 oil that we've produced on a daily basis.

2 The second page is tabular information on the
3 monthly injection pressures and volumes, as well as oil
4 production. And we can refer back and forth to these.

5 But if we'll go back to the performance plot on
6 the first page, the order to form this unit was issued in
7 October of 2001. We installed the unit from basically May
8 through August of 2002. We got all our work done and
9 started injection on September 4th of 2002, and this is a
10 record of our daily history since that time.

11 We started out producing in the 35- to 40-barrel-
12 a-day range, which is the heavy black line on the bottom,
13 and we were injecting about 1500 barrels a day.

14 If you look at the second page, what we're really
15 going to be talking about on this performance history is
16 injection pressure and the problems that we've had.

17 If you look on the top bar of data, we have dates
18 and then we have the title "Unit, West High Lonesome
19 Summary", and we barrels of water injected and p.s.i. And
20 basically that is the pump pressure at the main pump. We
21 have individual pressures that have been recorded on each
22 well and what volume has gone in during each month to each
23 well.

24 If you look at the unit summary, you see we
25 started out in September at about 550 pounds, and in

1 October we moved to 750. We drop down to 350 in the period
2 November, December and January. And then at the end of
3 February we're up at 650, March we're 1000, and then in
4 April, May and June we're in the 800 range, and then in
5 July we're back down to 325.

6 The authorized pressure is .2 p.s.i. per foot in
7 this -- in the original order, which is about 350 pounds at
8 the plant. When we first installed the unit, we have 13
9 injectors that we hope to get 200 barrels a day per well
10 in. With the additional conversion of five more wells
11 we're actually talking about a potential of 3600 barrels a
12 day. We designed our injection pump to pump 2400 barrels a
13 day, which is about 72,000 barrels a month, into this
14 flood.

15 We started out, and in order to keep our pressure
16 down we have to bypass. We couldn't get that much water in
17 the ground, so our bypass -- we couldn't get our bypass
18 lined out, this J-100 Triplex that was reconditioned from
19 another flood that we had. We had some problems with our
20 bypass, and it took us a month and a half to get those
21 bypass problems resolved.

22 So when we started out, you can see at the
23 beginning of this flood we were injecting at higher
24 pressures, approximately 550 pounds up to 750 in October.
25 And we were injecting on a monthly basis, 40,000 barrels a

1 month, which is still bypassing somewhere around 30,000 a
2 month. We finally got those problems resolved and were
3 able to get our pressure down to the 350 pounds.

4 And you can see in December our injection dropped
5 down to about 900, 800 barrels a day, which translates to,
6 on the second page, 350 pounds. In November it was 34,000
7 barrels. It started tightening up on us. In December we
8 got 26,000 in the ground, January we got 22,000, and most
9 of February was actually at 350 pounds and we got in about
10 20,000 or a little less than 20,000.

11 This is a tight reservoir. The initial
12 completions have to be frac'd with small frac jobs to get
13 these wells to produce. So we knew from other units in
14 this area it was going to be tight and we were going to run
15 into some pressure problems. So we were rocking along at
16 350, we weren't putting near the water in the ground that
17 we felt like we needed to.

18 The original calculations in this flood show a
19 free gas saturation of about 1.6 million barrels, so we
20 have to get 1.6 million barrels in the ground before we see
21 peak response, which we anticipate to be 300 barrels a day,
22 and we're starting at about 35.

23 The original plan with getting 200 barrels per
24 day per well in here was that we could possibly get that
25 done in 21 months, and we could see a peak response. And

1 the economics were based on a 21-month response to peak.
2 And we see other Queen floods that have done that. Queen
3 is a real permeable, it hits fast and it goes out quick.
4 150-millidarcy-type sands when you run into it.

5 So we have a long way to go. To date we've cum'd
6 363,000 barrels of water in here.

7 What happened in late February is, our bypass
8 blew out on us again, and we recognized the need to -- You
9 know, we weren't going to be able to continue to do this.

10 At that time we investigated bypass, found a
11 better option on the bypass and ordered one, but we
12 couldn't get it until early April. So we got up to a high
13 pressure in March, actually late February. Late February
14 is when we filed the administrative application for the
15 pressure to 1100 pounds. I mailed that out on the 15th of
16 February, and I think the records indicate that you all got
17 it March 4th, or started looking at it.

18 So we again had bypass problems. We got up to as
19 much as 1000 pounds at the unit. 950 was the highest we
20 sought, individual wells.

21 At the beginning of April we finally got that
22 bypass. Our only two options when that bypass went out was
23 either shut the flood down or inject at higher pressures.
24 And of course we're violating the higher pressure -- the
25 pressure limits that you all gave us, but we really felt

1 like we were still in line with the frac information that
2 we had.

3 We got that bypass at the beginning of April and
4 put it in, so we were able to bypass again, although we did
5 not lower our pressure in April, and we still ran. We had
6 the application in to you all for about a month at that
7 point in time. Everything we had heard at the original
8 hearing and contact with Mr. Catanach indicated that there
9 probably was no problem with it, so we continued to inject
10 with the idea that we need to get this water in the ground,
11 we're not going to be able to -- So we continued to inject.

12 What we did do at the beginning of April is, we
13 ran three step-rate tests on selected injection wells to
14 see in the High Lonesome Unit area what kind of frac
15 pressures we were looking at. The three that we ran those
16 step-rate tests from indicated that the lowest one on the
17 surface pressure frac'd at 885 pounds, and the other two
18 frac'd at about 940 to 950 pounds.

19 So what we did is, we limited our pressure at the
20 plant to 850 to 875, you know, 25 -- in that range, to stay
21 under what we saw as the frac pressure out there, realizing
22 that we were stepping over our bounds by continuing to
23 inject, but we wanted to keep this thing moving.

24 The other thing we saw, and what you see in the
25 production plot, is that we started to see a response in

1 April. And we've gone from 35 to 40 barrels a day, up to
2 75 to 80 barrels a day, again on that heavy curve.

3 And when the administrative application wasn't
4 approved and we realized there's some concerns and that we
5 need to not be doing this, we shut it down in July, back to
6 350 pounds. You can see the production is starting to drop
7 at the end of this plot, and right now we're running about
8 55 to 60 barrels a day in August, early August, which is
9 one bar down from where we are on our oil plot right now.

10 Q. Now, Exhibit 3 is simply a copy of the
11 administrative application that you filed on this matter;
12 is that correct?

13 A. Yes, that's correct.

14 Q. And it was filed, and then in -- what, early or
15 mid-July -- It wasn't denied, but the Division set it for
16 hearing?

17 A. Yes.

18 Q. Okay.

19 A. And we hadn't heard an answer and we were
20 beginning to get concerned, so we decided, well, you know,
21 please give us an answer or let's set it for hearing, and
22 if there are concerns let's issue those and see if we can
23 satisfy you all.

24 The original application, there are some pieces
25 in there that are significant to our case. You all have

1 had that and you've reviewed it, but there's reference to
2 this 1.6-million-barrel fill-up number that I've talked to.
3 Also, our original 21 months to our peak volume is critical
4 for our economics.

5 The other fact is that we overspent installation
6 on this unit by a significant amount, primarily because we
7 had to plug two existing wells that were drilled in the
8 1940s. And then this Number 19 injector, we spent \$80,000
9 trying to convert that to injection and were unable to. So
10 out of an \$865,000 AFE, I think we quote in here like \$1.3
11 million.

12 Q. Are most of the wells in this area relatively
13 old?

14 A. There are a spattering. Most of them are
15 relatively new and have had some uncirculated to surface on
16 the surface casing and the production casing in generally
17 4-1/2-inch or 5-1/2-inch casing. Some of the Iles wells
18 which are on the eastern portion of the unit are older.
19 There's about three wells that are in the unit that are
20 probably prior to 1980. Most of these wells were drilled
21 in the 1980s.

22 Q. Are there any other -- Besides the item 2 on page
23 2 of this Application, are there any other particular areas
24 that are important to your Application?

25 A. There are two on -- The fifth page back is a

1 cross-section on the original application, and that is
2 going to be critical to what I speak about for this 1100
3 pounds.

4 Q. Okay, should the Examiner keep that in front of
5 him then, the cross-section?

6 A. Yes, the cross-section will be good. There's
7 also a frac-height log that was included in the original
8 application that's not a copy here. I have a copy of that
9 in the original administrative application here, and I
10 can -- You all have a copy of it, but I can bring it before
11 you and show you what I'm talking about if I need to here.
12 The frac-height log in that cross-section are something
13 we'll need to talk about when we get into the 1100 pounds.

14 Q. Okay. Well, why don't we move on, then, to the
15 exhibit -- the primary exhibit, Number 4, and discuss the
16 tests you have conducted and why you believe that raising
17 the pressure to this level will cause no adverse effect on
18 any of the other zones.

19 A. The Red Lake Unit, which is also our unit, was
20 approved to go to 1500 pounds back in 1991 on a hearing,
21 and for that hearing -- I wasn't with Beach at the time,
22 but they did five step-rate tests on Queen-Penrose wells in
23 that unit back in 1991. They also did four injection
24 profiles at 1500 pounds, and they also had a frac-height
25 log run to estimate what kind of frac growth we're talking

1 about if you go over frac pressure.

2 This original Exhibit Number 1 -- or the Exhibit
3 Number 1 that we're talking about now, has a copy of that
4 cross-section. It shows the cross-section that is in that
5 area, and it also shows what wells we've run step-rate
6 tests, both in the Red Lake back in 1991 and in the High
7 Lonesome today, and it shows which wells we ran injection
8 profiles on and a frac-height log. So that's the -- It
9 kind of gives you an areal distribution of the data that
10 we've got and what kind of area that covers, and it covers
11 a pretty good area of the Queen.

12 Referring back to Exhibit 4, what we have here is
13 a tabular summary of all the step-rate tests that were run
14 in 1991 on our Red Lake Unit and what we've run this year
15 in the High Lonesome. The High Lonesome has six step-rate
16 tests run. The three without asterisks on them were run in
17 early April after we had our bypass problems, and they were
18 run by ourselves, and we ran charts on those and we have
19 those charts. They were not witnessed by the OCD. Again,
20 we ran those tests to satisfy ourselves what our frac
21 pressure was, you know, where we needed to stay away from.

22 In response to the hearing and getting additional
23 information, we did step-rate tests in July on three
24 additional wells, and those are the ones with the asterisks
25 on them. And those were witnessed by Phil at the OCD in

1 Artesia, and he -- we were able to show him our methodology
2 on our step-rate tests and what we'd done back in April and
3 what we were doing now.

4 Q. So you've conducted step-rate tests on what,
5 about half of the injectors in the unit?

6 A. Yes, currently we're injecting into 12 wells, and
7 we have current step-rate tests on six of them.

8 Q. And what does that data show insofar as injecting
9 at 1100 pounds?

10 A. What we have is a -- If you look at the second
11 page, to give you an -- yes, the second page is an example
12 of the step-rate tests that we've performed, and basically
13 we injected increasing rates and pressures until we see a
14 break in the slope of these lines, and where those two
15 lines intersect is where the formation is parting and
16 frac'ing.

17 We have three sets of curves on these step-rate
18 tests. The raw data that we took in the field are the
19 circled data and have lines drawn through them. We take
20 surface pressure readings, and of course when you get up to
21 significant rates you have friction drop in the tubing.
22 And so we adjust those surface pressures and subtract
23 friction pressure because the bottomhole is not seeing that
24 friction pressure. We go through a calculation to
25 calculate our surface friction, and we adjust the surface

1 pressure down to the triangle lines, which is an absolute
2 surface pressure that would be seen downhole.

3 And basically, that pressure where those two
4 intersect is where things frac at the surface. Friction
5 pressure at normal injection rates, even at 500 barrels a
6 day, which -- we're not going to get 500 barrels a day in
7 any of these wells; we're probably lucky to get 150 in.
8 But at 500 barrels a day at 1750 pounds, you've only got
9 six pounds of friction drop. You can see on these we had
10 to get up to rates of 5000 and 6000, and you can see those
11 curves depart from each other as rate increases, which
12 indicates friction.

13 So we take that initial surface pressure, which
14 is what I'm considering my surface pressure limit, and we
15 add a hydrostatic gradient because we're injecting fresh
16 water, and we calculate a bottomhole frac points, and we
17 draw lines from both of those. So we have a surface
18 friction-adjusted pressure, frac pressure, and we also have
19 a bottomhole frac pressure. We've done that for six wells
20 now, and they're tabulated on that first sheet.

21 And what we're seeing is the range -- in the West
22 High Lonesome area it ranges from a surface friction
23 adjusted frac pressure of 830 up to 1220 pounds, are our
24 frac points.

25 And we've also listed frac pressures at the

1 bottomhole and calculated with the mid-perforation depths
2 what the fracture gradient is for each one of these wells.
3 And you can see it ranges from about a .9 up to about a
4 1.17 frac gradient, which are pretty high frac gradients.
5 Most formations frac at about .7, and that's where you all
6 come up with your .2 p.s.i. per foot. .433 is the normal
7 gradient. Add .2 to that and you get about a .65, so that
8 keeps you under a .7 gradient. And that's why you have the
9 350. These formations frac at extremely high fracture
10 gradients.

11 What -- From a technical standpoint and a
12 waterflood success, when we approach a 1 p.s.i. per foot in
13 a fracture situation, what you end up doing is fracturing
14 these things horizontally rather than vertically.

15 If you look at the -- Almost 50 percent of
16 everything above us is salt, the rest of it's anhydrite,
17 some red beds. If you take 2 grams per cc. salt gradient
18 and 2.7 carbonate and you average that out, you come up
19 with about 1 p.s.i. per foot is the overburden. When these
20 things frac around 1 p.s.i. per foot what you're doing is,
21 you're lifting the overburden, and rather than frac'ing
22 vertically you're frac'ing it like a pancake.

23 And our concern -- not yours as much -- if we
24 horizontally fracture these things, we're not getting out
25 of zone by any means. Everything is staying in zone. But

1 we're opening up that zone and bypassing oil, and we're not
2 sweeping oil. So the ones that frac at 1 p.s.i. per foot
3 I'm pretty sure are frac'ing horizontally, and in no way,
4 shape or form do I want to go over 1 p.s.i. per foot. I
5 don't want to frac those wells, because we're going to
6 bypass a lot of oil.

7 So we ran these step-rate tests for two purposes.
8 One is to find out which ones are frac'ing horizontally,
9 which ones are frac'ing vertically, so we know which ones
10 to stay off of.

11 The ones that are vertical, they frac vertically,
12 and we can move water up and down the wellbore in a
13 vertical fracture if we get out of zone. We ran the frac
14 height log -- and we've got a copy of that if we need to
15 look at it -- back in 1991, which indicates that at 200
16 p.s.i. over frac pressure, the fracture -- and the rock
17 mechanics that we've got in this zone, it will frac up
18 approximately 35 feet out of zone and down maybe 135 feet.

19 So at 200 p.s.i. over our frac pressures which we
20 have stipulated here now with our step-rate tests, we're
21 staying within, you know, that interval.

22 Q. Before you get going on that, let's address the
23 intervals.

24 A. Okay.

25 Q. The injection interval, the unitized interval --

1 or I should say the producing interval in the unit, is the
2 Penrose sand of the Queen formation?

3 A. That's correct.

4 Q. And from that interval, about how far is it to
5 the top of the Queen?

6 A. About 230 feet.

7 Q. Okay. And then how far is it to the base of the
8 Queen?

9 A. About 430 feet.

10 Q. Okay. And then before we get into that, when
11 you're going uphole, there's also above the Queen is the
12 Seven Rivers formation; is that correct?

13 A. Right.

14 Q. Is that formation productive?

15 A. No, not in this area. It's generally wet, is
16 what we find, or tight.

17 Q. Okay. And then above the Seven Rivers formation
18 is the Yates formation?

19 A. That's correct.

20 Q. Is that formation productive in this area?

21 A. No, it's not. Again, we either run into tight or
22 wet sands. All these units -- Penrose is the first
23 productive member that you run into in this area, in all of
24 these floods, in all of these wells that we've drilled,
25 probably 30 -- well, probably 60 wells out here.

1 Q. Okay. And then above the Yates are the salt
2 beds; is that correct?

3 A. Yes, salts, actually.

4 Q. Okay. So with that background, go into the
5 vertical fractures and discuss whether or not there's any
6 adverse upon the zones in this area, the --

7 A. And what Jim is referring to again is that cross-
8 section in the original application. What we did there is,
9 in that application we show the top of the Queen, we show
10 the Penrose sand of the Queen, which is what we're actively
11 flooding now, and then we also show the base of the Queen.
12 This was all defined in a Red Lake well in our 1991 hearing
13 for our pressure increase.

14 The only two wells in the High Lonesome area that
15 have penetrated deep enough to see the base of the Queen
16 are our Number 19 and 26, and those on that original area
17 plot are listed on that cross-section, shows where that
18 cross-section goes, and you can see the correlations we've
19 got there.

20 And basically, this says 240 feet above the
21 Penrose is the top of the Queen, and 430 feet below the
22 Penrose is the base of the Queen and the beginning of the
23 Grayburg.

24 There are some porous sands in the Queen. Porous
25 sands in this area show up as a hot gamma-ray. They look

1 more like a shale than normal logs. So we do have some
2 porous sands in the Queen, none of which are productive.

3 The only production, other than from surface down
4 to the base of the Queen, about three miles to the
5 northwest there's some very marginal production in three
6 wells in the Premier sand. And the Premier sand is
7 basically this sand at the base of the Queen that you see,
8 that hot gamma-ray spike, and there's some question about
9 whether the Premier sand is a Grayburg sand or whether it's
10 a Queen sand. So basically we have no other productive
11 horizons all the way down to 430 feet below our producing
12 interval.

13 With that in mind -- and what we're talking about
14 on those vertical limits, the frac-height log that we ran,
15 run by Halliburton, and -- if I may --

16 EXAMINER JONES: Sure.

17 THE WITNESS: -- can I come up there?

18 EXAMINER JONES: It wasn't in the original of
19 this application?

20 THE WITNESS: It wasn't in the original
21 application. Our copies that we made do not have -- and
22 this was run on the Red Lake Number 23, and again that's
23 shown in our area maps.

24 And what this depicts is, we've got a zero to
25 10,000 scale here, from here to here, and this is what they

1 calculated from rock mechanics as our frac pressure, which
2 is a bottomhole of 1500. And these are basically 200-
3 p.s.i. bars, over and above.

4 EXAMINER JONES: Okay.

5 THE WITNESS: So from here to here is 200 p.s.i.,
6 you can see here. This one is zero to 400, zero to 800.
7 And basically, this represents trying to show how much this
8 frac should grow at 200 p.s.i. over frac.

9 And we're basically -- Here's the Penrose sand,
10 you get 10, 20, 30 feet above, probably a worst case you
11 might get up -- you know, you've got 100, maybe 100 feet
12 above. And then down we're talking about, you know, 100,
13 maybe 200 feet below.

14 So if you stay under 200 p.s.i. what this says
15 is, if you go over 200 p.s.i., over frac pressure, you're
16 really unlimited and you can get growth.

17 So our intention in the 1100 pounds is to, in
18 vertically fractured wells, not the horizontally fractured
19 wells, we want to be able to go up to 200 pounds above frac
20 pressure, knowing we're going to stay in the gross Queen
21 interval and still get water -- more water into the
22 Penrose, because these other zones are not going to take
23 water, is really what we're shooting for.

24 So that's the frac-height log information.

25 Q. (By Mr. Bruce) And the frac would stay, then,

1 within the Queen formation?

2 A. Yes. So our overall strategy -- and if you look
3 at Exhibit 4 again, which is our tabulation of the frac
4 step-rate tests that we've done, the last column on the
5 right is a vertical frac column where we add 200 p.s.i. to
6 the wells that we assume would frac vertically, and we
7 leave the ones that frac horizontally alone, and those
8 would be the pressure limits that we're looking at.

9 And if you look at those, we have -- The first
10 one is a 1220-pound horizontal-frac-type well. We've got
11 two others that have a .98 gradient, so we don't want to
12 frac those. The others, we've added 200 pounds to the
13 existing, and they're 1030 to 1085. So you can see what
14 we're shooting out of our 1100 pounds.

15 There are a couple of wells in here, 1100 pounds
16 won't reach frac pressure on them, but they're probably
17 tight anyway, and we're probably not going to get that much
18 in them.

19 Q. In your opinion is the additional -- or the
20 increase in the pressure necessary to properly produce the
21 unit?

22 A. Yes, it is. If we stay at 350 pounds, currently
23 we can inject about 600 barrels a day, which is about
24 18,000 a month. Our pump again is capable of 72,000, which
25 creates a big mechanical problem. But we've injected

1 360,000; we've got to get to 1.6 million to get a maximum
2 response. And if you divide the difference in those two
3 numbers by 20,000 a month, that's almost five years before
4 we can fill up this reservoir.

5 The response that we have seen so far is not a
6 response to fill up in the general sweet spot of the
7 reservoir. We're seeing localized response in two or three
8 wells, basically --

9 Q. What would that -- If you could refer to the
10 Exhibit 22, Mr. Rose, and point out where you've seen the
11 main response --

12 A. Why don't we go to Exhibit 1 --

13 Q. Okay, Exhibit 1.

14 A. -- the second page of Exhibit 1? I think that
15 one is in front of you in the top there. We're injecting
16 into -- in the northeast corner of the flood, that Injector
17 Number 5, that's one of our step-rate test wells, which is
18 shaded. The shaded injectors are the ones that we want to
19 run step rate tests on, and they include our best injector,
20 which is Number 27 down to the south, and our tightest
21 injector, which is Number 25, just to the west of it. So
22 we've included the range of our tightest and our best
23 injectors.

24 What we're seeing is response in Wells Number 4
25 and 6 in the northeast to injection in Number 5, and that's

1 primarily because those are very close, very closely
2 spaced. We're also seeing response in Well Number 22,
3 which is kind of in the southern central portion, and there
4 are three very good injectors, 17, 21 and 27, around it,
5 and so I think that's why we're seeing response there.

6 We've seen no response out of the sweet spot in
7 8, 9, 10 and 11, and that's the area that we're going to
8 have to fill up 1.6 million barrels in. My estimation is,
9 if we continue to inject, this response that we've seen is
10 probably going to flatten out until we get more water in
11 the ground, and then we'll see a peak response, hopefully
12 up to 300 barrels a day, and that's what our economics are
13 based on.

14 Q. Okay. And again, you see no harm to any zone
15 below the Queen or above the Queen by increasing the
16 injection pressure?

17 A. No, I don't.

18 Q. Finally, Mr. Rose, what is Exhibit 5?

19 A. Exhibit 5 is a -- the original injection wells,
20 the OCD-approved injection wells on the unitization
21 hearing. There are 18 wells listed there. We have
22 asterisks by the five that are in Phase 2 that have not
23 been converted to injection yet. The double asterisk is by
24 Number 19, which is the one we had casing-leak problems on,
25 and we will not inject into that well until it's either

1 fixed and we can get your approval, or we'll just continue
2 to produce it.

3 That area of the field is pretty tight, and we
4 probably won't end up spending any more money. We spent
5 \$80,000 on that well, and there's not enough oil down there
6 to justify going after that one again, so...

7 So we're actually asking for a blanket approval
8 for 1100 pounds for all of the injectors that will be
9 utilized on this exhibit, with the knowledge that our
10 intention -- Our intention is not to go above these. If we
11 go out of zone vertically ourselves -- We're paying 22
12 cents a barrel for fresh water right now. \$8000 or \$9000
13 or \$10,000 a month is what we're spending on water. If we
14 start frac'ing out of zone and losing water, we're losing
15 money ourselves. And again, the horizontal wells, we
16 definitely don't want to go over frac pressure on those.

17 So the 1100 gives us the flexibility to be able
18 to monitor that. If we've got a vertically fractured well
19 that we need a couple hundred more pounds to get a little
20 more water in the ground, we'll squeak it up there,
21 depending on how the patterns are performing. But we don't
22 really want to get above that pressure ourselves, otherwise
23 we're wasting our time and money too.

24 Q. Were Exhibits 1 through 5 prepared by you or
25 under your supervision?

1 A. They were.

2 Q. And in your opinion is the granting of Beach's
3 Application in the interests of conservation and the
4 prevention of waste?

5 A. Yes.

6 MR. BRUCE: Mr. Examiner, I'd move the admission
7 of Beach's exhibits.

8 EXAMINER JONES: Beach's exhibits should be
9 admitted to evidence.

10 EXAMINATION

11 BY EXAMINER JONES:

12 Q. Mr. Rose, can you talk a little bit more about
13 the frac-height log that was run in 1991?

14 A. Yes.

15 Q. Was that run after a frac job, or --

16 A. No, it was run as a portion of the 1991 hearing
17 in order to determine what kind of frac growth we're
18 talking about. So it was run for the pressure-increase
19 hearing at Red Lake, which was done in 1991.

20 The reason we didn't want to run one now is,
21 we're probably talking \$12,000, and --

22 Q. Okay. But it's a -- Can you talk more about the
23 logs. Does it have a tracer, radioactive tracer and --

24 A. No, actually these frac-height logs are rock
25 mechanics.

1 Q. Oh, okay, so Poisson's ratio --

2 A. Right, that's correct, they're Poisson's ratio,
3 and density calculations and rock mechanics, basically, and
4 it's a calculation. So it's a theoretical -- It's not an
5 actual frac that they measured, it's a theoretical growth.
6 It's a design consideration on how far these fracs will
7 grow.

8 They did, in the 1991 hearing, inject into five
9 wells and did injection profiles with radioactive tracers
10 in five wells, and those are also listed on that are, are
11 shown on this Exhibit Number 1.

12 Q. Okay.

13 A. They are -- We ran five tracer surveys on wells
14 that we were injecting at 1500 pounds with tracer surveys.

15 Q. Oh, 1500.

16 A. They all showed to be staying within zone, within
17 the Penrose actually.

18 Q. Okay.

19 A. So they didn't show any evidence of frac'ing in
20 the near wellbore. What they were looking there is for
21 communication in the casing also, and all five of those
22 profiles showed within five to ten feet of the Penrose
23 sand.

24 Q. What's the injection withdrawal ratio out there
25 now?

1 A. Oh, it's pretty small right now -- or it's pretty
2 large right now; we're injecting a fair amount and we're
3 drawing very low. I don't have that exact number --

4 Q. That's all right, I just -- Is it over 1 or less
5 than 1?

6 A. Oh, it's over 1 by a large -- We've injected
7 363,000 barrels, and we've pulled out 32,000 barrels. So
8 that's since -- You know, that's in about a 10- or 11-month
9 period.

10 Q. So you attribute most of that to just the
11 permeability slowing down the injection?

12 A. Yes. These are -- The Penrose sands are an
13 evaporate. What controls permeability and porosity is
14 anhydrite and salt. This is a silicate sand that's
15 cemented with salt and anhydrite. This thing pinches out
16 to the northwest on us, and it dips off to the southeast.
17 And the permeability pinchout is probably salt inclusion in
18 the reservoir and limiting our permeability.

19 Q. So it's not meaning that you're losing water out
20 of zone or even beyond the unit somewhere?

21 A. No. Again, we've put -- You know, we calculated
22 fill-up volume, to get this thing back to original
23 saturation and fill it up, as 1.6 million barrels, and
24 we've only got 360 in the ground.

25 Q. Okay.

1 A. So we've got 1.3 million barrels to go before we
2 even start pressuring up the reservoir.

3 Q. Okay.

4 A. Most of this is -- The resistance that we're
5 seeing is permeability and trying to show a lot of water in
6 a tight zone.

7 Q. So your wells in the middle are not showing a
8 pressure increase either?

9 A. The producing wells?

10 Q. Yeah.

11 A. No, we're not seeing any response in the wells 8,
12 9, 10 and 11 up in the middle in the sweet spot, we're
13 basically seeing no water breakthrough, no oil response in
14 that area yet, and don't really expect to until we get more
15 water in the ground.

16 Q. And you're committed to this peripheral-type
17 injection scheme, you're not going to --

18 A. -- go back to a pattern?

19 Q. Yeah, move -- convert some of the real -- higher-
20 permeability wells in the center to injection?

21 A. That's an option. Our Red Lake Unit did not
22 perform as well as we would have liked to. Most of these
23 units get 1-to-1 secondary-to-primary ratio; that one got
24 about a .5-to-1.

25 And they imposed a standard fivespot on that

1 unit, and looking back on it, what I think is the -- these
2 evaporates, the permeability tends to pool and vary, and
3 you get sweet spots and you get tight spots in the
4 reservoir. And if you -- there may be localized areas
5 where if you don't set your injection up right, you may not
6 get any water into that area, or you might get breakthrough
7 immediately to another well.

8 So what we did to make this one successful is
9 start out with this peripheral pattern in the north and in
10 the east. We actually have a fivespot pattern in the
11 southwest. That's a very tight area in the southwest --

12 Q. Yeah, okay.

13 A. -- and if at a later point in time we're seeing
14 response, we may convert one of the middle wells to
15 injection and create a little bit more of a pattern up in
16 the north.

17 Q. Okay. You've got the Yates above you, and is it
18 like the Yates in some areas of the southeast that had a
19 lot of nitrogen, high-pressure nitrogen in it originally
20 when it was drilled?

21 A. No, the only problem we have drilling these wells
22 is setting surface plugs on surface casing, getting surface
23 cement.

24 When we plugged -- We plugged two wells in here
25 that were drilled in 1939 and 1940 and were -- basically

1 had no casing in them at all. They were just open holes
2 with plugs in them. We drilled those out. We ran casing
3 in those in order to work on them to clean them out, to
4 replug them, and we didn't have any trouble cleaning them
5 out to 1700, 1800 feet and putting plugs in the bottom.

6 It took us nearly 600, 700 sacks to cement the
7 surface casing. Cement just goes away, it goes away. It
8 will finally frac out of the ground. And when it fracs out
9 of the ground, it balances our plug and we can get a plug
10 to hold. We drilled one well in here as a portion of the
11 unit, and we had problems with our surface casing on that
12 one. We were able to cement them, but it takes a
13 tremendous amount of cement.

14 And that's probably what ran in -- we ran into
15 that problem on the Number 19 injector that we tried to
16 convert. We had a casing leak at about 60 feet, and we
17 pumped 1200 cubic feet of cement and never could get it.
18 We tried ten different times, specialized Halliburton
19 cements and some regular cements, and weren't ever able to
20 get it. You would think you could go in there and just
21 pump 50 sacks of cement and you'd be done, but -- so...

22 That's the only problem we've had in the area.
23 And drilling these wells, we don't get any shows out of the
24 Yates or the Seven Rivers or any of the other Queen
25 members.

1 Q. Is there a little anhydrite layer right around
2 the Yates, between the salt and --

3 A. Yes, there are some anhydrite layers on top of
4 the Yates. There's a mixture of anhydrite, and generally
5 you get into salt down to about 500 to 550 feet here. Of
6 course you have red bed shallow. You set your casing at
7 around 300 to 400 feet. You're in pure salt from that down
8 to about 550. And 550 down to the Yates, which is -- well,
9 you get a mixture -- a combination of salt and anhydrite
10 alternating and you get anhydrite right on top of the
11 Yates. When you get back down into the Queen you get salt
12 and anhydrite mixed again.

13 Q. Yeah. Now, the wells that you said are
14 identified as being controlled by horizontal -- or vertical
15 stresses --

16 A. Uh-huh.

17 Q. -- are they identified on here anywhere?

18 A. No, other than the tabulation of the frac. If we
19 pull out Exhibit 1, on the second page, which shows the
20 wells, and this tabulation which is Exhibit 4, the West
21 High Lonesome Number 1, 5, 17, and 25 range from .98 to
22 1.17 p.s.i. per foot.

23 Q. And that was discovered on the -- just on water
24 injection, or was that during a frac job or an acid job?

25 A. No, those were -- we ran step-rate tests.

1 Q. Okay.

2 A. I was out there, and we took our injection water
3 and had a chart recorder and recorded pressures and pumped
4 at continuing rate increases and plotted all that data, and
5 that's --

6 Q. Did you run bottomhole pressures, memory gauges,
7 on this --

8 A. No, we did not.

9 Q. You didn't need to because you could see the
10 break?

11 A. Yes, you could see the break definitely, and we
12 knew we were using fresh water, .433 p.s.i. per foot,
13 Carlsbad freshwater system, Eagle --

14 Q. Oh, okay, so --

15 A. -- is what we're using.

16 Q. -- it looks like you're paying some money for --

17 A. Yes.

18 Q. Okay.

19 A. All these floods have used Carlsbad fresh water
20 because there's no water up here. You can't -- There is no
21 water. That's the other thing, there's very --
22 intermittent water at 75 feet, a few windmills, but that's
23 about it. There's no aquifer in this area.

24 Q. Do you have to control your iron and your -- some
25 of your solids in these injections?

1 A. Not so far, not initially. We are treating for
2 oxygen initially in our injection water. We've seen some
3 calcium sulfate scale and a little bit of iron sulfide to
4 begin with. Mostly it's calcium sulfate scale that we're
5 beginning to truck-treat some of our producers for. We are
6 putting some scale inhibitor in the injection water also,
7 and we have a closed system on our injection.

8 Q. So a little bit of -- So you back-flowed some
9 wells and you've seen what's in the --

10 A. Yes, we -- You know, we have good clean water
11 right now. And of course once the water passes -- We're
12 injecting fresh water, and once that water passes through
13 the Queen formation we pick up a lot of salt, and taking
14 water samples on producing wells tells us what kind of
15 front we've got coming through.

16 Q. Okay. So I don't -- it was set to hearing -- but
17 there's an awful lot of data you have in here already,
18 and -- I guess you wanted to go 200 pounds over what the
19 step-rate tests show?

20 A. That's correct, on vertically fractured wells.

21 Q. Okay.

22 A. Or have the capability to do that, not that --
23 before you get enough water in the ground -- we're not
24 going to go any higher than we need to, but if we've got a
25 critical pattern and we need to get water in the ground, if

1 it's a vertically fractured well, we want to be capable of
2 moving up to 200 pounds over, as a limit.

3 EXAMINER JONES: Okay, that's my questions.

4 Mr. Brooks?

5 MR. BROOKS: Nothing.

6 EXAMINER JONES: Okay. Well, thanks very much.

7 THE WITNESS: Okay.

8 MR. BRUCE: I have nothing further in this
9 matter, Mr. Examiner.

10 EXAMINER JONES: Okay. With that, Case 13,127
11 will be taken under advisement.

12 (Thereupon, these proceedings were concluded at
13 2:50 p.m.)

14 * * *

15
16
17 I do hereby certify that the foregoing is
18 a complete record of the proceedings in
19 the Examiner hearing of Case No. _____
20 heard by me on _____ 19 ____

21 _____, Examiner
22 Oil Conservation Division
23
24
25


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
 COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL August 11th, 2003.



STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 16th, 2006