

STATE OF NEW MEXICO
ENERGY AND MINERALS DEPARTMENT
OIL CONSERVATION DIVISION
STATE LAND OFFICE BLDG.
SANTA FE, NEW MEXICO
21 October 1981

EXAMINER HEARING

IN THE MATTER OF:

Application of Yates Petroleum
Corporation for designation of a
tight formation, Eddy County, New
Mexico.

CASE
7352

BEFORE: Richard L. Stamets

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Oil Conservation
Division:

W. Perry Pearce, Esq.
Legal Counsel to the Division
State Land Office Bldg.
Santa Fe, New Mexico 87501

For the Applicant:

Chad Dickerson, Esq.
LOSEE, CARSON, & DICKERSON
P. O. Drawer 239
Artesia, New Mexico 88210

I N D E X

RAY BECK

Direct Examination by Mr. Dickerson 4

Cross Examination by Mr. Stamets 16

DAVID F. BONEAU

Direct Examination by Mr. Dickerson 18

Cross Examination by Mr. Stamets 37

Questions by Mr. Stogner 45

Recross Examination by Mr. Stamets 47

Questions by Mr. Stogner 50

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

E X H I B I T S

Applicant Exhibit One, List	6
Applicant Exhibit Two, Map	9
Applicant Exhibit Three, Map	10
Applicant Exhibit Four, Stratigraphic column	11
Applicant Exhibit Five, Cross Section	12
Applicant Exhibit Six, Cross Section	13
Applicant Exhibit Seven, Cross Section	14
Applicant Exhibit Eight, Cross Section	14
Applicant Exhibit Nine, List	20
Applicant Exhibit Ten, List	22
Applicant Exhibit Eleven, List	23
Applicant Exhibit Twelve, DST data	26
Applicant Exhibit Thirteen, CORE Lab data	28
Applicant Exhibit Fourteen, Document	29
Applicant Exhibit Fifteen, Tabulation	30
Applicant Exhibit Sixteen, Production rates	31
Applicant Exhibit Seventeen, Summary	36

1
2 MR. STAMETS: We will call next Case
3 7352.

4 MR. PEARCE: Application of Yates Petro-
5 leum Corporation for a designation of a tight formation,
6 Eddy County, New Mexico.

7 MR. DICKERSON: Chad Dickerson, of
8 Artesia, New Mexico, Mr. Examiner, appearing on behalf of the
9 applicant, and we have two witnesses.

10
11 (Witnesses sworn.)

12
13 MR. DICKERSON: We call Mr. Ray Beck at
14 this time.

15
16 RAY BECK

17 being called as a witness and being duly sworn upon his oath,
18 testified as follows, to-wit:

19
20 DIRECT EXAMINATION

21 BY MR. DICKERSON:

22 Q Will you state your name, your occupa-
23 tion, and by whom you're employed, please?

24 A Ray Beck, petroleum geologist, Yates
25 Petroleum Corporation, Artesia, New Mexico.

1
2 Q. Mr. Beck, would you briefly summarize
3 your educational and work experience background as it relates
4 to this application?

5 A. I have a Bachelor of Science degree and
6 a Master of Science degree in geology from Texas Tech Univer-
7 sity.

8 I worked for Shell in Texas for nine
9 years and I worked for Yates Petroleum for ten years in
10 southeast New Mexico.

11 Q. And are you familiar with the subject
12 lands in question?

13 A. Yes.

14 Q. And have you prepared certain exhibits
15 upon which you intend to rely today?

16 A. I have.

17 Q. Would you briefly describe this formation
18 for which tight formation designation is sought, Mr. Beck,
19 by geological parameters? And briefly state the purpose of
20 this application on behalf of Yates Petroleum Corporation?

21 A. As to the application, Yates Petroleum
22 Corporation seeks tight formation designation for a portion
23 of the Permo-Penn underlying lands in western Eddy County,
24 New Mexico, which are described in Exhibit Number One and
25 shown in map form in Exhibits Numbers Two and Three.

The description of the formation by geological parameters is as follows: The formation sought to be covered by this application is that stratigraphic interval between the top of a marker named the Third Sister Cycle of the Wolfcamp series of the Permian system, and the top of the Canyon series of the Pennsylvanian system.

Correlations of the Third Sister Cycle and the Canyon Series are shown on a network of four cross sections spread over the subject area, Exhibits Five through Eight.

Positions of the Third Sister and Canyon geologic column are illustrated in Exhibit Number Four.

The Third Sister Cycle to Canyon Series varies from approximately 1000 to 1400 feet in thickness.

Q. Mr. Beck, please refer specifically to Exhibit Number One and describe for the Examiner what this exhibit reflects.

MR. STAMETS: If -- I don't believe I've said the witness is qualified, but he is.

Q. What is Exhibit Number One, Mr. Beck?

A. Exhibit Number One is a list which describes the lands which overlies the Permo-Penn interval for which tight formation designation is sought in this application.

Q And that's approximately 318,000 acres in Eddy County, New Mexico, is that correct?

A That is correct.

Q And what is reflected by Exhibit Number Two?

A Exhibit Number Two is a map of one inch equal 5000 feet scale, which shows the lands described in Exhibit Number One.

The subject area stretches over a portion of western Eddy County, New Mexico from the Pecos River east of the City of Artesia to the Huapache Monocline some forty miles to the southwest.

Also shown by circled well spots are all wells within the outline which have penetrated the above defined Permo-Penn formation and/or lower horizons.

Red colored well spots are wells which are currently producing gas from the above defined Permo-Penn interval.

Deposits of the subject Permo-Penn interval are a complex of three major environments of deposition or facies, shelf, bank, and basin facies.

The shelf facies, lying in bands to the west or northwest, is comprised of interbedded limestones, shales, siltstones, and sandstones.

Terrigenous clastics, that is shales, siltstones, and sandstones, increase, and marine limestones and shales decrease, traversing from east to west or southeast to northwest; that is, in a shelfward direction.

Deposits of the shelf facies are effectively non-porous and impermeable, and constitute an up-dip mega-seal to the bank facies.

The bank facies is composed mostly of marine limestones with a few intercalated marines shales. These marine limestones are made up of bioherms and their associated debris aprons interfingered with oolite bars.

The porosity that is present is a result of preservation of primary porosity, principally of bryozoan material and creation of secondary porosity by leaching of oolitic grainstones and former aragonitic shell material.

Most of the gas production that has been established in the subject Permo-Penn interval has been from deposits of the bank facies.

The basin facies consists mainly of thin-bedded, fine-grained sandstones, siltstones, and shales, which were transported to the relatively deeper basin from the bank and shelf areas during periods of lower sea level.

Main conduits for transport to the basin were through passes between segments of the bank facies.

Scattered within the overall basin facies are isolated limestone or carbonate build-ups, termed isolated mounds. In some of the isolated mounds porosity has been developed and/or preserved, but many are effectively non-porous and impermeable.

Some of the isolated mounds have produced gas. Wells in the basin facies which have encountered mounds are indicated by the letter "M" close by the well spot.

About one-third of the subject Permo-Penn interval in the upper part, has been termed the Antelope Sink Zone, named for an interval in the Sun, formerly Tom Brown, No. 1 Antelope Sink Unit, in Section 18, 19 South, 24 East. This well is shown on two cross sections, Exhibits Six and Eight.

The geographical limits of shelf, bank, and basin shown on Exhibit Two are for the Antelope Sink Zone alone.

Lower zones of the subject Permo-Penn interval are not shown, but their facies trends are essentially parallel to those shown on Exhibit Number Two.

Exhibit Number Two also shows the traces of the cross sections introduced in later exhibits.

Q. Mr. Beck, please refer to Exhibit Number Three and describe what it shows.

1
2 A. Exhibit Number Three is identical to
3 Exhibit Number Two from the standpoint of scale, outline of
4 lands, well spots, and colored well spots.

5 The purpose of this exhibit is to illu-
6 strate the structural attitude of the Permo-Penn formation in
7 the subject area.

8 Mapping was done on the top of the Ante-
9 lope Sink Zone in the shelf and bank areas, and on top of the
10 Canyon Series in the basinal areas.

11 As the cross sections will show, the
12 Antelope Sink Zone is essentially parallel with the Third
13 Sister Cycle above.

14 Dashed contours are 100 feet contour in-
15 tervals on top of the Antelope Sink zone. Solid contours
16 are 100 foot contour intervals on the top of the Canyon Series.

17 These contours indicate that over most
18 of the outlined area the Permo-Penn interval dips to the east,
19 southeast, at approximately 100 feet per mile; however, in
20 the southwestern part of the outlines area, near the Huapache
21 Monocline, the Permo-Penn interval dips east to northeasterly
22 at 200 to 300 feet per mile and structure is complicated by
23 faulting.

24 Structural relief on the top of the sub-
25 ject Permo-Penn is approximately 3300 feet in the outlined

1
2 area. Ground level elevations rise approximately 1500 feet
3 from wells near the Pecos River in Township 17 South, Range
4 26 East, to wells near the Huapache Monocline in Township 21
5 South, 21 East.

6 The drill depth to the top of the Third
7 Sister Cycle in the highest well, the Pennzoil No. 1 United
8 Federal, in Section 28 of 21 South, 21 East, is 4927 feet.

9 And the drill depth to the top of the Third Sister in the
10 lowest well, the HEYCO No. 1 Big Boggy State, in Section 36
11 of 17 South, 26 East, is 6717 feet.

12 The average depth to the top of the sub-
13 ject Permo-Penn formation is thus 5822 feet, and there's a
14 correction from that in the statement we sent in to the OCD
15 and the USGS. There's a typographical error there of it
16 says 5827, but it's really 5822.

17 Q And that mistake is not material, Mr.
18 Beck, is it --

19 A No.

20 Q -- for the purposes of this application?

21 A No, sir, it's just a typographical error.

22 Q Refer to Exhibit Number Four and describe
23 what it shows.

24 A Exhibit Number Four illustrates the
25 stratigraphic column present in western Eddy County, New

1
2 Mexico.

3 This geologic section was compiled from
4 New Mexico Oil Conservation Division reference cross sections
5 and other industry accepted correlations.

6 The main purpose of this exhibit is to
7 show the Permo-Penn stratigraphic interval sought to be
8 covered by this application in relation to geologic time and
9 other stratigraphic horizons.

10 Q. Refer to Exhibit Number Five and describe
11 what it reflects.

12 A. Exhibit Number Five is a northwest to
13 southeast stratigraphic cross section, A-A', hung on the
14 Third Sister Cycle of the Wolfcamp Series.

15 This cross section is transverse to the
16 three major facies trends of shelf, bank, and basin.

17 Other pertinent correlations shown are
18 the top of the Antelope Sink Zone of the shelf and bank
19 facies, top of the Pennsylvanian, by correlating with the
20 New Mexico Oil Conservation Division reference cross sections,
21 and the top of the Canyon Series.

22 Drill stem test, core, and completion
23 data are shown on the cross section.

24 Well No. 6 was cored in the Permo-Penn
25 and the core analysis report is given at a later exhibit.

Wells 2, 3, and 5 are currently producing Permo-Penn gas and have been assigned to the Eagle Creek Permo-Penn Gas Field by the New Mexico Oil Conservation Division.

Wells 4 and 6 should produce Permo-Penn gas but they have not yet been completed in that interval.

Note that Well 8 produced gas from an isolated mound. This well was assigned to the Atoka Cisco West Gas Field, and produced 64,125 Mcf of gas and 146 barrels of condensate before abandonment in 1980.

Q Mr. Beck, please go to Exhibit Number Six and describe what it shows.

A Exhibit Number Six is a northwest/southeast stratigraphic cross section, B-B', which is again hung on the Third Sister Cycle and is transverse to the three major facies of shelf, bank, and basin.

I might just add here off -- off the written thing that we handed in, that we're moving from north essentially to south on these three transverse cross sections.

A key correlation well, the Sun, Tom Brown, No. 1 Antelope Sink Unit, is Well 3. Tops pertinent to this application are picked in this well as follows: Third Sister, 5860; Antelope Sink Zone, 6080; top of the

1 bank facies, 6140; top of the Pennsylvanian, by correlation
2 with the New Mexico Oil Conservation Division reference cross
3 sections, 6190; base of the bank facies, 6449, on the written
4 transcript we sent earlier it was 6420. That's a mistake.
5 It should be 6449. And the Canyon Series is 7060.

6
7 Note that the perforated interval straddles the systemic boundary between the Permian and the Penn-
8 sylvanian.
9

10 And Antelope Sink Unit No. 1 has been
11 assigned to the Antelope Sink Upper Penn Gas Field.

12 Well 4 should also produce Permo-Penn
13 gas but it has not yet been completed in that zone.

14 Q. Refer to Exhibit Number Seven, Mr. Beck,
15 and describe what it shows.

16 A. Exhibit Number Seven is another northwest
17 to southeast stratigraphic cross section, C-C', which is also
18 hung on the Third Sister Cycle.

19 Wells 4 and 6 are producing gas from the
20 Permo-Penn formation and have been assigned to the Box Canyon
21 Permo-Penn Gas Field.

22 Q. Now refer to Exhibit Number Eight, please,
23 and describe what it shows.

24 A. Exhibit Number Eight is a southwest to
25 northeast stratigraphic cross section, D-D', which is hung on

1
2 the Third Sister Cycle.. This longitudinal, or strike, cross
3 section is more or less parallel to the major facies of shelf,
4 bank, and basin.

5 The purpose of this cross section is to
6 tie the three previous transverse cross sections.

7 It may be noted that the main gas productive
8 Antelope Sink Zone bank facies correlate very well, on the
9 left, from the Box Canyon Permo-Penn Gas Field to Antelope
10 Sink Upper Penn Gas Field to the Penasco Draw Permo-Penn Gas
11 Field to the Eagle Creek Permo-Penn Gas Field.

12 Q Mr. Beck, were Exhibits One through
13 Eight prepared by you or under your direction and supervision?

14 A Yes, they were.

15 MR. DICKERSON: Mr. Examiner, at this
16 time Applicant would move admission of Exhibits One through
17 Eight.

18 MR. STAMETS: These exhibits will be
19 admitted.

20 MR. DICKERSON: And that concludes our
21 direct testimony from this witness.

22
23 CROSS EXAMINATION

24 BY MR. STAMETS:

25 Q Mr. Beck, you've presented quite a number

1
2 of logs here. I want to discuss just briefly what produces
3 in this interval, or what may produce.

4 As you were going through here you named
5 off certain wells and indicated that a zone might be productive
6 later on which wasn't completed there now.

7 It would appear to me as though in your
8 discussion primarily you are looking at the bank facies or
9 these mounds as being the producing intervals throughout this
10 section.

11 A. Correct.

12 Q. Are any of the other zones outside the
13 banks or mounds apt to be productive?

14 A. In this -- in this geographical area
15 they're all -- they're either completed from the bank facies
16 or from the isolated mounds. There is nothing producing, or
17 there's no sand intervals to be produced -- that are producing.
18 These are all carbonates.

19 What we tried to do here is include the
20 bank and the isolated mounds together because they're both
21 carbonates, they're both tight, as will be presented by the
22 following witness from the engineering data. We just tried
23 to pick something that could be correlated throughout this
24 geographical area and to include all the carbonates that
25 produce in this thing in that envelope between the Third Sister

1
2 as we picked it on the Tom Brown Antelope Sink Well and the
3 Canyon.

4 Really, so far all that's been produced
5 is the bank facies and a few of the isolated mounds, and most
6 of the isolated mounds are really either tight or haven't --
7 or are limited.

8 Q The engineering witness who we will hear
9 shortly, will be making his determinations as to productivity,
10 permeability, from the same bank and mound sections.

11 A Yes, sir. He has got every well listed
12 that has penetrated the Permo-Penn at least as far as the
13 Canyon, and all the wells that are currently producing, has
14 the data on all of those, and he can show from that.

15 Q We were just trying to establish here
16 the geological parameters of the formations we're wishing to
17 be designated as tight formation, and also the geographical
18 area.

19 Q But you would not expect to be making
20 a well in the first 100 feet of the section anywhere.

21 A No, sir, it's all tight Wolfcamp beds,
22 and I can think of nothing in the geographical area in this
23 envelope that's not -- that would not be tight.

24 Q Okay.

25 MR. STAMETS: Any other questions of

1
2 this witness? He may be excused.

3 MR. DICKERSON: Call Mr. David Boneau
4 at this time.

5
6 DAVID F. BONEAU
7 being called as a witness and being duly sworn upon his oath,
8 testified as follows, to-wit:

9
10 DIRECT EXAMINATION

11 BY MR. DICKERSON:

12 Q Will you state your name, your occupation,
13 and by whom you're employed?

14 A I'm David Boneau. I'm a reservoir en-
15 gineering supervisor for Yates Petroleum Corporation in
16 Artesia, New Mexico.

17 Q Mr. Boneau, have you -- would you briefly
18 summarize your educational and work experience for the Exa-
19 miner?

20 A Yes. I have a Bachelor of Science de-
21 gree in physics from the University of Notre Dame in 1962
22 and a PhD in physics from Iowa State University in 1969.

23 For twelve years after I worked for
24 Phillips Petroleum Company in Bartlesville, Oklahoma, and
25 in Odessa, Texas. In Odessa I was reservoir engineer for the

1 Goldsmith District and in Bartlesville I served in various
2 responsibilities, including reservoir engineering supervisor
3 for the Phillips R & D Department.
4

5 Q Mr. Boneau, as part of your responsibi-
6 lities, have you made an examination and a study of the wells
7 in question upon which you intend to testify today?

8 A Yes, sir.

9 Q And are you familiar with this applica-
10 tion?

11 A Yes, sir.

12 MR. DICKERSON: Mr. Examiner, is this
13 witness considered qualified?

14 MR. STAMETS: He is.

15 Q Mr. Boneau, would you briefly state what
16 you intend to show by the exhibits upon which you will testify?

17 A Yes. The data that I'm going to present
18 will show that the Permo-Penn interval defined by the previous
19 witness meets the guidelines set forth by the Federal Energy
20 Regulatory Commission for designation as a tight sand formation
21 under Section 107 of the Natural Gas Policy Act.

22 These guidelines require, first, an esti-
23 mated in situ gas permeability throughout the pay section of
24 less than 0.1 millidarcy.

25 The stabilized production rate against

1
2 atmospheric pressure of wells completed for production in
3 this formation without stimulation is not expected to exceed
4 188,000 cubic feet for production from the average depth of
5 5822 feet.

6 And thirdly, no well drilled into this
7 proposed tight formation is expected to produce without
8 stimulation more than five barrels of crude oil per day.

9 Q Mr. Boneau, would you refer to Exhibit
10 Number Two, previously introduced, and describe what is perti-
11 nent on that exhibit insofar as your testimony is concerned?

12 A Okay. Exhibit Two is the map presented
13 by the previous witness on which is outlined the area for
14 which the tight gas designation is sought.

15 The red dots show the location of the
16 50 wells that are completed in the designated Permo-Penn in-
17 terval, as of January 1, 1981.

18 Triangles indicate wells where drill stem
19 test data was used to calculate in situ permeability of the
20 pay section. There are ten triangles and we'll discuss those
21 permeability calculations in detail later on.

22 And there's one square which indicates
23 the location of the well where core data is available.

24 Q Mr. Boneau, at this time please refer
25 the Examiner to your Exhibit Number Nine and describe what is

reflected in it.

A. Exhibit Number Nine is a 29 -- 26 page list of all wells within the boundary of the proposed area that were drilled deep enough to penetrate the designated Permo-Penn interval.

Information on these 333 wells includes well name, location, operator, spud date, total depth, field, and production up to January 1, 1981. The list is current to the start of 1981. That was our cutoff.

Most of these wells were drilled as Morrow prospects to depths near 9000 feet.

There are 119 Morrow producers in the proposed area. These Morrow wells have produced a total of 82.2 billion standard cubic feet for an average of 691 million standard cubic feet per well. The Morrow is the principal gas producing interval in this area.

Many of the deep wells in Exhibit Number Nine will be completed in the designated Permo-Penn formation at some point in the future if the Permo-Penn gas can be produced economically.

In addition, exploratory drilling for Morrow gas will be stimulated somewhat when the tight gas sand designation makes the Permo-Penn interval a more attractive salvage zone.

1
2 That's enough about Exhibit Nine, I
3 think.

4 Q Refer to Exhibit Number Ten and describe
5 what it shows.

6 A Exhibit Number Ten is a list of the 50
7 wells completed in the designated Permo-Penn interval as of
8 January 1, 1981. Most of the engineering data on the subject
9 formation will come from the wells in Exhibit Number Ten.

10 Although the average depth to the top
11 of the designated Permo-Penn interval is 5922 feet -- 5822
12 feet, thank you -- production from 49 of the 50 wells comes
13 from below the 5822 feet. The average depth to the top of
14 the pay zone in these 50 wells is 6490 feet.

15 These wells have produced a total of
16 9.01 billion standard cubic feet for an average of 180 million
17 standard cubic feet per well.

18 MR. STAMETS: Would you give me the
19 average depth for the completion interval on those again,
20 please?

21 A Surely. The average depth to the top
22 of the pay zone, the top perforation in the 50 wells, is
23 6490 feet.

24 MR. STAMETS: Okay, and then the average
25 production?

1
2 A. The average production is 180 million
3 standard cubic feet per well.

4 MR. STAMETS: Thank you.

5 A. Surely.

6 Q. Mr. Boneau, please refer to Exhibit Num-
7 ber Eleven and describe what it represents.

8 A. Exhibit Eleven is a list of wells that
9 were spudded or completed in the designated Permo-Penn inter-
10 val after July 15th, 1979.

11 These eight wells are the only ones out
12 of the 50 wells in Exhibit Number Ten that would be eligible
13 for tight gas prices, according to my understanding of the
14 rules, should the present application for tight gas designa-
15 tion be approved.

16 Approximately five additional wells have
17 come on line in 1981, and according to my understanding, again,
18 these would also be eligible if the tight formation designa-
19 tion is approved.

20 All production from the other 42 active
21 wells will never be eligible for tight gas prices under cur-
22 rent regulations.

23 MR. STAMETS: Mr. Boneau, to your know-
24 ledge, were any of these wells on Exhibit Eleven, plus the
25 five that you discussed, drilled specifically for the Permo-

Penn or were those all deeper wells?

A. My memory says that they were all drilled initially to the Morrow. They were all drilled deeper.

MR. STAMETS: Okay, thank you.

A. I have reason to believe that's correct, since Mr. Beck is over here nodding.

So our point in Exhibit Eleven is that our application mainly seeks a long-term opportunity to produce gas from the designated Permo-Penn formation by recompleting wells originally drilled to deeper horizons, and recompleting them in the future, for the most part.

Q. Now, Mr. Boneau, would you kindly analyze your engineering data available?

A. Do you really want to use all this stuff?

Q. As far as it pertains to this application.

A. How about I try to show it in a list.

Q. Okay.

MR. DICKERSON: Mr. Examiner, please note that the written information furnished as the statement of the meaning and purpose of each exhibit does analyze these formulas and so forth in considerably more detail than Mr. Boneau will now go into.

MR. STAMETS: Well, and I would point

1
2 out for the record, too, that this application has been care-
3 fully examined by Mike Stogner, who is an engineer on the
4 staff of the Division, and any problems therewith have pro-
5 bably been ferreted out by this time and will show up in the
6 cross examination, if any.

7 A. Okay. So I'd like to say with the fore-
8 going as kind of a background, and the engineering data part
9 of it, we will try to demonstrate that three criteria are
10 met; first, that the average permeability in the natural state
11 is less than, or equal to, 0.1 millidarcy; that the stabilized
12 flow rate before stimulation is less than 188 Mcf per day;
13 and third, that no well produces more than five barrels of
14 oil per day.

15 The estimated average in situ gas perme-
16 ability throughout the pay section was calculated by two
17 standard methods that are widely accepted in the industry.

18 These methods include, first, permeabi-
19 lity calculation from pressure build-up data taken during
20 drill stem tests; and second, laboratory measurements on a
21 cored section of the designated Permo-Penn interval from one
22 well, a single well.

23 First I'm going to talk about permeabi-
24 lity calculated from drill stem test data. This kind of
25 data will give a good representation of the in situ perme-

1
2 ability, since the drill stem test is performed while the
3 well was still being drilled; the formation has been altered
4 relatively little from its natural condition. If there is
5 some formation damage due to the drilling mud, most of this
6 damage is removed during the preflow phase of the drill stem
7 test.

8 In contrast, pressure data taken after
9 the well is acidized or fractured will give higher values for
10 the permeability because the formation has been etched and
11 broken by the treatments.

12 Okay.

13 Q Mr. Boneau, refer to Exhibit Number
14 Twelve, please, and describe what it shows.

15 A Exhibit Number Twelve shows data from
16 the drill stem test at ten wells within the proposed area.
17 The locations of these wells are indicated by triangles on
18 Exhibit Number Two.

19 Of the ten wells only Murphy NW Federal
20 No. 1 is not presently completed in the designated Permo-
21 Penn formation. This well was cored and drill stem tested
22 in the Permo-Penn interval, but it is now a completed Morrow
23 producer.

24 The values of permeability calculated
25 from the drill stem tests, which are the second column from

the right on Exhibit Twelve, range from 0.003 millidarcy for the Irish Hills "KW" State No. 2, up to 0.091 millidarcy for La Cama No. 1.

The average permeability for the ten wells was determined to be 0.031 millidarcy.

The last column in Exhibit Number Twelve, the one that's labeled "Years to Reach Pseudo-Steady State", gives the approximate time required for a pressure disturbance at the wellbore to reach the outer boundary of the reservoir feeding the well.

Said another way, gas near the outer boundary of a reservoir begins to move towards the wellbore at the time indicated in the righthand column in Exhibit Number Twelve.

Flush production of gas relatively near the well occurs until the whole reservoir is feeding the well. Then the pressure begins to drop with time uniformly throughout the reservoir and the flow rate becomes stabilized.

The calculated time to reach stabilized flow ranges from 1.8 years for Well Cities "JG" State No. 1, up to 33 years for Irish Hills "KW" State No. 2.

The average time was determined to be 10.7 years to reach this stabilized flow.

The idea of using a time to reach stabi-

1
2 lized flow was introduced here because it follows naturally
3 from the calculation of the formation permeability from the
4 drill stem test data.

5 I intend to discuss the stabilized flow
6 idea in more detail after all the data on permeability has
7 been presented.

8 Q Mr. Boneau, refer to Exhibit Number Thir-
9 teen and describe what it shows.

10 A Okay. The second procedure for obtaining
11 in situ permeability is to measure the permeability of actual
12 cored sections of the Permo-Penn rock in a laboratory.

13 The only core data available comes from
14 the Murphy "NW" Federal No. 1 Well, which was the well marked
15 with a square in Exhibit Number Two.

16 A log of the Permo-Penn interval in the
17 Murphy Well is -- appears in Exhibit Five as Well No. 6.

18 Exhibit Thirteen, then, shows the perm-
19 eability measured by CORE Laboratories for the 72 feet of
20 core recovered from this well. Special tests were run on
21 16 samples from the Murphy core to evaluate the effect of
22 overburden pressure on the core samples in order to determine
23 a representative value for the in situ reservoir permeability.

24 Routine core analyses are normally run
25 with a confining or overburden pressure of only 200 psi. The

1
2 overburden pressure within the Permo-Penn formation is really
3 about 3300 psi, and special core tests were required in order
4 to correct the results of routine core analyses for the
5 effect of the actual overburden pressure.

6 The results of these special tests, per-
7 formed at an overburden pressure of 3300 psi, are listed in
8 the last two columns of Exhibit Number Thirteen.

9 So Exhibit Number Thirteen shows both
10 the routine core data and the special core data on the Murphy
11 cores.

12 Q Refer, Mr. Boneau, to Exhibit Number
13 Fourteen and describe what it shows.

14 A Exhibit Number Fourteen shows the corre-
15 lation that was developed between the routine permeability
16 at 200 psi overburden pressure and the in situ permeability
17 at the actual overburden pressure of 3300 psi.

18 Data from the petroleum literature was
19 used to help define this relationship, since there are rela-
20 tively few data points available from the Murphy core. And
21 an awful lot of the data points appear in the lower lefthand
22 corner at very low permeabilities, and there aren't very
23 many data points in the body of the figure, and I thought
24 that the Amoco experience in the laboratory would help define
25 that relationship.

1
2 So the dashed line in Exhibit Fourteen
3 is a correlation developed by a Mr. Jones and Mr. Owens of
4 Amoco Production Company for rocks where overburden pressure
5 has a minimum effect on permeability, and the reference is
6 on Exhibit Fourteen as SPE 75-51.

7 And this Amoco work was reported in the
8 Journal of Petroleum Technology in September of 1980.

9 The solid line in Exhibit Fourteen was
10 drawn parallel to the dashed line in order to better fit the
11 actual points for the Murphy core. This solid line was used
12 to convert the routine permeability values into in situ per-
13 meabilities values at 3300 psi overburden pressure.

14 Q What is shown by Exhibit Number Fifteen?

15 A Exhibit Number Fifteen tabulates the
16 permeabilities of the core material from the Permo-Penn pay
17 section in the Murphy "NW" Federal No. 1. Those sections of
18 the interval that the electric log condemned as nonproductive
19 are omitted.

20 The average routine permeability for the
21 Murphy Well is 0.116 millidarcy, indicated at the bottom of
22 the fourth column.

23 It happens that the in situ permeability
24 corrected for overburden pressure taken from core data, which
25 is the number at the bottom of the fifth column in Exhibit

1
2 Fifteen, both came out to be 0.035 millidarcy for the Murphy
3 "NW" Federal No. 1, and I don't believe it, but that's the
4 way it turned out.

5 The Murphy Well can be considered a
6 typical well, since its in situ permeability of 0.035 milli-
7 darcy is very close to the average 0.031 millidarcy for the
8 ten wells that we talked about drill stem test data in Exhibit
9 Number Twelve.

10 So as a summary of the permeability data,
11 we have two types of data, the average in situ permeability
12 from drill stem test data, 0.031 millidarcy; the average in
13 situ permeability from the available core data, 0.035 milli-
14 darcy.

15 Both types of engineering data indicate
16 that the permeability of the designated Permo-Penn pay section
17 is comfortably below the 0.1 millidarcy.

18 Q. What is shown by Exhibit Number Sixteen?

19 A. Okay. The second criteria relates to the
20 gas flow rates and then the third criteria is the oil flow
21 rates.

22 The data on the flow rates before stimu-
23 lation are not available for the vast majority of the wells
24 that produce in the designated Permo-Penn formation. The
25 natural flow rates are so low that they are routinely neither

1 measured nor recorded. The normal completion procedure has
2 been to perforate and treat the well immediately.
3

4 In the absence of data on natural flow
5 rates, we propose to use production data for the stimulated
6 wells at a time in their life when the production rates are
7 approaching stabilized rates.

8 Exhibit Twelve showed that the time to
9 reach the stabilized rate varied from 1.8 to 33 years and
10 averaged 10.7 years. Thus, actual flow rates measured two
11 years into the lives of the Permo-Penn wells will be either
12 near stabilized rates or still considerably higher than the
13 stabilized rates.

14 Exhibit Sixteen shows actual production
15 rates for the 24th calendar month in the producing lives of
16 the wells that are producing from the designated Permo-Penn
17 formation.

18 Only 34 of the 50 wells have been pro-
19 ducing for two years or longer, and the average rate of gas
20 production for the 32 wells is 144,000 cubic feet per day at
21 the bottom of the first set of figures in Exhibit Sixteen.

22 And the average rate of oil production,
23 which is at the bottom of the last set of figures in Exhibit
24 Sixteen, is 0.6 barrels of oil per day.

25 The gas rates vary from one to 655,000

1 cubic feet per day, and only two wells produced over 300,000
2 cubic feet per day.

3 The oil rates vary from zero to 4.1 bar-
4 rels of oil per day after two years. Only one well produced
5 over two barrels of oil per day, and no well produced as much
6 as five barrels of oil per day in the 24th month after it
7 began production.

8 The FERC guidelines require that the gas
9 flow rate be measured against atmospheric pressure. The
10 average flow rate of 144,000 cubic feet per day calculated
11 above for stimulated wells, was measured against pipeline
12 pressures of 150 to 300 psi.

13 The corresponding flow rate at one atmos-
14 phere is given by the equation -- I guess I'm stuck with
15 reading the equation -- the flow rate at one atmosphere is the
16 flow rate, the actual flow rate, times the quantity P_f^2 minus
17 P_s^2 at 1 atmosphere over the quantity P_f^2 minus P_s^2 actual
18 conditions.

19 Now, you just -- why don't we -- can we
20 just go back and skip this?

21 MR. STAMETS: Is that shown somewhere?

22 A. Yeah, it's shown on the paper.

23 MR. STAMETS: What page is that on, Mr.
24 Boneau?
25

1
2 A. Bottom of page seven.

3 MR. STAMETS: Okay.

4 A. Why don't we just go back to saying that
5 we calculated for stimulated wells measured against pipeline
6 pressures of 150 to 300 psi. When we calculate the stabilized
7 flow rate for production against atmospheric pressure the 144
8 Mcf per day becomes 146 Mcf per day in making that correction.

9 So the rates in Exhibit Sixteen are maxi-
10 mum values, I believe, since all the data applies to stimulated
11 wells and since many of the wells have not yet actually stab-
12 ilized. Thus, the average gas production rate is about 146,000
13 cubic feet per day, or less, and the maximum of oil production
14 rate is about 4.1 barrels of oil per day, or less, under
15 stabilized non-stimulated conditions.

16 Q. Mr. Boneau, what is known regarding the
17 techniques for protection of the fresh water zones in the land
18 in question?

19 A. Okay. All the wells proposed for tight
20 sand designation, all of this area, lies within the Roswell
21 Artesian Water Basin, as established by the New Mexico State
22 Engineer. This Roswell Artesian Water Basin is a main source
23 of fresh water to Chaves County and northern Eddy County.

24 Regulations governing the drilling of
25 oil and gas wells within the Basin are enforced by the New

Mexico Oil Conservation Division in order to protect the fresh water formations.

These regulations require that a water protection string be set and cemented through the fresh water bearing strata.

The base of the Artesian aquifer lies at a depth of about 1000 feet at the north end of the proposed area and at a depth of about 1400 feet at the south end.

In a typical casing program conductor pipe is set at a depth of 300 to 400 feet and cement is circulated to surface in order to protect the shallow fresh water.

Then an intermediate string of casing is set about 100 feet below the base of the Artesian aquifer at a depth of 1100 to 1500 feet. Cement is circulated to surface behind the intermediate string to protect the Artesian aquifer.

The production casing is then set at the total depth of the well, which is usually in the Morrow formation, and cemented with 400 to 1000 sacks of cement. This provides a cement shield approximately 1000 feet above the top of the Permo-Penn designated formation.

The application to drill and the casing program for each individual well must be approved by the New Mexico Oil Conservation Division, and by the United States

1
2 Geological Survey for wells on Federal lands.

3 Q What is shown by your Exhibit Number
4 Seventeen?

5 A Exhibit Seventeen summarizes the engineer-
6 ing data that has been presented on the designated Permo-Penn
7 formation.

8 The average in situ reservoir permeability
9 determined by two standard methods, averages less than the
10 allowed 0.1 millidarcy.

11 The average stabilized flow rate for gas
12 is below the maximum allowed daily rate of 188,000 cubic feet
13 per day.

14 And lastly, no well produces as much as
15 five barrels of oil per day under stabilized conditions.

16 Q Mr. Boneau, were Exhibits Numbers Nine
17 through Seventeen either prepared by you or under your direction
18 and supervision?

19 A Yes, sir.

20 MR. DICKERSON: Mr. Examiner, at this
21 time Applicant moves admission of Exhibits Nine through Seven-
22 teen.

23 MR. STAMETS: They are accepted.

24 MR. DICKERSON: And that concludes our
25 direct testimony.

1
2 A. Well, may I say one more thing?

3 Q. Yes, go ahead. Do you have anything
4 else you would like to add, Mr. Boneau?

5 A. Mike Stogner called me on Monday about--
6 asking about more detailed data on the drill stem test, and
7 yesterday I prepared quickly some of the data, most of the
8 data, all the data, on four of those ten drill stem tests,
9 and if that question comes up we can talk about it to that
10 extent, or at least I responded to that telephone call to that
11 extent.

12 MR. DICKERSON: That concludes our direct
13 testimony, Mr. Examiner.

14
15 CROSS EXAMINATION

16 BY MR. STAMETS:

17 Q. Referring to Exhibit Sixteen, and also
18 Exhibit Twelve, you gave us some information on what you
19 feel a reasonable figure should be for the unstimulated
20 production rates.

21 Why didn't you show the rates for those
22 DST's on Exhibit Twelve? It would seem like that would give
23 us unstimulated production rates, actual unstimulated pro-
24 duction rates.

25 A. That's a good question and I just happen

1
2 to have in my pocket a list of those ten drill stem test rates

3 Q. Good. I will write those figures down
4 on my copy of this exhibit. I may wind up asking you to do
5 the same later.

6 MR. DICKERSON: We'll be glad to submit
7 those.

8 A. The reason that they're not there was
9 that I had the feeling that the 50 wells, that I didn't want
10 to use too small a sample for the average.

11 Q. Right.

12 A. And so I went for something that would --
13 big numbers, and got 34 wells, finally. Okay.

14 That's no excuse for not giving you ten
15 for you to do whatever you want with them, and I apologize
16 for that.

17 Oh, hell, I don't -- let's see if I have
18 them in the same order that you have them.

19 The first one is 25 Mcf --

20 Q. And that's the Box Canyon Well.

21 A. Box Canyon.

22 Q. All right.

23 A. Cities "JG", 189. Cities "JH", 56.
24 City of Artesia, 83. Federal "BZ" 12, 29. Griffin "JJ", 190.
25 Irish Hills "KW" No. 2, I have 70 written down. I remember

1
2 it was 69.2, I think, actually, but 70 is fine. La Cama,
3 136. Murphy "NW", 221. And Powell "DG", 48.

4 Q Have you averaged those?

5 A The average is 105.

6 Q And that's below the magic 188.

7 A It's below the 188. It's below the 144
8 that we get by using actual production at pseudo-steady state
9 conditions.

10 Q Have you compared those figures with the
11 ones that you derived on Exhibit Sixteen for the wells that
12 are producing?

13 A No, but I'm willing to do it with you
14 now, if you'd like.

15 Q Let's just take a look at some there.
16 Box Canyon 4-A, you've got 655 on Sixteen.

17 A As compared to 25. Box Canyon 4-A re-
18 sponded to its stimulation. So, that's the highest production
19 rate there. That's right.

20 Q And Cities "JG" has produced for less
21 than two years --

22 A Less than two years.

23 Q -- and there are no figures.

24 A "JH" is 96 compared to 56.

25 City of Artesia, 55, is below the drill

stem test value, 83. Federal "BZ" is 2 compared to it was 29, and the Griffin "JJ", 288, responded somewhat to stimulation.

Q. Is that right? My eyes don't track straight across that page.

Yes, that's correct. Thank you.

A. Irish Hills "KW" has been on line a very -- relatively short time and there's no value. La Cama now produces 337, or its production rate after two years was 337, compared to 136 on the drill stem test.

Murphy is the well that's a Morrow producer, has not yet been completed in the designated Permo-Penn formation.

And the Powell "DG" produces 175 compared to 48 on the drill stem test.

So the actual production is, after stimulation, and let's see if there's really -- really what kind of correlation would we develop.

La Cama, that should stabilize in about two years. You'd think that those numbers would be roughly the same, and it's up to you whether 136 and 337 are roughly the same.

At the bottom, Powell "DG" is 175 compared to 48, but it should take 14 years to stabilize, so

1
2 it's reasonable that 175 is still above 48.

3 City of Artesia, that stabilizes in two
4 years, is 55 instead of 83, which is a reasonable comparison,
5 so maybe we could make it sound like there was a reasonable
6 comparison.

7 Q When you averaged the rates on Exhibit
8 Sixteen did you include those wells that had produced less
9 than two years in your --

10 A Oh, no, no, no.

11 The average down there is the sum of the
12 numbers divided by 34.

13 Q Okay, and 34 of those wells had produced
14 for two years.

15 A Right.

16 Q And the other with asterisks didn't, but
17 they didn't enter into the calculation.

18 A But they did not enter into the calcula-
19 tion one way or the other.

20 Q And of those wells, only one is shut-in,
21 so that really has no significant effect on the final outcome
22 of what you've calculated there.

23 A Let me state that more precisely. The
24 average 144 is the sum of those numbers divided by 34. 34
25 is the number of entries, number of numerical entries in the

1
2 column. So there are -- there are 34 numbers, 14 asterisks,
3 and 2 SI's. The SI's and the asterisks did not enter in the
4 calculation.

5 I'm sorry to confuse you.

6 Q Well, that's all right. That's easy to
7 do in these cases.

8 Certainly Exhibit Twelve intends to, if
9 not confirm Exhibit Sixteen, but would tend to indicate, if
10 anything, Exhibit Sixteen may be overly generous in this cal-
11 culation of production against atmospheric pressure.

12 A I agree. We -- I told the people that
13 worked on this with me that we were going to make every doubt
14 in the -- on the side of being generous, and we, I think, we
15 did that.

16 I tried consciously to do that.

17 Q Now I presume somewhere are the formulas
18 and factors used in calculating permeability shown on Exhibit
19 Twelve.

20 A They -- they are in these pages that I
21 prepared in response to Mike's telephone call, and I have
22 two copies of information on four of the wells. That, I
23 think, is representative of the whole thing and it's just as
24 many as I could get together in an organized fashion in one
25 day.

1
2 Q There is no problem, though, with sub-
3 mitting this information on all of these wells subsequent to
4 the hearing.

5 A If you want that information, you'll get
6 that information, I assure you.

7 Q Okay. Could you give one copy of what
8 you have to Mike and let him take a quick look at it and see
9 if he has any problems with the data on it?

10 A I do have the original on it, an original
11 and two copies, and I'm going to keep the originals.

12 The reason for the scarcity of -- of
13 copies is that one of the exhibits for each well is a log and
14 it was hand-colored in and the hand-coloring is kind of a
15 limiting factor in getting very many copies made.

16 Q But you do have the formula on the
17 front, plus the calculated deliverability -- or --

18 A Okay, can I try to explain what's there?

19 Q Yeah, you may.

20 A There's a summary page on the front with
21 the formulas and the numbers built into the calculations.

22 There's a Horner plot with a dashed line
23 drawn through what we took as the straight line portion.

24 There's a gas analysis for the gas from
25 the well, which was used to determine properties like Z, the

deviation factor, and the viscosity of the gas.

Then there are three pages that are copied from the Halliburton drill stem test report, which -- the first is like a summary of the drill stem test; then there's the pressure build-up data; and then there's a sheet where Halliburton has listed what it -- the steps it took during the drill stem tests and the rates that it measured.

Then there's a log of the region around the drill stem test interval, with the area showing gas effect outlined in red, and the height of the pay section when the drill stem test was taken from that log.

And on the front page at the bottom we put references of where we got the equations and where we got the charts for the Z factors and the viscosities, and such. We did not include actual copies of those correlations.

MR. STAMETS: Mike will just --

MR. STOGNER: This is what I want.

MR. STAMETS: This is what you want.

Okay, so if they can submit that on all the wells, if we have any problems with it, we can correspond and try to get a resolution of them.

MR. STOGNER: This will answer a lot of my questions.

A. On one of the wells I found what I would

1
2 consider a mistake and it lowered the actual measured perme-
3 ability, I think, from .003 to .002, or something, but you
4 may notice that I've noted that for your information on this
5 form.

6 MR. DICKERSON: Should we submit those
7 as numbered exhibits?

8 MR. STAMETS: Why don't you just submit
9 that as supplemental information to the Exhibit Number Twelve?

10 MR. DICKERSON: Okay.

11 MR. STAMETS: And you can just label each
12 one with the well name so it's obvious which they belong to,
13 and then if upon review of this data we have any questions,
14 we may have to seek further clarification.

15 But it does appear that you have here
16 submitted the type of information that we're looking for on
17 these wells, which will allow us to make the proper evaluation.

18 Have you got any questions?

19 MR. STOGNER: Yes, I do have a question.

20 MR. STAMETS: Okay.

21
22 QUESTIONS BY MR. STOGNER:

23 Q On our Murphy "NW" Federal No. 1, where
24 the core was taken, do you feel this was drilled into one of
25 the isolated mounds?

1
2 A No. No, it's in the bank, I believe,
3 isn't it?

4 Up here, just barely inside this bank,
5 basin, but it was not a mound up here.

6 MR. STAMETS: That's No. 6 on A-A'. Okay.

7 Q Well, do you feel this is representative
8 to the mounds that are in this tight sand area, this core
9 sample?

10 A I feel it's as representative of those
11 as any one core is going to be representative of anything.

12 Q The overburden pressure was calculated
13 to be 3300 psi. I guess it was a gradient of .5085 psi per
14 foot and you used the average top of the formation at 6490.
15 Is this again representative of the area, and how did you
16 calculate that?

17 A The Murphy core was taken before I worked
18 for Yates Petroleum. I attempted to track down who used
19 3300 psi as the overburden, as the representative overburden
20 pressure, and it's -- that would be representative of the
21 Murphy rather than the whole thing, since it's talking about
22 the Murphy.

23 The two people involved both said that
24 the other person was responsible, so I did my own calculation
25 based on what I saw in the literature, and I have trouble re-

1
2 producing that right at the moment, but I got like it ought
3 to be 4900, which would make the permeability even lower, and
4 so I don't think --

5 Q. Something like .6 psi per foot gradient?

6 A. Okay, what I read up on it, you know, and
7 I make no bones on doing this, but I -- I looked into this
8 question and what I found was that people use 1 psi per foot
9 minus the reservoir pressure.

10 And I found that used in other tight gas
11 sand hearings and in petroleum literature, and that gives,
12 like you say, about .6 psi per foot.

13 Anyway, we'd say that the 3300 is an
14 order of magnitude number that somebody picked as representa-
15 tive.

16 MR. STOGNER: That's all the questions
17 I have.

18 A. And that's all I can support it with.

19
20 RECROSS EXAMINATION

21 BY MR. STAMETS:

22 Q. One of Mr. Stogner's questions stimulated
23 one more.

24 Are any of the tests shown on Exhibit
25 Twelve in a mound?

1 A I don't think so. Ray?

2 MR. BECK: There's one right there. No.
3 There's one right there, the well in 2, 19, 24.

4 A Irish Hills.

5 MR. STAMETS: That would be the Irish
6 Hills.

7 A Yeah, I thought of that question this
8 morning and I didn't have a chance to look it up, but--

9 MR. BECK: La Cama.

10 A So apparently the answer is La Cama and
11 Irish Hills.

12 MR. BECK: No, no, Irish Hills isn't
13 in a mound. It's just La Cama.

14 A Is that the agreed answer, that one of
15 them is in a mound, and that's La Cama?

16 MR. BECK: The only triangle that's in
17 a mound is the La Cama Well in 20 of 18, 25.

18 MR. STAMETS: And that was 136, again
19 below the magic 188 figure.

20 Mr. Beck, did you -- since you're up and
21 about, did you recommend a type log for this area?

22 MR. BECK: Well, sir, we reproduced
23 the logs on the cross sections at 2-1/2 inches equal 100
24 feet, so people could see and actually calculate the porosity
25

1
2 off of the compensated neutron - formation density logs,
3 which most of the logs are, there are some sonic logs, but they
4 all constitute logs which can be referred to, and it gives
5 you nine, nineteen, twenty-eight -- about thirty wells which
6 you could look at, which would constitute type logs.

7 MR. STAMETS: Okay, for purposes of this
8 order, we can select one of these wells as the type log in
9 determining the top and bottom of the formation.

10 MR. BECK: Oh, the type log, the one
11 that I was referring to most as the type log, is the Well
12 No. 3 of cross section B-B', Exhibit Number Six.

13 The name of the well is the Tom -- now
14 it's Sun, formerly the Tom Brown, No. 1 Antelope Sink Well,
15 in Section 18 of 19, 24.

16 And in my testimony I gave the tops of
17 the Third Sister, the top and the bottom, and other pertinent
18 correlations, like Antelope Sink Zone, top of the bank facies,
19 the bottom of the bank facies.

20 And that would constitute my type log.

21 MR. STAMETS: Okay. Mike has one more
22 question.
23
24
25

1
2 QUESTIONS BY MR. STOGNER:

3 Q Dr. Boneau, on page five of your testi-
4 mony, the drainage area was assumed to equal 320-acre pro-
5 ration unit, do you feel this is a representative of the ac-
6 tual radius of drainage? In this formation?

7 A It was taken as 320 acres because that's
8 the proration unit size. But some of the Cisco wells have a
9 good chance of draining that and some of them have a -- will
10 probably drain half or two-thirds, or something, of that.

11 It's as reasonable a number as I could
12 pick. I cannot stand here and defend that all of them are
13 going to drain 320 acres, no.

14 MR. STOGNER: Thank you, Dr. Boneau.
15 That's all I have.

16 MR. STAMETS: Any other questions of
17 this witness? He may be excused.

18 Anything further in this case?

19 If there is nothing further, this case
20 will be taken under advisement, subject to submittal of the
21 supplemental data.

22 And the hearing is adjourned.

23
24 (Hearing concluded.)
25

C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

SALLY W. BOYD, C.S.R.

Rt. 1 Box 193-B

Santa Fe, New Mexico 87501

Phone (505) 455-7409

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 7352 heard by me on 10-21 1981.
Richard J. Plummer, Examiner
Oil Conservation Division