



1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

2

I N D E X

LARRY K. LOFTON

Direct Examination by Mr. Carr 3

Cross Examination by Mr. Nutter 12

E X H I B I T S

Applicant Exhibit One, Forms C-103 5

Applicant Exhibit Two, Schematic 7

Applicant Exhibit Three, Step Rate Test 8

Applicant Exhibit Four, Log 10

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. NUTTER: Call next Case Number  
7722.

MR. PEARCE: That is on the applica-  
tion of Getty Oil Company for amendment to Division Order  
No. R-6965, Lea County, New Mexico.

MR. CARR: May it please the Exa-  
miner, my name is William F. Carr, with the law firm Campbell,  
Byrd, and Black, P. A., of Santa Fe, appearing on behalf of  
Getty.

I have one witness who needs to be sworn.

(Witness sworn.)

LARRY K. LOFTON

being called as a witness and being duly sworn upon his oath,  
testified as follows, to-wit:

DIRECT EXAMINATION

BY MR. CARR:

Q Will you state your full name and place of  
residence?

A My name is Larry Lofton and I live in Mid-  
land, Texas.

Q By whom are you employed?

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A. Getty Oil Company.

Q. In what capacity?

A. As a reservoir engineer.

Q. Have you previously testified before this Commission or one of its examiners and had your credentials accepted and made a matter of record?

A. Yes, I have.

Q. Were you the engineering witness in Case Number 7506 on March 16, 1982, concerning the well which is the subject of this hearing today?

A. Yes, I was.

Q. Are you familiar with the subject well?

A. Yes.

Q. Are you familiar with the general area?

A. Yes.

MR. CARR: Are the witness' qualifications acceptable?

MR. NUTTER: Yes, they are.

Q. Mr. Lofton, will you state briefly what Getty seeks in this application?

A. Getty seeks to re-enter the State "P" Well No. 1, the proposed injection well and add additional perforations to what were granted in the original order.

Q. Now the original order approved injection

1  
2 through perforations from what depths?

3 A From 8900 to 9300 feet.

4 MR. CARR: Mr. Nutter, at this time  
5 we would request that the record in Case 7506 and the resulting  
6 order, R-6965, be incorporated into this proceeding by re-  
7 ference.

8 MR. NUTTER: The record in Case Num-  
9 ber 7506 and the resulting order will be incorporated by re-  
10 ference in this case.

11 Q Mr. Lofton, did Order No. R-6965 require  
12 that Getty perform certain work on the subject well and sur-  
13 rounding wells prior to injection?

14 A Yes.

15 Q Was that work performed?

16 A Yes, it was.

17 Q Will you please refer to what has been marked  
18 for identification as Getty Exhibit Number One, identify this  
19 and explain what it shows.

20 A Exhibit One is three Form C-103's for the  
21 three wells in question. The last two Form C-103's, as sub-  
22 mitted by our Levelland office to the Commission are for the  
23 State "U" No. 1 and the H. L. Batt No. 1, which is within  
24 a half mile radius of the proposed injection well, and these  
25 two forms detail work that Getty performed in cementing,

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

putting cement across the Abo formation as requested in the original order. And the first C-103 Form, which deals with the State "P" No. 1, the subject injection well, this details work that we did in plugging the well back and putting it to injection service from 8900 feet to 9300 feet.

I might add that all this work was done to the satisfaction of Commission representatives from Hobbs.

MR. NUTTER: Okay, do you have a copy of that order, 6965, with you?

If you'd just read it into the record, that part, Mr. Carr or Mr. Lofton, either one, that required work on certain wells.

MR. CARR: Order paragraph one provided in part, and I quote, provided further that no injection of salt water shall take place in said State "P" Well No. 1 until the Getty Oil Company H. L. Batten Well NO. 1 in Unit B of Section 5, and the Getty Oil Company State "U" Well No. 1 in Unit D of Section 4, both in Township 17 South, Range 37 East, N.M.P.M., Lea County, New Mexico, have either been cemented or shown to have adequate cement across the -- and above the Abo formation in a manner prescribed by the supervisor of the Division's District Office at Hobbs.

MR. NUTTER: And so as a result of that paragraph, Mr. Lofton, you went in and you perforated

1  
2 these wells and squeezed cement in the required interval, is  
3 that correct?

4 A Yes, sir, we did --

5 MR. NUTTER: On both of those --

6 A -- cement --

7 MR. NUTTER: On both of those wells?

8 A Yes, sir.

9 MR. NUTTER: And then this first  
10 page of Exhibit Number One is the work that you did on the  
11 disposal well.

12 A Right.

13 MR. NUTTER: Okay, go ahead.

14 Q And all this work was supervised by the  
15 Hobbs office, is that correct?

16 A That's correct.

17 Q Would you now refer to what has been marked  
18 for identification as Getty Exhibit Number Two, explain what  
19 this is and what it shows?

20 A This is a schematic diagram of the State  
21 "P" Well No. 1, the proposed injection well. On the left  
22 side it shows the present status or condition of the hole as  
23 it is now, and on the right it shows what we would hope to  
24 have the original order amended to.

25 On the present configuration it indicates

1  
2 the perforations from 8900 to 9300 feet, as well as the 3-1/2  
3 inch -- or 3-1/2 inch internally plastic-coated tubing, which  
4 is set with a packer at 8815. And the only difference in the  
5 present configuration and that which we hope to have amended  
6 is the additional perforated interval from 8450 to 9300 feet,  
7 and, of course, moving our packer and tubing up the hole and  
8 setting it approximately 8375.

9 Q And, Mr. Lofton, will you now refer to what  
10 has been marked as Getty Exhibit Number Three and review this  
11 for Mr. Nutter?

12 A This is a step rate injection test that was  
13 performed on the State "P" Lease after we had perforated 8900  
14 to 9300 interval. It indicates injection pressures for the  
15 various injection rates in the well. This -- I might point  
16 out that we were able to inject water up to 4.1 barrels per  
17 minute without any positive surface pressure. It was taking  
18 the water on a vacuum. Injection rates above that point,  
19 however, required that we put positive injection pressure  
20 on the wellhead. The 4.1 barrels per minute, roughly, corres-  
21 ponds to 5900 barrels of water a day.

22 MR. NUTTER: Okay, let's see. 4.1,  
23 that's where you first started getting pressure.

24 MR. NUTTER: That corresponds to  
25 how many barrels a day?

1  
2 A 5900 barrels per day.

3 MR. NUTTER: Okay.

4 Q Mr. Lofton, what volume of water was Getty  
5 hoping to be able to dispose of in this well?

6 A We would anticipate with the addition of  
7 high volume lift on this lease water injection rates up to  
8 approximately 10,000 barrels per day.

9 Q Would it be possible to inject 10,000 barrels  
10 per day by putting pressure on the well as presently com-  
11 pleted and injecting under pressure?

12 A Yes.

13 Q Would you explain to Mr. Nutter the reason  
14 that you are requesting the additional perforated interval  
15 for disposal purposes?

16 A With the additional perforated interval  
17 that we see in the well, that is available above where we've  
18 been granted perforations, we feel like we can inject the  
19 volumes we need without having to have any positive surface  
20 pressure. It can be able to flow into the reservoir under  
21 gravity flow.

22 Q And what benefits would Getty derive from  
23 this amended order?

24 A This will allow us to dispose of all our  
25 water without having to purchase injection pumps.

1  
2 Q And what, approximately, would be the cost  
3 of that pump?

4 A Estimated between \$15 to \$75,000.

5 Q Mr. Lofton, would you refer to Exhibit Num-  
6 ber Four and review this for Mr. Nutter?

7 A Exhibit Four is a space neutron log,  
8 which is indicative of the porosity of the formation. This  
9 was run October 14th, 1982, on subsequent work done in the  
10 State "P" Well, and any kind of response towards the left or  
11 towards the depth column is indicative of porosity.

12 Q As noted, when we logged the well at depths  
13 above 8900 and through 8450 we saw several zones that had  
14 what looked to be good porosity which would allow us to put  
15 water in those intervals.

16 Q If you're permitted to start injecting at  
17 a depth of 8450, how would this depth compare with the oil/  
18 water contact in the area?

19 A This would be at a subsea depth of 4651  
20 feet, and the original oil/water contact in the Lovington Abo  
21 Field was 4640 feet, so even increasing our perforated inter-  
22 val to the 8450, it still is 11 feet below the original oil/  
23 water contact in the field.

24 Q Are there other wells in this field which  
25 are disposing of water at shallower depths?

1  
2 A Yes. Amoco has three on the west side of  
3 the field which dispose of water in the Abo, the first one  
4 being the State "E" 18 No. 21B, which disposes at a subsea  
5 depth of -4618 feet; the Amoco State "E" 18 No. 22B disposes  
6 water in the Abo at a -4591 feet; the Arajo State "B" 4286A  
7 No. 2F disposes of water at a depth of -4677 feet; Rice Dis-  
8 posal Company disposes in the Abo SWBC No. 2C in the Abo at  
9 a subsea depth of -4671 feet.

10 Q And none of these other injection wells are  
11 in close proximity to the proposed injection well, are they?

12 A The two Amoco wells are on the other side  
13 of the field, of course down structure, and the Rice well is  
14 none of them within a mile, I'd say.

15 Q Mr. Lofton, in your opinion will granting  
16 this application prevent waste and be in the best interest  
17 of conservation?

18 A Yes.

19 Q Would it impair the correlative rights of  
20 any other operator in the field?

21 A No.

22 Q Were Exhibits One through Four prepared by  
23 you or under your direction and supervision?

24 A Yes.

25 MR. CARR: At this time, Mr. Nutter,

1  
2 We would offer Getty Exhibits One through Four.

3 MR. NUTTER: Exhibits One through  
4 Four will be admitted in evidence.

5 MR. CARR: That concludes our direct  
6 examination of Mr. Lofton.

7  
8 CROSS EXAMINATION

9 BY MR. NUTTER:

10 Q Mr. Lofton, this Exhibit Number Three that  
11 shows this injectivity test, I'm having a hard time following  
12 these volumes up from the scale at the bottom. Now what is  
13 that first point that's at about 500 pounds, is that five  
14 barrels per minute?

15 A The first point is just a little bit less  
16 that 500 psi injection wellhead pressure is, yes, about 5.2  
17 barrels per minute.

18 Q And then that next point up, what's that,  
19 about 6 barrels a minute?

20 A Yes, sir, about 6 barrels a minute at, I'd  
21 say, roughly, 750 psi injection pressure.

22 Q And then that third point would be about  
23 8 barrels a minute, I guess.

24 A Yes, sir.

25 Q You're getting up to about 1400 pounds there.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A. Yes, sir, thereabouts.

Q. And that final point, then, would be about 10 barrels a minute, or almost 10 barrels a minute.

A. Yes.

Q. And the pressure got up to about 22 -2300 pounds.

A. Yes, sir.

Q. All right. Now was this injectivity test conducted on the well with the perforations that were originally authorized or have these new perforations been opened and this test was made with the new perforations?

A. No, sir, the -- this test reflects only the perforations from 8900 to 9300, and as yet we haven't added any additional perfs in the well.

Q. You haven't opened up these new perfs yet.

A. No.

Q. And you figure that you've got water into the formation at the rate of 5900 barrels per day on a vacuum.

A. Yes, sir.

Q. And you anticipate that with these additional perforations open you'll be able to dispose as high as 10,000 barrels a day on a vacuum in this well?

A. We're hoping so in order to save the costs.

1  
2 We think probably this injectivity test is probably the most  
3 optimistic it will be is at this point and this injectivity  
4 sometimes seems to deteriorate, so --

5 Q Okay. Now, you were originally authorized  
6 to go into the Abo at 8900 to 9300. Are you still in the Abo  
7 by raising these perforations up 450 --

8 A Yes, still in the Abo formation, right.

9 Q And you're lower in the Abo than some of  
10 these other disposal wells, then.

11 A Yes, sir, we're lower than the two Amoco  
12 wells and we're about on the same level as the Arajo well  
13 and the Rice well.

14 Q I presume that the plats and everything that  
15 are in the original case file, which has been incorporated,  
16 will show the location of all these wells.

17 MR. CARR: Yes, they do.

18 MR. NUTTER: Are there any further  
19 questions of Mr. Lofton? He may be excused.

20 Do you have anything further, Mr.  
21 Carr?

22 MR. CARR: Nothing further, Mr. Nut-  
23 ter.

24 MR. NUTTER: Does anyone have anything  
25 they wish to offer in Case Number 7722?

1  
2 We'll take the case under advisement.

3  
4 (Hearing concluded.)  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

## C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY CERTIFY that the foregoing Transcript of Hearing before the Oil Conservation Division was reported by me; that the said transcript is a full, true, and correct record of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 7722, heard by me on 11/10 1982.

[Signature], Examiner  
Oil Conservation Division