

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

IN THE MATTER OF THE HEARING CALLED  
BY THE OIL CONSERVATION DIVISION FOR  
THE PURPOSE OF CONSIDERING:

COPY

APPLICATION OF BURLINGTON OIL &  
GAS COMPANY TO AMEND ORDER R-9918  
FOR A DOWNHOLE COMMINGLING REFERENCE  
CASE FOR THE ALLISON UNIT AREA, SAN JUAN  
COUNTY, NEW MEXICO

CASE NO. 14281

REPORTER'S TRANSCRIPT OF PROCEEDINGS  
EXAMINER HEARING

RECEIVED  
MAR 18 AM 9 37

BEFORE: TERRY G. WARNELL, Legal Examiner  
DAVID K. BROOKS, Technical Examiner

March 5, 2009

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, TERRY G. WARNELL, Legal Examiner, and DAVID K. BROOKS, Technical Examiner, on Thursday, March 5, 2009, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico.

REPORTED BY: Jacqueline R. Lujan, CCR #91  
Paul Baca Professional Court Reporters  
500 Fourth Street, N.W., Suite 105  
Albuquerque, NM 87103 505-843-9241

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A P P E A R A N C E S

FOR THE APPLICANT:

KELLAHIN & KELLAHIN  
W. Thomas Kellahin, Esq.  
706 Gonzales Road  
Santa Fe, New Mexico 87501

INDEX

PAGE

WITNESS: MICAH WOLFE

Direct Examination by Mr. Kellahin 6  
Examination by Mr. Brooks 19

WITNESS: KASSADIE GASTGEB

Direct Examination by Mr. Kellahin 20  
Examination by Mr. Brooks 39  
Examination by Mr. Warnell 40

EXHIBITS 1 THROUGH 3 ADMITTED INTO EVIDENCE 19  
EXHIBITS 4 THROUGH 6 ADMITTED INTO EVIDENCE 39

REPORTER'S CERTIFICATE 43

1 MR. WARNELL: Let's go back on the record  
2 then at 9:15, and we're ready to hear Case Number 14281,  
3 application of Burlington Resources Oil & Gas Company to  
4 amend Order R-9918 for a downhole commingling reference  
5 case for the Allison Unit area, San Juan, New Mexico.  
6 Call for appearances.

7 MR. KELLAHIN: Mr. Examiner, I'm Tom  
8 Kellahin of the Santa Fe law firm of Kellahin & Kellahin  
9 appearing this morning on behalf of Burlington, and I  
10 have two witnesses.

11 MR. WARNELL: Would the two witnesses  
12 please stand, state your name and be sworn in.

13 MS. GASTGEB: Kassadie Gastgeb.

14 MR. WOLFE: Micah Wolfe.

15 (The witnesses were sworn.)

16 MR. KELLAHIN: Mr. Wolfe, please.

17 Mr. Examiner, as the application indicates,  
18 we're seeking two things. First of all, we're dealing  
19 with the Allison Unit. Back in June of '93, Mr.  
20 Alexander and I were before you at the Division and  
21 obtained Order R-9918 at that time, allowing us to  
22 downhole commingle the Mesaverde/Dakota production, and  
23 in doing so, we also asked the Division to approve the  
24 elimination of notice in tracts that involved parties  
25 that had noncommon interests. That was one of the first

1 cases for which that was done.

2           Thereafter, I think in '97, and a number of  
3 instances after that, both things have been accomplished  
4 for other units, usually the federal numbered units that  
5 are operated by ConocoPhillips and Burlington. [There is  
6 a plan for further development in the Allison Unit in  
7 which we want to expand the exception for commingling  
8 where we can do that on a case-by-case basis by filing  
9 the Form 107A and do that in district. In instances  
10 where there's noncommon interests, that requires us, in  
11 the circumstances of this divided unit with a number of  
12 participating areas, in some circumstances we have to  
13 notify ~~250~~ something people every time you want to do one  
14 of these. 46

15           So our purpose this morning is to refresh the  
16 Division's recollection about the Allison Unit, give you  
17 an opportunity to explore any of the issues you want  
18 about commingling and, to seek your approval, then, to  
19 expand the commingling so that we have a reference order  
20 number that will allow Burlington to file with the  
21 district, either a C102 summary notice or the standard  
22 C109 form, and commingle all these zones if they meet the  
23 other criteria of pressure and value of production and  
24 all those kinds of things, recognizing that,  
25 historically, with one early exception, no one has ever

1 complained to downhole commingling to the best of my  
2 knowledge or to Mr. Alexander's knowledge. We have never  
3 had any objection filed.

4 We think the requirement of notice is no  
5 longer useful to anyone. It's become a matter of  
6 routine. Burlington, as well as other operators in the  
7 basin, uniformly agree with the Division in terms of how  
8 you test and allocate production among multiple zones,  
9 and the reason to object, it was earlier in the rule,  
10 seems to be antiquated and there is no purpose served by  
11 the notification. So that's the one topic.

12 And the other is to show you the details of  
13 what we're trying to accomplish with additional  
14 development in the coal-gas, either with new coal-gas  
15 wellbores that are also commingled with lower zones or  
16 older wellbores in lower zones that are recompleted in  
17 the coal. The evidence will be presented by two  
18 technical experts. First, is the petroleum landman, and  
19 the second is the petroleum engineer. And we'll start  
20 now with Mr. Wolfe.

21 I'm sorry. I misspoke earlier. Mr. Alexander  
22 says there was 460. I said 200. It's 460 notices that  
23 have to be sent out.

24 MICAH WOLFE

25 Having been first duly sworn, testified as follows:

DIRECT EXAMINATION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY MR. KELLIHAN:

Q. Mr. Wolfe, please, state your name.

A. Micah Wolfe.

Q. Where do you reside?

A. In Farmington, New Mexico.

Q. By whom are you employed?

A. ConocoPhillips.

Q. In what capacity, sir?

A. I'm a petroleum landman.

Q. Are you familiar with what we've described as the Allison Unit?

A. Yes, I am.

Q. As part of your familiarity with that unit, have you examined the unit documentations?

A. Yes, I have.

Q. Are you familiar with the concept that this unit utilizes and operates under a participation concept?

A. Yes, I am.

Q. If the technical people come to you and ask you to process an application for downhole commingling that would be outside the scope of the existing order, R-9918, you would make a search to determine notification of what, sir?

A. I would determine the owners that would need

1 to be notified, then proceed with notifying those owners.

2 Q. In instances that occur, what generally would  
3 happen in terms of the number of people that you would  
4 have to notify?

5 A. The most common zones that are commingled  
6 would either be the Fruitland Coal or Mesaverde. Both of  
7 those formations, the entire unit is within a  
8 participating area, which would require every single  
9 owner in that participating area to be notified, plus the  
10 additional drill block for the other zone that would be  
11 commingled, which is 462 individuals.

12 Q. That would be included within the description  
13 of your duties as a landman for Burlington?

14 A. Yes, sir.

15 MR. KELLIHAN: At this point, Mr.  
16 Examiner, we tender Mr. Wolfe as an expert petroleum  
17 landman.

18 MR. WARNELL: Mr. Wolfe is so qualified as  
19 an expert petroleum landman.

20 Q. (By Mr. Kellihan) Mr. Wolfe, let's start with  
21 the slide that's on the screen. It's slightly out of  
22 order. I think it appears behind -- it's one of the  
23 slides that comes after Exhibit Tab Number 2. Let's  
24 start here as a locator, and then we'll come back to the  
25 book. Describe for us how we outline and identify the

1 Allison Unit.

2 A. As you can see in the green, that would  
3 identify the Allison Unit boundary. This particular area  
4 here in the middle were lands that were not committed to  
5 the unit so that is not within the unit. The symbology  
6 that you see within the unit is that the wells that have  
7 been drilled, and as stated earlier, we have had some  
8 problems with the symbology. So this is an  
9 approximation. It's not completely accurate, but it is  
10 giving a general idea of the number of Fruitland Coal,  
11 Pictured Cliffs, Mesaverde and Dakota wells that are  
12 being drilled within this unit.

13 Q. Is the display accurate as to the boundary and  
14 its location?

15 A. The boundary is accurate.

16 Q. To the east of the unit, what is the area  
17 shaded in blue?

18 A. That is Navajo Lake.

19 Q. Do you have slides -- while we're in Exhibit  
20 Tab Number 2, do you have slides that identify for the  
21 Examiner the extent of the participating areas in the  
22 unit?

23 A. Yes.

24 Q. Let's do that.

25 A. Okay. This slide here is showing the Dakota

1 participating area. It has not been fully expanded, as  
2 you can see with the shaded area, is the current  
3 participating area. The white has not been expanded at  
4 this time. The dots are, once again, an approximation of  
5 the number and location of Dakota wells.

6 Q. Let's look at the next slide.

7 A. This slide shows the Fruitland Coal PA. As  
8 you can see, it is fully expanded, includes the entire  
9 unit. Then this slide here shows the Mesaverde  
10 participating area. Once again, it is fully expanded, as  
11 well.

12 Q. Next slide? Is it your understanding that the  
13 concept by which these participating areas are created  
14 and expanded are a function of the operation of the  
15 agreements that control the unit?

16 A. Yes.

17 Q. And those agreements have been approved by the  
18 BLM and the Oil Conservation Division and the interest  
19 owners at the time they were created?

20 A. Yes, they were.

21 Q. So the mechanics of how those expansions occur  
22 is a matter of compliance with the contract?

23 A. Correct.

24 Q. What is your understanding of what Burlington  
25 is seeking to accomplish with this application?

1           A.       This application, we are seeking to amend 9918  
2 to expand the modification that we do not have to send  
3 notice every -- to include the entire unit, not just the  
4 participating areas of the Mesaverde/Dakota, we'd like to  
5 extend that to include Fruitland Coal and Pictured Cliff  
6 formations and also extend it beyond the participating  
7 areas to include the entire unit.

8           Q.       As part of that expansion, you're also  
9 requesting the elimination of the portion of the rule  
10 that requires notice to interest owners in tracts for  
11 which there's not a common interest?

12          A.       Correct.

13          Q.       You're aware of that concept?

14          A.       Yes.

15          Q.       And under certain configurations, that number  
16 can be in excess of 460 individuals?

17          A.       In most situations.

18          Q.       In the process of commingling, do you think  
19 that action alone changes any of the equity parameters  
20 for any of the parties participating under the  
21 participating areas?

22          A.       No, it would not.

23          Q.       So approval of this application, in your  
24 opinion, does not adversely affect either the volume of  
25 money they receive or the percentage interest they have

1 in that production?

2 A. Correct.

3 Q. Let's go back to Exhibit Tab Number 1 and  
4 indicate what you have done in terms of satisfying the  
5 requirements for notification of the hearing in this  
6 case --

7 A. Okay.

8 Q. -- starting off with the notice letter. Go to  
9 the first display after Exhibit Tab 1. There's a notice  
10 letter dated January 30th.

11 A. Yes.

12 Q. What did you cause to happen with this letter?

13 A. A copy of this letter was sent to each one of  
14 the 462 individuals that have an interest in Allison Unit  
15 boundary.

16 Q. In addition, were they provided a copy of the  
17 application?

18 A. Yes, they were.

19 Q. Were they provided a copy of Order R-9918?

20 A. Yes, they were.

21 Q. Can you scan down through Exhibit Tab Number 1  
22 and find us the list of parties for whom notice was sent?

23 A. Yes, I can. In fact, it is listed on several  
24 pages due to the number. Here is where it begins, which  
25 is behind Exhibit Tab 1 within the booklets.

1 Q. When we look at the tabulation of interest  
2 owners in the Allison Unit, to the best of your  
3 knowledge, is this accurate and complete?

4 A. Yes, it is.

5 Q. My exhibit book shows there's some 12 pages of  
6 names?

7 A. Correct.

8 Q. How was this generated?

9 A. This was a list that we compiled from the  
10 Exhibit B of the Allison Unit operating agreement.

11 Q. Is that updated over time?

12 A. Exhibit B itself is not, but that was compared  
13 with our Division order records which have been updated  
14 throughout time if any interest owners had been changed.

15 Q. And those files also allow you the  
16 opportunity to make sure that you're sending notices to  
17 parties that are receiving checks for payment of proceeds  
18 attributable to their share in the unit?

19 A. Correct.

20 Q. Following the 12 pages of names and addresses,  
21 have you appended to the exhibit book copies of the green  
22 cards and notices of mailing to all interest owners?

23 A. Yes.

24 Q. As a result of that effort to notice, have you  
25 received or are you aware of any formal objection being

1 filed to the approval of this application?

2 A. No, I'm not aware of any formal objections.

3 Q. Has the mailing of this notice to the parties  
4 generated any type of response from any individuals?

5 A. Yes. We have had a couple of inquiries.

6 Q. What's the general nature of those inquiries?

7 A. Concern that their interests would be  
8 adversely affected by this order, which was mislead, and  
9 we proceeded to inform them that their interest was  
10 protected by the Allison Unit operating agreement and  
11 that this amended order would not adversely affect their  
12 interest.

13 Q. That's what you and others on behalf of  
14 Burlington represented to the parties that called?

15 A. Yes.

16 Q. And that was generally what they were  
17 concerned about is they got a notice and didn't know what  
18 it was about and asked you to explain it?

19 A. Correct.

20 Q. Were there formal letters sent out to various  
21 of these parties confirming in writing Burlington's  
22 belief that their interest would not be adversely  
23 affected?

24 A. Yes.

25 Q. I think we've covered, Mr. Wolfe, the slides

1 behind Exhibit Tab Number 2. You could go to the first  
2 slide, which is the locator, again, to show the Examiner  
3 and Mr. Brooks where the Allison Unit lies in relation to  
4 the basin just on the northern edge of New Mexico by the  
5 Colorado border.

6 A. This map here is a locator map. You can see  
7 the towns of Aztec, Bloomfield and Farmington. There to  
8 the left, center left, along with the borders of all the  
9 federal units highlighted in red is the Allison Unit  
10 there along the Colorado/New Mexico border right next to  
11 Navajo Lake.

12 Q. Let's skip down and start with the information  
13 behind Exhibit Tab Number 3. I think you've gone too  
14 far. My book may be different than yours. Okay. What  
15 have you compiled here, Mr. Wolfe?

16 A. This is a list of the orders that have been  
17 granted in the past with regards to exempting us from  
18 notifying parties when we are attempting to commingle a  
19 well. It corresponds with the unit name. As you can  
20 see, most of these are the numbered units and also is  
21 listed the formations which they cover.

22 Q. Let's go down, as an example, and look at the  
23 second entry. There's Canyon Largo.

24 A. Okay. Canyon Largo is covering all formations  
25 that are listed, Fruitland Coal, Pictured Cliffs, Chacra,

1 Mesaverde and Gallup. What that allows us to do is  
2 commingle those wells without giving notice to the  
3 interest owners within the drill block.

4 Q. That's the concept that you're asking the  
5 Division to approve for you for the Allison Unit?

6 A. Correct.

7 Q. To the best of your knowledge, this is as  
8 complete a tabulation of these as you and Mr. Alexander  
9 could generate?

10 A. As far as I'm aware.

11 Q. Turn to the next display behind Exhibit Tab  
12 Number 3. Identify this for me.

13 A. Here displays the approximate number and  
14 location of commingled wells that we have drilled  
15 throughout the basin. This throughout the entire history  
16 of the basin.

17 Q. What is the period of time we're working with?

18 A. This is the amount of commingled wells that  
19 have been drilled to date.

20 Q. Just all of them?

21 A. All of them. Yes, sir. The next slide,  
22 actually, is limited since 1997, when several of these  
23 orders were initiated, giving us the ability to commingle  
24 these wells without giving notice. And we had drilled  
25 1,465 of these wells, and as Mr. Kellahin has stated, we

1 Q. Let's look at the next slide. I have one  
2 that's a little different. Is that it?

3 A. Yes. It's roughly about 200 completions of  
4 the inventory wells. So you if you count up all the  
5 dots, there's not quite 200. That is an indication that  
6 some of these are planned as inventory wells to be  
7 commingled, such as the Dakota/Mesaverde, so there would  
8 be just one spot for that location.

9 Q. Let's go to the next slide, then. Behind  
10 Exhibit Tab Number 4, what do you have, sir? It's the  
11 other way. I'm looking at the cost allocations  
12 procedures, Mr. Wolfe.

13 A. We have a copy of our standard cost allocation  
14 that we use across the basin. And the main thing I  
15 wanted to point out --

16 Q. Before you do that, go back one more slide and  
17 see where we are. Okay. That's in the sequence of the  
18 books now? Mine didn't get correlated the way yours did.

19 MR. BROOKS: Cost allocation procedures  
20 appear to be behind Number 3, Tab Number 3 and behind the  
21 maps.

22 MR. KELLAHIN: That's where mine is. If  
23 you'll turn behind the maps in Tab Number 3, as Mr.  
24 Brooks has indicated, there's a cost allocation procedure  
25 that's on the PowerPoint.

1 Q. (By Mr. Kellahin) Without going through the  
2 document itself describe for us how this is utilized.

3 A. Sure. Let me just highlight this main point  
4 here. Here is the standard cost allocation that we use  
5 across the basin. This has been generally accepted by  
6 the industry. It identifies the Fruitland Coal PC  
7 commingled split fifty-fifty, and commingled  
8 Mesaverde/Dakota is listed here as a 40-60 split  
9 respectively with the Mesaverde/Dakota. This page here  
10 identifies that we do have a standard formula at the  
11 bottom. For any other formations that are to be  
12 commingled, this is the standard formula that is used to  
13 calculate the cost allocation.

14 Q. One of the early issues years and years ago  
15 was the actual allocation of cost among the zones that  
16 were being commingled. Other issues dealt with the  
17 measurement of the production from those, and I'll leave  
18 that for the engineer. But in terms of the cost  
19 allocations themselves, does this document represent the  
20 current industry-wide concept for procedures utilized by  
21 your company and others for allocating costs to these  
22 various zones?

23 A. Yes, it does.

24 Q. It's widely agreed upon?

25 A. Yes, it is.

1 Q. I think that gets me to the end of your  
2 presentation, Mr. Wolfe. Have I forgotten something?

3 A. I don't believe so.

4 MR. KELLAHIN: Mr. Examiner, we move the  
5 introduction of the exhibits behind Exhibit Tab Number 1  
6 through Exhibit Tab Number 3 as part of Mr. Wolfe's  
7 presentation.

8 MR. WARNELL: Tabs 1 through 3 are  
9 admitted.

10 (Exhibits 1 through 3 were admitted.)

11 MR. KELLAHIN: That concludes my  
12 examination of Mr. Wolfe

13 MR. BROOKS: No questions.

14 MR. WARNELL: No questions.

15 MR. BROOKS: I guess I do have one  
16 question. I think I know the answer, but these cost  
17 allocation procedures -- or cost allocation formulas, are  
18 these formulas that have been agreed upon by and between  
19 parties who have negotiated at arm's length and who are  
20 engaged actively in the oil and gas business in this  
21 area?

22 THE WITNESS: We have this agreement in  
23 several of our joint operating agreements throughout the  
24 basin with multiple parties who have agreed to this exact  
25 same form.

1 MR. BROOKS: Who would some of those  
2 parties be?

3 THE WITNESS: Some of the individuals  
4 would be XDO, BP, Chevron, for example.

5 MR. BROOKS: That's all I have.

6 MR. WARNELL: Mr. Wolfe. I have no  
7 questions.

8 THE WITNESS: Thank you.

9 MR. WARNELL: Call your next witness.

10 MR. KELLAHIN: The next witness is our  
11 engineering witness, Ms. Kassadie Gastgeb, neither name  
12 is spelled like you think it should be spelled. I'm told  
13 it's German origin and, beyond that, I know nothing about  
14 this name. I will try not to mispronounce it more than  
15 17 times.

16 KASSADIE GASTGEB

17 Having been first duly sworn, testified as follows:

18 DIRECT EXAMINATION

19 Q. Ms. Gastgeb, would you state your name and  
20 occupation?

21 A. My name is Kassadie Gastgeb, and I am a  
22 petroleum engineer for ConocoPhillips.

23 Q. When and where did you obtain your degree?

24 A. In 2006, I graduated from the University of  
25 Oklahoma with a mechanical engineering degree.

1 Q. Have you practiced as a petroleum engineer?

2 A. I have since June of 2006.

3 Q. With what company?

4 A. ConocoPhillips the entire time.

5 Q. What generally have been your areas of  
6 responsibility?

7 A. Production engineering for a little over two  
8 years, and I just started in the reservoir engineering  
9 group.

10 Q. As part of your duties, are you responsible  
11 for any of the engineering aspects associated with the  
12 Allison Unit?

13 A. I was requested to provide engineering support  
14 to amend our existing order, R-9918.

15 Q. As part of that effort, what have you searched  
16 and utilized as reference material?

17 A. Existing production and existing rules and  
18 reference in the existing order.

19 Q. Have you satisfied yourself that your work is  
20 at a point where you can reach engineering conclusions  
21 about the viability and suitability of amending this  
22 order and achieving what Burlington is seeking by this  
23 application?

24 A. Yes.

25 MR. KELLAHIN: Mr. Examiner, we tender Ms.

1 Gastgeb as an expert petroleum engineer.

2 MR. WARNELL: Ms. Gastgeb, June of 2006  
3 you graduated from the University of Oklahoma and went to  
4 work for ConocoPhillips?

5 THE WITNESS: Um-hum.

6 MR. WARNELL: In Farmington?

7 THE WITNESS: In Farmington.

8 MR. WARNELL: My daughter graduated from  
9 the University of Texas and went to work for Phillips in  
10 Borger, Texas, north of Amarillo. I about killed her.

11 MR. BROOKS: It sounds like this young  
12 lady was a lot luckier.

13 MR. WARNELL: You're a lot luckier. We  
14 recognize Ms. Gastgeb as an expert in petroleum  
15 engineering.

16 Q. (By Mr. Kellahin) Ms. Gastgeb, would you turn  
17 now to the first exhibit sets that are your  
18 responsibility starting with Exhibit Tab Number 3, and  
19 let's talk about what has happened under Burlington's  
20 operation of the existing order approvals when we're  
21 dealing with downhole commingling of Mesaverde and Dakota  
22 wellbores.

23 A. Do you mind rephrasing that? Are we beginning  
24 with Exhibit 4?

25 Q. What is four? Okay. Do you have an overview?

1           A.     Yes.

2           Q.     My fault.  Let's start with the overview.  
3     Show us where we are.

4           A.     Beginning with Exhibit 4, the second page of  
5     Exhibit 4 will display an overview of the San Juan Basin.  
6     There a black square in the middle of the red outline for  
7     the San Juan Basin.  This is the approximate area of the  
8     Allison Unit.  It is close to the -- or it is on the  
9     state line and there are portions of the unit in Colorado  
10    and New Mexico.

11          Q.     Let's look at the next slide.  Give us a  
12    generalized geologic explanation of what are the  
13    producing zones that we encounter in the Allison Unit.

14          A.     If you look off to the top left portion of  
15    this slide, you can see the cross-section of the basin  
16    that we are taking from A to A prime, and if you orient  
17    yourself with the slide itself, A is on the left-hand  
18    side of the slide, which is the south portion of the  
19    basin, and as you go to A prime, it is the north portion  
20    of the basin.  This dotted red line is an approximate  
21    position of the Allison Unit, and you can see that the  
22    Fruitland formation, Pictured Cliff formation, Mesaverde  
23    formation and the Dakota formation are present in the  
24    Allison Unit.

25          Q.     Do you have a sample-type log we could look at

1 to refresh the Examiner's and Mr. Brooks's recollection  
2 of the zones we're dealing with in the Allison Unit?

3 A. Yes, I do, the next slide. So outlined here  
4 are the Fruitland Coal formation, the Pictured Cliffs,  
5 Mesaverde and the Dakota, and if you look off to the  
6 left-hand side of the log, you can see that what is  
7 yellow on the slide and doesn't really appear to be  
8 yellow on the projector is highlighted potential pay.

9 Q. Show us the next slide.

10 A. The next slide outlines Fruitland Coal daily  
11 water production rates within the Allison Unit. What I'd  
12 like to draw your attention to is that above the well  
13 location, which is a circle that is not solid, you'll see  
14 the well number, and below that you'll see your daily  
15 average water rate from the well. You can see that our  
16 water production rates within the Fruitland Coal, the  
17 majority of the unit, are fairly well.

18 Q. How does this information relate back to the  
19 last display?

20 A. We have produced the Fruitland Coal and  
21 de-watered it, and we have developed the Fruitland Coal  
22 fairly well within the Allison Unit.

23 Q. In your opinion, are we at a point in time in  
24 production in the Allison Unit where it becomes viable to  
25 consider commingling of the Fruitland Coal with the

1 deeper zones?

2 A. Yes.

3 Q. And that was the point of the slides?

4 A. Yes.

5 Q. The next one. Let's look at the production  
6 history.

7 A. To orient yourself with this slide, along the  
8 X axis is time. This is -- on the left-hand side, you're  
9 going to have your gross gas production from the unit for  
10 Fruitland Coal. On the right-hand side, you're going to  
11 have water production rates for the Fruitland Coal within  
12 the Allison Unit. What I'd like to show you is that our  
13 red line that is on the slide is outlining our gas  
14 production for the entire unit from the Fruitland Coal.  
15 You can see that we have peak production within the  
16 Allison Unit from the coal. And along with that, the  
17 water rates, we have de-watered -- seen peak water rates  
18 from the Allison Unit and have declined.

19 Q. The next slide. I'm back on track; right?

20 A. Yes.

21 Q. Let's talk about the successes with  
22 commingling.

23 A. Behind Exhibit 5 you'll find documents that  
24 will demonstrate that we have successfully downhole  
25 commingled Mesaverde/Dakota since Order R-9918. The next

1 three slides that I'm going to show you are case examples  
2 of Mesaverde/Dakota wells that have been commingled since  
3 1993. The first well we are going to highlight is the  
4 Allison Unit 11X. This well was completed as a  
5 Mesaverde/Dakota dual well in 1957 and produced with  
6 packer in the hole until August of 1997, which we had  
7 Mesaverde Pay-Add and downhole commingled at that time  
8 with the Dakota.

9           So you can see that the Dakota Production  
10 before and after our commingle, which is indicated by an  
11 arrow on the production plot is continuous. And you can  
12 see that we had up-lift from the pay-add on the Mesaverde  
13 portion of the production.

14           Our next slide is highlighting the Allison  
15 Unit 1R. This well was completed as a Dakota well in  
16 1993, recompleted within the Mesaverde, and we cleaned  
17 out fill in the Dakota in October of 2001. At that time  
18 we also downhole commingled this wellbore. So you can  
19 see we have an established production history for the  
20 Dakota well prior to the commingle. We commingled right  
21 here, and we added pay for the Mesaverde, and then we  
22 produced continuously from the Dakota after the downhole  
23 commingle.

24           Q.     The next one.

25           A.     The next example is the Allison Unit 16. We

1 drilled and completed this well as a Mesaverde/Dakota  
2 dual well in 1958, produced with packer in the hole up  
3 until 2001, in which we commingled it in June. You can  
4 see from this that there was no other major scope of the  
5 workover. You can see that by pulling the packer out of  
6 the wellbore in 2001, both zones benefited from the  
7 commingle and production increased.

8 Q. These, as examples, what's your generalized  
9 engineering conclusion about the feasibility of  
10 commingling as your method of first choice for enhancing  
11 production in the Allison Unit?

12 A. Downhole commingling did not decrease the  
13 value of production throughout the unit.

14 Q. In addition, it's been a benefit to sustain  
15 production within the unit, has it not?

16 A. That's correct.

17 Q. It has become the preferred way to complete  
18 these wellbores?

19 A. That is correct.

20 Q. Let's go to the next slide.

21 A. The next three slides are going to depict our  
22 downhole commingled workovers normalized. Along the X  
23 axis you will see that we have the months leading up to  
24 the downhole commingle with the negative numbers, so  
25 three years before the downhole commingle and three years

1 after. What I'd like to point out is a slight error in  
2 this slide is that the arrow should be scooted over a  
3 little bit and should be pointing to the value right  
4 above the zero on the X axis.

5 This particular slide is depicting downhole --  
6 this particular slide is showing Mesaverde production  
7 before and after downhole commingling. What you can see  
8 from the slide, the downhole commingle for Mesaverde  
9 occurred at this timeframe, and this is the three years  
10 of production before and after the commingle. In my  
11 research in looking at these wells that I used for this  
12 data, in general the Mesaverde had a smaller tubing size  
13 that could not be optimized, and we could not operate  
14 artificial lift efficiently, so we did see an uplift from  
15 the commingle.

16 Q. What do you see in the Dakota?

17 A. Three years before and three years after, you  
18 can see that there is a continuous decline. And, again,  
19 the downhole commingle occurred at month zero.

20 Q. The next slide?

21 A. The next slide highlights the Mesaverde and  
22 Dakota production data that I presented in the previous  
23 three slides but combined together, so that our downhole  
24 commingle occurred at month zero. You can see that the  
25 value of production for the entire wellbore did not

1 decrease as a result of the commingle.

2 Q. Let's turn to the topic of the mechanics of  
3 allocation now. Could you start with the subtraction  
4 method for us?

5 A. I'm going to highlight for you two field tests  
6 that we allocate our production, and the first method is  
7 through the subtraction method. We will clean out the  
8 entire wellbore after the frac and produce the upper and  
9 lower zone together with back pressure applied to the  
10 well through a choke at the surface to simulate area line  
11 pressure. We will achieve a stabilized pressure and flow  
12 the well for a minimum of four hours until we achieve  
13 that pressure.

14 From that point, we will isolate the upper and  
15 lower zone with a plug, and we will flow the upper zone  
16 with back pressure applied to the well through a choke to  
17 simulate area line pressure, and we will achieve a  
18 stabilized pressure by flowing the well for at least four  
19 hours.

20 Q. Is this subtraction method of allocation one  
21 that's been approved by the Division here in Santa Fe, as  
22 well as the district office?

23 A. Yes.

24 Q. Is it applied by Burlington and other  
25 operators on a regular basis?

1 A. Yes, it is.

2 Q. Are there other methods by which allocation  
3 process is determined?

4 A. Yes.

5 Q. Let's look at that.

6 A. The next method is utilizing the spinner  
7 method. On the left-hand side of the slide you'll see  
8 that when we move on the well after our frac, we will  
9 clean out our upper zone and flow the upper wellbore with  
10 back pressure applied to the well through a choke at the  
11 surface to simulate area line pressure. We will  
12 establish a stabilized pressure and flow the well for a  
13 minimum of four hours to obtain a rate.

14 And then second, we will clean out the entire  
15 wellbore, and we will go in the hole with slick line  
16 running a spinner tool, and we will take the value --  
17 meter the production across the lower interval to obtain  
18 a rate for that well, for the lower portion of the well.

19 Q. Has Burlington and other operators relied upon  
20 this method as one of the methods to prove for allocation  
21 of production among zones?

22 A. Yes.

23 Q. Has it been accepted by the Division in Santa  
24 Fe, as well as in the district office?

25 A. Yes.

1 Q. Have there ever been any objections, to your  
2 knowledge, of these methods being applied to commingling?

3 A. No, not to my knowledge.

4 Q. Do you have a sample to give us a generic  
5 understanding of the commingling?

6 A. Um-hum.

7 Q. Let's start with that.

8 A. The next several slides you're going to see in  
9 the exhibit book are going to outline the forms that are  
10 submitted when we went to downhole commingle a well. The  
11 first slide is an administrative checklist that will be  
12 submitted. The next slide, you'll see at the top  
13 right-hand corner, "Form C-103." This form is submitted  
14 when we are downhole commingling pre-approved pools. You  
15 can see that it states the pools that we are suggesting  
16 to commingle and reference the order number in which it  
17 was designated or pre-approved. And we do note that the  
18 commingling will not reduce the value of production, and  
19 we note that we have notified the BLM and our interest  
20 partners.

21 Q. Are there other type of Division forms  
22 utilized for commingling?

23 A. Yes.

24 Q. Let's talk about the other form.

25 A. The next form is C-107A. Your next page shows

1 the administrative checklist that gets submitted with the  
2 C-107A form. In the upper right-hand corner on the next  
3 slide, you'll see, "Form C-107A." This form is actually  
4 one page in your exhibit book. For purposes of the slide  
5 presentation, we divided it in two so it's easier to  
6 read.

7 This C-107A form, I'd like to highlight first  
8 that this is not within the Allison Unit. The form that  
9 we are presenting is an example. This is the Bandy Com  
10 100S. In this particular form, we are recommending to  
11 commingle the Farmer Fruitland Sand with the Base  
12 Fruitland Coal. We've given estimated top and bottom of  
13 the pay section in that column or row.

14 And then our next portion right here that I  
15 would like to highlight is our bottom hole pressure  
16 information. In this particular form, pressure data was  
17 not required because the bottom perforation of the lower  
18 zone was within 150 percent of the top perforation of the  
19 upper zone, so we stayed in that 150 percent rule. Our  
20 allocation at the very bottom row will be supplied upon  
21 completion, because this was submitted prior to the  
22 commingle.

23 Q. When the well is completed, then, you apply  
24 the approved Division allocation methods and then fill in  
25 the blanks and report that to the Division district

1 office?

2 A. Correct.

3 Q. What is significant to us on this page?

4 A. The point I'd like to highlight is the third  
5 question, "All produced fluids from all commingled zones  
6 compatible with each other?" In this particular form we  
7 have checked yes. What I would like to say about the  
8 Allison Unit is that we may have scaling tendencies for  
9 the Mesaverde and Dakota water production, and we have a  
10 current practice right now that we have an active scale  
11 inhibition program for the Allison Unit for downhole  
12 commingle Mesaverde/Dakota wells, and that is across the  
13 board. So we tried to prevent scale precipitating out in  
14 the wellbore. The scale that we do see within the  
15 Allison Unit can be treated with acid, if necessary.

16 Q. Let's take this as an opportunity to go down  
17 the Division commingling rule. I think there's about six  
18 of these procedures that are engineering driven. I'll  
19 just go back and start with the first ones, and I think  
20 you just covered that. If you look at the rule book and  
21 you're trying to get approval for downhole commingling,  
22 one of the things that you, as an engineer, are signing  
23 off on, is whether the fluids from each zone are  
24 compatible and the combined fluids will not result in  
25 damage to any of the pools?

1 A. Yes.

2 Q. You checked that out?

3 A. Yes.

4 Q. In the Allison Unit, there's none of those  
5 problems?

6 A. That's correct.

7 Q. The second blank is, "The commingling will not  
8 jeopardize the efficiency of present or future secondary  
9 recovery projects for any of the pools commingled." Is  
10 that a problem here?

11 A. No, that is not.

12 Q. The next one deals with pressure differential.  
13 The rule sets a maximum differential for pressures. It's  
14 150 percent rule. It deals with the bottom perforations  
15 of the lower zone is within 150 percent of the depth of  
16 the top perforations of the upper zone.

17 A. That's correct.

18 Q. That's the rule the Division applied? Is that  
19 the rule you abide by?

20 A. That is.

21 Q. If you have a wellbore that exceeds that rule,  
22 what do you do?

23 A. We would not be required -- we could not  
24 commingle it at that time unless we could provide  
25 pressure data that would denote otherwise.

1 Q. You normally don't file if it doesn't qualify?

2 A. That's correct.

3 Q. And if you find data that does qualify, then  
4 you submit the actual data and get the approval?

5 A. That's correct.

6 Q. What do you do about the issue of cross-flow?  
7 Certain volumes of cross-flow are allowed. The rule  
8 precludes cross-flow that results in permanent loss. Is  
9 that an issue here in the Allison Unit if the commingling  
10 order is expanded to include the additional pools?

11 A. To my knowledge, that is not an issue.

12 Q. Do you have any reservoirs that are fluid  
13 sensitive such that you could not commingle because of  
14 not being able to comply with that portion of the  
15 compliance rule?

16 A. Not to my knowledge.

17 Q. Do you have any evidence that the combined  
18 value of the production being commingled will be  
19 diminished?

20 A. No, I don't.

21 Q. Do you have, as an engineer, any evidence or  
22 indication that any type of correlative rights will be  
23 violated if this application is approved?

24 A. No, I do not.

25 Q. Let's go to your next slide.

1           A.       The next slide is the Form C-102, as you can  
2 see in the top right-hand corner, and this is attached  
3 with the Form C-107A. Our next slide is a predicted  
4 forecast for the well that is submitted with the Form  
5 C-107A, and the last slide is a copy of the interest  
6 owners involved with the particular well.

7           Q.       This was not an Allison well. This is just a  
8 sample of notices that was sent for this well. This is  
9 an example.

10          A.       Correct. This is for the Bandy Com 100S,  
11 which is noted in the top left-hand corner.

12          Q.       Okay. Ms. Gastgeb, you've spent a substantial  
13 amount of effort looking at the economic aspects of the  
14 commingling. I'd like you to summarize the next  
15 presentation and go through the executive summary points  
16 of this next portion, and I'll just let you do that for  
17 us.

18          A.       In Exhibit 6, the second slide that you will  
19 see is a development strategy assessment for the Allison  
20 Unit. Highlighted on the first column is the points that  
21 I looked into for this strategy. Across the top you'll  
22 see a single completion for each wellbore, a dual  
23 completion and commingle completion. What I want to draw  
24 your attention to is that the highlighted yellow boxes,  
25 which the color is a little distorted on the slide, are

1 the most desirable characteristics. So you can see that  
2 the commingle seems to fit best as a development strategy  
3 for the Allison Unit.

4 The next four slides that are included within  
5 the exhibit outline expenses that could be incurred to  
6 each zone involved with this order -- with this  
7 amendment. So it is the Fruitland Coal first, Pictured  
8 Cliffs, Mesaverde and the Dakota, in that particular  
9 order. What I want to draw your attention to on this  
10 slide is that we are discussing the Fruitland Coal costs  
11 that occur to this particular zone. The blue portion of  
12 the slide is highlighting what type of completion we are  
13 talking about, so in this sense, a stand-alone Fruitland  
14 Coal completion could incur a possible capital expense of  
15 \$866,000, and that the operating cost for the Allison  
16 Unit is estimated at \$3,162 per month.

17 And as we add additional zones and commingle  
18 Pictured Cliffs and Fruitland Coal formation, our capital  
19 cost is reduced to \$452,000 for the Fruitland Coal and  
20 operating expenses are \$1,581 a month to operate. So  
21 this is a consistent trend throughout the next four  
22 slides. As we add additional zones to a wellbore and  
23 commingle, we reduce capital costs across the board and  
24 our operating expenses.

25 Q. The next slides?

1           A.     The next slide is for the Pictured Cliffs, the  
2     Mesaverde and the Dakota.

3           Q.     In each instance, though, the operating cost  
4     and the capital costs are substantially reduced and you  
5     benefit by commingling all these zones together?

6           A.     That's correct.

7           Q.     Do you have a summary slide showing us the  
8     impact of this?

9           A.     Yes.  If you're at the Dakota expenses slide,  
10    if you go down two, I summarized using my cost estimates  
11    that were provided previously and ran several scenarios  
12    in which we have a stand-alone completion versus  
13    Mesaverde/Dakota dual completion and a Mesaverde/Dakota  
14    commingled completion.  As you can see with our capital  
15    inventory that we have within the Allison Unit, if we  
16    were to commingle Mesaverde and Dakota wells, we could  
17    recover the most reserves.  And the same logic would  
18    apply for all other scenarios.  By commingling, both  
19    capital and operating costs are reduced and, as a result,  
20    economic limits for the wells are extended and increases  
21    the gross recovery.

22          Q.     Has Burlington yet commingled the Fruitland  
23    Coal with the lower zones?

24          A.     No, we have not.

25          Q.     With approval of that application, it helps

1 streamline the process by which you can start to engage  
2 in that activity?

3 A. That's correct.

4 Q. What's your recommendation to the Examiner?

5 A. My recommendation is that we be allowed to  
6 commingle Mesaverde, Dakota, Fruitland Coal, without  
7 notifying partners.

8 MR. KELLAHIN: That concludes my  
9 examination, Ms. Gastgeb. We move the introduction of  
10 the exhibits shown behind Exhibit Tabs 4, 5 and 6.

11 MR. WARNELL: Tabs 4, 5 and 6 are  
12 admitted. Questions, Mr. Brooks?

13 (Exhibits 4, 5 and 6 were admitted.)

14 MR. BROOKS: I should have asked this of  
15 the landman, but we weren't talking about production  
16 accounting at that time. Are there other major working  
17 interest owners in this unit, other than Burlington  
18 ConocoPhillips?

19 THE WITNESS: My knowledge of the Allison  
20 Unit is that we have 98 percent working interest.

21 MR. WOLFE: Correct. Burlington has  
22 approximately 98 percent working interest in all  
23 formations. X

24 MR. BROOKS: Who owns the remaining?

25 MR. WOLFE: Various owners.

1 MR. BROOKS: It's widely dispersed?

2 MR. WOLFE: Correct. And that comes up  
3 with the additional 461.

4 MR. BROOKS: Thank you.

5 MR. WARNELL: Ms. Gastgeb, I made a note  
6 to take a look at Tab 5, page 2 of three, if you'll  
7 follow along with me. Probably page 3. Let's go to the  
8 next one. I think you testified there something to the  
9 effect that when it was commingled, you saw an increase  
10 or up-lift in the Mesaverde production?

11 THE WITNESS: Um-hum, and Dakota  
12 Production.

13 MR. WARNELL: And Dakota Production? I  
14 don't see that in the slide before. Do you have any  
15 thoughts as to why?

16 THE WITNESS: The slide before refers to  
17 the Allison Unit 1R.

18 MR. WARNELL: Yeah. That one there. So  
19 what are we referring to there?

20 THE WITNESS: Right here, this particular  
21 well was completed as a Dakota stand-alone well in '93,  
22 recompleted as a Mesaverde, cleaned out fill in Dakota  
23 and downhole commingled in October of 2001. So we only  
24 have previous production history for the Dakota portion  
25 of the well. And up-lift, in this particular case, we

1 may have had two and three-eighths tubing, and we had  
2 plunger lift on this well. And so production was  
3 optimized and we were lifting liquids efficiently, so we  
4 didn't see much of a change in production before and  
5 after. But we were able to add the Mesaverde zone and  
6 reduce operating costs for each zone.

7 MR. WARNELL: If you were to bring the  
8 Fruitland production into this well or a well similar to  
9 this, I kind of wonder if there wouldn't be a problem in  
10 some of the wells that production going downhole, instead  
11 of -- I'm not sure how you separate those.

12 THE WITNESS: I'm unclear on your  
13 question.

14 MR. WARNELL: I'm probably unclear on it  
15 myself. I'm a little bit concerned -- you know, I see  
16 all your slides and examples of the Mesaverde and Dakota,  
17 but when you come uphole and start commingling, I'm  
18 concerned that there might be some problems there.

19 THE WITNESS: Okay. So possibly if you  
20 were to commingle a Fruitland Coal with a Dakota?

21 MR. WARNELL: Yes.

22 THE WITNESS: Okay. In that particular  
23 instance, we would be outside of the 150 percent rule  
24 with our top perforation being within -- bottom  
25 perforation of our lower zone being within 150 percent of

1 our top perforation of our upper zone. So we would need  
2 to submit additional data to support that the reservoir  
3 pressures were similar or closer together.

4 MR. WARNELL: Okay. I have no more  
5 questions.

6 MR. KELLAHIN: That completes our  
7 presentation, Mr. Examiner.

8 MR. WARNELL: Thank you. We will take  
9 Case Number 14281 under advisement.

10 \* \* \*

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. \_\_\_\_\_,  
heard by me on \_\_\_\_\_,  
\_\_\_\_\_, Examiner  
Oil Conservation Division


REPORTER'S CERTIFICATE

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I, JACQUELINE R. LUJAN, New Mexico CCR #91, DO  
HEREBY CERTIFY that on March 5, 2009, proceedings in the  
above captioned case were taken before me and that I did  
report in stenographic shorthand the proceedings set  
forth herein, and the foregoing pages are a true and  
correct transcription to the best of my ability.

I FURTHER CERTIFY that I am neither employed by  
nor related to nor contracted with any of the parties or  
attorneys in this case and that I have no interest  
whatsoever in the final disposition of this case in any  
court.

WITNESS MY HAND this 16th day of March, 2009.

  
Jacqueline R. Lujan, CCR #91  
Expires: 12/31/2009