

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION COMMISSION

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION COMMISSION FOR
THE PURPOSE OF CONSIDERING:

ORIGINAL

APPLICATION OF THE NEW MEXICO OIL
CONSERVATION DIVISION FOR ADOPTION OF
AMENDMENTS TO RULE 19.15.17 (THE PIT RULE);
STATEWIDE

CASE NO. 14292

REPORTER'S TRANSCRIPT OF PROCEEDINGS

COMMISSIONER HEARING

2009 APR 14 AM 9 41

RECEIVED

BEFORE: MARK E. FESMIRE, CHAIRMAN
JAMI BAILEY, COMMISSIONER
WILLIAM C. OLSON, COMMISSIONER

April 3, 2009

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Commission, MARK E. FESMIRE, Chairman, on Friday, April 3, 2009, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico.

REPORTED BY: JOYCE D. CALVERT, P-03
Paul Baca Court Reporters
500 Fourth Street, NW, Suite 105
Albuquerque, New Mexico 87102

INDEX

Commissioner Hearing
CASE NO. 14292

PAGE

APPEARANCES

4

OIL CONSERVATION DIVISION WITNESS:

EDWARD J. HANSEN

DIRECT EXAMINATION BY MR. BROOKS	7
CROSS-EXAMINATION BY MR. HISER	25
CROSS-EXAMINATION BY MR. FREDERICK	48
CROSS-EXAMINATION BY DR. NEEPER	73
EXAMINATION BY COMMISSIONER OLSON	93
EXAMINATION BY CHAIRMAN FESMIRE	99
REDIRECT EXAMINATION BY MR. BROOKS	103
RECROSS-EXAMINATION BY MR. FREDERICK	105

REBUTTAL EXAMINATION BY MR. BROOKS	228
REBUTTAL CROSS-EXAMINATION BY DR. NEEPER	230

OCD EXHIBITS 7, 8, and 9	24
--------------------------	----

NEW MEXICO CITIZENS FOR CLEAN AIR & WATER, INC. WITNESS:

DR. DONALD A. NEEPER

DIRECT EXAMINATION BY MS. BELIN	110
---------------------------------	-----

REBUTTAL EXAMINATION BY MS. BELIN	129
-----------------------------------	-----

CROSS-EXAMINATION BY MR. BROOKS	151
---------------------------------	-----

CROSS-EXAMINATION BY MR. HISER	166
--------------------------------	-----

CROSS-EXAMINATION BY MR. FREDERICK	177
------------------------------------	-----

EXAMINATION BY COMMISSIONER BAILEY	186
------------------------------------	-----

EXAMINATION BY COMMISSIONER OLSON	192
-----------------------------------	-----

1 THE INDUSTRY COMMITTEE WITNESS:
2

3 DR. BRUCE A. BUCHANAN

4 DIRECT EXAMINATION BY MR. HISER 196

5 CROSS-EXAMINATION BY DR. NEEPER 204

6 CROSS-EXAMINATION BY MR. BROOKS 206

7 EXAMINATION BY COMMISSIONER BAILEY 212

8 EXAMINATION BY CHAIRMAN FESMIRE 212

9 CONOCOPHILLIPS WITNESS:
10

11 GREGG WURTZ

12 DIRECT EXAMINATION BY MR. CARR 215

13 CROSS-EXAMINATION BY MR. FREDERICK 222

14 CROSS-EXAMINATION BY DR. NEEPER 223

15 EXAMINATION BY CHAIRMAN FESMIRE 225

16 REPORTER'S CERTIFICATE 236
17
18
19
20
21
22
23
24
25

A P P E A R A N C E S

FOR THE APPLICANT, NEW MEXICO OIL CONSERVATION DIVISION:

David K. Brooks, Esq.
ASSISTANT GENERAL COUNSEL
Energy, Minerals and Natural Resources Department
of the State of New Mexico
1220 South St. Francis Drive
Santa Fe, New Mexico 87505
(505) 476-3450

FOR THE INDUSTRY COMMITTEE:

William F. Carr, Esq.
HOLLAND & HART, LLP
110 North Guadalupe, Suite 1
Santa Fe, New Mexico 87501
(505) 988-4421

and

Eric L. Hiser, Esq.
JORDEN BISCHOFF & HISER, PLC
7272 East Indian School Road, Suite 360
Scottsdale, Arizona 85251
(480) 505-3927

FOR CONOCOPHILLIPS:

William F. Carr, Esq.
HOLLAND & HART, LLP
110 North Guadalupe, Suite 1
Santa Fe, New Mexico 87501
(505) 988-4421

FOR THE INDEPENDENT PETROLEUM ASSOCIATION OF NEW MEXICO:

Karin V. Foster, Esq.
CHATHAM PARTNERS, INC.
5805 Mariola Place, NE
Albuquerque, New Mexico 87111
(505) 238-8385

1 FOR THE OIL AND GAS ACCOUNTABILITY PROJECT:

2 Bruce Frederick, Esq.
3 NEW MEXICO ENVIRONMENTAL LAW CENTER
4 1405 Luisa Street, Suite 5
5 Santa Fe, New Mexico 87505
6 (505) 989-9022

7 FOR NEW MEXICO CITIZENS FOR CLEAN AIR & WATER, INC.:

8 Alletta D. Belin, Esq.
9 BELIN & SUGARMAN
10 618 Paseo de Peralta
11 Santa Fe, New Mexico 87501
12 (505) 983-8936

13 and

14 Donald A. Neeper, Ph.D.
15 2708 B. Walnut Street
16 Los Alamos, New Mexico 87544
17 (505) 662-4592
18
19
20
21
22
23
24
25

1 CHAIRMAN FESMIRE: At this time, we will reconvene
2 Case No. 14292. The record should reflect that this is a
3 special meeting on Friday, April 3rd, 2009, of the New Mexico
4 Oil Conservation Commission.

5 The New Mexico Oil Conservation Commission is
6 convened to consider Case No. 14292. This is the second day of
7 this cause.

8 And I believe, Mr. Brooks, you were about ready to
9 introduce a new witness.

10 MR. BROOKS: Yes.

11 MS. FOSTER: Mr. Commissioner, just for the record,
12 I'd just like to put on the record that Mr. Bill Carr is not
13 present. He does represent ConocoPhillips, as well as the
14 Industry Committee. Thank you.

15 MR. BROOKS: That's what I was going to raise.
16 Mr. Carr's absence was the point I was going to make.

17 MS. FOSTER: Thank you, Mr. Brooks.

18 MR. BROOKS: Okay.

19 CHAIRMAN FESMIRE: Mr. Carr knew we were going to
20 reconvene at 8:30? Does anybody know where he's at?

21 MR. BROOKS: I do not.

22 MR. HISER: I do not. As far as I know, he's going
23 to be here.

24 MR. BROOKS: Here he is.

25 CHAIRMAN FESMIRE: Wait a minute. Here he comes.

1 MR. BROOKS: Should we wait for him? Or do you want
2 to proceed ahead?

3 CHAIRMAN FESMIRE: The record should reflect that
4 Mr. Carr has now walked in the door and is present.

5 MR. CARR: Mr. Chairman, I would like the record to
6 reflect that the clock shows it is now 8:30.

7 CHAIRMAN FESMIRE: I've seen this done at the
8 legislature too.

9 And that having been said, Mr. Brooks, were you ready
10 to introduce your next witness?

11 MR. BROOKS: I call Edward J. Hansen.

12 CHAIRMAN FESMIRE: Mr. Hansen, for the record, you
13 have been sworn; is that correct?

14 THE WITNESS: That's correct.

15 EDWARD J. HANSEN

16 after having been first duly sworn under oath,

17 was questioned and testified as follows:

18 DIRECT EXAMINATION

19 BY MR. BROOKS:

20 Q. State your name, please.

21 A. Edward Hansen.

22 Q. By whom are you employed?

23 A. By the New Mexico Oil Conservation Division.

24 Q. In what capacity?

25 A. As a hydrologist.

1 Q. And what is your background and training, very
2 briefly?

3 A. Well, I have a master's degree in environment
4 science, specializing in groundwater protection from hazardous
5 waste. I have been employed with New Mexico Environment in
6 their -- sorry -- I was employed with the New Mexico
7 Environment Department for approximately 16 years.

8 Prior to my two-and-a-half years with New Mexico Oil
9 Conservation Division, where I've been involved with numerous
10 groundwater remediation cases and various other permitting
11 aspects involved with the oil field.

12 Q. Do you have some experience with working with
13 groundwater modeling?

14 A. Yes, I do. I've performed several model
15 simulations using the HELP model, numbering probably in the
16 thousands, and used the MULTIMED modeling, several simulations
17 numbering in the hundreds, if not thousands, at this point.

18 MS. FOSTER: Mr. Commissioner, I believe that
19 Mr. Hansen did testify at the Pit Rule. I believe that we
20 would stipulate to his qualifications in the interest of time.

21 CHAIRMAN FESMIRE: Is that acceptable, Mr. Brooks?

22 MR. BROOKS: Yeah. I was just about through.

23 Q. (By Mr. Brooks): One more question: Your
24 qualifications -- well, really, two -- your qualifications have
25 been made a matter of record in the previous proceeding?

1 A. Yes.

2 Q. And you have made a study of the effects of
3 proposed rule, the purpose of this hearing?

4 A. Yes.

5 MR. BROOKS: We'll submit Mr. Hansen as an expert
6 hydrologist.

7 CHAIRMAN FESMIRE: Is there any objection?

8 MS. FOSTER: No objection.

9 MR. CARR: No objection.

10 MR. HISER: No objection.

11 MR. FREDERICK: No objection.

12 DR. NEEPER: No objection.

13 Q. (By Mr. Brooks): Mr. Hansen, you're familiar
14 with the --

15 CHAIRMAN FESMIRE: We'll go ahead and accept
16 Mr. Hansen.

17 MR. BROOKS: I apologize.

18 Q. (By Mr. Brooks): Mr. Hansen, you are familiar, I
19 believe, in the matter in which other experts generally testify
20 in these rule-making proceedings?

21 A. As it relates to the chloride concentrations,
22 yes.

23 Q. Yeah. The point I'm making is that normally the
24 expert simply goes ahead and makes their presentation, subject
25 to being interrupted frequently by me or by the Commissioners,

1 but it is not done in a conventional Q & A presentation.

2 So with that, I will invite you to commence your
3 presentation.

4 A. Okay. I was tasked about, I don't know, maybe
5 six or eight weeks ago by my bureau chief at the time to
6 identify -- I have a touch of bronchitis, so if you'll bear
7 with me, I'll blow some hot air over these vocal chords for a
8 while. I kind of get a frog in my throat.

9 So I was tasked by my bureau chief at the time,
10 Mr. Wayne Price, to derive a chloride concentration that would
11 be appropriate for New Mexico for deep trench burials. And
12 with his assistance, we derived a number. And with my
13 presentation, we'll see how that happened, and as part of that,
14 also to model what could be from a potential release from a
15 trench what could be predicted in groundwater from a release.

16 So with that, we used a couple of predictive models.
17 One is called the Hydrologic Evaluations of Landfill
18 Performance, or otherwise commonly referred to as the HELP
19 model. And that model is a water balance model with several
20 computer codes, including a run-off, evaporation,
21 transpiration, et cetera.

22 That model was developed by the United States Army
23 Corps of Engineers for the U.S. EPA. The other model we used
24 was a Multi Media Exposure Assessment Model, or commonly
25 referred to as MULTIMED. That model is referred to as a pseudo

1 two-dimensional computer code because it uses both vadose zone
2 and aquifer transport models. And that was developed by the
3 United States Environmental Protection Agency.

4 The HELP model uses actual daily weather data. It's
5 used for determination of releases from the bottom of unlined
6 pits, or in this case, lined trenches. It's one of the most
7 accurate predictors of release rates from waste disposal areas.
8 It's used in New Mexico, certainly, and by other states and
9 industry.

10 The MULTIMED model uses the HELP output for an input
11 of one of the most sensitive parameters; that's the
12 infiltration rate. It's used for the determination of release
13 concentrations over time in an aquifer, and it's a conservative
14 predictor of release concentrations in times when generally,
15 speaking for environmental concerns -- conservative, meaning it
16 predicts higher concentrations and shorter times -- that will
17 occur in an aquifer.

18 The HELP model has two basic sets of data uses. One,
19 of course, is weather data. And some of the more important or
20 sensitive input variable would be a daily participation. And
21 soil data, it uses various soil components for input
22 parameters, including a liner or liners.

23 So we used one set of weather data for 50 years from
24 1951 through 2000. This data comes from a data-compiling
25 service, and they obtain their data from the National Climate

1 Data Center. We use the Permian Basin, and I would just like
2 to point out this table, which is an excerpt from OCD's
3 Exhibit 16 in Case No. 15 -- sorry -- 14015 -- of course, our
4 last Pit Rule hearing case.

5 And I'll just point out the bottom line here. Our
6 chloride concentrations from our OCD's pit sampling done in May
7 of 2007 and also some Industry Committee sampling results --
8 but, primarily, what I want to point out at this point is just
9 the difference between the maximum SE, which is southeast, and
10 the maximum NW, which is northwest, and the difference between
11 those two.

12 That's really what I -- at this point -- we'll get
13 into some of these numbers later on. But right now just note
14 there's a couple of orders difference between these numbers,
15 these being the southeast and the northwest. The southeast, of
16 course, being a couple of orders of magnitude higher than the
17 northwest.

18 COMMISSIONER OLSON: In regards to those numbers, do
19 you remember what the average was -- I'm just curious -- for
20 the southeast?

21 THE WITNESS: I don't actually remember.

22 COMMISSIONER OLSON: Okay. Sorry. I was curious.
23 Thanks.

24 THE WITNESS: And, of course, this is a map of
25 New Mexico showing San Juan Basin and the Permian Basin.

1 Here's our weather station at Hobbs. This is, of course --
2 this area receives more precipitation in the eastern portion of
3 the Permian Basin than the western portion. This is a more
4 conservative area to choose our weather data.

5 Of course, again, as we saw from our pit sampling
6 data, our primary concern for chlorides is in the Permian
7 Basin. This is where we see the higher chloride concentrations
8 in the pit contents.

9 So we modeled a release from an unlined pit for kind
10 of a baseline to show the difference between what might be
11 released from an unlined pit and what might be released from an
12 on-site trench burial. We used a closed pit with poor
13 vegetation, so we had two feet of soil over the waste.

14 For the release of an unlined trench burial, we, of
15 course, went by the current regulation, which is four feet of
16 soil with poor vegetation. That's being conservative. The
17 liner on top of the waste, which is, of course, required by
18 Part 17 currently. We're not proposing any amendment to that
19 requirement.

20 The waste -- and, of course, the liner underneath the
21 waste, and I put in parentheses "and sides" because through the
22 model we can say no run-off from bottom of that trench so, in
23 effect, we're also including the sides. And, of course, I have
24 a notation down below, "Assuming the liners are installed in
25 accordance with Part 17."

1 So here's a depiction, a cross section of a closed
2 unlined pit that we have as a conceptual model -- not to scale,
3 of course. We have two feet of sandy loam cover. We have the
4 waste about -- we went conservatively with a 12 1/2 feet deep.
5 It wouldn't necessarily be that deep, but it might be.

6 Of course, we have precipitation as a HELP model
7 input. And then by Part 17 rule, we have 100 feet of vadose
8 zone. That is from the bottom of the pit to groundwater. We
9 used parameters for sandy loam to conservative. There could be
10 tighter soils, but, typically, in New Mexico our conservative
11 value would be a sandy loam for a vadose zone.

12 So you'll see here we have the output from the HELP.
13 Of course, it is from the bottom of the pit, and it's used as
14 the MULTIMED input. And MULTIMED output would be -- what I
15 tried to depict is about a meter away from the downgradient
16 edge of the pit and where you see a ten-foot mixing zone in the
17 aquifer. This is a cross section of an on-site trench burial
18 as our conceptual model.

19 Of course, we have, again, precipitation as a HELP
20 model input, four feet of cover by regulation. And then what I
21 have here in the black line is the required geomembrane. And
22 you'll note also that there's a required geomembrane over the
23 top of that trench that we've put into our model.

24 Again, we used about 12 1/2 feet of waste. It could
25 be less, but we wanted to be conservative -- and, again, 100

1 feet of sandy loam for our vadose zone. HELP output, of
2 course, is any leakage that might occur through the liner. And
3 that's used as a MULTIMED input. And, again, the MULTIMED
4 output I tried to depict as about one meter from the
5 downgradient edge of that trench. Also, you'll see the
6 ten-foot mixing zone.

7 So for our -- so we ran the HELP model, and the
8 output values that we have for an annual average release rate
9 is about 1.2 inches per year from Hobbs weather, so we called
10 that Permian Basin. I labeled it as an unlined pit. And we
11 also got a release rate for what I labeled as a good liner.
12 That is a trench that's installed in accordance with Part 17.
13 And that's about .09 inches per year release rate, or roughly
14 about 2.2, 2.3 millimeters per year.

15 Of course, these values were used as input values for
16 the MULTIMED model. So the MULTIMED model, I used several
17 input values. I put up a few ones here. Some of the more
18 important ones, of course, are the source specific values,
19 infiltration rate being very important, and initial
20 concentration, of course. And we'll get into that.

21 And the vadose zone variable, thickness being an
22 important one, and aquifers' specific values, and, of course,
23 the mixing zone being a sensitive parameter. Some of the more
24 sensitive input values we used, of course, were the
25 infiltration rate, and we obtained those from the output from

1 the HELP model. The 100 feet from the bottom of the trench to
2 groundwater, of course, that's required by our current Part 17.
3 The 10-foot mixing zone is a little different than what we had
4 previously used in Case 14015. Previously, OCD used a mixing
5 zone of eight feet. That was derived by the model. But after
6 reading the final deliberations of the Commission, we decided
7 to use the ten-foot mixing zone as a more appropriate mixing
8 zone.

9 And, of course, our primary concern here today would
10 be the chloride concentrations of the release. And for the
11 Permian Basin, which, as we saw, where we would see the higher
12 concentrations in New Mexico for pit contents, we used
13 60,000 mg/L for the initial concentration. I'll point out that
14 the MULTIMED for an input uses mg/L because it uses a leachate
15 concentration. That leachate is what would leak through a
16 liner.

17 So I'll just spend some time on this slide. The
18 proposed value that we have is 3,000 mg/L as our regulatory
19 limit. And starting with that value, that, of course, is after
20 a synthetic precipitation leaching procedure on a sample. And
21 that number represents the reasonable maximum chloride
22 concentration that would occur in pit contents in New Mexico.
23 Of course, that's with allowable stabilization, and we'll get
24 into that.

25 So the 3,000 mg/L chloride concentration, that's

1 using -- again, that's actually the concentration in synthetic
2 leachate -- is the equivalent to the 60 mg/Kg in the trench
3 content.

4 Q. (By Mr. Brooks): 60,000?

5 A. 60,000. So 60,000 is not 3,000, but because the
6 test method will use a 1:20 dilution, that is pit contents to
7 the leaching solution. And because chloride is very soluble --
8 it might be better to say chloride salts that we are concerned
9 about. Generally, sodium chloride is very soluble in water.

10 So what happens is that for the test procedure, you
11 take -- and I'm going to simplify the test procedure -- but you
12 take 100 grams of sample and put it into two liters of water or
13 two liters of leaching solution, which is actually slightly
14 acidic, about a pH of five. So you put it in a leaching --
15 Synthetic Precipitation Leaching Solution, and mix it
16 overnight. And then take a sample of that one solution. Not
17 the solid itself, in this case, or the pit contents or the
18 trench contents itself, but rather taking an analytical reading
19 of the solution.

20 And the reason it's not a 20:1 dilution is that the
21 method itself has a formula that limits it to 20. So it's
22 always going to be a 20 dilution. So, of course, if you divide
23 60,000 by 20, you have 3,000. So 60,000 mg/Kg in the trench
24 contents may be equivalent up to 240,000 mg/Kg.

25 And how that happens is, of course, that by Rule 17,

1 you can mix -- and often should mix -- soil to stabilize clean
2 soils. And what do we mean by clean soils? It means it would
3 be relatively low in chloride. It's not going to be zero, of
4 course, but we're assuming zero here. It might have 50 or
5 200 mg/Kg chloride, and that would add a bit to the chloride
6 concentration in the trench, but we're assuming that clean
7 soils are close to zero for these calculations.

8 So we're taking one part of pit contents and mixing
9 it with three parts of clean soils to come up with four parts
10 that could be disposed of in a trench. And, of course, if you
11 divide 240 mg/Kg, you should have 60,000 mg/Kg.

12 So why 240 mg/Kg? Now, again, I'll direct you to the
13 table I have below of the pit contents that OCD sampled in May
14 of 2007, and you'll see those results. The maximum
15 concentrations that we had as far as mg/Kg were in the
16 neighborhood of 226 -- 226,000 mg/Kg.

17 Also, I'll direct you to the liquid contents of the
18 trench that would be indicative of what the pit contents could
19 be -- waste contents could be, and we have 244,000 mg/L. We
20 didn't take the highest, but rather used the reasonable maximum
21 concentrations that have been observed in New Mexico.

22 So the other factor to consider is that mg/L is not
23 mg/Kg. So how do we obtain mg/L if we have mg/Kg? We assume
24 the worse case that the pit contents would not dissolve into an
25 equal mass of leachate. So we're assuming all of the mass of

1 chloride would go into an equal mass of leachate. And, of
2 course, the leachate is what would come out of the trench.

3 So, of course, our output is chloride concentrations
4 over time and groundwater that is one meter from the
5 downgradient edge of the trench.

6 And here we have depicted our two outputs for
7 MULTIMED, and the red line represents a closed, unlined pit.
8 You see a release after about 140 years that would reach
9 groundwater -- and this is in groundwater, of course. And then
10 we have what we called a good liner. That's the trench burial
11 after about 2000 years, we have a release. And that's with the
12 60,000 mg/L.

13 The summary of those results we have after about
14 2000 years, the groundwater standard for chloride will be
15 exceeded if the trench contents has a chloride concentration of
16 3,000 mg/L SPLP, meaning the synthetic leachate procedure. And
17 the chloride concentrations will peak at about 12,000 --
18 sorry -- 1,250 mg/L in groundwater with a ten-foot mixing zone.
19 This is, of course, assuming 50 mg/L background concentration.

20 So what do we conclude by that? The on-site trench
21 burials with chloride concentrations of 3,000 mg/L -- of
22 course, that's what we're proposing -- or less, then the trench
23 contents will be protective of human health and the environment
24 given the siting design and construction and operational
25 closure requirements of Part 17.

1 I have some references that we used for the modeling.

2 Q. Mr. Hansen, bottom line, then, is your modeling
3 would predict that there would possibly be an impact to
4 groundwater because it exceeds standard -- well, first of all,
5 before I ask you the conclusory questions, let me go back to
6 the slide where you grabbed the time versus -- and that's your
7 slide number 15.

8 Now, Mr. Carr seemed to be a little bit confused
9 about this -- or was it Mr. Hiser, I guess. I don't like for
10 those gentlemen to be confused.

11 MR. HISER: Mr. Carr was.

12 CHAIRMAN FESMIRE: Well, I sure don't like for
13 Mr. Carr to be confused.

14 Q. (By Mr. Brooks): What is the significance of
15 that purple line that goes more or less along the bottom, but
16 not quite?

17 A. Right. That's the WQCC standard for chloride in
18 groundwater at 250 -- actually, in this particular graph, it's
19 set at 200, but --

20 Q. Why is it set at 200?

21 A. Because we are assuming there's a background
22 concentration of 50 mg/L. The standard is actually 250 mg/L.

23 Q. You're assuming there's already some salt in the
24 water? In the groundwater?

25 A. Some chloride, yes.

1 Q. Okay. Now then, your modeling would predict the
2 possible impact to groundwater would cause it to exceed
3 standards as a result of one of these pits that had a maximum
4 concentration of chloride at what point in time?

5 A. The unlined pit?

6 Q. No. The pit -- the deep trench burial done in
7 accordance with the proposed amendments.

8 A. That's approximately 2000 years.

9 Q. Okay. Now, there was some testimony in Case
10 No. 14015 about the useful life of liners; do you recall that
11 testimony?

12 A. I do.

13 Q. Okay. Have you, yourself, done any studies about
14 liners?

15 A. I have not, no.

16 Q. The useful lives that were suggested in that
17 proposing, were they longer than the period of time in which
18 these plastic materials have existed in this world?

19 A. Yes.

20 Q. So one would have to surmise, then, probably that
21 they were based on some kind of modeling procedure,
22 mathematical studies?

23 A. Well, yeah, they were based on, actually,
24 subjecting plastics to extreme conditions. So they were
25 laboratory studies.

1 Q. Right. Okay. Well, a jingle that I was told
2 when I was a child was something about the wonderful one-horse
3 shay who had lasted 100 years to the day -- and I can't
4 remember the rest of the jingle. But, anyway, the point of it
5 was that on the day, the last day of the 100 years it
6 disappeared in a puff of dust.

7 Do things in the real world deteriorate in that
8 manner?

9 A. Well, there may be something, but as far as I
10 know, plastics do not. No.

11 Q. Okay. Now, if this liner were to deteriorate
12 like the wonderful one-horse shay and disappeared in a puff of
13 dust, then you would have an unlined pit on your hands, right?

14 A. Right.

15 Q. And how long would it take from the time the
16 liner disappeared in a puff of dust before it would impact
17 groundwater based on your model?

18 A. Well, approximately 140 years.

19 Q. Okay. But in reality would that happen, or would
20 you expect the liner to continue to have a retarding effect for
21 a longer period of time than its predicted useful life?

22 A. Well, as it came out in Case 14015, of course,
23 those values are half-lives. As explained to me by Dr. Coyner
24 through personal communications, that's -- say in this case we
25 have a 20 mil liner. After -- and the years vary -- but let's

1 say 450 years typical, the half-life would be, say, equivalent
2 of about a 10 mil liner. So at about 1,000 years you might
3 have something equivalent to a 5 mil liner and so on.

4 Q. So what you're saying -- but my point is -- yeah.
5 Okay. That's fine. That's fine. I accept that. Did you
6 finish your answer?

7 A. So the point is that you would still have in --
8 and, of course, the primary concern was not life expectancy but
9 rather installation. So the bottom line is that the tougher
10 you can start with, the better. The tougher liner you can
11 start with the better to ensure a proper installation.

12 And so a 5 mil liner still might be very good at
13 retaining water if it's installed well. But we want to start
14 out with a tough liner like a 20 mil liner to ensure good
15 installation at the beginning so we'll have extended life.

16 Q. Would you expect a well-installed liner to
17 continue to have a retardant effect on the movement of water
18 well beyond its predicted useful life?

19 A. Yes.

20 Q. Okay. Mr. Hansen, do you have copies of OCD
21 Exhibits 7, 8, and 9 in front of you?

22 A. I do.

23 Q. Is Exhibit 7 a copy of your resume?

24 A. It is.

25 Q. Is Exhibit 8 a copy of the PowerPoint

1 presentation that we've just seen?

2 A. It is.

3 Q. And then what is Exhibit 9?

4 A. Exhibit 9 is the modeling output files for HELP
5 and MULTIMED.

6 Q. And were Exhibits 8 and 9 prepared by you?

7 A. They were.

8 MR. BROOKS: I submit Exhibits 7, 8, and 9.

9 CHAIRMAN FESMIRE: Is there any objection?

10 MR. CARR: No objection.

11 MR. HISER: No objection.

12 MS. FOSTER: Was Exhibit 7 prepared by you?

13 THE WITNESS: Yes, it was.

14 MS. FOSTER: That's your resume? Yes? No objection.

15 CHAIRMAN FESMIRE: Mr. Frederick?

16 MR. FREDERICK: No objection.

17 CHAIRMAN FESMIRE: Doctor?

18 DR. NEEPER: No objection.

19 CHAIRMAN FESMIRE: No objection having been stated,
20 we will admit Exhibits 7, 8, and 9 for the record.

21 [OCD Exhibits 7, 8, and 9 admitted into evidence.]

22 MR. BROOKS: I pass the witness.

23 CHAIRMAN FESMIRE: Ms. Foster?

24 MS. FOSTER: I have no questions. Thank you.

25 MR. CARR: No questions.

1 MR. HISER: I guess I get to ask the questions now.

2 CROSS-EXAMINATION

3 BY MR. HISER:

4 Q. Mr. Hansen, it's good to talk with you again
5 about groundwater modeling and vadose zone modeling in the
6 Permian Basin.

7 And I have a couple of questions for you mostly, I
8 think, to examine what I think Mr. Brooks was trying to do,
9 which is the conservatism that you've used in the modeling
10 demonstration that you have presented here for the Commission's
11 consideration.

12 I'd like to start with the HELP model and the
13 MULTIMED model, both. Could you tell me a little bit about how
14 those models were developed and what the intended use of those
15 models were?

16 A. Okay. The HELP model was developed about the
17 time that regulations for hazardous waste landfills and
18 municipal solid waste landfills, those regulations were being
19 developed. And so the concern was, how can we predict how much
20 leachate will be produced from a landfill? How much might leak
21 from a landfill?

22 So they were primarily developed for the use of
23 regulatory agencies to determine those sorts of predictions.

24 Q. And was U.S. EPA involved in the development of
25 these models?

1 A. They were, yes.

2 Q. Now, U.S. EPA is going to be approaching the
3 issue of leachate that's collecting underneath a landfill from
4 a human health and environmental-based concern; is that
5 correct?

6 A. That's correct.

7 Q. And if you have an agency which is interested in
8 evaluating the quality of the leachate underneath the model
9 from a human-health-based and environmental concern, are they
10 going to be choosing a liberal approach, which is minimizing
11 what comes through that liner? Or are they going to be
12 choosing a more conservative approach, which they would try and
13 look at a more worse case situation of what might come through
14 that liner for subsequent evaluation of health impacts or
15 environmental impacts?

16 A. Well, of course, their goal in any modeling
17 exercise is to be as accurate a predictor as we can, but
18 they'll want to use a more conservative approach to account for
19 any variables that the model may not be able to account for
20 otherwise.

21 Q. And one of the ways that EPA assists you as a
22 modeler who's using one of these models is they provide you a
23 set of sort of regulatory recommended parameters for a number
24 of those model inputs; do they not?

25 A. I'm not sure by what you --

1 Q. You would call them like default standards, which
2 they say this thing would be set in a range, but our default
3 set is here, here, here, and here. And then you can adjust
4 those and exercise your modeling discretion, but they provide
5 you some guidelines as to what, in general, their standard
6 default would be?

7 A. Right. But those defaults are based on
8 particular studies that you, again, try to have an accurate
9 prediction, ultimately.

10 Q. And in your selection of the parameters that you
11 presented as a model today to the Commission and to us, you
12 basically have used the regulatory defaults that EPA has
13 recommended, except where you have sort of indicated in your
14 presentation -- or to some extent in Exhibit 9 -- that you've
15 substituted something that would be more site-specific or
16 relevant to New Mexico; is that correct?

17 A. Well, yes and no.

18 Q. Would you care to elaborate on that?

19 A. Yes. Some default values were used for
20 New Mexico -- say, soils. But no, in that we used specific
21 weather data, daily weather data for a particular weather
22 station.

23 Q. But you did that because you were looking at this
24 saying that we're concerned primarily about the leachate that
25 we're going to see from the heavily chlorated areas in the

1 Southeast in which Hobbs would give you a fairly accurate
2 representation of weather conditions in that area. Was that
3 your rationale for the selection of Hobbs?

4 A. Yes.

5 Q. Okay. Now, you gave us, I think, in your
6 PowerPoint exhibit on page 9 -- I don't know if you want to
7 flip back there or not for the benefit of the folks in the
8 audience.

9 This is a little -- sort of a cartoon, if you would,
10 of what a Rule 17 deep trench burial would look like; is that
11 correct?

12 A. That's correct.

13 Q. Okay. Now, in this you talk about -- and I think
14 it's in -- I can't remember if it's in the slide before. Yes,
15 it's in slide number -- two before that, so that would be 7.

16 You talked about sort of what a release from an
17 on-site trench burial, you're talking about four feet of cover
18 or liner, waste, and then liner, and then on down to the
19 groundwater, which is sort of your conceptual model; is that
20 correct?

21 A. That's correct.

22 Q. Now, in fact, your conceptual model is a little
23 more complex than that; is it not?

24 A. Yes.

25 Q. Because if you look at the modeling parameters,

1 you'll see that, in fact, we have a top layer here of about six
2 inches, which is what?

3 A. The topsoil.

4 Q. The topsoil. Okay.

5 A. Yes.

6 Q. And so the topsoil is going to be characterized
7 differently from the -- and then you characterize that as the
8 top 6 to 12 inches. Then you had another layer, which was
9 what?

10 A. That's generally what we call an infiltration
11 layer.

12 Q. Okay. And then you had another layer, which was
13 what?

14 A. Of plastic.

15 Q. Was there a layer between the plastic and
16 infiltration layer presented in your model?

17 A. Well --

18 Q. You can look at Exhibit 9 if you need to refresh
19 your memory.

20 A. Okay.

21 Q. And I believe this is in the section where you're
22 presenting different layers.

23 A. Yes.

24 Q. And I would help you out with a page number, but
25 I don't have any sticky tabs with me today.

1 A. It uses 6 inches as a lateral drainage layer.

2 Q. Okay. So you had 6 inches of a lateral drainage
3 layer. And what's that layer used for?

4 A. That represents what precipitation might shed off
5 of that top plastic L-shaped trench.

6 Q. Does it typically have any difference in
7 composition from the layer up above it?

8 A. In this case, no.

9 Q. So you assume that it did not?

10 A. I assume that it did not.

11 Q. And then the next layer down was -- was that
12 where your liner came in?

13 A. That was the plastic, yes.

14 Q. Okay. And then you had another layer, which was
15 represented in the waste, if you would. In other words, the
16 stabilized pit contents?

17 A. Yes.

18 Q. And then another layer of --

19 A. Of plastic.

20 Q. -- of liner. And then, finally, you get to the
21 vadose zone, and ultimately down way below that we get to 100
22 feet below per the rule. We're assuming that's where the
23 aquifer would be present; is that correct?

24 A. That's correct.

25 Q. Okay. Now, if in your modeling -- you didn't

1 actually model real constituents, did you?

2 A. Well, it's called a default chemical for modeling
3 purposes. The default chemical would be what we call a
4 conservative constituent.

5 Q. But, anyway, you don't enter the term "chloride"
6 and the model doesn't adopt any particular physical chemical
7 characteristics for chloride?

8 A. Right.

9 Q. It just uses a series of parameters that you've
10 established in model input; is that correct?

11 A. In this case, that's correct. I mean, you could
12 assign some particular attenuating factors to particular
13 constituents, but in this --

14 Q. But in this particular case, if I look at the
15 model inputs, every place where there's a value that can be put
16 in I see that there's zero, which means you're assuming that
17 there's no -- there's none of that impact occurring on the
18 concentration of this chemical, which is moving through these
19 different horizons.

20 A. That's correct.

21 Q. That's speaking of the biological chemical
22 reactions; is that correct?

23 A. That's correct.

24 Q. So pretty much what you're doing is you're just
25 looking at the gravimetric drop and what's going to stick to

1 stuff as it's going on. It's just a physical matter as it's
2 going through all those layers.

3 A. As a contaminant goes through the vadose zone,
4 some will retain in the residual water that's in the vadose
5 zone. But other than that -- I mean, that's correct.

6 Q. Okay. Now, you've got a number of years of
7 modeling of groundwater hydrology in the State of New Mexico,
8 correct?

9 A. That's correct.

10 Q. And just as a matter of general, I guess, truth
11 in modeling, would you expect that chloride would behave
12 exactly like this tracer? Or would it, in fact, exhibit some
13 of those characteristics that you've set for purposes of this
14 model today?

15 In other words, does chloride bind chemically to any
16 of the constituents that may be present in the earth's crust?

17 A. There may be some binding.

18 Q. And you see that just as a matter of physical
19 principle, don't you, in different levels of dissolution that
20 might occur in the various chloride salts? Where sodium
21 chloride is one level of solubility, magnesium chloride may
22 have another, iron chloride may have a much different
23 solubility than, say, sodium chloride, correct?

24 A. That's correct, yes.

25 Q. Okay. Although your general agreement is that of

1 the various things, chloride tends to be more soluble of all
2 the constituents, which is why we've talked about it in this
3 hearing; is that correct?

4 A. That's partially correct, yes.

5 Q. But you would expect from the exercise of your
6 experience that in reality -- now, I'm talking about what's
7 happening on the ground as opposed to what's happening in the
8 computer model -- that you would see some level of that
9 chemical or other binding that may occur as it's traveling down
10 through these layers, which would be different from none of
11 that which is being predicted in the model; is that correct?

12 A. That is correct, yes.

13 Q. Okay. Now, one of the questions I have as well
14 is that you were looking at an aquifer -- and what's the major
15 aquifer in the southern region of the state?

16 A. Well, a large aquifer in the southeastern part of
17 the state is the Ogallala aquifer.

18 Q. And approximately how thick, I guess, is the
19 proper term for that aquifer? I know it varies, but if you
20 were to give sort of a general average.

21 A. Well, for modeling purposes, we use 70, which is
22 70 feet, which might be on the thicker end of the Ogallala.

23 Q. Okay. And then you used a thinner percentage of
24 it actually being actively mixed; is that correct?

25 A. That's correct.

1 Q. And that thinner percentage is -- are you saying,
2 then, that the mixture is going to be -- that the chloride is
3 only going to float around on the top ten? Or do you use that
4 because you were setting some sort of finite bound where you
5 were going to evaluate the number that you were getting out of
6 the model?

7 A. Well, we use ten as an appropriate mixing zone at
8 the bottom of the trench. So I don't know what you mean by
9 floating, but that's where we wanted to capture what would be a
10 concentration at the bottom of the trench.

11 Q. So the mixing zone then -- let me see if I
12 understand what you used it for -- actually, the average
13 concentration within that area is what you measured as your
14 model output, and that's how you came up with the red line and
15 green lines, respectively, for the unlined pit and the lined
16 pit?

17 A. For that ten feet, yes.

18 Q. Okay. And if you were to, over the fullness of
19 time, look at that, would you expect that that concentration
20 would become higher or lower as material moved and dispersed
21 throughout the water in the aquifer?

22 A. Well, it would depend where in relationship to
23 the trench you were to take that. I mean, at one meter -- we
24 would conservatively want to say that at one meter away we're
25 going to say it's still ten feet.

1 Q. Right. But if I were to say go ten meters away,
2 what would happen?

3 A. Well, it could disperse somewhat and have a lower
4 concentration.

5 Q. Okay. And you used the one meter as a convention
6 to give us a common point of measurement between a couple of
7 programs. Is that why you chose that point?

8 A. Well, yes.

9 Q. Not to mention the Commission has beat it out of
10 you in the last year and a half?

11 A. And just due to HELP model -- or sorry --
12 MULTIMED input limitations.

13 Q. Okay. So sort of driven in part by modeling
14 convention?

15 A. Right.

16 Q. So now, you were looking at the -- you've chosen
17 this number of 250 as a point of comparison with chloride.
18 Where does that number come from?

19 A. That's the WQCC standard for chloride groundwater
20 in groundwater.

21 Q. Okay. And when we're assessing whether or not a
22 material which is going to be discharged or deposited complies
23 with that number -- speaking now in the Water Quality Control
24 Commission sense -- where do we evaluate that concentration?
25 Is it at the point where the waste is? Or do we evaluate it at

1 the place which is -- place of withdrawal for present or
2 reasonable foreseeable future use?

3 A. Well, the rule -- it's at the place of withdrawal
4 for present or foreseeable future use --

5 Q. Okay. Now --

6 A. -- which could be one meter away.

7 Q. It could. It could be further. But that's what
8 the rule specifies; is it not?

9 A. It is.

10 Q. Okay. I want to go back and talk a little bit
11 more conceptually about your model. You were here in the
12 previous pit hearing; were you not?

13 A. I was.

14 Q. And you probably remember Dr. Buchanan who
15 testified at that hearing and is going to be testifying yet
16 again at this hearing.

17 A. I do remember. Although I was not here for --

18 Q. For all this testimony?

19 A. Yes.

20 Q. One of the topics that came up in that was
21 something that's called the chloride bulge. Do you remember
22 what the chloride bulge is?

23 A. I wasn't here during that.

24 Q. I will refresh you. Subject to Mr. Brooks
25 objecting here in a little bit.

1 The chloride bulge is -- he testified that a lot of
2 places around New Mexico in the native soils you see one level
3 of chloride in the upper levels of the horizon, and then
4 there's sort of a bulge where there's a higher level of
5 chloride, and that varies in its depth below the surface.

6 Does that sound familiar to you?

7 A. It doesn't. Like I say, I wasn't here for most
8 of his testimony.

9 Q. Have you done any soil profile characterization
10 yourself or where you would have had a reason to look at
11 chloride levels between the surface and the groundwater?

12 A. I haven't personally conducted those, but I have
13 reviewed many of the vadose zone monitoring results.

14 Q. Well, since it's not -- since you're not
15 comfortable with that, let me just ask you a different
16 question, and maybe we can approach it that way.

17 Under the models that you've presented here, which is
18 the HELP model and the MULTIMED model, do those models account
19 for the ability of chloride to stay in the upper level of
20 horizon? Or are they always going to move that chloride maybe
21 slowly but ineluctably downward?

22 A. Well, in our particular model, we didn't use any
23 variation throughout the vadose zone. We assumed one type of
24 material. So in this case, we didn't account for -- it could,
25 if other types of soils were used.

1 Q. So there could be a difference depending on the
2 material that was passing through? And, basically, the only
3 thing that you were looking at -- or as you explained to me
4 earlier -- that your models do is it would keep some chloride
5 that would be hung up in the residual water as it's passing
6 through these different zones; is that correct?

7 A. That's correct.

8 Q. So it's not addressing other mechanisms that may
9 be present?

10 A. That's correct.

11 Q. Okay. Now, I'd like to flip to one assumption in
12 particular -- and let me see if I can find it. I've lost my
13 place now. And that's where it's the big slide where you're
14 sort of presenting all of the stuff about the model. Maybe you
15 can remember where that is. It's towards the end. Here it is.
16 It's on page 13. It's your MULTIMED conceptual model input.

17 And as I understand it, you said that we have 3,000
18 mg/L Synthetic Precipitation Leaching Procedure, which is the
19 waste limit that the Division is proposing, correct?

20 A. That's correct.

21 Q. And then in your second slide, you're trying to
22 say that well, that procedure itself has dilution factor in it,
23 and so, in fact, the mg/Kg that might be there could be larger,
24 perhaps as much as 20 times.

25 Is that what you're showing in your second bullet

1 point?

2 A. Yes.

3 Q. And then in your third bullet point, as I
4 understand it, you're trying to account for the fact that the
5 rule would allow, and in some cases good engineering practice
6 requires, there be some mixing of non-contaminated -- let's use
7 that term -- for soils in order to stabilize the materials
8 that's going to be placed in that deep trench that you could
9 work with with equipment; is that correct?

10 A. That's correct.

11 Q. And so you're saying that might be looked at like
12 a 4:1 ratio, so potentially as much as 240,000 mg/Kg, and so
13 this number corresponded reasonably well to the OCD's sampling
14 results that they had done in the previous Pit Rule,
15 Case 14015; is that correct?

16 A. Other than -- yeah. As the rule calls out, 1:3
17 ratio for pit contents to clean soils, giving a 4x solution,
18 yes.

19 Q. Now, what I want to do is I want to really focus,
20 though, on this last bullet point. Because this is the one
21 that, to me, is perhaps a little bit more troubling.

22 Now, here you've said that 60,000 mg/Kg chloride
23 concentration in a stabilized trench -- which is as I
24 understand it is the 240,000 divided by four, which is what you
25 and your counsel just spoke about -- it equates to 60,000 mg/L

1 in the leachate.

2 How did you arrive at that conclusion?

3 A. Well, as I said, we took what could be a worse
4 case, all of the chlorides dissolving into an equal mass of
5 leachate, to have an equal concentration.

6 So that's, I mean, using the most conservative
7 approach.

8 Q. Now, if one goes to a standard engineering test,
9 wouldn't you find that the equation for the conversion from
10 mg/Kg in the soil to the pore water would be more in the line
11 of the concentration of the pore water equals a row factor over
12 divided by theta, which is the infiltration rate times the
13 concentration of the soil?

14 A. Well, typically, both densities would be taken
15 into consideration; however, what we're focusing on is what
16 might possibly leach through plastic, which would not be pore
17 water.

18 Q. Well, what we have is, respectfully, 40
19 millimeters to 120 millimeters of plastic and 100-how-many
20 feet -- 130 feet -- 125 feet of non-plastic. And so does that
21 assumption hold for the area where we have soil or soil-like
22 material?

23 A. What we're concerned about is the bottom of the
24 trench, and what can come out of it. So at the bottom of a
25 trench and what can actually go through that thin layer of

1 plastic is what we're concerned about rather than --

2 Q. So I mean, but if we're assuming an equal
3 concentration of -- well, let me back up.

4 So you did not apply the standard engineering
5 equation to the soils and stuff that's going through; is that
6 correct?

7 A. It wasn't appropriate, that's correct.

8 Q. So your argument is that it's not appropriate
9 because we have a plastic liner at the bottom of this layer,
10 and that's your testimony?

11 A. Yes, yes.

12 Q. Okay. All right. Now, so basically you're
13 saying that we've assumed that if I had 240,000 mg/Kg of
14 chloride in the original plan and I've got that down to 60,000,
15 that we have roughly a 1/16 or a 1/6, somewhere in that range,
16 of this thing is water.

17 Is that consistent with the stabilization
18 assumptions?

19 A. Could you -- sorry. Could you repeat that?

20 Q. Well, I'm just -- because you're assuming that
21 we're taking all of the salt that's in here, and we're mixing
22 that with an even quantity of water.

23 First of all, I guess my question is, how did we get
24 that water in here given the amount of precipitation that's
25 available, the fact that it has to pass the paint filter test

1 when it goes in, the fact that we have a shedding layer over
2 top of it, and that we have vegetation?

3 A. Right. Okay. Let me -- I see your concern. And
4 let me back up a little bit.

5 The 60,000 mg/L is what we have to -- well, the mg/L
6 is what we have to put into our MULTIMED. That's an assumption
7 that we have to use for MULTIMED modeling.

8 Q. 60,000 mg/Kg or 60,000 mg/L?

9 A. Just mg/L. It doesn't matter the concentration.
10 That's what we have to use for MULTIMED.

11 Q. But if that number is wrong it brings into
12 question the rest of the MULTIMED results; would it not?

13 A. So what we do is relate it back -- we want to
14 relate it back to the actual test method, which is, again,
15 taking 100 grams of a sample and putting it into two liters of
16 a solution. And so this 60,000 mg/Kg relates directly to
17 60 mg/L similarly as we would take, say, 1,000 milligrams of
18 sample and putting it into a liter of water and shaking it
19 overnight, something like that.

20 Q. But the analogy, Mr. Hansen, I think makes me
21 even more nervous. Because if we're using 100 milligrams to
22 two liters, and you're saying we're using that same analogy
23 here, and say that I've got -- I'm lost -- 100 kilograms or
24 100,000 kilograms of pit contents, I'm modeling that by two
25 liters. In comparison to that, I now have a veritable ocean of

1 water, do I not, that I'm trying to mix in order to achieve
2 that pore water concentration?

3 A. Well --

4 Q. Two liters of water to 100 milligrams is a lot of
5 water and not very much solid.

6 A. You do, but what comes out of the plastic would
7 be a similar mixing -- I mean, would have a chance to dissolve
8 into that leachate.

9 Q. But, Mr. Hansen, are you asking the Commission,
10 then, to believe that the amount of chloride that will enter
11 the pore water is going to be the same whether I have my trench
12 full of pool water and a little bit of soil versus whether I
13 have virtually a dry trench, which is a little bit of water
14 which is mostly tied up with particles?

15 Because that's what you're asking us to do; is it
16 not?

17 A. No, no. If you have, say, 60,000 mg/Kg in that
18 trench contents and it comes in contact with water, then we
19 call that leachate. And what would go through a plastic liner,
20 we're saying worse case could be 60,000 mg/L.

21 Q. So you're assuming that all water -- so,
22 basically, you're asking us to say that, regardless of general
23 engineering, which says that pore water does not take all of
24 whatever it's exposed to but leaves some of it attached to
25 whatever has been there before, you're going to assume that

1 goes there, and all that pools on top of the liner, and that
2 just goes through, even though the leachate test that you seem
3 to be using as the basis for that assumes a large volume of
4 water with a small quantity of waste, whereas we have, by your
5 own rule, a lot of waste and as little water as we can possibly
6 have in it?

7 Is that sort of an accurate portrayal of what we're
8 hearing?

9 A. That's true, but keep in mind that what we've
10 modeled is about .09 or, say, 2.2, 2.3 millimeters per year.
11 So that's a small amount of water and small mass of chloride.

12 Q. Yes. But it would be even smaller if the point
13 that I'm making is correct.

14 A. It would still have that same mass, even though a
15 small volume of water would be going through that plastic.

16 Q. It would still have the same leachate rate, but
17 it might have a different chloride load; is that not a correct
18 statement?

19 A. Like I say, we assumed worse case.

20 Q. Would you be surprised if the standard
21 engineering equation -- that your assumptions differed by a
22 factor of ten?

23 A. I would be, yes.

24 Q. Okay. What about by a factor of two?

25 A. I would say somewhere between three and five.

1 Q. Okay. Now, I've got, I think, one last question.
2 I think that Mr. Brooks was talking to you about the impact of
3 the liner. And, basically, when you modeled this, did you use
4 the assumption that liner disappeared after the working life,
5 or -- it wasn't clear to me from the line of questioning if
6 that was the assumption that you used or what. So could you
7 just tell me again?

8 A. No. I mean, we didn't assume that, no.

9 Q. Okay. You didn't. So you assumed that -- what
10 you were talking about the half-life where you thin the liner
11 each successive period or --

12 A. Right, right.

13 Q. Okay. Thank you.

14 Now, it would seem to me, I guess -- one last
15 question. I'm going to steal Mr. Frederick's fire here.

16 MR. FREDERICK: Don't do that.

17 MR. HISER: Well, I figure you're going to make the
18 point. I may as well make it first.

19 Q. (By Mr. Hiser): Your model results appear to
20 show that there's going to be an exceedence of water quality
21 standard under all these assumptions; is that correct?

22 A. That's correct.

23 Q. Now, isn't it your job as the Division to ensure
24 the protection of these water quality standards?

25 A. It is.

1 Q. So how can the Division be here in front of the
2 Commission proposing this approach where you're showing that
3 there's going to be a modeled exceedence? Or do you believe
4 looking at all the things that the model has left out that if
5 you account for those things the actual centration is going to
6 be at or about the water quality standards that the Division is
7 sworn to uphold?

8 A. Well, as we've discussed earlier, those standards
9 are for the present and reasonably foreseeable future, even
10 though reasonably foreseeable future has not been defined.
11 It's typically referred to in terms of hundreds of years. Here
12 we're talking about thousands of years. So even if this were
13 true, I'm not sure we can call it reasonably foreseeable
14 future.

15 Q. Okay. So you're comfortable that either the
16 conservatism of the model or else the distance that the
17 chloride may be showing up is far enough out that this proposal
18 would fully comply with the Water Quality Control Commission
19 water quality standard for chloride at 250 mg/L?

20 A. That is correct, yes.

21 Q. And you would agree that there are a number of
22 levels of conservatism that have been built into this exercise?

23 A. Yes.

24 MR. HISER: I don't believe that I have any other
25 questions.

1 But, Mr. Chairman, if you'll indulge me for just a
2 minute so I can look through my notes?

3 CHAIRMAN FESMIRE: Sure.

4 MR. HISER: I do have one question. I'm sorry.

5 Q. (By Mr. Hiser): It goes back to your assumptions
6 on page 7. And this is a question which I think is near and
7 dear to Commissioner Bailey's heart, and that is that the
8 release from an on-site trench burial, four feet of soil
9 covered with poor vegetation, are you telling me that the
10 Division's proposed standards that were done by the Pit Rule
11 after all that discussion is just going to result in poor
12 vegetation for hundreds, if not thousands, of years in the
13 future? Or was that just a convenient thing that you grabbed?

14 A. Well, again, that's a conservative value we
15 placed into our modeling.

16 Q. Now, does the Division believe that we're
17 actually to see better vegetative recovery with the standards
18 adopted by the Pit Rule in Case 14015?

19 A. Considering that you do have to reestablish
20 vegetation and monitor for a couple of years, yes, we do
21 believe it would be better than that, yes.

22 Q. All right. So that would also tend to reduce the
23 water loading going into the trench area potentially with
24 future infiltration; is that correct?

25 A. That's correct.

1 Q. Okay.

2 MR. HISER: I believe that concludes all my
3 questions, Mr. Hansen. Thank you.

4 CHAIRMAN FESMIRE: Mr. Frederick?

5 MR. FREDERICK: All right, Mr. Chairman. Do you want
6 to take a break before I go ahead? Or do you want to just plow
7 through this?

8 CHAIRMAN FESMIRE: How long do you think it's going
9 to take?

10 MR. FREDERICK: Oh, probably at least a half hour.

11 CHAIRMAN FESMIRE: Okay. Why don't we go ahead and
12 take a ten-minute break and reconvene at five minutes to 10:00
13 on that clock.

14 [Recess taken from 9:44 a.m. to 9:58 a.m., and
15 testimony continued as follows:]

16 CHAIRMAN FESMIRE: Okay. Let's go back on the record
17 in Case No. 14292. The record should also reflect that, again,
18 all three Commissioners are present. We, therefore, have a
19 quorum.

20 I believe, Mr. Frederick, you were about to begin
21 your cross-examination of Mr. Hansen?

22 MR. FREDERICK: That's correct, Mr. Chairman.

23 CROSS-EXAMINATION

24 BY MR. FREDERICK:

25 Q. Good morning, Mr. Hansen. How are you?

1 A. Good morning. I'm doing quite well.

2 Q. Good. Was it your idea to change the standard
3 from 250 mg/L chloride to 3,000?

4 A. No. No, it wasn't.

5 Q. Who came up with that number?

6 A. Well, the 3,000?

7 Q. Yes.

8 A. As I said, I was tasked by our bureau chief at
9 the time, Mr. Wayne Price, to explore what might be an
10 appropriate number for a typical drilling operation in
11 New Mexico for deep trench burial. So, as described in this
12 presentation I've just given, based on sample results, we
13 derived the 3,000 --

14 Q. Okay.

15 A. -- the sample results of pit contents.

16 Q. So most of the oil field waste would qualify for
17 deep trench burial?

18 A. Given -- taking the other siting criteria into
19 consideration, then, of course, one of the primary siting
20 criteria would be the 100 feet to groundwater. Yes, it would.

21 Q. Okay. Now, in deciding to change the rule, was
22 there any new data that led you to change the rule besides just
23 Mr. Price telling you to?

24 A. Not that I was aware of, no.

25 Q. Okay. Any experience or anecdotal information

1 that caused you to up the standard to 3,000?

2 A. Not that I was aware of, no.

3 Q. Okay. Do you know how many more on-site trench
4 disposals there may be as a result of this change?

5 A. I don't.

6 Q. Any idea as far as orders of magnitude? Ten
7 more? 100 more? 1,000 more?

8 A. I couldn't speculate. I'm sorry.

9 Q. Okay. And coming up with the 3,000 mg/L, did you
10 consult anybody outside the agency?

11 A. No.

12 Q. Did anybody review your results outside the
13 agency after you came up -- view your modeling results before
14 this hearing outside the agency?

15 A. Other than through the hearing process, no.

16 Q. Okay. Now, you testified that the 3,000 mg/L,
17 based on your modeling results, would be protective of public
18 health; is that correct?

19 A. That's correct.

20 Q. And is that the purpose, general purpose of the
21 Pit Rule? To protect public health?

22 A. One of the general purposes, yes.

23 Q. Okay. And in the last hearing you testified in
24 favor of a 5,000 mg/L standard; is that right?

25 A. That's correct, yes, for trench burials.

1 Q. Okay. And you also testified at the same time,
2 though, that on-site deep trench burial should be minimized; is
3 that correct?

4 A. That's correct.

5 Q. Why was it important in the last hearing to
6 minimize on-site deep trench burial?

7 A. Well, at that time, of course, we had no idea
8 what would be the final rule by the Commission. I think the
9 Commission made great strides forward in that we have acquired
10 liners for pits and for on-site burials.

11 So at that time, we didn't even know that was going
12 to happen or what kind of material that might be. So given
13 those unknowns, we wanted to try to limit trench burials.

14 Q. Okay. In your model, you assume a surface area
15 that waste disposal site is a half an acre?

16 A. Yes.

17 Q. Okay. Is that typical? Can they be larger? Can
18 they be smaller?

19 A. Yes, it could be smaller. It could be larger.
20 But I think that's typical.

21 Q. Okay. All right. And that area is uncontrolled?
22 There's no fencing around it?

23 A. That could be the case, yes.

24 Q. And are you aware of any legal prohibition about
25 the use of the surface over that deep site trench burial site?

1 A. For on-site burials, for surface use over that
2 area, you do have to obtain permission from OCD as I recall
3 from Part 17.

4 Q. So the surface owner, does OCD have control or
5 jurisdiction over what the surface owner does with respect to
6 the surface?

7 A. No. The operator has to petition the Division.

8 Q. But the surface owner doesn't have to petition?

9 MR. BROOKS: Mr. Chairman, I would object to his
10 asking this question. This witness doesn't know what the OCD's
11 jurisdiction is since that's a legal question.

12 CHAIRMAN FESMIRE: I think he can ask if he knows and
13 respond from there. We'll overrule the objection with that one
14 caveat.

15 THE WITNESS: Well, OCD's jurisdiction over surface
16 owners, my limited knowledge of it is --

17 Q. (By Mr. Frederick): If you don't know, that's
18 fine.

19 A. I don't know.

20 Q. Okay. Now, do you know whether under the rule
21 the boundaries of the pit are required to be demarcated in any
22 way?

23 A. Under the rule, they're not required to be
24 demarcated on the surface; although, we do require that it be
25 noted on a deed or similar device.

1 Q. Is there any leak detection required on these
2 on-site disposals?

3 A. No.

4 Q. Any monitoring of groundwater soil after they're
5 complete?

6 A. Not required.

7 Q. And no inspection of the liner installation by
8 OCD before the waste goes in it?

9 A. OCD could possibly inspect it, given that they're
10 required to have to notice the OCD prior to closure, but it's
11 not required that OCD inspect it.

12 Q. Were you concerned in the last hearing about the
13 cumulative impacts of on-site deep trench disposals?

14 A. Yes.

15 Q. Can you explain the nature of your concern there?

16 A. Well, if there are disposals, several disposals
17 in a limited area -- even though each individual disposal may
18 contribute a small amount of chloride -- if there are several
19 disposals in a limited area, that could accumulate in the
20 groundwater to have a broader impact on the groundwater.

21 Q. Okay. Under the current rule with the 250 mg/L
22 chloride standard, would on-site trench disposal be the
23 exception to the rule?

24 Let me rephrase that. Would the eligibility -- if
25 you just considered the SPLP test, would the current standard

1 eliminate most oil field waste from on-site trench disposal?

2 A. I would make a comparison to, say, sample
3 results -- say, OCD sample results to what that, you know --

4 From what I can recall, I would say perhaps in the
5 southeast portion of the state that might be an appropriate
6 statement, yes.

7 Q. Okay. So it would minimize deep on-site trench
8 disposal in the southeast anyway?

9 A. Yes.

10 Q. And that's no longer the case under that -- or
11 that will no longer be the case under the proposed change of
12 3,000 mg/L? Most waste would not qualify?

13 A. Well, again, excluding -- if you exclude the
14 siting criteria, that would be true. But, of course, with the
15 siting criteria of 100 feet to groundwater, I'm not sure.

16 Q. Okay. Now, the rule doesn't place any limit
17 on -- and we're just talking about leachate contents here. It
18 doesn't place any limit on TDS; is that correct?

19 A. That's correct.

20 Q. Okay. And with respect to manganese or sulfates,
21 iron or zinc?

22 A. That's correct.

23 Q. Okay. Why does the rule --

24 A. I'm sorry. As far as testing goes.

25 Q. Okay. Why does the rule require the leachate to

1 meet 3103A standards, in your opinion?

2 A. Well, in my opinion, it would be because -- and I
3 think Commissioner Olson kind of hit it -- a material, if the
4 trench happened to be dug into and exposed that 3103A, which
5 is, of course, those are the human-health-based standards, we
6 want to have an additional level of protection built into a
7 permanent disposal site.

8 Q. Do you know whether chloride, excessive levels of
9 chloride, have any effect on human health?

10 A. Well, from my education, I know that, say,
11 drinking seawater can be detrimental to human health. So a
12 very high concentration of saltwater could be -- of course,
13 that would include chloride.

14 However, the human body is quite adept at devoiding
15 salt. Of course, chloride has -- the standard in WQCC is an
16 anesthetic standard. It's not a human health standard, but
17 rather a standard that might impact taste or odor or color or
18 something.

19 Q. Okay. If the leachate exceeds the 3,000 mg/L
20 chloride standard, is there any correlation between chloride
21 and -- between the chloride concentrations and TDS, sulfates,
22 manganese, or any other of those 3103B standards?

23 A. Okay. I think I understand what you're asking.
24 I mean, as we, of course, stated before, chloride being one of
25 the more conservative constituents -- in other words, it wants

1 to pass through the vadose zone without any attenuating factors
2 more so than -- or has less attenuating factors than other
3 constituents might have, like you mentioned; however, some of
4 these other standards -- or constituents, as you mentioned,
5 were to come in that same water as it goes down through the
6 vadose zone.

7 Q. All right. So if the chloride standard is
8 exceeded, the TDS standard will be exceeded by more than
9 3,000 mg/L, correct?

10 A. That would be true for TDS, but probably not the
11 others you mentioned.

12 Q. Do you have any feel for a correlation between
13 the chloride concentration and the other constituents, or can
14 you not predict it?

15 A. I couldn't predict it. I mean, that would be --

16 Q. Now, in your modeling efforts, you modeled the
17 good liner scenario, correct?

18 A. That's correct.

19 Q. And is that the same as a best-case scenario?

20 A. Well, I guess as we've talked here today, I would
21 say no.

22 Q. What about it isn't a best case scenario?

23 A. Well for one, we used poor vegetation as opposed
24 to let's say good vegetation. We used some defects in the
25 liner.

1 Q. Okay.

2 A. That would be it.

3 Q. Okay. But you did assume more or less a perfect
4 liner installation and five pinholes per acre in the liner?

5 A. Well, no. That would not be a perfect
6 installation. We hope it would be a good installation. A good
7 installation may have some defects in that liner.

8 Q. And the defects were -- I think you assumed five
9 pinholes per acre?

10 A. Actually -- sorry. We assumed one pinhole per
11 acre and four defects per acre.

12 Q. Okay. Yeah. I put those together. Sorry.

13 A. A pinhole being one millimeter; and a defect
14 being a square; and defecting, one centimeter square.

15 Q. All right. And with those, the defects, you had
16 permeability of liners 4×10^{-13} centimeters per second? Is
17 that about right?

18 A. That sounds about right.

19 Q. And that -- how would you describe virtually
20 impermeable?

21 A. Probably about 4×10^{-12} centimeters per second.

22 Q. Okay. Now, last time you modeled the poor liner
23 scenario, correct?

24 CHAIRMAN FESMIRE: Could you be a little more clear
25 about last time?

1 MR. FREDERICK: In the last -- I'm sorry.

2 Q. (By Mr. Frederick): In the last pit proceeding,
3 you modeled the poor liner scenario?

4 A. Yes.

5 Q. Okay. And is it often the case when you're
6 trying to predict an impact on public health that you would not
7 only model, perhaps, the optimistic scenario but also the less
8 than optimistic scenario, such as the poor liner scenario?

9 A. Well, I'm trying to recall. The poor liner
10 scenario, again, I don't remember all the variables, but that
11 was a different case that we were trying to make, in that we
12 didn't know what sort of material, if we were going to have a
13 liner at all, what sort of standards would be set for the
14 construction and placement of the liner.

15 So the point there was, we were trying to get some
16 sort of standard for the installation of that liner. In this
17 particular case, of course, we do already have the condition of
18 rule, so we had a set of variables that we knew were good.

19 Q. Do you have reason to conclude that there's going
20 to be 100 percent compliance with the Pit Rule with respect to
21 liner installation?

22 A. I don't have reason to believe that.

23 Q. Okay. Now, you didn't present a poor liner
24 scenario here. Did you model any poor liner scenario and not
25 present it?

1 A. No. What I did is what you have seen here today.

2 Q. Okay. Just curious.

3 A. Okay.

4 Q. Now, in the last case, you testified that a poor
5 liner would increase the infiltration rate by two to three
6 times; is that correct?

7 A. Well --

8 Q. And I can give you your Exhibit 21 to refresh
9 your recollection, if you'd like.

10 A. Well, I'm sure the Commissioner will take
11 administrative note of that, and that sounds about right, yes.

12 Q. Okay. And did you recall it would also result in
13 more flux, somewhere in the neighborhood of two to four times?
14 The good liner scenario?

15 A. Well --

16 Q. I'm probably not going to be able to find it now
17 that I'm up here. Here it is.

18 Would you like me to -- I can hand you my
19 marked-up --

20 CHAIRMAN FESMIRE: Would you like to approach the
21 witness?

22 MR. FREDERICK: I'm sorry, Your Honor. May I
23 approach the witness?

24 CHAIRMAN FESMIRE: You may.

25 MR. FREDERICK: Thank you. Here you go. And I'll

1 have to have that back after it refreshes your recollection.

2 CHAIRMAN FESMIRE: Would you like to show it to
3 Counsel?

4 MR. FREDERICK: Sure. Would Counsel like to see it?
5 You can certainly take a look at it, along with my notes.

6 Q. (By Mr. Frederick): Does that refresh your
7 recollection about the last hearing?

8 A. Yes.

9 Q. Do you have a reason to believe that there won't
10 be noncompliance with the Pit Rule resulting in a poor liner
11 installation?

12 A. I don't have any reason to believe there would be
13 100 percent compliance. I think given the 20 -- our
14 prescriptive liner requirement with the 20 mil reinforced, if
15 that material is used, even if some of the others are not --
16 some of the other requirements for installation are not used,
17 that 20 mil reinforced should be closer to a good than a poor
18 installation.

19 Q. Okay. But, again, you're just -- since there's
20 no inspection requirement, you're essentially trusting the
21 operator to install it correctly?

22 A. That's correct.

23 Q. Okay. Now, we talked about earlier that you're
24 talking about an uncontrolled surface area roughly half an acre
25 in size. How would -- if somebody had plowed up the surface

1 area, how would that impact your model?

2 A. Well, if they plowed it up and removed the
3 vegetation and didn't replace it, it would increase the
4 percolation through the bottom liner to a small amount, to a
5 small degree.

6 Q. How would a telephone pole placed through the
7 liner affect your model?

8 A. Well, if they put it deeper than four feet beside
9 the permanent marker, it would potentially increase the
10 percolation rate.

11 Q. Now, you mentioned the permanent marker. It's
12 right in the center of the trench, right?

13 A. Right.

14 Q. The trench is half an acre, and there's no
15 demarcation of the boundaries of the trench, correct?

16 A. At surface, that's correct.

17 Q. Okay. Now, your model pretty much assumes no
18 change in any parameter for 2000 years, correct?

19 A. Well, that's correct, yes.

20 Q. Okay. And if the liner permeability starts out
21 at cumulative five pinholes per acre, that's at day one?

22 A. Yes.

23 Q. How would that permeability or that defect change
24 over time? Or would it stay exactly the same for hundreds of
25 years?

1 A. Well, I'm not sure I can speak to that point
2 other than to say that -- and I realize this is hearsay. I've
3 had personal communications with the author of the lifetime
4 expectancy studies.

5 Q. It's not a religious organization, is it?

6 A. Actually, Dr. Robert Coyner, who's with the
7 Geosynthetic Research Institute, has told me that defects won't
8 change. I mean, there shouldn't be increased holes, but the
9 properties of the material will change over time to the effect
10 that it will decrease the life span in half.

11 And his description was that if you had 20 mil -- you
12 start out with a 20 mil, then in a certain amount of time in a
13 conservative -- and I think it was mentioned in that study of
14 about 450 years, then you'd have a 10 mil liner after that time
15 and so on.

16 In which, it goes to installation integrity. Of
17 course, it's already installed and hopefully not disturbed, I
18 think is what you're getting at.

19 Q. Do you know, given what the hearsay you just
20 relied on -- you're an expert. I think you can, to some
21 extent, rely on other experts out there. How does that affect
22 the permeability over time?

23 A. Well, of the plastic itself -- as I say, it
24 shouldn't -- I mean a 1 mil has the same permeability as
25 12 mil, to a certain extent. I mean, there's a vapor

1 permeability, which, I mean, it's too small to even bring up
2 here, but -- so the permeability would stay the same.

3 Q. Okay. So we talk about liner failure over time,
4 and again, do you have information about how long liners last
5 in the field under these kind of conditions?

6 A. Not field data, no.

7 Q. So do you know how I heard 70 years or 270 years?
8 Do you have any feel at all for how long? Any more hearsay
9 evidence on how long liners last?

10 A. As I say, I mean, I'm sure the Commission can
11 rely on their administrative notice from the last case
12 involving pits, Case 14015. But as I recall, I think it was
13 449 years, give or take, for a half-life. And as I recall,
14 that was a conservative number, so it could be longer, but a
15 half-life of 450 years, roughly.

16 Q. How does the permeability change after the
17 liner -- after you pass that half-life?

18 A. Well, again, as explained to me by Dr. Coyner, if
19 you go from a 20 to a 10, the permeability, given the
20 significant figures that we've been talking about, won't
21 change.

22 Q. Okay. You used a 50-year-old senior model,
23 correct?

24 A. That's correct.

25 Q. And that begins on day one?

1 A. Yes.

2 Q. And ends 50 years later?

3 A. Yes.

4 Q. And then you're passing that sludge through the
5 vadose zone?

6 A. Correct.

7 Q. What would cause the contamination to end at year
8 50? The infiltration to stop at year 50?

9 A. Well, if you ran out of chloride mass, it would
10 be one reason for it to stop. We used 50 for a couple of
11 reasons; one, we had 50 years of precipitation data; and the
12 other, it gives a more concentrated or conservative approach to
13 impact to groundwater.

14 In other words, if we had used 100 or 2000, it would
15 dilute it somewhat. So we used the higher or more conservative
16 number.

17 Q. So are you passing the entire mass of the
18 chloride in the pit in 50 years into the groundwater; is that
19 what you're --

20 A. No.

21 Q. It's a pulse that -- you're not turning off --
22 that mass of chloride in the contents isn't exhausted at the
23 end of 50 years, is it?

24 A. Depending on the concentration, it could be. But
25 I'm just saying for modeling purposes, we wanted to use the

1 more conservative approach, and that's one way to do it is to
2 kind of limit that pulse. I know it sounds counterintuitive.

3 Q. It does a little bit.

4 A. But for -- in particular, with MULTIMED, that
5 limiting -- in other words, 50, say, versus 100 years or 1,000
6 years, it would be similar to results of what you just saw.
7 But, actually, 50 concentrates it just a little bit more, so we
8 went with that little higher, more conservative value.

9 Again, kind of more conservative, worst case,
10 reasonable worst case.

11 Q. Okay. So you've got a half-acre trench that is
12 12.5, the contents is 12.5 feet deep, and there's 60,000 mg/Kg
13 chloride in there, is that going to be exhausted at the end of
14 50 years given your rate of infiltration for the source?

15 A. I haven't calculated it out. Probably not.

16 Q. Okay. And so -- and you are testifying it's more
17 conservative to, at your infiltration rate, have a 50-year
18 pulse and then turn off the source and just let that pass
19 through, rather than to have continuous bleed?

20 A. Yes.

21 Q. Okay. And how sensitive was your model to
22 changes in saturated conductivity throughout the various
23 layers?

24 A. I don't have any specific numbers in mind,
25 although I have run, like I say, MULTIMED, if not thousands of

1 times, hundreds of times, and have made comparisons to that
2 particular parameter, and it's not a particularly sensitive
3 parameter. Although, when I say not particularly sensitive, I
4 mean if you were to increase the saturated hydraulic
5 conductivity of the vadose zone by twice, it wouldn't double
6 the concentration seen in the groundwater.

7 Q. It would not?

8 A. No. It might increase it by 10 percent. I'm
9 just throwing that number out.

10 Q. So you assumed the vadose zone, is it -- in the
11 vadose zone, you assumed a saturated conductivity of 2×10^{-4}
12 centimeters per second?

13 A. Of that, saturated soils, yes.

14 Q. Saturated?

15 A. I'm sorry.

16 Q. The saturated conductivity of the vadose zone?

17 A. Of the vadose zone, yes.

18 Q. Now, the unsaturated conductivity is really what
19 dictates the flow through the vadose zone, right?

20 A. That's correct. And MULTIMED uses Richard's
21 equation, which as I'm sure you're aware, is the standard for
22 calculating flow of unsaturated media.

23 Q. You're giving me more credit than I'm due.

24 Now, the moisture content you assumed was .283 in the
25 vadose zone; does that ring a bell? You can look through your

1 exhibit if you would like.

2 A. Maybe I'll look through there.

3 Q. And, actually, it doesn't matter for my question,
4 but my question is going to be, how sensitive was your model to
5 changes in moisture content?

6 A. Again, it's not a particularly sensitive
7 parameter. As you approach 70 percent, it starts to act like a
8 saturated media. But up until that point, I just use examples
9 of if you were to double a particular value for a particular
10 parameter, in this case, soil moisture, it wouldn't double the
11 concentration, the final value that we're looking for in
12 concentration of groundwater. So, in my mind, that's not a
13 sensitive -- it might increase it a little bit, but not a lot.

14 Q. What if your liner conductivity is changed from
15 4×10^{-13} centimeters per second to 10×10^{-12} centimeters
16 per second? That's a small change. That's an order of
17 magnitude change, still very slight conductivity, virtually
18 impermeable. Still, how would that affect concentrations,
19 timing, and amounts?

20 A. Probably virtually no change.

21 Q. Okay. What if -- again, what if you have a poor
22 liner? How would that -- what conductivity would you expect
23 with a poor liner installation?

24 A. Well, all I can say to that question is that as
25 you pointed out in the last case, there was an increase by two

1 to four times.

2 Q. Okay. Now, let's talk about mixing the pit
3 contents. Three parts clean soil, one part waste, right?

4 A. Right.

5 Q. How is that mixed up? Is it going to result in a
6 uniform mixture?

7 A. I'm not sure how uniform it's going to be or what
8 the faces of uniformity would be, but --

9 Q. Do you know how it's mixed?

10 A. It would typically be mixed with a backhoe.

11 Q. A backhoe. So in that scenario, if you've got an
12 average concentration of 60 mg/Kg in the mixture, you would
13 have pockets of pure waste and pockets of less than 60 mg/Kg in
14 that kind of scenario?

15 A. I'm not sure how large those pockets would be,
16 but I'm sure --

17 Q. Okay. How do you think that -- how would that
18 affect the mixture you're getting in the leachate?

19 A. Well, I guess I'll go back to what we were
20 discussing with Mr. Hiser. Is that what we're modeling and, of
21 course, what we're interested in is what's at the bottom of
22 that waste on top of the liner?

23 If there was a pocket of pure waste and a pocket of
24 clean soils, that film of water on top of that plastic would
25 have the same concentration if it were uniformly mixed or not,

1 so it shouldn't affect it.

2 Q. Okay. And the concentration in the rule allows
3 for 3,000 mg/L or greater if background is greater, whatever
4 background happens to be. But if background is deemed greater,
5 I take it the leachate at the bottom of the pit would be more.
6 Do you have any kind of feel for how much more?

7 A. Okay. So if you're asking if the pit contents
8 were allowed to be greater because the background was greater
9 for chloride what would be the leachate?

10 Well, for modeling purposes, we would assume, again,
11 worst case, that all of that chloride could dissolve into an
12 equal mass of water, and so it would be higher -- not higher
13 than the background, of course.

14 Q. Do you have any feel for worst-case scenario if
15 background -- if the SPLP on the background soil is somehow
16 higher than the waste itself, what's the limit on that? Do you
17 have any feel for the limit on that?

18 A. Well, just from a practical standpoint, I mean, I
19 think the background issue -- I mean, it would be a relatively
20 rare case. I mean, it could happen, say, over a potash spoils
21 or something or potash mine spoils or something like that.

22 But, of course, I mean -- say, an example of pure
23 sodium chloride, I mean, I guess, could be the ultimate
24 restriction. And that would be about maybe -- that would be
25 600,000 --

1 Q. I'm really not looking for putting it in a potash
2 mine, but what's a realistic? Is there anything out there
3 that's not in a potash mine that's going to generate over
4 3,000 mg/L? I'm curious, actually.

5 A. I guess I'll go back to what has been observed by
6 the Industry Committee of 400,000, 420,000 mg/Kg chloride.

7 Q. Now, that's sludge, though, correct?

8 A. Well, that's their pit contents.

9 Q. Pit contents. And background isn't going to
10 be -- isn't background going to be some kind of naturally
11 occurring soil?

12 A. Well, I mean, I thought we were just kind of
13 talking hypothetical, what's possible. And like I say, I mean,
14 if they put in pure sodium chloride, then it could be higher.
15 But, typically, if we saw something higher than 240,000, I
16 would be surprised.

17 Q. And what kind of SPLP would result from 240,000?
18 What would the leachate standard, again, be? Are you going to
19 divide that by 20?

20 A. So that would be what? Two --

21 CHAIRMAN FESMIRE: 81 divided by --

22 THE WITNESS: What it would be -- about 21 -- well,
23 I'd have to, you know -- it would be -- divide that by -- so it
24 would be 100,000 more or less, something like that. So 5,000,
25 roughly, I guess.

1 Q. (By Mr. Frederick): That would be 5,000. So in
2 that case, what would you put into your model if background
3 was -- if suddenly the standard now, instead of 3,000 mg/L, the
4 standard is 5,000 because of background? What would you put in
5 your model then?

6 A. About 100,000.

7 Q. Okay. And how would that impact the results of
8 your model, assuming all the other variables are constant?

9 A. Again, I guess I would direct the Commission to
10 the administrative record. We actually did model 100,000 at
11 50 feet, so it would increase it.

12 Q. Do you recall how much?

13 A. I don't.

14 Q. Okay. All right. Do you -- in your model, do
15 you assume that the infiltration area through the bottom of the
16 pit is 167 meters squared? Is that right? Do you remember
17 that?

18 A. That sounds like an accurate number, yes.

19 Q. Okay. So that seems to assume that you start off
20 with a .5 surface area acres, and then 167 meters squared is
21 less than half an acre. Is that -- I'm wondering if there was
22 a reason for that. I'm wondering why you picked 167 square
23 meters.

24 A. I'm not sure. That sounds like it could be a
25 half acre. It could be. I'd have to crunch some numbers.

1 Q. Did you make an effort to -- well, I can tell you
2 that I calculated it, but I'm just a lawyer now, so I don't --
3 I thought it was about .04 acres. I'm just wondering if
4 that -- if that was on purpose, or if you had -- and I can --
5 do you want to refer to your -- which I've also marked.

6 Do you have your Exhibit 9?

7 A. Yes.

8 Q. And I think it's on page 27, but I'm -- at the
9 second to the last parameter that you talk about on page 27.

10 And I guess my question is: Does that match the .5
11 acres, to your recollection?

12 A. I'm just doing some math in my head, so --

13 Q. I think I have a calculator if you want to borrow
14 it.

15 A. That's okay. So 100 -- about 200 by -- I guess
16 I'm just calculating it's about 200 x 200 foot. Maybe it's
17 closer to an acre. I'm not sure why we used an acre rather
18 than a half. Maybe because, I guess, it could be larger,
19 but --

20 Q. All right. The surface area of the infiltration
21 through the bottom of the pit, now, that's going to affect how
22 soon and how much gets to the groundwater table; is it not?

23 A. Yes, yes.

24 Q. Okay. All right.

25 MR. FREDERICK: I believe that's all I have,

1 Mr. Chairman.

2 CHAIRMAN FESMIRE: Dr. Neeper?

3 DR. NEEPER: I do have some questions.

4 CROSS-EXAMINATION

5 BY DR. NEEPER:

6 Q. Mr. Hansen, I will begin with some questions in
7 which I attempt to clarify what I believe might be some
8 confusing points that were brought up by previous
9 cross-examination to clarify things, if I can.

10 And then I will move forward into my own questions
11 that concern your modeling. I'll try to take these as best I
12 can in reverse order of how things were presented to you to get
13 where your memory is freshest where I can.

14 You were asked about how changes in the saturated
15 hydraulic conductivity or the unsaturated hydraulic
16 conductivity might affect the propagation of this salty water
17 pulse into the soil. If I am correct, you answered it would
18 have a small effect, maybe a factor of two; is my memory
19 correct there in terms of concentration?

20 A. No. I guess what I was saying is if you were to
21 double the saturated hydraulic conductivity of the vadose zone
22 soils, you would see certainly less than double. And I just
23 threw out a number, 10 percent.

24 And, of course, it would depend on the soils and what
25 sort of precipitation or infiltration rate you have. But it

1 would certainly be less than double the concentration.

2 Q. It would be a smaller effect on the
3 concentration.

4 My question, then, is, what would be the effect on
5 the speed of propagation? Is not the speed of propagation
6 proportional to the hydraulic conductivity?

7 A. Okay. I'm not --

8 Q. I can rephrase the question if I have to, if that
9 helps.

10 A. Of course, hydraulic conductivity is not a
11 velocity or a speed. It's the capacity of how much water can
12 go through a particular -- in this case, soil. So there's
13 other factors involved like, of course -- the most important
14 part being gravity and the effect of porosity of the material.

15 So it would increase the speed but --

16 Q. I'll try to simplify the question.

17 For a given head, that is pressure difference, either
18 saturated or unsaturated, if I doubled the hydraulic
19 conductivity, would not the liquid move twice as fast?

20 A. As I said, I mean, there's -- I mean, if you
21 change the hydraulic conductivity of the soils, you're assuming
22 it's probably a different type of soil, and that might have a
23 different effect of porosity.

24 Q. You're not understanding my question.

25 If you are doing a modeling exercise and the only

1 parameter you change is the hydraulic conductivity and you
2 doubled it, would not the velocity of the liquid at any given
3 point double?

4 CHAIRMAN FESMIRE: In the vadose zone? Is that what
5 you're saying?

6 DR. NEEPER: In the vadose zone, but it would also --
7 I almost slipped into testifying.

8 Q. (By Dr. Neeper): I am asking the question
9 relative to the vadose zone.

10 A. Again, I have to say a hydraulic conductivity is
11 not a speed or velocity, so I guess I can't answer the
12 question. I'm sorry.

13 Q. I'll accept that you can't answer the question.

14 It was discussed that your model concerned a 50-year
15 pulse. I did not understand this when I read the output. Does
16 this mean that at the bottom of the trench you shut off all
17 fluid motion after 50 years?

18 A. At the bottom of the trench, yes.

19 Q. So, essentially, it was as though you added a
20 perfect, very perfect liner at the bottom of the trench at the
21 end of 50 years. And the pulse of it started in the first 50
22 years and continued on downward doing whatever it would do?

23 A. Essentially, yes. Yes.

24 Q. Would that not slow the process of a downward
25 infiltration if I abruptly shut off all infiltration above it?

1 A. For MULTIMED modeling purposes, no.

2 Q. Very good. You had discussed in response to a
3 question that you had personally talked to Dr. Robert Coyner of
4 the Geosynthetic Institute.

5 A. That's correct.

6 Q. When we had the work group for the -- prior to
7 the pit hearing, I believe you were present in many of the
8 meetings of that work group; is that correct?

9 A. That's correct.

10 Q. Do you remember the work group calling Dr. Coyner
11 on the telephone?

12 A. I do.

13 Q. Do you remember my asking him what would happen
14 to the lifetime or the properties of a liner material if it
15 were stressed? And if you remember that question, do you
16 remember his answer?

17 A. No.

18 Q. Mr. Hiser brought up some questions regarding the
19 concentration of the release, and I believe this was the slide
20 that was on the screen at the time. His question dealt with
21 engineering parameters like the porosity and the relative
22 saturation of what was in the burial unit.

23 If you had, let us say, pure water in the burial
24 unit -- this is hypothetical, but it will help us get to the
25 answer of the question -- if you have pure water in the burial

1 unit and you're 240,000 mg/Kg, you would then have 240,000
2 milligrams in a liter of water there; is that correct?

3 A. I don't quite understand the question.

4 Q. I'll rephrase the question. Because I'm not
5 trying to trick you, and I'm not trying to lead you to a place
6 where you can't answer the question.

7 You have suggested that the leach standard could be
8 related back, and as I calculate this if you use just a 1 kg/L
9 density for soil that it would relate back to about 240,000 --
10 excuse me -- mg/Kg in the initial pit contents and 60,000 mg/Kg
11 in the burial unit. Am I being better with my question?

12 A. Yes, yes.

13 Q. If what were in the burial unit happened to be
14 soil that was 100 percent water, you would then have
15 60,000 mg/Kg of water --

16 A. Yes.

17 Q. -- or 60,000 mg/L, since 1 liter of water weighs
18 about a kilogram. The water in the soil is usually less than
19 the total volume of soil; is that not correct?

20 A. That is correct.

21 Q. So the salt that is dissolved in the pore water,
22 then, would be adding greater concentration than 60,000 mg/Kg
23 of water -- or 60,000 mg/L of water; is that correct?

24 A. If we were concerned about pore water, yes, that
25 would be correct.

1 Q. Yes. So in Mr. Hiser's example, if it were the
2 pore water that was trickling through, the effect would be to
3 have a concentration of the immediate substance coming out of
4 the pit at greater than 60,000 mg/L, not less. Is that not
5 correct?

6 A. No. Again, I'd have to go back to the testing
7 method. It all goes back to our testing method.

8 So what's -- what can -- and, of course, our
9 conceptual model for this exercise, we wanted to see what might
10 leak out of the bottom of that plastic and relate it to our
11 testing method, which is not related to pore water or mg/Kg
12 directly.

13 And I tried to make that not just the line of
14 comparison, but rather what we're actually going to test and
15 what the rule requires as far as a test and a concentration
16 limit.

17 Q. I think I've confused you with my question, and
18 as such, I should try to bring it up in another way.

19 Mr. Hiser asked about isn't some of the chloride lost
20 as a plume propagates downward. Is chloride regarded as a
21 conservative tracer?

22 A. It is.

23 Q. And what do we mean when we say conservative
24 tracer?

25 A. It means there would be very little attenuation

1 factors with that particular tracer or constituent as it goes
2 down through the vadose zone.

3 Q. So we would not expect very much chloride to be
4 lost from a plume as it goes down in a one-dimensional
5 calculation?

6 A. Other than the chloride that would be retained in
7 residual water as it went through the vadose zone.

8 Q. Okay. Mr. Hiser brought up the point of your
9 soil layers on top of the burial unit, and he suggested that
10 sometimes one of those layers is called, I believe, a lateral
11 drainage layer -- there just you may have used that word.

12 A. (Witness nods.)

13 Q. Would that be standard landfill practice to put
14 in a lateral drainage layer in a hazardous waste landfill?

15 A. In a hazardous waste landfill, yes.

16 Q. Is that required for a burial unit?

17 A. No. As far as the modeling goes, we put that in
18 there, just not as a separate layer. It's not required by Part
19 17. But as a practical matter, that's what will happen. So we
20 wanted to make our conceptual model reflect what will actually
21 happen in the field.

22 Q. Yes. I understand that your conceptual model was
23 meant to reflect reality in the field, which is not reality of
24 a hazardous waste landfill.

25 A. That's correct.

1 Q. Thank you. I believe I understand it correctly,
2 but I want to make sure one more time. The HELP model
3 calculated what happened down to the bottom of the bottom layer
4 of the burial unit or the trench, and then the MULTIMED, using
5 the output from HELP or on a 50-year pulse output from HELP,
6 calculated what propagated downward in the ground; is that
7 correct?

8 A. And into the groundwater, yes.

9 Q. And into the groundwater.

10 Mr. Frederick brought up that he believed you had
11 used a 167 square meter as an area of the bottom of a sample
12 trench, and you had agreed.

13 Did you consider or have you looked at how much
14 actual liquid is released over time by such a trench, if it
15 behaved as you calculated?

16 A. I'm not sure I --

17 Q. I can rephrase that. How many barrels per year
18 of saltwater are coming out of the bottom of your trench?

19 A. I haven't calculated that, no.

20 Q. Thank you. You mentioned that the diffusion of
21 water through the walls of the trench was insignificant.

22 Did your model, in any way, beneath the trench -- or
23 the plume of water, saltwater is moving, did your model, in any
24 way, consider the diffusion of the water vapor?

25 A. No.

1 Q. Can your model, in any way, consider the
2 colligative properties of the saltwater; that is, how the salt
3 in the water changes the physical properties of the liquid
4 itself?

5 A. Other than density, no.

6 Q. In your professional experience with
7 concentrations as they are discussed here, would you expect
8 that to be significant? The colligative properties? Would
9 they significantly alter or influence --

10 A. Well, considering the small volume of 2.4 or 2.3
11 millimeters per year, no.

12 Q. A plume from an unlined pit, by your calculation,
13 results in the exceedence of groundwater standards in about 140
14 years. Do I understand that correctly?

15 A. Yes.

16 Q. So if we did assume a total failure of a liner,
17 then would we not expect severe impact on the groundwater at
18 140 years after failure?

19 A. Well --

20 Q. I'm not arguing here whether it failed a little,
21 I'm saying if it failed a lot.

22 A. I mean, of course, we used two-foot cover versus
23 a four-foot cover, so that is significant. But, I mean, maybe
24 it would be 160 years versus 140 years.

25 Q. But you would agree the order of magnitude is 100

1 years, not 1,000 years?

2 A. Yes.

3 Q. Is that in agreement, if you remember, with
4 approximate modeling that I presented during the pit hearing of
5 downward propagation from a pit?

6 A. Same order of magnitude, yes.

7 Q. Same order of magnitude, okay.

8 Did you or your model, in any way, consider the
9 upward transport of chloride from the burial unit for the
10 unlined pit?

11 A. No.

12 Q. HELP, then, is a code that is designed just for
13 landfills where all the attention is on the downward
14 propagation; is that correct?

15 A. Yes. I'll qualify that a bit in that HELP does
16 give you a water storage that may occur in various layers, and
17 there could be, actually, some upward water storage over time.
18 But in this particular case, it was downward.

19 Q. HELP literally includes rainfall going in and
20 evaporating -- evapotranspiration going back out; does it not?

21 A. Yes.

22 Q. Does it not transmit any contaminants with that?
23 Or does it handle contaminants at all? Or does it simply move
24 the water?

25 A. It's water.

1 Q. So, in fact, any effect on or near the surface of
2 the ground was totally ignored in your model; is that correct?

3 A. Well, as far as chloride concentrations, there's
4 no direct output for HELP. It does, like I say -- could give
5 you water storage, but in this case it was downward.

6 Q. The concentration allowed in a burial unit as
7 proposed by this rule change, in this proposed rule change is
8 based entirely on your model. Did I understand that correctly?

9 A. Well, as pointed out in this slide, it was based
10 on what we see as far as a reasonably maximum chloride
11 concentration in the pit contents.

12 Q. It's based on what the operator might need, might
13 need to dispose?

14 A. Correct. And with that, we model what that could
15 mean as far as if there was a release from a trench burial. So
16 it's kind of separate issues.

17 Q. Did you consider anything to do with the possible
18 upward transport?

19 A. No.

20 Q. It did not enter the considerations at all in
21 arriving or developing this proposed regulatory limit?

22 A. Right. Because of the trench construction with
23 the liner on top, we didn't consider that. Right.

24 Q. The liner is emitting, by your estimate, about
25 .09 inches or 2.2 millimeters of liquid per year at the bottom.

1 Is that liquid coming in the top in sort of a steady state
2 form, or is the burial unit accumulating net water or losing
3 net water over this time?

4 A. It's coming in through the top and leaving the
5 bottom, assuming the same defects on top as the bottom.

6 Q. If it can come in through the top, why can't it
7 not go back out through the top?

8 A. Well, there has to be a head. There has to be an
9 actual film of water on that plastic to drive it through those
10 defects. So, I mean, there would have to be some water at the
11 bottom of the top liner, I guess. And, of course, the gravity
12 would force it downward.

13 Q. You're telling me there's no unsaturated flow
14 through a defect?

15 A. No vapor flow.

16 Q. Unsaturated flow? You just told me there had to
17 be a film of liquid water --

18 A. Uh-huh.

19 Q. -- in order for the water to go through this
20 defect.

21 A. The HELP model uses another code to calculate
22 what, given a certain head, what water will go through those
23 defects, and it does not account for vapor transported through
24 those defects.

25 Q. So this is back to an earlier question. I'm just

1 reaffirming it. The HELP model assumes downward transport. It
2 is built just for landfills, and its inherent assumptions do
3 not even let it consider a possible upward transport; is that
4 correct?

5 A. Well, like I said, other than the water storage
6 that could be upward and because of transpiration evaporation,
7 so depending on the soils, I mean -- but I guess more to the
8 point of your question for this particular case, it was
9 downward, yes.

10 Q. In this case, it's downward. Okay.

11 Liner installation was discussed, and in your model,
12 you used the default that is called a good liner; is that
13 correct?

14 A. Yes. Well, I mean it's not called a good liner,
15 but a good installation.

16 Q. Is that term used in the literature that you
17 cited in the references with regard to default values built
18 into the code?

19 A. Yes.

20 Q. So "good" is a technical term if you speak that
21 term to the code? If you input that?

22 A. Right.

23 Q. You expressed that with your good presumption, it
24 presumes so many defects per acre of liner, and you said that
25 was so many pinholes, and I believe one hole -- but I'll let

1 you correct me as to what that assumption is.

2 A. It's a little more involved than that but,
3 basically, yes.

4 Q. The code, then, is assuming a very large area of
5 many acres, and it's saying on the average we will have this
6 much leakage through holes, and we will calculate that in a
7 one-dimensional average fashion. Is that correct, regarding
8 the nature of code?

9 A. Yes, yes.

10 Q. Your presumed average pit, however, was about 160
11 square meters in bottom area. So for the fluid motion coming
12 out the bottom of that, then the code would, in effect, assume
13 some faction of those holes; would it not?

14 A. In that if it were greater, which I think
15 167 square meters would be greater than an acre, yes. I mean,
16 it could be 1.01.

17 Q. We can deal later with whether or not 160 square
18 meters is larger or smaller than an acre. Let me hypothesize
19 that it's much smaller.

20 But do not holes usually come as one each or none
21 each? In other words, you have calculated a leak rate assuming
22 on a defect rate for a large area. But if you have one of
23 those defects in your pit or in your burial unit, you're going
24 to have, in effect, a much larger leak rate for that given area
25 than you presume?

1 A. It's all relative to the size of the areal extent
2 of that trench or pit or whatever we're modeling. So I guess
3 to answer your question, no.

4 Q. You've answered my question in the negative. I'm
5 going to try the question again, because it's very specific.

6 Let us presume that the code assumes there being good
7 installation, there is one hole per acre. And you have
8 calculated from your trench of 160 square meters a 2.2
9 millimeter per year leak rate.

10 That would be true, would it not, for a whole acre
11 with one hole in it? But if you have one hole in your
12 160 square meters, you're going to have a lot greater leak rate
13 to that because you have more hole per unit area of your
14 landfill, your would-be landfill, your installation.

15 A. Again, to say it's relative to the size of the
16 extent -- if you have one acre with a certain leakage rate,
17 it's going to be the same leakage rate, or there's a half acre
18 or ten acres or -- given the same good number of defects, it's
19 not going to change.

20 Q. Let us -- let me try this question again.

21 If you had a certain leakage rate per acre with one
22 hole per acre --

23 MS. FOSTER: Mr. Commissioner --

24 Q. (By Dr. Neeper): -- with one hole per acre --

25 MS. FOSTER: -- I would hate --

1 CHAIRMAN FESMIRE: If you're going to object, object.

2 MS. FOSTER: I would hate to object to Dr. Neeper,
3 except that he stated that he's asked this question now for the
4 third time.

5 DR. NEEPER: I will withdraw the question.

6 MS. FOSTER: Thank you.

7 DR. NEEPER: I'll save the Chairman the problem of
8 either having to rule or --

9 CHAIRMAN FESMIRE: I appreciate it, Doctor.

10 Q. (By Dr. Neeper): Do you know of or have you ever
11 heard of rodents burrowing into hazardous waste landfills?

12 A. I don't know of it. I have heard of it.

13 Q. Okay. You have assumed a so-called good
14 installation. Is there any way that the sidewalls of a trench
15 can be inspected and smoothed and the bottom inspected and
16 smoothed before the liner is put in the trench?

17 A. Could there be inspections made for smoothness?
18 I guess I'm not --

19 Q. I'll try the question again. A good assumption
20 assumes smooth, carefully prepared bottom in a landfill; is
21 that not true?

22 A. That's true.

23 Q. It would then, if applied to a trench, assume
24 smooth, carefully prepared surfaces for the trench for the
25 model to be applicable; is that not true?

1 A. That's the assumption that we model, yes.

2 Q. Is there any way to have engineering examination
3 of a trench to be sure there are no protuberances, that you
4 have smooth surfaces throughout the trench, so as to achieve
5 what is called a good installation?

6 A. Yes.

7 Q. How can you do that?

8 A. Well, prior to installation of the plastic, you
9 can make a visual inspection of that trench bottom and sides.

10 Q. Could you go into the trench and examine it?

11 A. Yes.

12 Q. Do OSHA regulations prohibit you from going in
13 there unless you shore up the sidewalls of that trench?

14 A. My understanding of OSHA regulations is they have
15 a specific definition for a trench. We use the word "trench"
16 although it doesn't meet the definition of an OSHA trench. So,
17 therefore, I would say, yes.

18 OSHA would not consider what we call a trench a
19 trench; and, therefore, you could.

20 Q. So you have answered then that, yes, the insides
21 of a trench can be examined by a person?

22 A. Yes.

23 Q. Initial moisture distribution in the soil at zero
24 time for your modeling, as I understand from the literature,
25 was established by looking at the steady state, what would be a

1 steady state of infiltration between the bottom of the liner
2 and the aquifer at the presumed infiltration rate.

3 Would that be correct for the way you handled the
4 modeling?

5 A. Using the term "steady state" loosely, yes.

6 Q. So your initial moisture distribution in the soil
7 beneath the burial unit was based on a presumed .09 inches per
8 year infiltration?

9 A. Yes.

10 Q. Because there was no trench there before the
11 trench was dug, is it reasonable to use that moisture
12 distribution in the soil?

13 A. Yes, because it's based on the HELP modeling
14 for -- specifically, for a trench, a closed trench.

15 Q. But wouldn't the moisture distribution be
16 established by a situation in which there is no pit or no
17 trench?

18 A. I don't understand the question.

19 Q. Your initial conditions for the MULTIMED model
20 assumed that the moisture profile in the soil was established
21 by .09 millimeters inches per year of infiltration.

22 A. Correct.

23 Q. Is that correct?

24 A. Yes.

25 Q. That .09 is what results after a trench is in

1 place; is that not correct?

2 A. Yes.

3 Q. Would it not be more correct to say the true
4 initial moisture distribution in the soil is what nature
5 established when there was no trench in place?

6 A. I'm sorry. I don't understand the question. Our
7 focus is on a trench and the release from that trench. I'm
8 sorry.

9 Q. I'll try one more time and then let it go because
10 I don't want to belabor the point.

11 If I open the trench very abruptly, is not the
12 moisture distribution below the trench what nature established
13 in the absence of a trench before I dug it?

14 A. You're comparing the moisture content of the soil
15 prior to a trench versus --

16 Q. The moisture content of the soil beneath the
17 trench --

18 A. The trench.

19 Q. -- between the bottom of the trench and the
20 aquifer.

21 A. And we wanted to try to use the most conservative
22 values for a trench in place, a closed trench in place, so
23 rather than using what might be -- and we didn't, actually --
24 to be more conservative, we didn't use a recharge value. So we
25 just took what could leak out of a trench without a recharge

1 value, to be more conservative.

2 Q. I'll try it one more way.

3 Is the recharge -- is the emanation from your bottom
4 liner greater than or less than the natural recharge?

5 A. I don't actually know what the natural recharge
6 value is. Just from what I know of recharge values, it's
7 probably very close to the same. But --

8 DR. NEEPER: No further questions.

9 CHAIRMAN FESMIRE: Okay. At this time, we will take
10 public comment. Is there anybody in the audience who would
11 like to make a public comment on the record?

12 Okay. Commissioner Bailey, how long will your
13 questions take?

14 COMMISSIONER BAILEY: Nothing, because I defer to
15 Commissioner Olson.

16 CHAIRMAN FESMIRE: And I got a hunch that's going to
17 take awhile. So why don't we go ahead and break for lunch
18 early today, and we'll be back at one o'clock, and we'll begin
19 with Commissioner Olson's examination of the witness.

20 [Noon recess was taken from 11:29 a.m. to 1:02 p.m.]

21 CHAIRMAN FESMIRE: Let's go back on the record. The
22 record should reflect that this is the continuation of
23 Case No. 14292, that all three Commissioners are present, there
24 is, therefore, a quorum present.

25 The record should also reflect that we were about to

1 begin the examination of Mr. Ed Hansen by Commissioner Olson.

2 Commissioner Olson?

3 EXAMINATION

4 BY COMMISSIONER OLSON:

5 Q. Yes. Mr. Hansen, I guess maybe I'll just start
6 with a question on your modeling.

7 You had modeled, I think, as you've shown here, a
8 concentration of 60,000 mg/L when you expect to get leaching,
9 essentially, to the actual concentration that was in the
10 material. I guess, how did you go come up with that number?

11 A. You mean 60,000 mg/Kg?

12 Q. Well, you're using -- you're coming up with a
13 number here as to what's acceptable to remain in the pit, and I
14 think last time we had a number of 5,000 presented to us. I
15 was wondering why that's changed.

16 A. Well, a couple of important points there; one,
17 when we used the 5,000, I think it came out a little bit --
18 when we were using 5,000, of course, that equates generally
19 back to what we were proposing with the 3:1 stabilization, and,
20 of course, the 20:1 dilution with the SPLP. That equates back
21 to 100,000 in the trench contents.

22 And, of course, the highest number that we had
23 available was 400,000, which would equate for the 4:1, or 4
24 times dilution through stabilization. So we used the worst
25 possible case we could, you know -- head of operations for, and

1 came up with 5,000.

2 With the 5,000, of course, we were also proposing
3 some limiting factor with our siting criteria of the 100-mile
4 radius. This time we are proposing 3,000, but we have the
5 limiting factor of 100 feet to groundwater; 3,000 being what we
6 call the reasonable maximum.

7 Based on all the data that OCD collected, we found
8 about 240,000 was the reasonable maximum; not necessarily the
9 maximum, but reasonable maximum.

10 Q. Well, I guess that's what's being proposed here
11 now is a 3,000 mg/L of SPLP leachate for chloride. I guess I
12 still may come back to how you come up with that number versus
13 1,000 or 2,000 or some other number.

14 A. Well, I mean, it's all based on a reasonable
15 maximum of 240,000 starting out in the pit contents, and then
16 dividing that by four, which could be your possible
17 stabilization number. If you mix in three parts of clean
18 soils, that breaks it down to that 60,000 mg/Kg of chloride in
19 the trench, what you'd actually put in the trench.

20 Our testing method is based on a 20:1 dilution, so
21 dividing that 60,000 by 20, you come up with 30,000. So the
22 limit that we're proposing is for what is tested by using that
23 Synthetic Precipitation Leaching Procedure and not what's
24 actually a dry -- what would be considered a dry weight
25 concentration. It's actually what are leachable chlorides from

1 the trench contents.

2 Q. Right. I understand that, but I guess I'm
3 thinking along the lines of wouldn't you normally do some type
4 of iterative process to find out what the appropriate level
5 would be? Is that the way you normally do things? You'd kind
6 of be running your model trying to find out what the
7 appropriate level is for leaving in this type of system?

8 Because it seems to me here you're just saying to
9 take the maximum and then saying the maximum is okay based upon
10 the modeling. Is that -- or am I interpreting that wrong?

11 A. That's a fair characterization considering all
12 the other siting and construction, et cetera, criteria, yes.

13 Q. And then in regards to --

14 A. And can I put another --

15 Q. Yeah, sure.

16 A. And we didn't use the maximum that we've
17 observed. We just -- getting back to what we're characterizing
18 as a reasonable maximum, which is what OCD has observed through
19 our sampling programs.

20 Q. Right. So you're looking at saying this is the
21 maximum that we've observed is the maximum acceptable for being
22 put in the burrito system, and being subject to leaching from
23 there?

24 A. Right, right.

25 Q. And, I guess, just a couple of questions on this

1 mixing zone. So the model is allowing -- if I remember right
2 from the last time we went through this -- the model is
3 allowing for mixing under the area of the trench with a 10-foot
4 aquifer thickness. It's technically allowing groundwater
5 contamination under the trench system. It's only measuring it
6 under your model when it reaches one meter out from the pit
7 area; is that correct?

8 A. Ten feet of the total thickness of the aquifer,
9 yes, one meter and assuming downgradient edge of that, yes.

10 Q. All right. And then back to the question of
11 Mr. Hiser about reasonable foreseeable future use. Isn't that
12 where the groundwater is measured to determine compliance with
13 New Mexico standards under Water Quality Control Commission
14 regulations?

15 A. Yes. The place of withdrawal, yes.

16 Q. Is that your understanding? Because that is the
17 potential place of foreseeable future use.

18 A. Yes.

19 Q. And let's get back to the issue of the levels
20 again. Right now, the 3,000 mg/L of chloride and leachate,
21 that's a consistent increase over what we have in the current
22 rule; is that correct?

23 A. Yes.

24 Q. And at the last hearing on the Pit Rule when OCD
25 proposed comparable levels, they were proposing 5,000 of

1 leachate at the time. OCD also proposed that there be surface
2 owner approval of deep trench burial; isn't that correct?

3 A. I believe so, yes.

4 Q. So if we're looking at comparable levels to be
5 left on the surface owner's property, why wasn't the Division
6 proposing a surface owner approval, then, as they did last
7 time?

8 A. I think through the -- as I recall, through the
9 hearing process, there was some testimony brought up about
10 there may be a conflict with recently enacted by the state
11 legislature the Surface Owners Protection Act. And so at this
12 time, they didn't want to conflict with that particular act.

13 Q. But you are familiar with the Surface Waste
14 Management Rules for small landfarms, correct?

15 A. Yes.

16 Q. And that requires virtually no chloride be left
17 on the site, yet that requires surface owner approval for a
18 small landfarm, correct?

19 A. That's correct.

20 Q. So wouldn't it seem appropriate that since we
21 have a relatively benign material that requires surface owner
22 approval that we have a similar type requirement for deep
23 trench burial when we have highly contaminated waste?

24 A. I think as previously discussed, the landfarms,
25 of course, are direct surface disturbances. Of course, no one

1 could use the surface for any purpose during that period,
2 whereas a deep trench burial, the surface could be used because
3 we're talking about a subsurface use of that land.

4 Q. I guess, what surface uses could it be used for?
5 If you have -- you don't want to disturb the cap, right?

6 A. That's correct.

7 Q. So what surface uses remain for that piece of
8 land?

9 A. I would say uses that would not disturb the
10 vegetative surface of that property.

11 Q. But that appears to be most all uses, then. You
12 couldn't graze it then because you wouldn't want to graze the
13 vegetation that's on it.

14 A. Maybe under normal -- including agricultural
15 vegetative uses.

16 Q. Well, I guess you wouldn't want to grow a crop of
17 alfalfa on top of it and be having a center pivot come across
18 the top of that and apply large quantities of water, would you?

19 A. It may increase some water coming to that top
20 plastic, but it would be shed. I'm not sure it would increase
21 the potential for leaching if it's irrigated properly, I mean,
22 assuming alfalfa would take up the moisture. That's the goal,
23 of course.

24 Q. But then alfalfa is also a deep-rooted crop,
25 isn't it?

1 A. Yeah.

2 Q. Roots can go down to ten feet or so in alfalfa.

3 A. Or deeper, but they run into that plastic and --

4 Q. I guess in that circumstance, wouldn't the
5 Division want to discourage that just because it would increase
6 potential problems with the buried waste at that point?

7 A. Of course, the marker would be there to indicate
8 to potential farming activities.

9 Q. Have you known of markers disappearing before?

10 A. I haven't known that from personal experience,
11 but I suppose that could happen.

12 Q. So, I guess, are there any other uses the land
13 could be used for then?

14 A. I would just be speculating.

15 COMMISSIONER OLSON: I think that's all the questions
16 I have.

17 CHAIRMAN FESMIRE: Okay.

18 EXAMINATION

19 BY CHAIRMAN FESMIRE:

20 Q. Mr. Hansen, could we go to page number 15 in the
21 PowerPoint? I think it was pointed out that this does -- both
22 the unlined pit and the good liner -- does at some point exceed
23 the 250 mg/Kg -- mg/L -- what's my unit?

24 A. Mg/L.

25 Q. Mg/L -- the standards that are set by the WQCC.

1 So we are, in essence, pushing that exceedence out for what
2 looks to be under a good liner, a little over 2,000 years; is
3 that correct?

4 A. That's correct.

5 Q. But at some point, it is going to exceed the
6 standard?

7 A. As the modeling results indicate, yes.

8 Q. So we could be saying that this is in essence
9 pushing out a problem that New Mexico will have to deal with at
10 some point in the future, right?

11 A. I would say beyond reasonable, foreseeable use,
12 yes.

13 Q. And the benefit would be a lesser cost to oil and
14 gas producers in the State; is that correct?

15 A. That's true, yes.

16 Q. And the corresponding economic benefit to the
17 State, right?

18 A. I'm not an economic expert, but that sounds
19 reasonable.

20 Q. Now, didn't OCD do a calculation to estimate how
21 many wells per year would be affected by this change?

22 A. Not that I'm aware of. What I do know is that
23 the Environmental Bureau looked at an area that could be
24 effective, say, over the Ogallala aquifer in particular, and
25 about 1/3 of that area would be over 110 feet to groundwater.

1 Q. So they could estimate that about 1/3 of the
2 wells in Southeastern New Mexico would fall under this in any
3 given year, right?

4 A. Given that's where oil and gas wells were.

5 Q. If you assume that the well distribution was
6 equivalent to the areal distribution?

7 A. Correct.

8 Q. So 2/3 of the wells will not be affected by this
9 change, right?

10 A. That's correct, given the same set of --

11 Q. Okay. Now, Mr. Hiser talked to you about mass
12 flux rates out of the -- for lack of a better word -- the
13 burrito, in the trench. And if I understood his argument
14 correctly, one of his arguments was that there wasn't enough
15 liquid in there to get to the leachate concentrations that you
16 had modeled; is that correct?

17 A. That's correct.

18 Q. But doesn't that assume that the only liquid
19 available to create the leachate is the liquid that's already
20 in the trench?

21 A. I believe that's what he was assuming, yes.

22 Q. But the truth is that at some point in time
23 there's going to be that steady state flow we were talking
24 about. And steady state in this term -- I think the way we
25 were talking about it earlier is that the mass flux rate of

1 liquid into the trench is going to equal the flux rate out; is
2 that correct?

3 A. That's correct.

4 Q. So, you know, down around 2,000 years after the
5 liner has deteriorated and everything else, we're going to have
6 sufficient liquids in that system to create the leachate that
7 you're talking about?

8 A. I'm not sure I understand your question. You're
9 saying in 2,000 years --

10 Q. At some point in this system, there's going to be
11 a liquid inflow rate into this system; is there not?

12 A. Well, I mean, starting day one there will be.
13 But after 2,000 years, I'm going assume there's no more liner
14 or the liner is such that it's no longer serving it's original
15 purpose. Then, yes. I mean, it would --

16 Q. So if we were to assume that the only liquid
17 available to create the leachate was the liquid that was
18 actually buried in the trench, that wouldn't be a correct
19 assumption?

20 A. That would be correct.

21 Q. My statement is correct?

22 A. Yes.

23 CHAIRMAN FESMIRE: Okay. I don't think I have any
24 further questions.

25 Mr. Brooks, do you have any redirect of this witness?

1 MR. BROOKS: I think one or two questions on the same
2 subject.

3 REDIRECT EXAMINATION

4 BY MR. BROOKS:

5 Q. Relating to Commissioner Olson's questions to you
6 about surface owner approval, did you attend the Commission
7 deliberations on the previous Pit Rule?

8 A. I did not.

9 Q. So you don't know, then, what was said at this
10 table about why the Commissioners choose not to put a surface
11 owner approval provision into the previous Pit Rule?

12 A. I have not reviewed that portion of the
13 transcript regarding that particular subject, so I don't know.

14 Q. Okay. Did the fact that the Bureau proposed a
15 surface owner approval requirement and the Commission chose not
16 to adopt it, did that have some impact on the Bureau's decision
17 not to propose such a requirement again?

18 A. Well, yes.

19 Q. Thank.

20 MR. BROOKS: That's all I have.

21 CHAIRMAN FESMIRE: Ms. Foster, anything on those
22 subject?

23 MS. FOSTER: Well, I do have a question on the
24 subject that you asked concerning --

25 CHAIRMAN FESMIRE: Okay.

1 MS. FOSTER: Just one question. I believe you told
2 Commissioner Fesmire that the changes in this rule, the
3 amendments in this, will impact only 1/3 of the potential wells
4 that might be in the Ogallala, correct?

5 THE WITNESS: Correct.

6 MS. FOSTER: Is it not the case that in order for an
7 operator to do deep trench burial not only would they have to
8 meet the chloride standards which are now being increased, but
9 they also need to meet the 3103 standards?

10 THE WITNESS: We haven't proposed any amendments to
11 that current requirement, so that is correct.

12 MS. FOSTER: Right. So there's no changes in the
13 3103. We have to meet the original 3103 of the original
14 Rule 17 Pit Rule?

15 THE WITNESS: Yes.

16 MS. FOSTER: Correct. So an operator, in order to be
17 able to do deep trench burial, would have to meet the original
18 3103 standards? There's no change in that?

19 THE WITNESS: The current standards, yes.

20 MS. FOSTER: Thank you. No further questions.

21 CHAIRMAN FESMIRE: Mr. Carr?

22 MR. CARR: No questions.

23 CHAIRMAN FESMIRE: Mr. Hiser?

24 MR. HISER: No questions.

25 CHAIRMAN FESMIRE: Mr. Frederick?

1 MR. FREDERICK: I do have a couple.

2 CHAIRMAN FESMIRE: Okay.

3 RECROSS-EXAMINATION

4 BY MR. FREDERICK:

5 Q. I want to follow up a little bit on Mr. Olson's
6 on-site questions about landowner approval. Now, it's your
7 understanding that the operator doesn't own the surface in most
8 cases, correct?

9 A. Yes.

10 Q. So the Pit Rule, though, is authorizing disposal
11 in a deep trench on land that the operator does not own,
12 correct?

13 A. In many cases, yes.

14 Q. Does the Division -- OCD isn't going to know
15 whether the operator is authorized to do that or not. It's not
16 requiring any authorization from the landowner; is that
17 correct?

18 A. That's correct.

19 Q. What kind of uses, land uses, would be consistent
20 with having this deep trench on your land?

21 A. Well, I would say most consistent in Southeast
22 New Mexico would probably be range land.

23 Q. And that would be -- have to be maintained for
24 the life of the trench? That kind of restriction on land use?

25 A. Well, I mean, I think there could be others, but

1 that would be the most typical.

2 Q. Okay. And did you read the OCC's final order in
3 the last Pit Rule proceeding? Are you familiar with it at all?

4 A. I guess other than the rule itself, no.

5 Q. Okay. So you don't know why -- the express
6 reasons that OCC provided for not requiring landowner approval?

7 A. No.

8 Q. Okay. You say you're not familiar with anything
9 in the rule -- anything in their final order -- that might have
10 said that's waste is not going to exceed WQCC standards, and
11 therefore it's not a problem? Something to that effect?

12 A. No.

13 Q. Okay. Now, I'm going to follow up a little bit
14 on Dr. Neeper's question about -- did you -- you're not saying
15 hydraulic conductivity is in direct proportion to the velocity
16 of groundwater contaminant flow, are you? I mean, isn't there
17 a direct proportion between velocity and hydraulic
18 conductivity?

19 A. Given the gradient and --

20 Q. All other parameters considered.

21 A. -- effective porosity, yeah.

22 Q. Okay. And do you know what the definition -- an
23 OSHA definition of a trench is?

24 A. Give me a second to formulate that. It's an
25 opening narrower than the depth, I guess.

1 Q. Okay. But the Pit Rule doesn't preclude an
2 operator from having a deep trench that meets that criteria,
3 does it?

4 A. Not descriptively, but practically.

5 Q. Practically. Just curious. Now, Mr. Fesmire
6 brought up economic benefit to the oil and gas industry. You
7 haven't quantified that benefit, have you?

8 A. No.

9 Q. In relation to the cost to the public, that
10 benefit hasn't been quantified, has it?

11 A. I haven't, no.

12 Q. Okay.

13 MR. FREDERICK: That's all I have.

14 CHAIRMAN FESMIRE: Ms. Belin? Dr. Neeper?

15 MS. BELIN: No questions.

16 DR. NEEPER: No questions.

17 CHAIRMAN FESMIRE: Okay. I do have one more
18 question. Given that this change would be a benefit and
19 decrease the cost of -- well, let me start with that.

20 Is it a pretty fair statement that this change will
21 benefit the oil and gas industry with respect to the operating
22 costs in New Mexico?

23 THE WITNESS: Well, the assumption is that if waste
24 can be buried on site, it'll save -- the transportation costs
25 will outweigh the disposal costs for a trench burial.

1 CHAIRMAN FESMIRE: Okay. And if that sort of cost
2 incentive is appropriate now, if oil or gas prices increase, it
3 might not be appropriate in the future?

4 THE WITNESS: Say that one more time. I'm sorry.

5 CHAIRMAN FESMIRE: If the Commission were to decide
6 to do this now, that a decision might be appropriate now, but
7 if oil and gas prices were to increase, it might not be
8 appropriate in the future?

9 THE WITNESS: I'm not sure. To me that sounds like a
10 question for the Commission to decide.

11 CHAIRMAN FESMIRE: The Commission has to base their
12 decisions on the evidence. We're asking you as a professional
13 in the field, you know, if there's a reason that this is being
14 proposed. Is this a permanent reason, or is it a temporary
15 reason?

16 THE WITNESS: Well, the change would be permanent
17 until it's, again, changed before the Commission. So it
18 certainly could be temporary.

19 CHAIRMAN FESMIRE: Okay. And the reason for it may
20 fade in the future?

21 THE WITNESS: I would say the economics may not be as
22 much of a concern in the future, yes.

23 CHAIRMAN FESMIRE: On that, is there any redirect or
24 recross?

25 MS. FOSTER: No, thank you.

1 CHAIRMAN FESMIRE: Mr. Carr?

2 MR. CARR: No questions.

3 MR. FREDERICK: I just have to object to the fact
4 that the rationale given by OCD has nothing to do with
5 economics. But besides that, I have nothing further.

6 CHAIRMAN FESMIRE: Ms. Belin?

7 MS. BELIN: No, thank you.

8 CHAIRMAN FESMIRE: Okay. Mr. Brooks, anything more
9 of this witness?

10 MR. BROOKS: No. Thank you, sir.

11 CHAIRMAN FESMIRE: Mr. Hansen, thank you very much.

12 Mr. Brooks, do you have any other witnesses?

13 MR. BROOKS: The Division has no further witnesses,
14 Mr. Chairman.

15 CHAIRMAN FESMIRE: Would you rest?

16 MR. BROOKS: We rest.

17 CHAIRMAN FESMIRE: Ms. Foster, do you have a witness?

18 MS. FOSTER: I do not at this time. Thank you.

19 CHAIRMAN FESMIRE: Mr. Carr?

20 MR. CARR: Yes, I do. Would you like to go at this
21 time with my witness, or do you want to go to Dr. Neeper? Mine
22 is very, very brief.

23 MS. BELIN: Mr. Chairman, members, I have to leave at
24 2:40, so I had just asked Mr. Carr in advance if perhaps
25 Dr. Neeper could go now. That would be best for us.

1 But if his witness is really that quick --

2 CHAIRMAN FESMIRE: That's sounds just honkie dorie.

3 If I had known about it, I would have suggested it.

4 Dr. Neeper, why don't you take the stand now to
5 testify. Dr. Neeper, you're going to need to be sworn in?

6 THE WITNESS: Yes, I will.

7 DR. DONALD A. NEEPER

8 after having been first duly sworn under oath,

9 was questioned and testified as follows:

10 DIRECT EXAMINATION

11 BY MS. BELIN:

12 Q. Okay, Dr. Neeper.

13 A. Good afternoon, members of the Commission. I
14 will hopefully have a two-part presentation. Because as I've
15 already told the Chairman, I expect to request a rebuttal,
16 there being no way to bring information relative to things we
17 discussed this morning into testimony that had to be prepared
18 before any documents were forthcoming to the public and before
19 we could even know what this was all about.

20 So the formal testimony was prepared in almost total
21 ignorance of what was behind the issues. Nobody was talking
22 about this. I made as many phone calls as I could, and it was
23 a thing that wasn't being discussed. So I made some guesses as
24 to what might be important to the Commission.

25 So on these slides, you will see some odd marks.

1 These little purple stars indicate we are including -- that
2 doesn't mean the slide is, in total, the same, but it means it
3 includes evidence that's been in the Pit Hearing. So if you
4 see stuff that's familiar, that's fine; you've seen it before,
5 you don't have to worry about all those numbers. We're just
6 getting them in the record.

7 On the slide is this little green hash mark, and it
8 simply means we're including evidence from the Pit Hearing, but
9 the evidence is derived from some independent authority. It's
10 not just my word talking.

11 The first question that occurred to me is: What's in
12 the waste? We've had extensive discussion on that. But as you
13 see, my things -- I used a little different number. I had
14 interpreted originally 3:1 waste stabilization as really being
15 two soil and one water instead of three soil and one water. I
16 think three was the final number.

17 This will be more leaning in favor of the rule.
18 Whenever I say something that looks negative to the rule, this
19 would be -- if what you want to call it an error or
20 something -- that would be in favor of the rule. And I
21 wondered what does 3,000 mg/L in the leachant imply? If I had
22 in my terms a 3:1 waste stabilization, you'd have -- in
23 principle your waste could be more than 84 percent saturated
24 brine.

25 That is, my conclusion was the rule was designed so

1 that you basically couldn't, or could very rarely, make
2 anything so salty that it wouldn't past the test because of the
3 limits of solubility of salt.

4 This has been discussed; industry pit sampling in the
5 northwest. If we look at the results in terms of the current
6 test with my reduced dilution, there is basically very little
7 that wouldn't have passed the current test.

8 MR. HISER: I hate to be a stickler for formality,
9 but it looks like Dr. Neeper will be testifying as an expert,
10 and we haven't done any of the expert qualification details.
11 We probably should do that for purposes of the record.

12 CHAIRMAN FESMIRE: Ms. Belin, I think he's probably
13 right. It would probably be real simple, but we do need to do
14 it.

15 MS. BELIN: Since he's been qualified before, we
16 don't have to go through it again, but I can have him review
17 his qualifications.

18 CHAIRMAN FESMIRE: We can refer back to his
19 qualifications in the prior hearing, but we do need to get
20 something on the record that he is qualified as an expert in
21 this hearing.

22 MS. BELIN: Okay, well, based on Dr. Neeper's
23 qualifications that were presented with our pre-hearing
24 statement and that were presented in the previous Pit Hearing,
25 I would present him as an expert.

1 And maybe, Dr. Neeper, you can say --

2 THE WITNESS: I've been qualified before this
3 Commission previously as an expert in soil physics. That is
4 slightly distinct from hydrology.

5 CHAIRMAN FESMIRE: Mr. Hiser, is that sufficient?

6 MR. HISER: Mr. Chairman, we have no objection to
7 Dr. Neeper's qualification on soil physics. We do have an
8 objection to him on economics.

9 CHAIRMAN FESMIRE: Okay. Are there any other
10 objections?

11 MR. BROOKS: No objection, Mr. Chairman.

12 CHAIRMAN FESMIRE: Okay. Dr. Neeper is so admitted
13 as an expert in soil physics. If we get into economics, we may
14 have to discuss his qualifications.

15 MS. FOSTER: I'm sorry, Mr. Chairman, if I might ask
16 Dr. Neeper just one question. I didn't realize you were --

17 CHAIRMAN FESMIRE: You would like to take the witness
18 on voir dire for a single question?

19 MS. FOSTER: Well, yes. Because he made the
20 distinction between soil hydrology and soil physics. I just
21 would like to know what the difference is.

22 CHAIRMAN FESMIRE: Why don't you ask him that one
23 question.

24 MS. FOSTER: Thank you, Mr. Commissioner.

25 Dr. Neeper, if I might just ask you, since you did

1 make the distinction that you just made, what is the difference
2 between a physicist and a soil hydrologist?

3 THE WITNESS: I'm not familiar with the term soil
4 hydrologist, but I am familiar with the term hydrologist.

5 Hydrologists deal almost strictly with water, most
6 often in the saturated case, that is, underground aquifers;
7 sometimes in the case of surface water, with surface water
8 hydrology, and occasionally in the case of the vadose zone with
9 unsaturated hydrology. It's paying attention to the motion of
10 water as it is characterized by large-scale average parameters
11 such as hydraulic conductivity, diffusivity, and terms like
12 that.

13 The physicist may get behind these questions and say,
14 what is going on that causes us to have a big number like a
15 hydraulic conductivity, and what is the microscopic action
16 that's going on behind this, and what happens in the more
17 strange and unusual cases than just water moving, as water has
18 always moved?

19 So I have been paying attention, for example, in my
20 recent career, to the motion not just of water, but of gas and
21 how contaminants in the gas can dissolve in the pore water and
22 the interaction between the two.

23 MS. FOSTER: Thank you.

24 CHAIRMAN FESMIRE: Does that answer your question?

25 MS. FOSTER: Yes, thank you.

1 CHAIRMAN FESMIRE: Dr. Neeper, why don't you
2 continue. I apologize for the questions.

3 THE WITNESS: I welcome the questions. I think it
4 was well put by Mr. Hiser.

5 What we are finding is that in the northwest, there
6 are probably very few cases that would not qualify under the
7 old rule. OCD pit sampling in the northwest -- and remember
8 this is more restrictive because I haven't diluted it as much
9 as the rule would allow -- there's nothing there that is
10 approaching really the limitation of the existing rule. So we
11 concluded that the purpose of this rule was to allow trench
12 burial in the southeast.

13 Now, that's obvious at this time, but that wasn't
14 obvious to someone who just only saw the change in the rule,
15 not knowing what was going on. Many cases in the southeast
16 would allow burial. Some of the sampling in the southeast came
17 up with numbers that even if you adjusted them for 4:1
18 stabilization here still might exceed the standard.

19 And you say, "How can that be?"

20 If you look back at some of these numbers, you can
21 determine, based on what you guess the pore water was, that the
22 salt had been concentrated. That is, the samples probably
23 actually contained some solidified salt. It might also have
24 been from other materials in the mixture.

25 CHAIRMAN FESMIRE: Okay. Doctor, notwithstanding

1 your 3:1 interpretation, but it looks like of the ten samples,
2 three would not qualify for deep trench burial under the
3 proposed standards.

4 THE WITNESS: Here's two that would not qualify.
5 Here's one that's very close, and given the extra dilution that
6 would be allowed, this one would have gotten in.

7 CHAIRMAN FESMIRE: But then the DPA7 soil sample
8 would not qualify either, would it? The one under that?

9 THE WITNESS: This one, yes. This would not qualify
10 and this would not. Okay. There are three.

11 CHAIRMAN FESMIRE: So three out of the ten in the
12 southeast would not qualify on those samples.

13 THE WITNESS: Right. And when we look at the
14 chloride over here, we can see here's the 213,000 mg/Kg.
15 Mr. Hansen was showing, sort of, by his estimates, the limits
16 of what could be buried when you measured it in terms of solid
17 content of the soil was more like 244.

18 What we see is we're just pushing what you might
19 possibly achieve. The rule is basically set so you can bury
20 almost anything you would logically run into. Some of these
21 might --

22 CHAIRMAN FESMIRE: Notwithstanding the siting
23 requirements, right?

24 THE WITNESS: Notwithstanding the siting
25 requirements; based only on the leach test, if you had no other

1 requirements.

2 But my argument is that most immediate effects are
3 often on the surface of the ground where the plant and animals
4 live. And you've heard me mention this before, the
5 traditionally accepted objective criteria we've heard before
6 has been at this number of 4 mmho/cm of electrical conductivity
7 just because that's easy to measure, I think.

8 Where is that in terms of where we are today? We're
9 not arguing the Pit Rule. We're talking about where we are
10 today. Given my less than complete dilution standards, I
11 interpreted it. The proposed standard would be a number
12 greater than this. In other words, it would be equivalent --
13 I'm showing an amount of salt here versus electrical
14 conductivity. Essentially, we would be several times the
15 accepted standard.

16 If by the time you diluted it out to 3,000, you're
17 about three times the standard for plants. Very little can
18 live. In fact, 3,000 might be a good material for making a
19 pickling brine. Another relationship of where this comes from
20 is we had at one time argued a number more like 500 if you're
21 measuring chloride and ppm soil. The electrical conductivity
22 comes out somewhere maybe 600 on the average.

23 And the material we introduced before said measured
24 against the species that have been measured, about half the
25 species suffered something like half of their growth or

1 decreased the productivity by about 1/2 at that threshold.

2 That's something of what the threshold means.

3 That doesn't mean that there isn't a plant up here
4 that can't grow in saltier soil, but it's trying to tell you
5 where this number comes from. It's saying a lot of species are
6 affected by the time we're at that, and you're leach standard
7 is several times that.

8 We've seen this before, but when we talk about the
9 porosity and saturation of the soil, the water, again I point
10 out, is held in little spaces between the soil particles unless
11 the soil is totally saturated where all the porosity is full.
12 And so it is the amount of salt that's dissolved in these
13 lenses of water that count, because that's what's available to
14 the plant. So if you have 50 percent porosity in the soil, but
15 only 25 percent of the soil volume occupied by water, half the
16 space is air, and the salt would be twice as concentrated as it
17 would be if you had a full saturation of the soil.

18 That came into discussions this morning, and we will
19 come back to it later. Here's properties of some typical
20 soils. They run 30s to 40s, sometimes as high as 50 percent
21 porosity. As I remember from the printout shown from the HELP
22 model, 25 percent was used, and I meant to ask about that this
23 morning. It seemed like a low number for soil averages. But
24 if you get a 15 percent volumetric moisture, we would think of
25 that as being moderately dry. Some of our plants would still

1 be growing in it, but it gives us kind of a peg point for what
2 volumetric moisture is.

3 Once you get down to these kinds of numbers, 3 to 10
4 percent volumetric moisture or residual moisture, the water no
5 longer moves from one grain to another.

6 The permanent wilt point is where most plants will
7 die and not recover if exposed to water with osmotic pressure.
8 It's usually expressed in terms of osmotic pressure, 1.5 MPa,
9 and that corresponds -- the best I can make it up -- to
10 something like if you had it on a soil basis 1,000 mg/Kg and 15
11 percent volumetric moisture.

12 What we're talking about in my terms are 3:1
13 dilution. For if the rule would allow 4:1 dilution for
14 stabilization, you come up to something equivalent to 30- or
15 40,000 or more mg/Kg or so. The point I make is not which
16 number is exact, but that you're way behind the permanent wilt
17 point of the plant. Nothing is going to grow there for a long
18 time until you clean that out, and salt cannot be easily
19 remediated.

20 I did some simulations in preparation for the Pit
21 Rule, and these, like simulations presented this morning, are
22 one-dimensional unsaturated flow by using typical soil
23 parameters. I used measured soil moisture rather than
24 rainfall, and I also ignored colligative effect.

25 Why? I think it's appropriate for me to say now why.

1 In the year before the Pit Rule, I became fascinated with the
2 movement of salt in unsaturated soil moisture. I spent a long
3 time studying this, and, eventually, I developed in five pages
4 all of the equations necessary to put in the code in order to
5 do what I thought would be a reasonable calculation, taking
6 into account the colligative effects.

7 My buddy who can run the code, certainly had -- or
8 can monitor and change the code -- had no funding to put in any
9 changes of the extent that it would take us another year, a
10 year and a half, to work out and check. And so we did not get
11 in colligative effects. I'm not aware of a suitable code that
12 does have all the colligative effects, and that's why we'll
13 need to return to that later today.

14 But our modeling at that time showed that chlorides
15 moved preferentially downward in sandy or loose soils and
16 upward in clay-like soils. And that's what I'm reminding us
17 of. That kind of modeling started with a steady state based on
18 an aquifer down here at some depth, 20 meters, and measured
19 moisture at the top. And then starting with that profile as a
20 natural profile of moisture in the soil, we inserted the waste
21 and let moisture take its course, and we watch where the waste
22 goes.

23 I include this chart, which you've seen before simply
24 to say we did use measured volumetric moisture in the soil. We
25 did, as best we could, parameter studies with a natural year

1 and with an artificially wet year where we took a couple pieces
2 of other years and glued them together to make a wet year to do
3 parameter studies and see what would happen.

4 We calculated several different soils. I'll show
5 only two today, the two extremes; a loose soil where this shows
6 the initial saturation from the aquifer, almost constant
7 moisture in the soil up the point where we would have a pit.
8 This is an unlined pit, and we show that it was highly wet.

9 In the right-hand graph, I remind you what happened
10 as time went by. This pulse of chloride that was in the pit
11 gradually moved downward, downward, downward, until it did go
12 into the aquifer. The scale -- notice the concentration was
13 0:1. If you're using an inert tracer, as I understand the HELP
14 model does, then it doesn't matter what concentration you have.
15 You multiply everything by the initial concentration because
16 it's just a number that's carried along.

17 When we went to a really tight soil, the moisture
18 profile was different. The initial moisture profile from which
19 we started and the movement of the salt was a different showing
20 as time went by, quite a pronounced movement upward to the
21 surface of the soil. And what you measure exactly on the
22 surface depends on whether it rained yesterday or not. This
23 number will jiggle up and down. But it does show that
24 preferential upward movement.

25 Results of modeling was that the chloride could

1 travel from an unlined pit to groundwater in about 100 years.
2 I would regard that as the same number as the 140 years that
3 Mr. Hansen came up with this morning. In a tighter soil, it's
4 much retarded going down, but it moved upward towards the
5 ground surface.

6 What is the significance to today's consideration?
7 We're not considering unlined pits. We're considering burial.
8 We're considering burial of material with a concentration
9 that's 12 times greater than what is allowed by the current
10 rule, and that raises the threat level considerably.

11 Do these kind of models compare with reality? We did
12 some field exercises to test. We went out and drilled in three
13 locations. One of these locations was supported by industry,
14 and what we found out in the Caprock was the chloride went past
15 15 feet total depth in pits that were 31 and 11 years old,
16 respectively. Why the 15 feet? That's when I ran out of money
17 to pay the drill rig. Incidentally, the groundwater under that
18 site has about 3,000 ppm of chloride in it.

19 In Loco Hills, the two pits that were 30 and 6 years
20 after closure we found the leaking edge of chloride 25 to
21 30 feet down, and one of those pits was lined. So is trench
22 burial secure? This is still coming back from things we
23 thought about in the Pit Hearing.

24 This is a 12 mil liner. I put a very rounded stone
25 on it with the tip of a ball-peen hammer and gave it a little

1 smack with another hammer. It was falling at about 1/3 the
2 velocity of rock or something else that would be falling if
3 dumped into a burial unit from above the surface of the ground
4 by a backhoe.

5 In other words, this was a light tap. We broke a
6 hole in it. This is a 12 mil liner. I used two 12 mil liners,
7 and we didn't penetrate. We just distorted and crunched the
8 liner. Two 12s are not the same as one 20, because with one
9 20, you have one scrim. With two 12s I had two scrims, so it
10 was quite a bit stronger.

11 The conclusion of this is with our 20 mil low density
12 polyethylene liner, we are right on the edge of where a tap
13 like this can poke a hole if you have a cavity of some kind
14 behind it, or if you have something sticking up and something
15 else falls down around it. You can't guarantee that there's
16 never going to be a hole poked in it.

17 But we find -- we're now saying, well, this trench
18 burial has to be secure for thousands of years. Could a closed
19 trench subside? This is one of the old pits closed 30 years
20 before this picture was taken where I was out one year sampling
21 and saw nothing. I came out the next year and saw something
22 unusual. I put up a jug beside it. And what had happened was
23 apparently the pit has subsided and groundwater was now going
24 right down into this hole into the pit. So you can have
25 subsidence.

1 Economic context, which I understand my colleagues
2 will wish to argue with, I will acknowledge I am not an expert
3 in economics. I will simply put up numbers that I find in the
4 literature, and I bring them to the attention of the
5 Commission, and the Commission can decide whether or not my
6 arithmetic is appropriate. I can do arithmetic. I wanted to
7 know why this came up.

8 This is the Governor's press release. And it says --
9 here there were many questions yesterday of did anyone meet
10 with the public? Did anybody meet with someone else? This
11 says the Governor personally met with leaders of the oil and
12 gas industry as well as oil patch legislatures. So these were
13 the meetings that are behind our considerations.

14 The Governor went on to talk about the price and
15 state that these changes will be proposed for economic reasons.
16 So all I'm establishing in the record of the hearing is that we
17 are considering economics, and I think environmental people
18 should consider economics. Our concern with economics is that
19 they need to be considered in context.

20 If we're going to talk about economics, let's have
21 the books on the table. Let's see the profit and loss of the
22 industry. Let's see what it costs to drill a well. Let's see
23 what it costs to put in the infrastructure. What fraction of
24 the capital cost of a well and it's associated infrastructure
25 is represented by the cost of the disposal of waste? That is

1 the context for economics. I welcome that discussion should it
2 occur.

3 The only cost analysis I could find in the literature
4 was provided in a memo by the secretary. We understand the
5 secretary requested this rule change. The secretary's number
6 provided annual cost savings range to implement on-site burial
7 over waste excavation in the southeast as \$3.3 million to
8 \$14.1 million annually.

9 As I say, economics must be discussed in context.
10 The only context I, as an amateur or a member of the public,
11 can find is the revenues to the State from oil and gas
12 production published by the Energy, Minerals and Natural
13 Resources Department. I put this up for about five years. We
14 notice that 2003 was close to half of what was going on in
15 2007. So certainly these revenues vary, and in some sense,
16 these numbers are proportional of the revenues of the industry.

17 If I consider Ms. Prukop's \$14 million savings, I'll
18 point out that if I go back to 2003, that would be equivalent
19 to about 1 percent of the taxes collected by the State from the
20 industry. I would, therefore, make a rather rash statement
21 that if the State really wished to help the industry
22 economically, and specifically in terms of waste handling, it
23 could do so with a remediation of about 1 percent of the taxes
24 that it collected in a year that was about half as good as
25 2007. That's the comparison.

1 I will go ahead and show that the well is completed
2 and revenues are curves that fairly well track, is not that
3 wells completed generate revenue; they don't. Wells completed
4 are risks incurred by the industry. It is that wells completed
5 are proportional to the same price that drives revenues. If
6 it's worth drilling, drilling occurs.

7 My conclusions from this --

8 MR. HISER: This would be where I would interpose the
9 objection, Mr. Chairman. Because this is not a statement of
10 fact; it's a statement of opinion as to whether or not there is
11 economic justification.

12 MS. BELIN: Mr. Chair, Dr. Neeper has stated that
13 when he's talking about economics, he's not talking as an
14 expert soil physicist, he's talking as a lay member of the
15 public, and those are his assessments as a lay person.

16 MR. HISER: So stipulated. I have no objection.

17 CHAIRMAN FESMIRE: Thank you. Because I didn't know
18 what to do with that one.

19 THE WITNESS: I will assist and I will say that is my
20 conclusion. Not meaning it is an expert's conclusion.

21 CHAIRMAN FESMIRE: Thank you, Mr. Hiser.

22 THE WITNESS: There's a typo in there. There's a 13;
23 that should be a 12.

24 Therefore, we did submit some suggested modifications
25 for the modification language. One is that trench burial is

1 allowed dependent on the depth to groundwater. But if I dare
2 say it rashly, OCD doesn't have good information on the depth
3 to groundwater. There are some charts that with interpolations
4 there are things put out by the geologic survey. But, in fact,
5 it is known where the groundwater is on the site because if
6 you're drilling a hole, you've just drilled through it if it's
7 there.

8 Now, that gets into a sticky problem you might have
9 because if you say you're drilling to install a monitor well
10 into the aquifer, the State Engineer might want to have some
11 jurisdiction, I understand. So I tried to make wording that
12 would not incur the wrath of the State Engineer. This is why
13 there is circumlocution in this wording.

14 I suggest, "An operator who closes a drying pad or
15 temporary pit by on-site trench burial shall determine the
16 depth to any soil or rock saturated with water" -- I did not
17 say groundwater. I did not imply anything about beneficial
18 use -- "or delivery of a well within 200 feet below the ground
19 surface" -- that gives you some room for whatever depth you
20 want to bury it -- " and record that depth on or with the
21 drilling log."

22 He didn't have to report it anywhere. He didn't have
23 to tell anybody. But if a controversy arises and the OCD
24 inspector wants to know, the record is there, and everybody
25 will know, and we won't be arguing over that fine point. I'm

1 just trying to solve arguments.

2 And Mr. Fesmire suggested in a comment that if this
3 is an economic relief, then it should have some form of
4 expiration. I, therefore, suggested we insert a clause that
5 says prior to June 16, 2011. That is, the new standard holds
6 until that date and does not exceed 250 mg/L after that date.

7 That concludes my direct testimony, Mr. Chairman.
8 And I would at some point like to use a rebuttal-type testimony
9 because it would need new figures in order to deal with the
10 kinds of issues we were dealing with this morning.

11 MS. BELIN: Yeah. As Dr. Neeper says, he has
12 rebuttal testimony. I don't know if you would like him to
13 proceed with that now, or if you have a different procedure for
14 that.

15 CHAIRMAN FESMIRE: Why don't we go ahead and have
16 him -- and it's limited to his areas of expertise, right?

17 MS. BELIN: I believe so. You're just talking
18 about -- you're not talking about --

19 THE WITNESS: I believe it's all within my areas of
20 expertise. And since some of these slides were prepared this
21 noon, I do not have printed copies. I apologize for that. I
22 can make the files available to the industry and counsel
23 immediately.

24 CHAIRMAN FESMIRE: Do any of the parties have an
25 objection to continuing with Dr. Neeper's rebuttal testimony?

1 MR. CARR: No, I do not.

2 CHAIRMAN FESMIRE: Ms. Foster?

3 MS. FOSTER: I do not. Are those files in digital
4 format? Because I can just throw it up on the computer.

5 THE WITNESS: Yes. I can give you my thumb drive,
6 and you can copy it directly into your computer. In fact, you
7 can do so right now, if you wish.

8 MR. BROOKS: Mr. Chairman, the Division has no
9 objection; however, we would request that Dr. Neeper provide
10 printed copies at some point in case we have to prepare a
11 record.

12 CHAIRMAN FESMIRE: Okay. Ms. Belin, why don't you go
13 ahead and proceed with the rebuttal portion of the Doctor's
14 testimony.

15 MS. BELIN: Did you want Dr. Neeper to give you the
16 drive before he testifies?

17 MS. FOSTER: No, that's fine.

18 MS. BELIN: Okay. Why don't you go ahead with your
19 rebuttal, Doctor.

20 THE WITNESS: I'm going to need the owner of this
21 computer to help me get out of here and get into somewhere else
22 because it's not behaving like my computer.

23 REBUTTAL EXAMINATION

24 BY MS. BELIN:

25 THE WITNESS: The testimony this morning considered

1 the use of the HELP model to develop an estimate of the bottom
2 discharge from a lined trench, and then subsequently to use the
3 MULTIMED model to follow that discharge, or 50 years' worth of
4 that discharge, as to what happened to it in the next couple
5 thousand years.

6 This headline was copied from the documentation that
7 goes with the HELP model, and the last page of that
8 documentation includes these particular references. Here are
9 three rather lengthy technical papers in the literature, and
10 here is one that's of similar length.

11 You notice these go back what looks to us like a long
12 time, starting in 1989. These people laid the foundation for
13 the equations that become the assumptions or the techniques or
14 the calculational methods within the HELP model. This is kind
15 of where it comes from.

16 And so to see what's going on in that, you can go
17 back to these papers, if you wish. This is available to
18 everybody because the lead to this was in Mr. Hansen's
19 pre-hearing papers. I will, for short, call them G&B, but from
20 paper part one, they say, "A liner is a low permeable barrier
21 used to impeded liquid or gas flow. If there was or were such
22 a thing as impermeable barrier, it would be possible to prevent
23 leakage."

24 What they're getting at is there isn't any liner that
25 isn't going to leak somehow, so don't be surprised that there

1 is some leakage. They go on to say none of the materials
2 presently used in civil engineering to line large areas is
3 impermeable. I, therefore, say the Commission should recognize
4 that all liners leak to varying extents. That's why many
5 hazardous waste landfills have a double liner in which the
6 second liner is designed to capture the leak from the first
7 liner and to pipe off that leak to put into a container.

8 OCD has performed a straightforward modeling
9 exercise. And I do not, either by my cross-examination or my
10 testimony, impugn the professionalism of those people. They
11 did what they could in the time they had available, and they
12 used a standard model that's adopted and out there.

13 They, however, could treat only one unique set of
14 reasonable, but not fully illustrative, parameters. They did
15 not explore the parameter space. They plugged in one set of
16 condition and said on that, we will base a rule. In their
17 single model, which represented a so-called "good"
18 installation. The trench burial leaks approximately 2.2
19 millimeters of water per year. That's as though it were
20 flowing in one layer, the layer would be 2.2 millimeters thick.
21 That's what it is meant in hydrologic terms.

22 And "good" is a term that the witness said, yes,
23 that's a technical term in the assumption of the software.
24 That's what you tell us what this is: Good. All right. That
25 amount of leak sounds small, but how much is it? If your

1 trench bottom is 160 square meters, then the leak is about 2.2
2 barrels a year. In less than two-and-half years it becomes a
3 reportable release. Nobody's going to report it, but that's
4 what we mean.

5 OCD's Exhibit 8 suggests that the 3,000 mg/L standard
6 is equivalent to 240,000 mg/Kg in the initial pit sample. I
7 say that's right, but what does it imply? We had a big
8 discussion this morning and we got all confused, so I've tried
9 to make this as straightforward as I can so we understand what
10 we're talking about.

11 Let's do a thought exercise. If we start with a
12 quarter liter of sample material from the pit and we add clean
13 soil 3:1 to make this one liter -- this is now what the rule
14 allows -- we then leach that with 20 liters of water and the
15 yield is 3,000 milligrams of chloride in every liter of the
16 water that comes out. The total chloride extracted is
17 60,000 milligrams.

18 And that's where this number 60,000 comes from. It
19 comes from a quarter liter volume of original pit sample. So
20 if one liter of pit sample weighed crudely one kilogram per
21 liter, you multiple that by four, you get the 240,000 mg/Kg of
22 soil that Mr. Hansen expected.

23 If the trench material were 25 percent porous -- I
24 believe that was his number -- and if all the pores were filled
25 with water, the pore water would have 60,000 milligrams in a

1 quarter liter full of water. And that's the kind of stuff
2 that's draining through, unless it's possible for leak water to
3 have a concentration greater than 20 times that of the extract.
4 By extracting, we diluted it down by 20 times. This is why
5 it's possible to have 60,000 or even greater in the
6 concentration coming out in the leachate.

7 We want to remember the saturation limit of water is
8 about 212,000 milligrams of chloride per liter.

9 CHAIRMAN FESMIRE: That's the surface temperature,
10 isn't it?

11 THE WITNESS: I can't remember the temperature of
12 where that is, whether that's a 15- or 20-degree centigrade.

13 The OCD modeling has predicted that the waste with
14 the proposed concentration will contaminate the aquifer beyond
15 use in approximately 140 years with a good liner -- obviously,
16 I have no argument with that. That's essentially the same
17 number I calculated -- and in 2,000 years, with very little
18 liner.

19 So our question, then, is not whether such burial
20 will contaminate the aquifer. The questions are when it's
21 going to occur and whether or not the ground surface will be
22 contaminated.

23 For question one: When? What I'm trying to show is
24 the model is unrealistic. It does not correspond to reality.

25 For number two: OCD acknowledges they have no

1 answer; they didn't think about it.

2 So there are faults with this double model system of
3 the OCD. Upward transport was neglected. This might be the
4 most immediate and most damaging effect of multiple burial
5 units scattered around the land. Modeling the downward release
6 from the trench neglected the variability of soils. They did
7 not use realistic estimates of installation defects in the
8 trench liner. It neglected the effect of multiple burial units
9 on the same aquifer.

10 I'll get back to this estimate of installation
11 defects. This is key. The model propagation of release
12 neglected the dominant dynamics of moisture diffusion into the
13 plume due to the reduction of vapor pressure by salt. This is
14 that colligative effect I was talking about. The model,
15 therefore, artificially increased the delay of contamination
16 arrival at the aquifer.

17 Let's go back. Why do I say this? There's a large
18 and significantly -- significant literature on the calculation
19 of leakage from landfill liners. I uncovered this liner
20 starting with the material provided in Mr. Hansen's testimony.
21 This literature documents the release from burial units of
22 varying quality in various situations, and it shows you can't
23 predict the result by one simplistic calculation.

24 For example, a leak rate varies greatly with the
25 liner and the underlying soil. If you have a liner with a

1 fault in it, and you have clay immediately under that and
2 pressed hard against the liner, the leak will be greatly
3 reduced. You'll have a better situation with either a liner
4 alone or the clay alone, and that's why people make smooth clay
5 and roll liners onto smooth clay.

6 The modeling neglected the variation of soil matters.
7 A reasonable porosity range might be .25 to .5, and hydraulic
8 conductivity varies by factors of ten. Now, the situation
9 isn't so simple as just multiplying an answer by a factor of
10 ten. This is from the HELP literature; it's from the
11 engineering documentation from HELP. Their porosity for the
12 varying soils they show is usually around .4, but there's a
13 variability -- there's a large variability in field capacity
14 and quite a variation in hydraulic conductivity.

15 Mr. Hansen used the hydraulic conductivity somewhere
16 in the middle of the 10^{-4} range. That's reasonable. It's right
17 in the middle of everything. He wasn't kidding anybody. But
18 the range over which you can expect to find things is here, and
19 you need to explore that kind of range when you are looking for
20 the broad impact of a rule.

21 Q. (By Ms. Belin): When you say "here," could you
22 just for the record say --

23 A. Let me get my arrow back. Somewhere between the
24 10^{-2} and 10^{-5} range. These are some impervious soils that range
25 from fine sands over to well-sorted sand down to loam. You

1 might have some clay or peat.

2 So a range of the soils that we experience in
3 everyday life are in this range. And you need to -- doing a
4 systems study, you need to explore the range of things. Why do
5 I accent hydraulic conductivity? It's because it's a feedback
6 mechanism. This plots hydraulic conductivity as a function of
7 water fraction of soil volume just for two characteristic
8 soils. And what we see is as you add water to the soil, the
9 conductivity increases greatly.

10 So if you change the saturated conductivity, THE
11 conductivity that occurs when the soil is full of water, you've
12 changed the conductivity all along. You've changed the
13 characteristic of the soil. As you begin adding water -- and
14 if water flows faster and you get more water in the soil --
15 that increases the conductivity, and the water flows even
16 faster.

17 So you can't sit and do one pencil and paper
18 calculation on the back of an envelope and come up with what
19 the answer is going to be. You have to model. That's why it's
20 done with computers. But what we notice is if, say, for this
21 soil we just double the moisture in the soil, you've changed
22 the hydraulic conductivity by a factor of a million. And that
23 would change your problem.

24 Suction is the energy by which water is bound to the
25 soil particles, those particles I pictured a little while ago.

1 The energy or the binding of the water depends, again, on water
2 fraction we have in the soil volume. I show it here plotted
3 for sandy soil and clay soil, and other soils will be in
4 between. But what you see is the binding of water to the soil.
5 Again, varies over a range of interest by at least a factor of
6 100. How can that affect us? We'll get back to the
7 colligative effect. But the presence of salt will alter the
8 surface tension, and surface tension is what's doing the
9 binding.

10 Landfills and trenches are not the same. The HELP
11 model is really designed for landfills. We heard this morning,
12 particularly from Mr. Hiser, a landfill often has a drainage
13 layer, a high permeability layer, say, sand on top that is
14 sloped. And when moisture gets in from the surface like
15 rainfall, it gets drained off.

16 Often under that there's a layer of clay because the
17 plastic liner on clay is much better than either the plastic or
18 the clay alone. Then there's the waste. And, finally, usually
19 on the bottom, you have again a drainage layer which leaves
20 anything that gets through into pipes where it's piped off to
21 be collected in some collection system, and then a secondary
22 liner.

23 This is typical of a hazardous waste landfill. What
24 we're considering is a trench where the sidewall is probably as
25 high, maybe higher than the width of the trench. The liner is

1 wrapped around it. The liner is wrapped across the top. An
2 additional liner is laid across the top. There may or may not
3 be in imperfection on the bottom through which water can drain.
4 There may or may not be imperfection in the top. There may or
5 may not be an imperfection in the sidewalls. We don't have
6 nice smooth sand or nice smooth clay that's been rolled on
7 which to put our liners. We have whatever happened when we dug
8 the trench.

9 Why do I say that? Why did I ask this morning
10 whether one could get inside and inspect a trench? When I was
11 in charge of a crew -- let me back up. When I was in charge of
12 a crew doing investigations of these kinds of things, I had
13 OSHA training that told me that I could not put my people in a
14 trench unless the sidewalls were shored.

15 And one of my colleagues had his people in one when
16 an inspector came and all kinds of trouble occurred. He has
17 his people yanked out. It turned out he was right because he
18 was in solid rock and he had it engineering-approved not to
19 need shoring. But, in general, with alluvial soils, you've got
20 to have sidewalls.

21 All right. Vapor diffusivity of the membrane, the
22 sidewalls, the HELP model neglected it. There's nothing you
23 can do. There is vapor diffusivity in the membranes. I'll
24 toss that aside in a minute.

25 We talked about the density of pinholes and the

1 density of defects and installation quality. The words, as I
2 can get them out of the HELP literature, are:

3 "Perfect" meaning you have actually sprayed a liquid
4 seal on the walls and made a liner with the straight-on liquid
5 seal.

6 "Excellent" means contact typically achievable only
7 in the lab.

8 "Good" means prepared smooth soil surface and wrinkle
9 control. Note the wrinkle control. I don't think we can do
10 that in trenches, particularly with sidewalls.

11 And "worst" means contact between the membrane and
12 the soil and does not limit the drainage rate. In other words,
13 that means wrinkles.

14 I think more reasonable for us would be worst cases.
15 Vapor transport through the sidewalls of the trench -- you
16 don't need to read it -- this is where I thought the biggest
17 problem would be. We have large sidewalls.

18 MR. HISER: Mr. Chairman, considering that we
19 qualified Dr. Neeper in soil physics and we're now going
20 through the technical distinctions of liner construction and
21 liner materials and all that, I think we're a little bit afield
22 from what he's qualified in.

23 THE WITNESS: Might I re-qualify myself?

24 CHAIRMAN FESMIRE: Well, let's see if Ms. Belin can
25 qualify you.

1 MS. BELIN: I was going to ask Dr. Neeper -- may I
2 ask him his experience and basis of his knowledge of the topics
3 that he's just been talking about?

4 CHAIRMAN FESMIRE: You may. And what are we call
5 this field that we're seeking to qualify him in?

6 Q. (By Ms. Belin): Well, do you know what the
7 name --

8 A. Operable Unit Project Leader for a RCRA facility
9 investigation.

10 Q. RCRA facility expertise, I would say.

11 CHAIRMAN FESMIRE: You ought to have seen the look on
12 your face.

13 I'm beginning to think that Mr. Hiser has a pretty
14 legitimate objection here.

15 MS. BELIN: Might I just ask Dr. Neeper to set forth
16 what the basis of his expertise in this area is?

17 CHAIRMAN FESMIRE: Okay. That would appropriate.

18 THE WITNESS: Mr. Hiser is correct because I had one
19 time planned to put this in the qualifications, and I slipped
20 that by. It is in my -- in some previous papers that are
21 probably filed here -- at one point, I was the so-called
22 Operable Unit Project Leader for a RCRA facility investigation
23 of a site, very large site, contaminated with hazardous and
24 radioactive waste, both vapors, liquids and solids.

25 For that job I had to go through the OSHA training.

1 I had to go through hazard waste operations training. I had to
2 be able to wear a level -- what is called a Level Class A
3 protection -- which means you are in a moon suit on a tank to
4 breathe because it's assumed you're handling stuff so dangerous
5 that you can't do that. And I had to supervise crews to be
6 sure they met whatever requirements we were going to get into.

7 CHAIRMAN FESMIRE: How did those requirements compare
8 to the requirements you're proposing in the rule?

9 THE WITNESS: The relevance of that to the rule
10 simply has to do with the trench. And where my expertise comes
11 in is when I'm talking about the vapor transport -- at the
12 moment -- into the trench. And vapor transport -- subsequently
13 I'll talk about vapor transport into the descending plume of
14 liquid. Both of those are entirely within my expertise in soil
15 systems.

16 CHAIRMAN FESMIRE: Okay. Doctor, why don't you make
17 that as quick as possible, because --

18 THE WITNESS: This was intended to be quick. It was
19 a giveaway to the industry.

20 Vapor transport through the sidewalls of the trench
21 is not the problem. And I spent a week figuring that out
22 thinking that was the big problem. It is not.

23 CHAIRMAN FESMIRE: Mr. Hiser, we'll note your running
24 objection to this part of the presentation.

25 Doctor, go ahead and proceed.

1 THE WITNESS: I provide a quote out of the HELP
2 literature. One hole per 4,000 m² -- make that an acre --
3 should be considered a hole size of 1 cm² recommended for
4 calculations conducted to size the components of the lining
5 system. If you're designing a rule, you're trying to size
6 components.

7 The above hole size frequency has been selected with
8 the assumption that the intensive quality assurance monitoring
9 will be performed. A frequency of 25 holes per hector or 10
10 holes per acre or more is possible when quality assurance is
11 limited to an engineer spot-checking the work done. I will
12 leave it, then, to other authorities as to whether an engineer
13 will be down in the trench spot-checking.

14 Materials have improved since this was written. Our
15 materials are better than this now. But I say there's a
16 realistic suggestion I would make. The one-dimensional model
17 assumes you have a large area, and it averages whatever leakage
18 you would get from one hole per acre into the output of this
19 large area. I say it would be realistic to consider you might
20 have one hole per trench.

21 I think what the model does is say you have one hole
22 per acre, as we heard this morning. And if the trench is 1/25
23 of an acre, it then just calculates at 1/25 of a hole, which is
24 not realistic. You either have a hole or you don't.

25 So what is a hole? This is from the literature, G&B

1 original literature. For a 2 millimeter hole, their leakage
2 rates with .01 foot of head on it -- which is what Mr. Hansen
3 used this morning, a thin film of water -- is 40 liters per
4 day. It's amazing a hole can transmit that much. That is
5 what's back in there.

6 Now, if that 40 liters is scattered over an acre, you
7 won't hardly notice it. But if you have a 160 square meter
8 trench bottom, this is equivalent to 3.5 inches per year of
9 infiltration, which is larger than the .09 inch per year of the
10 OCD model. I'm not telling you 3.5 inches is what's going to
11 leak. What I'm telling you is you have the answer. The
12 modeling has not been done correctly.

13 There was discussion of whether a decayed liner would
14 provide some continuing protection. The answer is no. Because
15 one small hole in the liner at the kind of flow rates we are
16 considering can induce a flow larger than the total leak
17 calculated by OCD. A slightly damaged liner or a liner that
18 has degraded in time might thereby provide you almost no
19 protection. The analogy to this is a small hole can drain a
20 bucket if the bucket is not being filled up faster than the
21 drain leaks out.

22 Can a trench liner be intact? I'm quoting the
23 literature. It may seem appropriate to use a geotextile
24 cushion between the membrane upper component and the lower
25 permeability soil. By that he means the soil underneath the

1 liner, composite liner, which means he's got clay under it.

2 I'm quoting the literature here. And he says,
3 "Lateral flow in the geotextile increases the rate of leakage."

4 Why am I concerned with this? It's because our rule
5 says if the bottom of the trench is irregular, you should put
6 down a geotextile. That's in the rule. That's probably good
7 practice, but bear in mind it means it's going to increase the
8 leakage.

9 Why am I concerned? If I look at a trench being dug,
10 I see there are rough edges, rough corners, and I see the
11 materials that come out of the trench, and I say the bottom of
12 the trench is going look something like this material, and it's
13 rough.

14 This is not a burial trench. This is just a drilling
15 trench. This is here to show that when the ground is
16 irregular, you get stresses on the liner, whatever kind of
17 liner it is. Those kinds of the stresses in the sidewalls
18 where you have vertical sidewalls can lead to tears.

19 When the task force called the Geotechnical Institute
20 and asked questions about liners, I asked the question: What
21 about the durability? What about the lifetime when a liner is
22 stressed at a point such as I point out here?

23 The answer was, "Oh, that's entirely different."

24 That's as much an answer as we got. Sometimes dates
25 aren't perfect, I point out, when you're burying. You are

1 likely to have a wrinkled liner and, therefore, a hole. It's
2 not backed up by a carefully laid layer of clay as it would be
3 in a constructed landfill.

4 Well, why worry about this when, if we weren't going
5 to worry about 250 mg leak standard, why worry about the 3,000?
6 It's because the integrity of the liner is more than 12 times
7 as important when the concentration is increased by a factor of
8 12. And that's because of the increased salt concentration
9 actually increasing the rate of transport of chloride to the
10 aquifer.

11 How can that happen. I mentioned before there are
12 these colligative effects, fluid properties, that change when
13 the concentration of the salt changes. What changes? The
14 surface tension increases; that increases that potential. For
15 those who deal with potential for 60,000 milligrams, it's
16 equivalent to 83 bars or 2700 foot head of water. That isn't a
17 thing we usually deal with. It's amazing.

18 Vapor pressure decreases, which is the thing we are
19 considering now, and the viscosity increases, and the density
20 of the liquid increases. As the density increases, it tends to
21 flow faster because it's flowing under gravity. All of these
22 effects interact together, and you can't come up with a simple
23 answer with a back-of-the-envelope calculation. You have to do
24 the modeling.

25 This is a complicated problem. You don't need to

1 really understand the graphs. What I'm trying to demonstrate
2 is I have some expertise in this. I spent months on this
3 problem. The water vapor in the soil actually diffuses faster
4 in the soil than it does in the air. This is called the
5 Philip-deVries enhancement, and that enhancement actually
6 increases with the salt content. If you naively take some
7 number, you could say, "Oh, it's running 20 times faster."

8 You have to work out the whole problem, as Mr. Hiser
9 pointed out, including those engineering numbers like the
10 porosity and the tortuosity and whatnot to come up with a more
11 realistic factor which is going to be somewhere near three
12 kinds of saturations we deal with in the salt.

13 I take that out off my own notebook from whatever
14 year it was, 1907 -- 2007 -- to illustrate --

15 CHAIRMAN FESMIRE: It sure took you-all long enough
16 to argue with him on that one now.

17 THE WITNESS: Okay. To illustrate, you have to be
18 careful. If water vapor is trying to diffuse across here, it
19 needs only come to this point and evaporate another molecule
20 from that side. And that hops over here and evaporates from
21 that side. And that's why water vapor goes faster in the soil
22 and than it could in just straight air.

23 Let us consider that you have a slug of water moving
24 down from the trench burial unit. It's 60,000 mg/L, and it's
25 moving down very slowly, 2 millimeters per year. This is one

1 way to picture it. We have vapor diffusion coming in because
2 the vapor pressure is lower in here due to the salt.

3 So I draw off a square meter here in my imagination
4 and I back off and say -- for doing back-of-the-envelope, I'll
5 say it's coming from 2 meters away, that we've kind of extended
6 this gradient out 2 meters. The estimated flux to the face of
7 that plume, I come up with about 1.4 kg/m² per year.

8 Well, if you have a plume that's 40 meters by 4,
9 something like the size of a burial unit, the addition to the
10 plume from two faces -- neglect the ends -- is about 458 kg a
11 year. Is that right? No. That's a back-of-the-envelope
12 number.

13 But what it tells you is this number is bigger than
14 the total downward flux. It tells you you have a big effect
15 from doing a back-of-the-envelope calculation, and you should,
16 therefore, pay attention to it. It is difficult to do this
17 modeling, I admit. OCD was not neglectful.

18 MR. HISER: Mr. Chairman, for the benefit of those of
19 us who are not in Dr. Neeper's head, could you have him specify
20 what is it that's fluxing and being added since it doesn't
21 state on the slide?

22 CHAIRMAN FESMIRE: Doctor, would you be so
23 considerate as to elaborate on that?

24 THE WITNESS: I simply don't under the question, but
25 I would love to elaborate. The trouble is, I love too much.

1 Never ask a scientist about his work. He'll talk all night.

2 MR. HISER: I guess I'm just trying to figure out if
3 you're taking about water moving in or salt or what it is that
4 flux is.

5 THE WITNESS: The flux is water vapor moving toward
6 the face of the plume --

7 MR. HISER: Thank you.

8 THE WITNESS: -- and condensing in there because it
9 is being sucked, essentially, by the saltwater in the plume.
10 The saltwater in the plume would just love to grab more water,
11 in a sense, when you go into these kinds of concentrations.

12 Conclusions: Diffusion through the membrane is
13 negligible, and that includes the walls. Diffusion into the
14 plume below the trench will have a dominant effect on the
15 motion of the plume because it adds liquid. You add liquid,
16 you get it more saturated. That's raising the hydraulic
17 conductivity, and it moves faster. It dilutes the
18 concentration but it greatly increases the speed.

19 The MULTIMED model, the thing that treated this
20 problem down below the burial unit neglected this major dynamic
21 of chloride transport below the trench. It had no choice.

22 So we're back to a review of what did I consider to
23 be defaults. We lost the upward transport. We didn't model
24 the downward release in a variety of circumstances so we could
25 see the general pattern. And finally, we neglected the

1 dynamics that are caused by this high concentration of salt in
2 the water.

3 Q. (By Ms. Belin): When you say "we," are you
4 referring to OCD? Or who are you referring to?

5 A. That's careless of me. It's the imperial we. It
6 would say the body as a whole or OCD neglected it in the
7 proposal of the rule. These things were neglected is the best
8 way to say it.

9 Q. I have just a couple more questions, Dr. Neeper.
10 Dr. Neeper, do you recall asking Mr. Hansen about any problems
11 relating to burrowing animals or gophers?

12 A. Oh, yes. That question came about because of the
13 result of my experience on hazardous waste landfills; in this
14 case, a radioactive waste landfill, which was made very nicely
15 and enclosed with these nice little humps so the water would
16 drain and with clay layers underneath the soil. And all around
17 were holes.

18 Whoever the burrowing animals were, gophers, there
19 were just holes everywhere and around the holes were white.
20 And I asked the guy in charge of the site, "What's the white
21 stuff?"

22 He said, "That's the clay. They just love to dig
23 that up."

24 Well, I walked around the edge and, eventually, the
25 water drained off to one side. It came down the one hole and

1 went into the hole. A good part of the site was draining right
2 down into the pit, disposal pit. So it's made me a little
3 questionable.

4 Once we create a nice place with nice soft soil, it
5 may be that burrowing animals wouldn't just preferentially love
6 it. They sure did in that place.

7 Q. Also, did you ask Mr. Hansen about the reply of
8 Dr. Coyner of the Geosynthetic Institute regarding the
9 longevity of a stress point in the liner?

10 A. Yes, I did bring that up. Maybe it wasn't clear.
11 But Dr. Coyner had just said, under stress, that's a totally
12 different circumstance in terms of figuring the lifetime.

13 Q. Is there anything else you want to say by way of
14 rebuttal?

15 A. No. I think that concludes my rebuttal
16 testimony.

17 MS. BELIN: Mr. Chair, I'm sorry. I'm also going to
18 have to leave. But, obviously, Dr. Neeper can handle whatever
19 questions come his way.

20 CHAIRMAN FESMIRE: Okay. Why don't we go ahead and
21 take a 13-minute break and reconvene at ten minutes to 3:00.

22 [Recess taken from 2:36 p.m. to 2:54 p.m., and
23 testimony continued as follows:]

24 CHAIRMAN FESMIRE: Okay. Let's go back on the
25 record. Again, this is the continuation of Case No. 14292.

1 The record should reflect that Commissioners Olson,
2 Bailey, and Fesmire are all present. We, therefore, have a
3 quorum.

4 I believe we were about to start with the
5 cross-examination of Dr. Neeper by Mr. Brooks. Mr. Brooks, do
6 you have any questions of Dr. Neeper?

7 MR. BROOKS: I do, Mr. Chairman. Because of the
8 lateness of the hour, I'll try to make it as short as possible.

9 CROSS-EXAMINATION

10 BY MR. BROOKS:

11 Q. Good afternoon, Dr. Neeper.

12 A. Good afternoon.

13 Q. I'm going to ask you a number of questions on
14 your initial presentation. With regard to your rebuttal
15 presentation, we can probably appreciate it was difficult for
16 to prepare it since you had only a week after you got our
17 materials. But whatever cross I had to come up with I had to
18 come up with in 15 minutes after I saw yours.

19 A. Will, I spent most of that week calculating that
20 indeed the vapor transport to the walls of the trench through
21 the membrane is insignificant.

22 Q. Well, we're glad to hear that.

23 Now, you didn't say a lot in your presentation this
24 afternoon about upward movement. You did allude to it, but
25 there's a lot in your materials about upward movement, correct?

1 A. Yes. What's in my materials really stems out of
2 the first Pit Hearing.

3 Q. And the first several -- a number of the slides
4 in the first several pages seem to be devoted to the
5 proposition that at a salt concentration of 3,000 mg/Kg, plants
6 won't grow, right?

7 A. That's correct.

8 Q. But, of course, you do understand that we're
9 talking about 3,000 mg/Kg of waste that is buried under a
10 geomembrane liner, not in the topsoil itself?

11 A. That's certainly correct.

12 Q. And --

13 A. May I elaborate on that?

14 Q. You may.

15 A. The point of this being that if you have buried a
16 concentration that is greater than what the surface life,
17 living surface, can tolerate, it's possible you can damage the
18 living surface. If what you were burying was below the
19 threshold for damage to the surface, then I probably should
20 worry about it because it's only going to get less as it moves
21 towards the surface.

22 Q. Correct. Now, you would certainly agree that the
23 geomembrane liner over the top of the trench will retard
24 whatever upward movement might occur.

25 A. Oh, it certainly should.

1 Q. And you also understand this is under four feet
2 of soil on top of the geomembrane liner.

3 A. That's correct. That's required by the rule.

4 Q. Right. Now, in the previous Pit Hearing, as I
5 recall, you said that your studies, your modeling, that you did
6 on the upward movement did not take into account of what was
7 going on in the top 20 inches of the soil cover; is that
8 correct?

9 A. That is correct for a reason.

10 Q. And that is still true of what you are
11 representing to us today, correct?

12 A. Because what I'm representing to you today comes
13 from that. It is that same day, that same graph, same --

14 Q. That's what I assumed was the case, and I just
15 wanted to clarify that.

16 A. The reason for that 20 inches is not total
17 neglect. One can put in rainfall and then try to deal with
18 whatever happens to the rainfall, as the HELP model does, and
19 that's guesses and correlations put in and averages.

20 My way was to take an actual measured number of the
21 moisture of the 20-inch depth and let that drive the problem.
22 So it was a way for me to use measured data to drive the
23 problem.

24 Q. Okay. And then you go over here on -- well, your
25 slide number 16, you compare the extent of upward movement in

1 sandy loam. And in your slide number 17, you compare the
2 extent of upward movement in clay soil or tight soil, correct?

3 A. Yes. For the purposes of this hearing, I just
4 took the two extreme examples out of the previous hearing.

5 Q. And in the sandy loam, it looks like at ten years
6 you're showing it will be a little bit of upward movement, but
7 you don't show anything at depth zero, which would be the
8 surface; is that correct?

9 A. Depth zero in this model is the 20-inch depth.

10 Q. Okay. But you show a little bit of upward
11 movement at ten years, but you don't show it going up to depth
12 zero, which is 20 inches, you say, below the surface, if I read
13 this graph correctly.

14 A. Yes. The red line at one year you see some --

15 Q. Oh, I'm sorry. I was reading the red line as ten
16 years.

17 A. Yes.

18 Q. I'm sorry.

19 A. And this is because when you have a low amount of
20 chloride coming up, it'll wash back and forth with the
21 rainfall.

22 Q. Yeah.

23 A. So what you see when you take a snapshot at the
24 end of the year, it may have been washed down or may be washed
25 up.

1 Q. These graphs are based on no intervening liner;
2 correct?

3 A. There's no liner.

4 Q. But in ten years -- ten years is the green line,
5 right?

6 A. Ten years is the green line.

7 Q. At ten years in the sandy soil, there won't be
8 any -- you show no salt above the top of the waste.

9 A. Yes. And as I can tell you, that can go up and
10 down.

11 Q. And you get out to 40 years, which is your gold
12 line, and -- or yellow line -- and that salt has gone on down
13 below the bottom off the waste. You don't show any coming up.

14 A. Right.

15 Q. Okay.

16 A. The result that you take from that is that in
17 those conditions, predominantly your motion is downward.

18 Q. And at least the way you show it here, it's never
19 going to get to the surface because it doesn't even get to the
20 20-inch level.

21 A. Well, you may see some intermittently at the
22 surface, and then you'll see it disappear again. I've
23 personally observed that. I've seen white salts accumulate on
24 the surface, and the rain comes, and it goes away.

25 Q. Okay. Now, you go over to your clay salt. And,

1 of course, there you show most of the salt coming to the
2 surface over a lengthy period of time.

3 A. Well, most of the salt. It's not a large faction
4 of what might have been in the original pit, but it is a
5 significant concentration of salts.

6 Q. It goes quite high on your --

7 A. It becomes even more concentrated than it was in
8 the pit.

9 Q. Your 40- and your 100-year graphs. Again, this
10 is no liner --

11 A. No liner.

12 Q. -- between the waste and the surface?

13 A. That's correct.

14 Q. Now, Dr. Neeper, I assume you're quite familiar
15 with New Mexico soils; is that a correct assumption?

16 A. I don't think you can say that I am an expert on
17 New Mexico soils. I don't deal with soil mechanics. I haven't
18 been out studying all the various horizons of soils in
19 New Mexico, no.

20 I'm familiar with what we might find in terms of
21 moisture potential in different areas of the soil. That's a
22 physics problem. So you'll have to get to your --

23 Q. So my question is, as a broad generalization, do
24 not the sandy soils predominate in most places in New Mexico?

25 A. I cannot answer that. I can only give you my

1 experience. I walk around the southeast and I find a lot of
2 limestone.

3 Q. And limestone you would characterize how?

4 A. It's hard, thick stuff. It probably has most of
5 it's transport by preferential pathways through fractures. You
6 move off the Caprock, and you will be in quite sandy surface
7 soils. But what's below those sands near Mescalero sands, I
8 don't know.

9 Q. Okay. Thank you. And you did not do any
10 modeling work on upward movement through a liner; is that
11 correct?

12 A. I didn't do any modeling through liners. And one
13 short week or less of preparation for this, I looked at the
14 literature, numbers of penetration of liners, liner faults, by
15 liquids. And I looked up the diffusion of vapors through
16 liners, which can give you frightening results if you happen to
17 get the wrong numbers.

18 Q. Well, going then to your slide numbers 20 -- or
19 slides 19 and 20 -- where you talk about your empirical work.

20 A. Okay. Maybe for the audience -- there are copies
21 of that testimony up here. But maybe we should get this up on
22 the screen.

23 Q. That's fine.

24 A. Would that be helpful?

25 Q. That would be helpful.

1 A. The second testimony is up here.

2 Q. I thought I remembered you having pictures of
3 these empirical locations, but that must have been in the
4 presentation of the prior case.

5 A. In the original testimony, I had pictures of the
6 locations. I saw no need for --

7 Q. Okay. You said in the Caprock you looked at two
8 pits, one of which had been closed 31 years and one 11 years;
9 is that correct?

10 A. That's correct if that's what's on the slide.
11 Which slide is that?

12 Q. This is page number 20.

13 A. I don't want to verify something unless I'm
14 looking at it. All right.

15 In the Caprock, I said the pits were 31 and 11 years
16 after closure at the time I was doing the sampling.

17 Q. Okay. Did you indicate that you saw no evidence
18 of a liner in the older of the two pits?

19 A. I'm trying to picture which pit was which. On
20 the Caprock, one of them -- and I think it was the 11-year
21 pit -- had a liner, and the liner had been destroyed and was
22 coming up out of the ground. The other pit there was no
23 evidence of a liner.

24 Q. And you don't actually know in the one where
25 there was a liner, how that liner was constructed; is that

1 correct?

2 A. You may be -- are you sure that you want to talk
3 about the Caprock? Because in the Loco Hills, there was a
4 definite lined pit that was known to have been lined by history
5 of the people who did it, and the nature of the closure was
6 known. Is that the one you're talking about?

7 Q. Which one was this? Was this the Caprock or the
8 Loco Hills?

9 A. That's Loco Hills.

10 Q. Okay. Well, I was talking about the Caprock.

11 A. Okay.

12 Q. And my notes, which were taken from your previous
13 testimony, indicate that you said there was evidence of liner
14 material, but you didn't know how the liner was constructed.

15 A. I will have to go back to my notes that I took in
16 the field and see what I saw. We did continuous coring, but I
17 don't remember.

18 Q. Now, in the Loco Hills, you had looked at two
19 pits, one 30 years -- one had been closed 30 years, and one had
20 been closed six years.

21 A. Yes.

22 Q. Okay. Now, the older of the two, did it have a
23 liner? Did you have --

24 A. No. My memory is that it was the younger one
25 that had a liner.

1 Q. Okay. And you said in that one you had definite
2 information about how that liner was constructed; is that
3 correct?

4 A. Yes, the operator said they had left the liner in
5 place and then folded over the top of the pit when they closed
6 it --

7 Q. Okay.

8 A. -- and we hit the liner at the top of the pit.

9 Q. It was not a deep trench burial in the sense that
10 it was a wrapped enclosure?

11 A. Yes.

12 Q. Okay.

13 A. And the surface was not, obviously, showing any
14 damage there.

15 Q. Okay. So in that one, the surface was not
16 showing any damage?

17 A. Give credit where it's due.

18 Q. The ones where the surface was impacted with
19 chlorides, do you know whether or not those chlorides were
20 buried, or whether they had simply been left at the surface at
21 the time?

22 A. I have no way of getting at the history of the
23 site. The only thing I could do was note that on one site
24 there were two new monitoring wells, and I sampled the wells
25 and found something like 3,000 ppm of chloride.

1 Q. Yeah. But you don't know where that had moved
2 from?

3 A. No. That's why I'm so sorry I ran out of money
4 and quit drilling at 15 feet. Because if I had drilled all the
5 way to the groundwater, I would have had a continuous core, and
6 I would have been able to trace the chloride.

7 Q. Okay. Now, going then to your page number 24 --
8 and you were talking about the liner subsiding, the pit
9 subsiding -- if I did understand what you said, and correct me
10 if I'm wrong -- that what you interpreted that as being as
11 evidence for moisture on the surface had found a way down into
12 the pit. Is that what you indicated?

13 A. One year when I was out there, I noticed no such
14 surface manifestations. Another year when I was out there, I
15 noticed a little depression, linear depression, like a little
16 tiny stream bed, very shallow, leading over and eventually
17 coming to these tracks in this hole.

18 And it was evident from looking at it that water had
19 run down the little -- it had gathered water in some
20 significant area, and the water had gone down the hole, and the
21 soil had cracked and dropped there.

22 Q. But you did not drill into it to see where it had
23 gone?

24 A. I did not drill that spot, no.

25 Q. Okay. Do you know how that pit was closed?

1 A. No information.

2 Q. Okay. Thank you.

3 As I said, I'm not going to ask you very much about
4 your rebuttal materials due to the short period of time we had
5 to prepare them and to look at them, but I will ask a few
6 questions?

7 A. Well, I apologize for the short time, but you'll
8 notice the time stamp on the file was something like 12:36 this
9 afternoon.

10 Q. I certainly understand that. I'm not faulting
11 you for that.

12 You know, I'm accustomed to an environment in which
13 you take the expert's deposition months before the trial, and
14 then if he's going to supplement, he has to do it at least a
15 week to 30 days before the trial. That enables one to be much
16 more thorough. But we don't operate here in that environment.

17 You said something in your testimony, I believe -- at
18 least Mr. Hansen picked up on it -- about a 25 percent soil
19 porosity. Were you assuming that the application that the OCD
20 modeling was based on that assumption?

21 A. It's a number that I picked up off the HELP -- or
22 MULTIMED printout. And so I couldn't find any other
23 specification of porosity in there. I meant to ask Mr. Hansen
24 about it, and so I'll stand corrected.

25 But it didn't influence any of the conclusions I drew

1 because the conclusions I was trying to make is you need to
2 cover a range of soil parameters when you're doing a system
3 study.

4 Q. Okay. So if, actually, the assumption that the
5 OCD made was 47 percent porosity, then that would not change
6 any of your conclusions?

7 A. It wouldn't change my conclusions, because I
8 would be back asking him, saying, I think you should also run a
9 25 and a 30 and a 35.

10 Q. Wouldn't the larger porosity result in faster
11 flow and, therefore, be more conservative?

12 A. You tend to think it would, but these are
13 nonlinear problems, and you change one thing and several other
14 things may change. And that's why we have to do them by
15 computer modeling.

16 I've been engaged in computer modeling since 1968
17 when the term didn't exist. And my first eight years of
18 modeling were with thermonuclear weapons. When you're --

19 Q. A field in which you don't want to actually do
20 field experiments.

21 A. I'm impressed with the fact when you're doing a
22 system study you've got to go through all the parameters.
23 Because if you have interacting parameters -- one thing makes
24 the water flow faster, another thing makes it flow slower --
25 there's no substitute for doing the work and doing the

1 modeling. That's why I ran so many different options for that
2 little infiltration study I did for the Pit Hearing.

3 Q. Now, incidentally, have you run models other than
4 the HELP and the MULTIMED model that Mr. Hansen used?

5 A. I have not used those. I just read the technical
6 literature on it.

7 Q. Okay. You mentioned that there are various
8 factors that can be built into a landfill design that will
9 retard flow further than simply putting down a geomembrane
10 liner, correct?

11 A. Yes. I haven't designed a landfill per se, so I
12 quote the literature, which says you're better off with a low
13 permeability layer and a liner than with either the layer or
14 the liner alone.

15 Q. And, of course, if you were to look at the
16 regulations that the Oil Conservation Division adopted in the
17 Surface Waste Management Rule for landfills, you'd find many of
18 those features incorporated.

19 A. Yes, much to my gratification.

20 Q. But you are not suggesting, are you, that --
21 well, you said the HELP model was designed for that, right?

22 A. All right. I will say all the literature behind
23 the HELP model says it's designed for landfills.

24 Q. But you're not suggesting, are you, that it's
25 somehow built into the model such that Mr. Hansen's conclusions

1 are assuming the existence of further precautions that are not
2 required under the rule, if you understand my question?

3 A. No. I think I understand your question, so I'm
4 going to have to take a broader answer. I don't think anything
5 is wrong with what Mr. Hansen did; it's just limited. And it's
6 limited by the assumptions that are built into the defaults of
7 the model, which was designed for landfills.

8 Q. But you're not suggesting that he built his
9 conclusions on a model that assumed that you had additional
10 precautions that we don't have here?

11 A. No. To the extent the model runs correctly, it
12 modeled just what he drew, just what he showed it.

13 Q. Dr. Neeper, you talked a lot about colligative
14 effect -- and I've seen this in a lot of papers, and I didn't
15 have any idea until today what that meant. I think you kind of
16 explained it in your testimony.

17 As I understand, the colligative effect is the
18 tendency of the water that has salt in it to draw in fresh
19 water in an effort to dilute that solution. Is that the
20 general idea?

21 A. That is one of many colligative effects. In
22 general, colligative means an influence of the solute upon the
23 physical properties of solvent, whatever the two may be.

24 Q. Okay. Do you have an opinion -- and the problem
25 with Mr. Hansen was he didn't consider the colligative

1 effects -- but do you have an opinion as to what the effect of
2 colligative effects would have on the resulting concentration
3 in the groundwater, the concentration of salts in the
4 groundwater?

5 A. The opinion I can issue at the moment is that the
6 colligative effects will increase the rate at which salts are
7 transported toward the ground.

8 Q. That's what I understood you to say.

9 A. But I cannot tell you what the concentration
10 would be at any particular time. There again, you have to do
11 the problem and doing that problem with the colligative effects
12 in it is a challenging technical task.

13 MR. BROOKS: One moment, Mr. Chairman.

14 No further questions. I pass the witness,
15 Mr. Chairman.

16 CHAIRMAN FESMIRE: Ms. Foster?

17 MS. FOSTER: No questions.

18 CHAIRMAN FESMIRE: Mr. Carr?

19 MR. CARR: No questions, Mr. Chairman.

20 CHAIRMAN FESMIRE: Mr. Hiser?

21 MR. HISER: Just a few.

22 CROSS-EXAMINATION

23 BY MR. HISER:

24 Q. Dr. Neeper, thank you so much for coming and
25 discussing this proposal with us.

1 I'd like to start with the modeling work that you did
2 and presented previously at the prior hearing and then have
3 sort of reintroduced here. This is on page 13 of your
4 additional presentation.

5 I guess my first question -- I think we went through
6 this the last time through -- is the model that you used either
7 an EPA OR NMED model?

8 A. We have to come back to what you mean by model.

9 Q. I guess --

10 A. I know where you're going with this, so I want to
11 give you a careful and complete answer.

12 Q. All right.

13 A. The code is not a model. In the case of HELP,
14 the code is a long ways toward a model, because it pretty much
15 assumes a landfill in situations like leaks that are
16 characteristic of plastic liners of given sized holes in
17 landfills.

18 The code I used here is the FEHM code. It is a
19 research level code. One of its main functions is assessing
20 the hydrology of Yucca Mountain Waste Repository. That's what
21 I used. But it's not a thing you can just turn on, draw a
22 picture and say, "I want these inputs."

23 It runs the pretty fine physics, and you have to know
24 what it's doing with the physics to get a reasonable answer out
25 if it.

1 Q. But it says here that the FEHM model -- I think I
2 got the acronym right for that -- is not what we would commonly
3 consider a regulatory model, one that EPA has put out on its
4 list of models that it recommends to the various agencies that
5 administrate environmental issues -- one that it recommends.
6 It's one that you've used in your research and have found to be
7 very useful to you.

8 A. The EPA would not recommend it for
9 unsophisticated users, dare I say so. It is not user-friendly.
10 It is not packaged for users. Anyone may obtain it free of
11 charge. The Nuclear Regulatory Agency would pay attention to
12 it.

13 Q. Now, when you were using your model, you were
14 using essentially a moisture input, as understand it, at a
15 20-inch depth and sort of postulated that level of moisture was
16 present in the soil column; is that correct?

17 A. Negative. I postulated that level of moisture
18 was present at the 20-inch depth, at the top of where I began
19 my calculations.

20 Q. And then you essentially used the one-dimensional
21 model to move that water down through the soil column or up the
22 soil column, as the case may be?

23 A. Yes, after establishing an equilibrium situation
24 in the entire column down to the aquifer.

25 Q. Okay. And as a result of that, did this have the

1 effect of leaving moisture continuously present throughout the
2 soil column?

3 A. You mean all the way between the aquifer the
4 surface was moisture continuously present?

5 Q. Yes.

6 A. Yes, and it would be. You can't dry the soil
7 totally.

8 Q. Okay. Now, the reaction that you're relying upon
9 to bring the salt, as you say, to the surface, that's going to
10 be a diffusion reaction of the salt traveling through the water
11 column; is that correct?

12 A. Diffusion adds, but it's a minor part of it. The
13 main thing is advective transport.

14 Q. Advective transport?

15 A. It's the moisture moving up.

16 Q. How does --

17 A. When you dry the surface of the soil, you
18 increase the suction, the moisture moves up, and it brings the
19 salt with it.

20 Q. Okay. So you're contention, then, is that
21 there's advective transport of water which is moving in an
22 upward direction and that's due to different -- I guess you
23 would call it metric potentials between the different areas?

24 A. Any time you calculate unsaturated flow, you're
25 calculating flow across a difference of potential. Mostly,

1 usually, it's metric potential.

2 Q. Okay. Now, this is -- as I think Mr. Brooks made
3 clear starting at, essentially, 20 inches below, correct? And
4 you sort of said you didn't want to deal with the surface
5 because of the impact of advective flow from rainfall and
6 everything else that occurs in that area.

7 A. It's just a complication. And if I see it
8 getting to 20 inches, I figure the surface is impacted. That's
9 correct.

10 Q. Okay. Now, is it not true that by assuming the
11 continuous presence of moisture as you did, particularly in the
12 upper levels of the surface, that that would tend to facilitate
13 the movement of salt? Whereas, if that area were dry,
14 relatively drier, that would tend to retard the movement of
15 salt?

16 A. I can tell you're not a hydrologist.

17 Q. That may be. Neither are you.

18 A. There is almost always moisture present in the
19 soil. If you take it to its very low moisture content, that's
20 what's called residual moisture, and that appeared on the
21 column of one of my slides.

22 Q. If there's residual moisture, though, is there a
23 possibility for advective movement?

24 A. The residual moisture is the point where it
25 doesn't move anymore. You've got it so dry it doesn't move

1 anymore.

2 Q. So effectively, once we've reached the point of
3 residual moisture, there's not the possibility for salt
4 transport through any type of advective means; is that correct?

5 A. That's right. If you took the holes out to the
6 residual point, you would have advection of salt. You would
7 have motion of water vapor, however.

8 Q. But water vapor cannot transfer salt itself, can
9 it?

10 A. No, but it can increase the saturation to where
11 you advection starts again. And that's why you got to watch
12 all of these effects.

13 Q. But it wouldn't move the salt itself?

14 A. No, it's the osmotic pressure difference. The
15 vapor is, in effect, an osmotic membrane. It doesn't transmit
16 salt; it transmits water.

17 Q. But an osmotic membrane requires the presence of
18 a membrane; does it not?

19 A. Negative. I said it is, in effect, an osmotic
20 membrane. That means if you have salty unsaturated water here
21 and pure unsaturated water here, one of them will be attracting
22 vapor from the other. And the pressure difference -- if you
23 want to call it that -- is the osmotic pressure.

24 That's the same pressure -- it's the energy
25 difference per unit volume of water that you have between the

1 two situations. And that's the same pressure difference you
2 would get if you had a semi-permeable membrane and measured the
3 osmotic pressure across that membrane. And it becomes huge,
4 the salt solutions.

5 Q. Dr. Neeper, is it not true, though, if I add
6 water because of the vapor pressure approach that you've just
7 spoken of, and eventually I get to the point where there is
8 sufficient water, that gravity, once again, becomes the
9 dominant feature and that would create convective or invective
10 flow back downwards?

11 A. Gravity is always present. The liquid water will
12 tend to flow toward the lowest potential, whether that's above
13 it or below it. In the liquid flow, it will ignore the osmotic
14 pressures, but will flow to basically a metric pressure, metric
15 potential. And so it can flow downward. It can flow upward.

16 If you get enough water and you get a gradient where
17 it is not sufficiently dry above a lower location, then the
18 water will flow downward. If you get it dry above a location,
19 it may flow upward.

20 Q. You did sampling at both Caprock and Loco Hills;
21 is that correct?

22 A. That's correct.

23 Q. The did you see in either of those cases the
24 movement of chloride upward that you could document?

25 A. I'm thoughtful because I'm trying to remember. I

1 would have to go back and look to be sure, but I'm remembering
2 some rather extreme potentials near the surface on Caprock, not
3 at Loco Hills.

4 But unless I looked at my notes or looked back at my
5 previous testimony, I couldn't give you a guaranteed answer on
6 that.

7 Q. But at Caprock we don't know how the closure was
8 accomplished.

9 A. We don't know how the closure was done.

10 Q. So could you submit it -- there could be smearage
11 of the content.

12 A. Somebody could have dumped a sack of soil on the
13 ground. It's just suspicious that it happened in a location
14 where there was a pit.

15 Q. Now, I want to look at your rebuttal testimony on
16 slides, I think, in the arena of 19 and 20.

17 A. Okay. Once again, I'll get my assistant up here.

18 Is this the slide you wanted.

19 Q. It is. Thank you.

20 I believe you testified in your rebuttal testimony
21 that this is from the folks that were responsible for part of
22 the development of the HELP model, and this is a calculation
23 that they've presented in terms of hydraulic head and the
24 amount of water that might flow through a hole that appeared in
25 a membrane; is that correct?

1 A. That's not quite correct. I testified that this
2 is part of the literature that is behind and underlying the
3 HELP model. But the authors of this literature are not the
4 authors of at least the HELP engineering document.

5 Q. Okay.

6 A. This is actually an imagine out of the original
7 literature.

8 Q. Okay. But the reason that you've presented this
9 for us is what?

10 A. I presented it to show that the original
11 literature shows an effect of a small hole. And the assumption
12 in the model is that you have only one hole of whatever size it
13 is per acre if you just choose, say, a good liner. And we need
14 to look at what's the effect of a single hole in case we have
15 one in our trench.

16 Q. And that's --

17 A. Because the 160-acre trench is about 1/25 of an
18 acre, I think. And 1/25 of a hole is what might occur in a
19 calculation, but what's reasonable is either one hole or no
20 hole.

21 Q. Yes, or no hole. If I go on to page 19 of this,
22 this is where you really, then, present the impact of this
23 particular calculation; is it not?

24 A. That's right.

25 Q. Now, in this you're showing that we have an

1 equivalent of 3.5 inches per year of infiltration, and your
2 contention is that that's larger than the .09 inches a year
3 that was used in the OCD model; is that correct?

4 A. Yes, that's part of the answer. The other half
5 of my answer was not that the 3 1/2 inches is the right answer,
6 but it's showing you that there's a major impact if you have a
7 small hole in that liner that is not accounted for by the
8 assumptions that got built in automatically to the OCD
9 calculations.

10 Q. Dr. Neeper, I am pleased to see that you have
11 backed away from that because isn't that proposed infiltration
12 rate actually about three times what's actually present if
13 there were no pit liner at all? And we were looking at an
14 unlined pit.

15 A. That's right. It's more than what you might get
16 from trickling through all the various layers; that is,
17 naturally you wouldn't have 3 1/2 inches of recharge in Hobbs,
18 New Mexico, probably.

19 Q. Right.

20 A. But, what this tells you is that there may be
21 something missing in your modeling that you need to go back to
22 and pay attention to. You see two numbers that are way out of
23 sorts with each other, and that's the message behind looking at
24 what do we mean by one hole. Because the HELP model assumes
25 there's a hole somewhere and then averages it out over a big

1 area.

2 Q. But it also shows, does it not, the importance of
3 thinking about the geographic location that we're looking at as
4 well and the amount of water that would be available to
5 infiltration, period, through the area?

6 A. Well, this presumed leak was based on the assumed
7 amount of the water down in the bottom of the trench that was
8 both the lowest number printed in the literature and also the
9 same number that Mr. Hansen used.

10 Q. Which also assumes, though, that that leak
11 happens to be at the lowest point where the water is able to
12 pool as a head over the membrane.

13 A. Yes. If it can't pool at that point, it'll build
14 up until it finds a hole.

15 MR. HISER: No further questions.

16 CHAIRMAN FESMIRE: Mr. Frederick?

17 MR. FREDERICK: I'm kind of debating how to start
18 here. One thing I'm just curious about, Mr. Chairman, is that
19 you acknowledged an ongoing objection to Dr. Neeper's
20 qualifications, and I'm wondering when we're going to get a
21 decision on that objection and what it's based on.

22 So I'm just -- I want to know that. I'd rather
23 know --

24 CHAIRMAN FESMIRE: It was my intention to preserve an
25 objection to the things that she had described without having

1 to object every time that it came up.

2 MR. FREDERICK: Okay. I just want to make sure when
3 you make your final decision, you're not going to say,
4 "Objection sustained."

5 I'd like to be able to address -- if there's going to
6 be a ruling that Dr. Neeper isn't qualified to testify on some
7 aspect of his testimony, I'd like to know that now.

8 CHAIRMAN FESMIRE: I think it's implicit in the
9 decision that the objection was overruled but that we were
10 allowing her to maintain that objection in the record.

11 MR. FREDERICK: For the purpose of a later appeal,
12 perhaps?

13 CHAIRMAN FESMIRE: Correct.

14 MR. FREDERICK: Thank you.

15 CROSS-EXAMINATION

16 BY MR. FREDERICK:

17 Q. Good afternoon, Dr. Neeper.

18 A. Good afternoon.

19 Q. In your professional career, I want to ask first:
20 You've testified you've worked with numeric models, or
21 something equivalent to numeric models, for about 40 years?

22 A. On and off through my career I've done numeric
23 modeling. When I started, the term didn't even exist. We
24 called it numerical experiment. The first eight years I was at
25 Los Alamos we were doing numerical modeling, or I was engaged

1 in numerical modeling, of thermonuclear weapons and development
2 of a code for that.

3 Subsequently, I was in charge of the -- for a while I
4 was in charge of the Solar Building Research Group. And the
5 heavy part of our effort there was numerical modeling the
6 energy flows in buildings. From there I went on to doing some
7 numerical modeling in an engineering, thermal engineering,
8 group, and from there on into -- that got me interested in
9 soils. I went on into soils.

10 So numerical modeling has just wandered through my
11 career, but it's been probably intensive for 20-some years of
12 that career.

13 Q. Okay. The HELP model and the MULTIMED model, you
14 characterize those as numerical models?

15 A. Yes. Those are numerical models of particular
16 things organized for particular purposes.

17 Q. In terms of levels of sophistication, how do they
18 compare to models you've worked on and developed?

19 A. Sophistication is difficult. I'm going to
20 explain what I mean when I use the term.

21 Q. Okay.

22 A. They contain much easier input for the user who
23 does not want to go read for a year on the fundamental
24 literature of how moisture diffuses through small holes, but
25 instead wants to take some averages or things other people have

1 found or correlations and be satisfied they built it in;
2 they've checked out their model; and he's willing to use their
3 model and draw pictures and have much easier input to it so he
4 can pay attention to his job and let the modelers do their job.

5 Q. Okay.

6 A. When I use the term "sophisticated," I'm meaning
7 the closer you get to the actual differential equations in the
8 model and understanding what they're doing.

9 Q. And you checked out the literature of the HELP
10 model and MULTIMED model?

11 A. I didn't check out MULTIMED. I went back into
12 the HELP -- the fundamental scientific literature that I've
13 cited that was behind the HELP model -- and I used the HELP --
14 I had it up -- it's called the HELP technical mode, HELP
15 Technical Users Manual.

16 Q. Okay.

17 A. I had the title copied on the slide, but it's the
18 technical manual for HELP.

19 Q. Was there anything about that model in the
20 literature that was beyond your education and experience or
21 understanding you're dealing with?

22 A. No. I didn't see any words I didn't understand.

23 Q. As a soil physicist, you're concerned with vadose
24 transport of water and water dissolved solids through the
25 vadose zone; is that correct?

1 A. Yes.

2 Q. And have you worked with hydrologists before?

3 A. Everybody that sits around me is a hydrologist,
4 so I'm a fish out of water.

5 Q. Do they necessarily know anything about vadose
6 zone transport?

7 A. Half of them do that all day every day.

8 Q. And the other half?

9 A. Are doing groundwater transport.

10 Q. Okay. And now, when you look at vadose zone
11 flow, is there anything special about the flow that happens
12 through a liner versus soil material?

13 A. Yes. When you get to a liner, there are a lot of
14 assumptions. The behavior of a liner, it's very different from
15 the soil, and the literature brings that out. In one sense, in
16 places it's perfectly sealed, and in another place there's a
17 pinhole that's there by virtue of the manufacture.

18 In some cases, moisture can actually diffuse right
19 through the liner itself, walks right through the liner
20 material and, for instance, this is of great concern to the
21 packaging industry who sells foods wrapped in plastic.

22 So there is a difference between soils and liners and
23 soil language and soil mechanic -- soil equations have been
24 adapted.

25 And so a number like a hydraulic conductivity will be

1 assigned to a liner. But you have to understand what it's
2 talking about, what it means when they say that. Because it
3 doesn't quite mean the same microscopic picture that you have
4 of a little film of soil trickling -- water trickling through
5 the soil.

6 Q. Okay. You took a picture of a subsidence in
7 connection with a pit, correct?

8 A. Yes, I took a picture of something I interpreted
9 as a subsidence because there's an opening and a depression
10 appeared in the ground.

11 Q. If there's subsidence, would surface water runoff
12 tend to collect in the subsided area?

13 A. Water flows downhill, so --

14 Q. I thought that was true.

15 A. -- in that case, the evidence on the ground was
16 that it had trickled down this channel and then gone down in
17 the cracks in the ground.

18 Q. How would that affect the local infiltration rate
19 right there where the subsidence is?

20 A. That's the thing you really call a "fast path."
21 Water can really move very rapidly through there. Now, would
22 it hit when it got down two or three feet? I don't know how
23 it's spread out.

24 Q. Is there anything in the Pit Rule that you can
25 say that's going to prevent subsidence after a trench is

1 constructed?

2 A. No. My belief is that the top of the trench is
3 to be mounded. But I don't know if there's anything there that
4 would prevent a subsidence.

5 Q. And you gave us testimony earlier that there's no
6 surface control. So if a truck drove over it or parked on it,
7 how would that affect it?

8 A. I don't work in soil mechanics, so I wouldn't
9 rule on that. But I wouldn't advise anybody to go out and park
10 a truck on the top of a closed pit.

11 Q. As a matter of common sense, how would you expect
12 a truck to affect the contents.

13 A. I would expect a truck to compress it if it's
14 compressible.

15 Q. Okay. All right.

16 A. It's going to get compressible if it was once wet
17 and the water drained out. That's where you get more
18 compression.

19 Q. All right. I was going to go into colligative
20 effects, but I think that's been brought out.

21 A. All right.

22 Q. Mr. Brooks mentioned that you didn't know how a
23 pit was constructed when you were commenting on it; is that
24 correct?

25 He brought up a couple of pits. One had a liner --

1 there was no evidence of a liner, and another -- and he asked
2 whether you had any knowledge of how that pit was constructed?

3 A. I did some surface sampling on two old pits,
4 neither of which I had any history of construction for.

5 Q. Okay.

6 A. I did both surface sampling and subsurface
7 sampling on two other pits with the operator present, and I had
8 the operator's word on construction and closing.

9 Q. Do you see anything in the rule, other than
10 assuming full compliance with the rule, that would give OCD
11 knowledge about how a trench is constructed?

12 A. I don't know. I can only guess OCD would assume
13 it was constructed to obey the rule. But I'm quite concerned
14 with whether one in a practical sense can assure the smooth
15 bottom and smooth sides that the rule talks about.

16 Q. Okay. And why is it important to ensure a smooth
17 bottom and smooth sides?

18 A. Because that's where you get punctures that cause
19 faults. You raise the pressure when you drop material into the
20 liner. And if you do not have a very firm contact between the
21 liner with a fault, however small, and the material behind it,
22 you may have a higher leak rate. That's why when you put a
23 mesh behind a liner you increase the leak rate.

24 Q. But are the installations essentially foolproof?
25 You just throw it in the trench, and you don't worry so much

1 about it?

2 A. I'm not an expert on all the trenches in
3 New Mexico. I had a picture of one that showed a lot of
4 wrinkles in the liner.

5 Q. Okay. How did -- strike that.

6 I gathered from your testimony that the use of HELP
7 and MULTIMED coupled together are not necessarily inappropriate
8 for assessing impact on groundwater; is that correct?

9 A. I feel they're entirely appropriate. It's just
10 that they are limited. There are assumptions built in there
11 and there are things, like the colligative effects, that the
12 combination of codes cannot handle.

13 So if you were to ask me, then, what code would you
14 use, that would be a difficult question to answer. So I'm
15 making it clear it's not necessarily Mr. Hansen's fault that he
16 didn't use colligative -- a code with colligative effects.

17 Q. No. And I'm not trying to fault Mr. Hansen at
18 all. But what I'm trying to get at is there's been
19 testimony -- and I'm not sure how you feel about this -- that
20 the modeling that was done was conservative in terms of the
21 liner and the assumptions made. Do you feel it was
22 conservative?

23 A. It was neither conservative nor was it extreme.
24 It just doesn't cover the whole range of possibilities, and one
25 of the biggest effects are left out -- or two of the biggest

1 effects. It ignores the surface of the ground, and it ignores
2 the colligative effects.

3 And it may have some very questionable assumptions
4 about the quality of the liner in that I think it's assigning a
5 fraction of a hole based on assuming one hole per acre rather
6 than the possibility of one hole per installation.

7 Q. If I remember right, the conductivity through
8 that liner that Mr. Hansen assumed was something like on the
9 order of 10^{-13} cm/sec; do you remember that?

10 A. That was my memory. It was something times 10^{-13} .

11 Q. Do you have a feel for how many pinholes that
12 would be?

13 A. That's what I mean about liners being different
14 from soils. That's a number where someone tried to figure out
15 how much moisture gets through this liner by whatever means;
16 through pinholes, vapor transmission, leaks and whatnot. Now
17 we gather that all together in a big average and assign one
18 number to it and call it hydraulic conductivity so that people
19 who work with solids can deal with it.

20 But you see, it's an artificial kind of number.
21 There's nothing wrong with it, but you have to understand
22 what's behind it when you use that number.

23 Q. Was the number appropriate?

24 A. Well, my theory is it overlooked the fact that
25 you could have one hole for installation instead of one hole

1 per acre. You might have more than one hole per installation.

2 Q. Do you have any feel for how that might affect
3 the saturation conductivity?

4 A. I didn't work that out. What I did was closer to
5 what's on the screen, and that is, go back and look and see how
6 much water can one hole deliver. And the answer is, well,
7 pretty much all the water you could get.

8 It leaves you with a different problem. You start
9 looking at holes in the liner.

10 MR. FREDERICK: That's all I have.

11 CHAIRMAN FESMIRE: Doctor, did you have anything to
12 add by way of rebuttal to the questions that were asked?

13 THE WITNESS: No, I think I have taken much of the
14 Commission's time for which I am grateful and appreciative.

15 CHAIRMAN FESMIRE: Does anybody have any --

16 COMMISSIONER BAILEY: I do.

17 CHAIRMAN FESMIRE: I'm sorry. I was in a hurry.

18 EXAMINATION

19 BY COMMISSIONER BAILEY:

20 Q. Page 5 of your original presentation indicates --
21 page 9. It's page 5 of my handout, but slide 9.

22 A. I apologize for giving you half pages. It's what
23 happens on Saturday night when you're running out of printer
24 ink.

25 Q. And you save a tree.

1 You indicated several varieties of native grasses
2 that were tested as far as electrical conductivity, tolerance,
3 and chloride tolerance.

4 If on-site burial in a trench has a plastic cover
5 pushed to the center, an additional geomembrane liner on top of
6 that, then a layer of sand on top of that to cut the capillary
7 action of the movement of the salt, then four feet of soil, I
8 am assuming that that would completely minimize any kind of
9 impact of salts that may be buried within the trench on
10 vegetation that would be planted at this surface and that the
11 vegetation at the surface would be limited by the rooting depth
12 and the soil characteristics of the native soil that's replaced
13 on top of the pit. Is that a correct assumption?

14 A. I understand your question very much. I simply
15 want to qualify the yes answer a little bit.

16 Even sand can still have a finite hydraulic
17 conductivity, and it will move water upward if the potential
18 gradient takes it that way. But the idea of instituting a
19 capillary barrier, whether it be sand or gravel or what might
20 be suitable in this circumstance, is a very welcome idea. It
21 will definitely slow down the upward movement of salt as soon
22 as it isn't so thick as to greatly increase the flow of water
23 down or upset the whole problem. But certainly a capillary
24 barrier is a good idea on a hazardous landfill.

25 Q. Would gravel be such a good idea because you're

1 putting it directly on top of that final geomembrane liner,
2 which you showed in your picture could be punctured?

3 A. That's why I'm trying to be careful with how I
4 say this. Gravel being larger particles, you probably will
5 have a greater capillary barrier from it. But then you have to
6 be careful how you use it and whether the soil around will
7 infiltrate and fill it up and ruin it.

8 So I'm just trying to get away from the exclusive use
9 of the word "sand" to say, in general, an idea of a capillary
10 barrier is a good idea.

11 Q. A coarse material?

12 A. Yes, a coarse material.

13 Q. Which means that we would not necessarily have to
14 change the rules in order to ensure that there is a capillary
15 barrier. Because 19.15.17.13B, C, and D consistently uses the
16 term "Division-prescribed soil cover."

17 And if the OCD were directed to ensure that a coarse
18 material were laid down before the four-foot soil cover and
19 mounding --

20 A. Uh-huh.

21 Q. -- then we could be fairly confident of
22 revegetation of the area.

23 A. You would be confident for a longer time.
24 Eventually, if you have faults coming out up the sides, you
25 will have two- or three-dimensional flow, and it will get

1 around your pit -- or around your burial unit. But you will be
2 better off for a longer period of time, certainly.

3 I am encouraging you to use capillary barriers.
4 Thank you. I wanted those for our landfill.

5 Q. Well, the rule does say currently, "Division
6 prescribed soil cover," which if the OCD district people and
7 the Santa Fe people were directed to use coarser material, or
8 to approve coarser material, then the area could be revegetated
9 and used as grazing material or rangeland, as most of the
10 southeast is already in use as rangeland; is that not right?

11 A. That is part of this breadth of problems in a
12 system study that I was trying to get at. If you're going to
13 base a rule on some calculation, you need to do some
14 calculations that include the capillary barrier in different
15 qualities and see how good that is for you.

16 You can do that. The HELP model may be able to do
17 upward transport -- at least of the water -- or something else
18 can do that. So I think that's a great thing to look at, and I
19 think you run a good chance of it showing you a lot of safety,
20 but I don't want to tell you how much.

21 Q. Right. But it could go a long way in alleviating
22 Commissioner Olson's concern about reuse of the surface if we
23 could revegetate it to rangeland at least.

24 A. In a way, you're asking me to solve the problem
25 without running the problem, and I keep saying these are

1 nonlinear problems. I'm saying it's in the right direction,
2 but I can't give you the answer without running the problem.

3 Q. You can't promise/swear, can you?

4 Mounding is required for closure of the trench pit.
5 Wouldn't that be a topographic clue that there is something
6 different in that area if there is a mound that's 100 feet
7 square, or whatever dimensions it is, that could help
8 indicate -- as well as the four-foot high pipe in the middle of
9 the reclaimed pit -- to indicate that there is something to be
10 aware of there?

11 A. I didn't testify on that, but I want to answer
12 your question out of my own experience.

13 I've walked a lot of back country and noticed mounds
14 and never thought anything about them until finally I became
15 aware that those were Indian ruins, just a little low mound on
16 the ground.

17 So what will attract somebody's attention, I don't
18 know. But I would think a four-foot pipe would get some kind
19 of attention.

20 Q. And the mounding could give an idea of the
21 dimensions?

22 A. It might give an idea of the dimensions. I can't
23 foresee people's use. My own concern is not with a single
24 burial unit; it's with the fact that we have multiple units all
25 over the landscape, and we've, therefore, degraded the utility

1 of the land for whatever purpose.

2 Q. What are your suggestions that you show on
3 page -- on slide number 32?

4 A. Okay. The modifications?

5 Q. One of your suggested modifications is that an
6 operator who closes a drying pad or temporary pit by on-site
7 trench burial should determine the depth to the soil or rock
8 saturated with water within 200 feet below the surface and
9 record that depth on the drilling log.

10 I ask, to what purpose would that be used?

11 A. The purpose would be so that the operator knows
12 where the saturated region is, and he can establish that he is
13 well within the rule of not burying something within 100 feet
14 of the groundwater. It would relieve the problem of there ever
15 being a controversy. It's information that we have. Somebody
16 has it because you've drilled through, but we don't give that
17 information away, and it's there.

18 It would be useful if one operator found the depth,
19 say, to first saturated one was 400 feet, and he had already
20 shared that information with OCD. OCD would know for the
21 entire neighborhood. They wouldn't have to think about that
22 part of the rule.

23 It's a great defense for the operator, and it gets
24 around all of this question of OCD looking at a map, which has
25 kind of assumed groundwater depths in it, and then trying to

1 argue with an operator over whether or not he can do trench
2 burial on that site because of a presumed depth to groundwater.

3 This establishes it. But I hope it keeps the State
4 Engineer out of it. And that was the reason for the language
5 that I put in it.

6 Q. Thank you. I just needed clarification of that.

7 COMMISSIONER BAILEY: That's all I have.

8 CHAIRMAN FESMIRE: Commissioner Olson?

9 EXAMINATION

10 BY COMMISSIONER OLSON:

11 Q. Dr. Neeper, I'll just follow up on what
12 Commissioner Bailey was asking.

13 So are you saying that they should be identifying
14 this at the time of drilling the well?

15 A. That seems to me to be the time to do it is when
16 you're drilling. I asked someone who does drilling, "Can you
17 tell?" I know if you're doing dry drilling, you can tell. But
18 you may be doing mud drilling or something here.

19 Can you tell? And he was an oil field engineer.

20 And he says, "Yes, oh, yes. We can tell."

21 So it was based on that that I put this, and I put
22 the depth kind of low so that if they found it 170 feet or
23 something you wouldn't be arguing. I was trying to make it far
24 enough below the burial unit that everybody could be satisfied
25 and yet not task them with yet another reportable thing and a

1 form to fill out and more paperwork for OCD to do.

2 You're going to have a drilling log anyway. You're
3 probably keeping track of soil types at times. They don't
4 always backlog up to surface -- and other people will have to
5 answer that -- but I think it's possible to know that.

6 Q. And then the other part of your recommendation
7 was that this be a temporary allowance until 2011. How did you
8 come up with the time frame of 2011? What's that based upon?

9 A. It's just based on extending it for two years.
10 The date of June shows up in the rule because of the original
11 time of adoption. So I was trying to make it so there's not
12 one more date you have to keep track of.

13 Q. So are you anticipating that economic conditions
14 will change within two years? Is that what you're --

15 A. I can't anticipate when economic conditions will
16 change. But I can see that the rule should have -- if it's
17 intended as an economic benefit rule, it should have an
18 expiration date. Now, if you come up, then, to 2011, and
19 conditions are, worse, and you think it is still justified to
20 take the price out of the environment rather than taking the
21 price out of the product -- which is where it belongs -- you
22 can extend the rule.

23 Q. But right now that number you picked is --
24 doesn't really have -- it's just an arbitrary number you
25 picked?

1 A. It's arbitrary other than one fact: I was trying
2 to make it close to other numbers that the operator might be
3 keeping track of so he didn't have to remember yet one more
4 date. That's all that was in this. I may have the date wrong,
5 but I was trying to think of the operator.

6 COMMISSIONER OLSON: Okay. That's all I have.

7 CHAIRMAN FESMIRE: I have no questions.

8 Dr. Neeper, do you have anything else to add?

9 THE WITNESS: No, other than my appreciation for your
10 endurance sitting through everything that I did today.

11 CHAIRMAN FESMIRE: Are there any other questions of
12 this witness?

13 MS. FOSTER: No, thank you.

14 MR. CARR: No.

15 MR. HISER: No.

16 MR. BROOKS: No, Mr. Chairman.

17 CHAIRMAN FESMIRE: Bruce?

18 MR. FREDERICK: No.

19 CHAIRMAN FESMIRE: Dr. Neeper, we are going to need a
20 copy of your rebuttal exhibits for the court reporter.

21 THE WITNESS: Yes. And she already has an electronic
22 one, but do you want copies mailed? Can I mail copies to you?
23 Is mail fast enough to get copies for the entire --

24 CHAIRMAN FESMIRE: Joyce, do you need anything
25 besides the electronic version?

1 THE COURT REPORTER: Baca Court Reporting will
2 provide paper copies with the original transcript.

3 CHAIRMAN FESMIRE: Dr. Neeper, why don't you make
4 sure Mr. Jones has an electronic copy before you leave, and
5 he'll see that all the Commissioners get a copy.

6 THE WITNESS: Yes. And I believe there are other
7 persons here who did not get copies from me. You don't? So
8 I'll bring the thumb drive around, and you can get what you
9 want. And if this doesn't work, if you would please contact
10 me, I will get it to you. But I'll be gone next week.

11 CHAIRMAN FESMIRE: Okay. Ms. Foster, you still have
12 no witness?

13 MS. FOSTER: That's correct.

14 CHAIRMAN FESMIRE: Mr. Carr, I believe you had two?

15 MR. CARR: Yes, we have two witnesses.

16 CHAIRMAN FESMIRE: And would you call your first
17 witness?

18 MR. HISER: Mr Chairman, we call Bruce Buchanan.

19 CHAIRMAN FESMIRE: Mr. Buchanan, would you take the
20 stand, please? You have not been sworn in this case yet.

21 [Witness sworn.]

22 DR. NEEPER: Just a question, Mr. Chairman, to be
23 sure. Do I understand correctly I am not tasked to provide
24 paper copies? You are getting what you need?

25 CHAIRMAN FESMIRE: We'll send out electronic copies

1 and print them if we need it.

2 DR. NEEPER: Very well.

3 MR. HISER: May I approach the witness?

4 CHAIRMAN FESMIRE: You may, sir.

5 DR. BRUCE A. BUCHANAN

6 after having been first duly sworn under oath,

7 was questioned and testified as follows:

8 DIRECT EXAMINATION

9 BY MR. HISER:

10 Q. Dr. Buchanan, I'm handing you a copy of an
11 attachment that was submitted with the pre-hearing statement of
12 the New Mexico Industry Committee. Is that a copy of your
13 resume?

14 A. Yes, it is.

15 Q. And, I guess, could you give us a statement of
16 some of your experience and qualifications to speak to matters
17 of soil science and reclamation here in the State of
18 New Mexico?

19 A. I was a university professor at New Mexico State
20 University from 1971 to 1991, and worked in soils as a forest
21 soil scientist and worked extensively in reforestation. Toward
22 the end of that career, I began work in reclamation on mine
23 lands and disturbed lands.

24 In 1991, I opened up a consulting business of my own
25 and started doing work in designing reclamation. And the last

1 few years I've been involved, more so than earlier but
2 throughout my career, I've been involved with salt movement and
3 the management of saline in sodic soils. I've had experience
4 with reclamation most of my career.

5 MR. HISER: Mr. Chairman, we would tender
6 Dr. Buchanan as an expert in soil science and reclamation.

7 CHAIRMAN FESMIRE: And, in fact, in the prior hearing
8 he was so accepted. Any objection?

9 MS. FOSTER: No objection.

10 MR. BROOKS: No objection.

11 MR. FREDERICK: No objection.

12 DR. NEEPER: No objection.

13 CHAIRMAN FESMIRE: Dr. Buchanan will be so accepted.

14 Q. (By Mr. Hiser): Dr. Buchanan, based on your
15 experience, what is the soil depth that's of greatest
16 importance to the growth and success of the native or
17 agricultural plants here in New Mexico?

18 A. Four feet would be accepted by most soil
19 scientists. Reclamation as to agricultural would be four feet.

20 Q. So does the four feet of cover which is provided
21 for in the existing OCD Rule 17, in your opinion, provide an
22 adequate basis for successful revegetation of a pit?

23 A. Yes, that's right.

24 Q. And you've been here throughout this hearing;
25 have you not?

1 A. I have.

2 Q. And did you hear Dr. Neeper's testimony and his
3 concern about salt coming to the surface?

4 A. I did.

5 Q. And do you share Dr. Neeper's concern about salt
6 coming to the surface in New Mexico?

7 A. I do not.

8 Q. Would you like to explain why you do not share
9 that concern?

10 A. The mechanisms for salt movement in soils are
11 pretty well described. We pretty much understand those, and we
12 understand it a lot better now than we did 10, 15 years ago, or
13 15 or 20 years ago.

14 In the last 10 years, there's been a lot of
15 breakthroughs in the understanding of salt movement. And the
16 last 10 years I have spent quite a bit of time studying salt
17 movement in mine reclamation situations where a spoil material
18 that is relatively high in most agricultural standards in
19 salts, both sodium, magnesium, and calcium. And without
20 getting into a university lecture -- which I'd love to do --
21 but just simply to say that I have looked at literally
22 thousands of soils -- I'm not exaggerating -- I've looked at
23 hundreds of situations. I've done research in saline and soil
24 research and published in those fields, and this is my
25 conclusion:

1 Where there is a body of material that is relatively
2 high in salt, and it is covered with material that is
3 relatively low in salt, and the typical situation of putting
4 topsoil, if you will, or cover soil or top dressing -- whatever
5 it's referred to -- over a body that you're trying to keep
6 roots from growing into because of the nature of salt in that
7 body, that those salts migrate very small distances into that
8 cover soil. They will move up a few centimeters.

9 Recently, just in the last few weeks, I've completed
10 a two-year study on that very subject. And we're in the
11 process of -- the study was written up, and we're in the
12 process of sharing that with the client.

13 After two years under irrigated conditions, virtually
14 none of the salt moved out of the spoil into the topsoil. And
15 when I say salt, I'm saying that as measured as sodium content,
16 calcium content, magnesium content. That gave us a value
17 called SAR, sodium adsorption ratio -- that's with a D --
18 adsorption -- and also measured by what's measured as
19 electrical conductivity, the conductivity of soluble salts, or
20 the amount of the soluble salts.

21 In fact, what we found was that the upper part of
22 that body, actually the salt movement, was down, and it moved
23 in the upper 15 centimeters down deeper in the profile. That
24 model, that mental model, has been repeated and repeated and
25 repeated throughout my career. And as I've studied soils in

1 forestry and the shrub lands, grasslands, semi-arid deserts,
2 desert soils; I've studied soils in six inches of precipitation
3 to 30 inches of precipitation, and virtually everything in
4 between, and this is my observation.

5 That model that I just described to you is very
6 basic, and is correct and it repeats itself. Salts in most
7 situations do not move up. They'll move very short distances.
8 And there's other literature that has demonstrated that very
9 idea, but it does not move to the surface.

10 If there is as little as 12 inches of soil over that
11 body, those salts do not move to the surface. Of hundreds of
12 situations that I have seen in mining, in the oil and gas
13 industry, in the copper industry in reclamation of those areas
14 and in the reclamation of gold fields, with that cover soil,
15 those salts do not move up.

16 Now, can salts move to the surface? Of course they
17 can. There are mechanisms for that to happen. But there has
18 been very special conditions. Typically, the one that works
19 best is if you have an elevated water table.

20 I did studies on the Holloman Air Force Base when I
21 was a university professor, and I studied soils there for
22 several years. The water table varies from 12 to 30 inches,
23 electrical conductivities of 100. I don't know what the
24 chloride concentrations were, but extreme concentrations of
25 salt; far, far higher than sea water.

1 Did the salts move to the surface? Yes, in some
2 situations, particularly where the water table was within a few
3 inches, 12 to 16 inches of the surface. When the water table
4 was deeper and when water tables get in the vicinity of four or
5 five feet, on the long haul most of the situations, you can
6 move the salts, and they will move with the water table, and
7 they will move up some, but they don't move to the surface.

8 And the explanation for that is rather simple. It
9 rains. It just simply rains. And when it rains, the salts
10 move down. And when the soils dry, there isn't a mechanism for
11 the salts to move in the vapor. Vapor will move up, but there
12 isn't a mechanism. But when there is that mechanism, and it
13 does exist in some situations but they're not common, there is
14 a capillary -- or a conduit -- I didn't mean to say
15 capillary -- there is a conduit, and salts will move on that
16 conduit. And they move basically by diffusion. That's one of
17 the mechanisms. There are some others, but that is one of the
18 main ones.

19 If you can't maintain that conduit -- and most of the
20 soils that I'm talking about, most of the situations I'm
21 talking about, we don't maintain that conduit. And when those
22 salts move up slightly when it rains, those salts move back
23 down. And it's not really much more complicated than that.

24 And a clear majority of the situations that I have
25 seen and I have studied and have actually done research in and

1 watched salt movement and watched the management of salts for
2 reclamation clearly demonstrates that the concern that this
3 Commission might have of salts moving from a body of salty
4 material four feet below the surface in a situation where the
5 water table is much deeper than 10 or 12 feet, 20, 50, 100
6 feet -- but certainly the water table is not at the body of
7 where this material is being stored.

8 There is virtually no mechanism that will persist for
9 salt to move to the surface. And if you have fear that that
10 salt will move and will have damage to the vegetation on that
11 surface, my suggestion is -- I probably didn't state this very
12 well.

13 What I was going to say is you shouldn't have a fear,
14 and I don't think that's exactly what you wanted to hear.

15 I don't have a fear. I haven't seen -- let me state
16 it more scientific, I guess. I don't have a situation that I
17 can describe to you where that has happened. And I don't
18 think, in my opinion, based on those observations and based on
19 that history of research that those salts will ever move to the
20 surface with even a foot of material. I'm not suggesting a
21 foot. I'm just suggesting that if there's four feet, it even
22 lessens the problem, and it's virtually not a problem.

23 Q. And so Doctor --

24 A. I know that was an elaborate description, but I
25 just wanted to make it crystal clear.

1 Q. So Dr. Buchanan, that's in addition to your own
2 personal research experience. You've also looked through the
3 literature and a couple of longitudinal studies you have looked
4 at salt movement as well; have you not?

5 A. I have.

6 Q. And those studies concluded the same as what
7 you've just reported to the Commission.

8 A. Yes, they consistently do.

9 Q. And would an elevated water table that might lead
10 to such a salt rise be present where the groundwater is
11 required to be 100 feet below the pit, as is the case here?

12 A. Yeah, the water table would have no effect on that
13 situation.

14 Q. So it wouldn't cause the salt to rise?

15 A. It would not.

16 MR. HISER: I have no further questions.

17 CHAIRMAN FESMIRE: Mr. Frederick?

18 MR. FREDERICK: I have nothing.

19 CHAIRMAN FESMIRE: Dr. Neeper?

20 Wait a minute; wait minute. Are you okay, Doctor?

21 THE WITNESS: No. I'm old, and I fell, and I fell on
22 my shoulder, and I just pushed off on it but forgot that I had
23 hurt my shoulder, and it hurts. But I'm okay.

24 CHAIRMAN FESMIRE: You're not grabbing your chest or
25 anything?

1 THE WITNESS: No. No, I'm not. I'm just grabbing my
2 arm, and that's just old age.

3 CHAIRMAN FESMIRE: Dr. Neeper?

4 DR. NEEPER: I'll try to get away here with just two
5 questions.

6 CROSS-EXAMINATION

7 BY DR. NEEPER:

8 Q. In your extensive experience, have you drilled
9 into old oil field pits?

10 A. I have. I've either drilled or dug, yes.

11 Q. And have you been into pits in the southeast
12 where one would expect a high salt content in the original
13 waste?

14 A. I haven't drilled or dug in pits in the
15 southeast.

16 Q. Finally, you have explained that you find little
17 reason for salts to come to the surface; they should be mostly
18 transported downward due to rainfall. Do I understand that
19 correctly?

20 A. That's correct.

21 Q. Why, then, would I sample in the southeast
22 30 years after a pit has been closed and find extreme salts on
23 the surface of the ground? Why hasn't that been washed away?

24 A. Because possibly the salts were there 30 years
25 ago, and they haven't gone anywhere and that the soil was

1 compacted. A possibility -- and unless you want to describe
2 the situation more carefully and more exact -- I'm going to
3 generalize and say compacted soils and soils that have a very
4 high salt content at the surface, the clays will disperse and
5 cause a slaking of the soil, and water will not go into the
6 soil.

7 If water doesn't go into the soil, I promise you you
8 virtually cannot grow vegetation. I know a few situations
9 where plants grow without water. And I say that cynically, I
10 guess.

11 I am saying that I could come back at a later date.
12 And I've seen it where soils have been dispersed, water isn't
13 going into the soil, and there would be virtually no vegetation
14 on that site for years and years and years -- for hundreds of
15 years, not just tens of years. We don't know the history, and
16 it's possible that those salts were there to begin with. They
17 were left over from the earlier -- from an operation.

18 But I would question if those salts are dispersed at
19 the surface. And if there isn't water going in, then there
20 isn't water coming back up, and I highly question whether those
21 salts would have migrated to the surface. They will migrate to
22 the surface. And as I said, the Holloman Air Force Base
23 situation where I worked, they did extensively, but those were
24 cases where the water table was within several feet, if not 12
25 inches from the surface. And it is very, very high salt

1 content at the surface, and they got there by moving upward. I
2 don't question that.

3 So my explanation simply would be that it could be
4 that it started out that way, but I question whether they would
5 ever have migrated from any depth.

6 Q. And the final question, then, might help us all
7 out:

8 If they cannot migrate upward, can you tell us what's
9 wrong with the simple models that do show it migrating upward
10 due to a pulse of water going in and water being evaporated
11 back out?

12 A. I think the model is wrong. I don't think the
13 model represents what's happening. I think the model probably
14 has some problems with the input. And my first thought would
15 be I don't trust the model. Because the propensity of data out
16 there in the actual situation doesn't allow for that salt to
17 accumulate at the surface.

18 DR. NEEPER: No further questions.

19 CHAIRMAN FESMIRE: Mr. Brooks?

20 MR. BROOKS: I do have some questions.

21 CROSS-EXAMINATION

22 BY MR. BROOKS:

23 Q. Dr. Buchanan, good afternoon, sir. I'm not going
24 to take very much of your time, but there was one area on which
25 you testified somewhat at the prior hearing that Mr. Hiser did

1 not go into. And I asked these questions of Dr. Neeper, and to
2 some extent he has claimed expertise on the subject.

3 You are, I believe you said in the prior proceeding,
4 somewhat of an expert on New Mexico soils; is that correct?

5 A. Yes, I am.

6 Q. Would you characterize the soils in Southeastern
7 New Mexico as being predominantly loose, sandy-type soils, or
8 being predominantly tighter clay-type soils?

9 A. That would be like asking me if all the apples
10 out of Washington are red.

11 Q. Well --

12 A. I would say that there's a variety of soils in
13 the southeastern part of the State that I'm familiar with that
14 I've been there and mapped soils in the southeastern part of
15 the State. And you can find about whatever -- you can find
16 sandy textured soils and some that are developed out of sand
17 dunes. And much of my work has been in the oil and gas area in
18 the southern part, and most of the soils that I've encountered
19 there were predominantly silty. They were silt loams.

20 But there are silt loams and clay loams and sandy
21 loams. So you can find about whatever you'd like to find down
22 there.

23 Q. Okay. Well, you gave a somewhat extended answer
24 to a question on this subject in the previous proceeding.

25 A. That's probably typical of me.

1 Q. But it seems that you said, generally, that --
2 what I read from your answer is -- I can read the entire answer
3 except that it would take a fair amount of time -- that clay
4 soils would be found in playa areas.

5 A. That's true.

6 Q. Or -- let's see. What else did you say?

7 A. Hopefully, I said you'd find sandy soils in
8 dunes.

9 Q. But then you said, generally, that except in
10 certain localities, as I read it, the sandy soils tend to be
11 more predominate in -- we're talking on a statewide basis
12 rather than specific to the southeast. So is that a fair
13 characterization, or is that --

14 A. Now, what's the question?

15 Q. Are clay soils typical of certain locations?

16 A. Yes.

17 Q. And are looser soils -- and you said silty, and
18 I'm not sure totally what the difference is between sandy and
19 silty is. I have a general idea, but --

20 A. Did you want me to tell you?

21 Q. Please do.

22 A. Sand is a particle size. Silt is a smaller
23 particle, and clay is yet a smaller particle. Sands by
24 definition are smaller than 2 millimeters and go down to .05
25 millimeters. From .05 to .002 millimeters, or 2 microns are

1 the silt-sized parcels, and those particles that we describe as
2 being smaller than 2 microns are clay.

3 When those are combined in different combinations,
4 they form different textures of soil. Sandy soils are
5 predominantly dominated by sand. Clay soils are predominantly
6 dominated by clay-sized particles, and of course, silty soils
7 are predominately dominated by silt-sized particles.

8 Q. Okay. Well, when you were asked this question --
9 the question you were asked was, "And in terms of general soil
10 characteristics where drilling activities are going on, do they
11 tend to be more in the sandy, loamy area or more towards the
12 heavy clays?"

13 And your answer was: "New Mexico is an interesting
14 place. It wasn't called the land of enchantment for nothing,
15 and I've said that a few times today, and I don't mean to make
16 a big issue of it, but it is the land of enchantment.

17 "From a soils perspective, it has a tremendous
18 variety of soil types. Because we have a tremendous range of
19 elevations in this State. But one of the things that's unique
20 about it is it tends, the soils tend, to be more sandy
21 throughout the State.

22 "If you look at San Juan County the heavy-textured
23 soils are confined to the river drainage, and there's still,
24 even at that, not a very high clay content."

25 And then skipping a paragraph --

1 CHAIRMAN FESMIRE: Hang on, Mr. Brooks. We may have
2 an objection.

3 MR. FREDERICK: I just want to make an objection. It
4 seems to be beyond the scope of his direct testimony. I guess
5 I'm confused. Are we able to get out, you know, the testimony
6 from the last hearing and kind of get a direct examination here
7 but also get the lead?

8 CHAIRMAN FESMIRE: Mr. Brooks, where are we going
9 with this?

10 MR. BROOKS: Well, I'm not very going very far,
11 Mr. Commissioner. I intended to finish with this question and
12 his response to it, I think.

13 I would -- I more or less planned to call
14 Dr. Buchanan -- assuming he was here, which he is -- as a
15 rebuttal witness. But I think it would be somewhat a waste of
16 time, given the limited nature of my characterization, to go
17 through that.

18 I do realize that this was not covered on direct, and
19 I am outside the scope of direct, and the objection is entirely
20 proper. But if you would prefer to allow me to finish, or
21 rather, if they would rather finish the rest of the case and
22 have me call Dr. Buchanan back for a rebuttal for a very short
23 period of time.

24 CHAIRMAN FESMIRE: Given your confession and threat
25 there, I'll go ahead and let you do it.

1 Q. (By Mr. Brooks): Anyway, you go on and say,
2 "Other than in the playas, clays have been able to -- have been
3 transported in the Isaac Lake playa just out on the Jornada
4 Experimental Station. Just out of Las Cruces, it has
5 60 percent clay. It's the highest clay I've ever actually seen
6 in New Mexico."

7 And then you go on for some time about clays, about
8 clays in the playas. And then your last paragraph is: "So we
9 don't have but in the loams, the sandy loams, the sandy loams,
10 San Juan County is predominantly sandy loams and sands. We
11 have a lot of dunes. For example, soils derived from eolian,
12 not lows.

13 A. Lus.

14 Q. Okay. I'll accept your correction.

15 Anyway, reading all that, what I gleaned from it was
16 that predominantly you would find heavy soils in the playas and
17 in the river drainages, and that predominantly you would find
18 sandy soils in other places; is that incorrect?

19 A. No.

20 Q. It's not incorrect?

21 A. No, it's not.

22 Q. So that is a correct generalization?

23 A. It's a generalization, and I made it, and I'll
24 stand by it and say it's correct.

25 Q. Very good.

1 MR. BROOKS: I'll pass the witness.

2 CHAIRMAN FESMIRE: Commissioner Bailey?

3 EXAMINATION

4 BY COMMISSIONER BAILEY:

5 Q. I heard you say at the very beginning of your
6 testimony that the two-year study that you are just wrapping up
7 was irrigated conditions.

8 A. It was.

9 Q. Were most of your remarks, then, having to do
10 with irrigated conditions?

11 A. No. Most of my remarks are associated with
12 non-irrigated situations.

13 Q. Where can we make that distinction?

14 A. Irrigated accelerates the process. The
15 principles are the same. In non-irrigated, the whole process
16 happens in a slower -- happens slower. The movement of salt
17 down, if you have a body of salt to spoil, it moves down
18 slower. In irrigated, it's accelerated. That would be the
19 main distinction.

20 COMMISSIONER BAILEY: That's all I have.

21 CHAIRMAN FESMIRE: Commissioner Olson?

22 COMMISSIONER OLSON: I have no questions.

23 EXAMINATION

24 BY CHAIRMAN FESMIRE:

25 Q. Dr. Buchanan, I have just -- anecdotally, in a

1 previous life, I worked for the State Engineer, and we visited
2 irrigated fields and would see salt that had concentrated on
3 the surface that would, you know, come in and be soaked in with
4 the water. And then -- at least I was thinking it was coming
5 to the surface -- does that differ from the phenomena that
6 you're describing?

7 A. They come up. But did you also later in that
8 season see that those salts had moved down with the next
9 spring, for example? For example, during the year --

10 Q. Well, I'm going to have to ask you to go ahead
11 and use a -- you don't get to question me.

12 A. Okay. I apologize for that, Chairman.

13 Yes, there are mechanisms that describe the salt
14 movement during irrigated conditions, and salts will move to
15 the surface temporarily. And once the irrigation is stopped or
16 even for brief periods and during a rain, those salts will move
17 back.

18 And it has a lot to do with the management of the
19 irrigated water as to how those salts will accumulate at the
20 surface. And there are now many situations where we so
21 understand irrigation and how we irrigate with salty water that
22 we virtually can keep salt from ever accumulating at the
23 surface.

24 And it was probably in an earlier life when you saw
25 those. And more often now today we see less of that kind of

1 management.

2 Q. Okay. But I've always seen what I thought were
3 salts deposits on the surface at oil and gas locations and pit
4 locations that in one year they wouldn't be there and the next
5 year they would. Is that a different phenomena?

6 A. Probably not.

7 Q. So isn't that the salt coming out of the soils on
8 those locations?

9 A. There was a number of explanations. One is
10 compaction, and for a temporary perched water table or a
11 temporary situation where water isn't able to move freely down,
12 and water will stay at this surface, and those salts in that
13 vicinity will come to the surface temporarily, and they
14 predominantly account for the salts in that shallow zone of
15 soil.

16 And once either through frost heaving -- is one of
17 the ways that that is remediated and the soil is able to start
18 aggregating, and once it aggregates, now water is able to start
19 moving down through the profile. And most of the time in those
20 situations I've observed that that salt would then move down.

21 Q. Okay.

22 CHAIRMAN FESMIRE: I have no further questions.

23 Mr. Hiser, do you have any anything else for this
24 witness?

25 MR. HISER: No, thank you.

1 CHAIRMAN FESMIRE: Thank you very much, Doctor.

2 MS. FOSTER: Mr. Chairman, just for the record, I
3 didn't have any questions for this witness. You never asked
4 me. Just for the record. Thank you. I just want to make sure
5 the record is clear.

6 MR. FREDERICK: You didn't ask me if I had a recross,
7 although I didn't cross the first time.

8 CHAIRMAN FESMIRE: I didn't ask you if you had any
9 direct, so I don't know you could have crossed.

10 Mr. Hiser, do you have another stray witness?

11 MR. HISER: I do not. But I'm told that Mr. Carr
12 does, in fact, have a stray witness.

13 CHAIRMAN FESMIRE: Mr. Carr?

14 MR. CARR: May it please the Commission, at this time
15 we will call Gregg Wurtz.

16 CHAIRMAN FESMIRE: Mr. Wurtz, you have not been sworn
17 in this case, have you?

18 THE WITNESS: Yes, I have.

19 CHAIRMAN FESMIRE: Okay.

20 GREGG WURTZ

21 after having been first duly sworn under oath,
22 was questioned and testified as follows:

23 DIRECT EXAMINATION

24 BY MR. CARR:

25 Q. Would you state your name for the record, please.

1 A. Gregg Wurtz.

2 Q. Mr. Wurtz, where do you reside?

3 A. Farmington, New Mexico.

4 Q. And by whom are you employed?

5 A. ConocoPhillips.

6 Q. What is your position with ConocoPhillips?

7 A. I'm the senior environment staff person there.

8 Q. What do your duties, generally, entail?

9 A. Environmentally related to hydrology, soil
10 cleanup, spill remediation, date and transport modeling, waste
11 management, basically all the aspects of environmental
12 compliance.

13 Q. Have you previously testified before the Oil
14 Conservation Commission?

15 A. Yes, I have.

16 Q. At that hearing, were you qualified as an expert
17 geologist and certified hazardous waste manager?

18 A. Yes, I was.

19 Q. And is a copy of your credentials what has been
20 marked as ConocoPhillips Exhibit No. 1?

21 A. Yes.

22 Q. And that was attached to the pre-hearing
23 statement filed by Conoco in this case; is that right?

24 A. Yes.

25 Q. Are you familiar with the application in this

1 case filed by the Oil Conservation Division?

2 A. Yes, I am.

3 Q. Are you familiar with the proposed amendments to
4 the Pit Rule?

5 A. Yes, I am.

6 Q. Are you familiar with the efforts of
7 ConocoPhillips to comply with the Pit rule?

8 A. Yes, I am.

9 Q. What have you been asked to do in this case?

10 A. I was asked to look at the amendments proposed
11 today and to make sure that they were still protective of fresh
12 water, public health, and the environment.

13 Q. What particular parts of the proposed amendments
14 have you examined?

15 A. I was asked to, specifically, look at the
16 below-grade tank amendments and the chloride levels in the deep
17 trench burial.

18 Q. Are you prepared to review your work with the
19 Commission?

20 A. Yes, I am.

21 MR. CARR: We tender Mr. Wurtz as an expert in
22 hydrology and the management of hazardous materials.

23 CHAIRMAN FESMIRE: Is there any objection?
24 Ms. Foster?

25 MS. FOSTER: No, thank you. No objection.

1 CHAIRMAN FESMIRE: Mr. Hiser, I'm assuming you would
2 have no objection.

3 MR. HISER: No objection.

4 CHAIRMAN FESMIRE: Mr. Brooks?

5 MR. BROOKS: No objection, Mr. Chairman.

6 CHAIRMAN FESMIRE: Mr. Frederick?

7 MR. FREDERICK: No objection.

8 CHAIRMAN FESMIRE: Doctor?

9 DR. NEEPER: No objection.

10 CHAIRMAN FESMIRE: Mr. Wurtz's credentials are so
11 accepted.

12 Q. (By Mr. Carr): Mr. Wurtz, ConocoPhillips is the
13 largest operator in New Mexico; is it not?

14 A. I believe so.

15 Q. Could you review briefly for the Commission
16 ConocoPhillips' efforts to comply with the current Pit Rule?

17 A. With the current Pit rule, we've submitted 6,929
18 permits for below-grade tanks, spending approximately 20 pages
19 per permit for roughly 138,000 pages of permits submitted at a
20 cost of over a million dollars.

21 Q. And as we go through this, you may refer to Oil
22 Conservation Commission Exhibit 1 if you need to, but I would
23 first like to direct your attention to the portions of the
24 proposed amendments that relate to permit transfer provisions
25 and also design and construction specifications.

1 What I'd like to have you focus on are the provisions
2 that provide for tank sidewalls that are below the ground but
3 visible, an operator may continue to operate these until
4 integrity fails or there is a sale or transfer of the property.

5 Are you familiar with that portion of the proposed
6 amendments?

7 A. Yes, I am.

8 Q. And based on your review, what is your opinion
9 concerning the impact of these amendments on the continued
10 protection of fresh water or public health?

11 A. My conclusions are that they'll continue to
12 protect fresh water, the public, and the environment.

13 Q. And could you explain the basis for that
14 conclusion?

15 A. The proposed amendments under 5I, they still
16 remain -- the integrity of the vessel still remains, that we
17 would have to report it if we did have any loss of integrity,
18 and we would still have to clean up that spill if it did occur
19 or close the tank if we lost integrity if it was one of the
20 tanks that was grandfathered in, I guess, is the right term.

21 Q. You testified at the prior hearing about the
22 movement of chlorides from these tanks; did you not?

23 A. Yes.

24 Q. In your opinion, would there be movement of
25 sufficient concentrations of chloride to pose a threat to

1 groundwater without the detection liner?

2 A. No.

3 Q. The provisions on below-grade tanks also require
4 that an operator shall keep records of written monthly
5 inspections for the life of the tank. Do you have an opinion
6 on that recordkeeping activity?

7 A. Yes. ConocoPhillips considers those -- we really
8 don't see the value in them. We consider them unnecessary.

9 The tank itself, if it does have an integrity issue,
10 we are required to report them. If we do have a spill, we're
11 required to report that. So we would be on record with the OCD
12 for any integrity issues for spill issues related to that tank
13 and would be required to either close the tank or remediate the
14 spill.

15 We'd also be developing a record with the OCD that
16 they could see. If we had continual problems with that tank,
17 they would have that information.

18 Q. Can you see any real reason to keep the data that
19 would be required by the proposed amendment?

20 A. No, it's not clear to us.

21 Q. Have you considered the impact of increasing the
22 chloride limits for waste contained in deep trench burials?

23 A. Yes, I have.

24 Q. And what are your conclusions concerning this
25 change?

1 A. ConocoPhillips concludes that those are still
2 protective of fresh water, public, and the environment.

3 Q. And explain the basis for that conclusion.

4 A. It's a combination of things. One, the siting
5 requirements still remain in place. The design and
6 construction and the reclamation are all still in effect in the
7 current rule and would remain so.

8 We also have soil profile studies that we've
9 conducted as we presented in previous hearings that did not
10 show that chlorides would transport very far or in significant
11 quantities.

12 Q. In your opinion, will approval of the application
13 of the Oil Conservation Division and the amendment of the Pit
14 Rule as proposed be in the best interests of conservation, the
15 prevention of waste, and the protection of correlative rights?

16 A. Yes.

17 Q. Do you have anything to add to your testimony?

18 A. I would just like to thank the Governor, the OCC,
19 and the OCD, for acknowledging that there is issues with the
20 Pit Rule and allowing open dialogue between industry and
21 ConocoPhillips and look forward to working together in the
22 future.

23 MR. CARR: Mr. Chairman, that concludes Mr. Wurtz's
24 testimony.

25 CHAIRMAN FESMIRE: Mr. Hiser, do you have any

1 questions of this witness?

2 MR. HISER: No, thank you.

3 CHAIRMAN FESMIRE: Mr. Frederick?

4 MR. FREDERICK: I just have a couple, Mr. Chairman.

5 CROSS-EXAMINATION

6 BY MR. FREDERICK:

7 Q. I guess my first question is general. I take it
8 you disagree with OCD's position in the first hearing that
9 on-site deep trench disposal should be minimized. Do you
10 disagree with that?

11 A. Yes.

12 Q. And is it your position that under your various
13 leasing arrangements that the oil company or the operator has
14 the authority to leave waste on site in these permanent deep
15 trench disposal sites?

16 A. I really didn't focus on that in my preparation
17 for today, so I'm not prepared to speak to that.

18 Q. But you don't know one way or the other?

19 A. No.

20 Q. Okay. Does ConocoPhillips in its practice when
21 it leaves a waste disposal site, oil pit waste, does it fence
22 that off?

23 A. I'm not familiar with all our practices in the
24 southeast. In the northwest, we do not fence them off. We
25 reclaim them.

1 Q. But there's no control over the surface after you
2 close it and leave it, pretty much, right?

3 A. Yeah. I'm not totally ready or prepared to speak
4 to that today. I didn't look at those things.

5 Q. Okay. Did you do any modeling of chloride
6 transport in the vadose zone or in groundwater?

7 A. No, I did not.

8 Q. Okay. All right.

9 MR. FREDERICK: That's all I have.

10 CHAIRMAN FESMIRE: Dr. Neeper?

11 DR. NEEPER: I have a couple of questions.

12 CROSS-EXAMINATION

13 BY DR. NEEPER:

14 Q. Mr. Wurtz, you mentioned -- I heard you to
15 mention that you had done studies of the migration of salt or
16 chloride around pits. Did I understand correctly?

17 A. Yes.

18 Q. And were any of those studies done in the
19 southeast?

20 A. No, they were not.

21 Q. So you haven't studied salt migration from truly
22 high concentrations; is that correct?

23 A. Correct.

24 Q. Thank you.

25 CHAIRMAN FESMIRE: Ms. Foster?

1 MS. FOSTER: I have no questions.

2 CHAIRMAN FESMIRE: After all that, you have no
3 questions?

4 Commissioner Bailey?

5 COMMISSIONER BAILEY: No questions.

6 MR. BROOKS: I'm sorry, Mr. Chairman, I would point
7 out that you did not ask me, however.

8 CHAIRMAN FESMIRE: Mr. Brooks, do you have any
9 questions of this witness?

10 MR. BROOKS: Mr. Chairman, I have no questions.

11 MR. FREDERICK: You can ask me if I got everything
12 out.

13 CHAIRMAN FESMIRE: You can't swing a dead cat without
14 hitting a lawyer who doesn't want to ask a question.

15 Commissioner Olson?

16 COMMISSIONER OLSON: I would like to ask a question.

17 Most of the properties that you operate on are on
18 State or federal lands in the northeast; is that correct?

19 THE WITNESS: Correct.

20 COMMISSIONER OLSON: And so I guess, effectively, you
21 do have permission from the State or federal land managers for
22 burial of waste on those properties as part of your lease?

23 THE WITNESS: I can assume we do, but that's not
24 really part of my job function.

25 COMMISSIONER OLSON: That's all I have.

1 CHAIRMAN FESMIRE: Okay.

2 EXAMINATION

3 BY CHAIRMAN FESMIRE:

4 Q. Mr. Wurtz, you testified that the proposed rule
5 will still be protective of fresh water, human health, and the
6 environment; is that correct?

7 A. That's correct.

8 Q. So when you say "still protective," the current
9 rule was also protective. Is that a pretty good assumption
10 from that statement?

11 A. Yes.

12 Q. And you saw -- and I'm pretty sure you were
13 present for Mr. Hansen's chart that showed, eventually, if we
14 go to the higher standard in the proposed rule for chlorides,
15 then we will exceed the groundwater quality standards at a
16 certain point in the reservoir after some significant length of
17 time; is that correct?

18 A. That's correct.

19 Q. So maintaining the current standard would either
20 lessen that effect or keep us below the current water quality
21 standard. Is that a fair interpretation of the data that's
22 been presented?

23 A. I'm sorry. I'm not sure I followed that.

24 Q. If we don't exceed the groundwater quality
25 standard in the wastes that are buried, we probably won't

1 exceed the groundwater quality standard in the water --

2 A. Yes.

3 Q. -- like we will if we go to the higher standard.

4 A. Yes.

5 Q. Do you have any idea how much money it'll save
6 your company if we go to the higher standard?

7 A. No, I'm not prepared to speak to that.

8 Q. Okay. But is it safe to say it will save them
9 some money?

10 A. I'm not really sure that it will, but there's
11 other circumstances. We have to meet the 3103 standards as
12 well, and I didn't look at that. I looked, specifically, at
13 the chlorides.

14 Q. So are we spinning our wheels here, or is this a
15 good thing to do?

16 A. I think the chlorides are a step in the right
17 direction. ConocoPhillips likes the approach being used to
18 evaluate the chlorides, but I haven't looked at the 3103
19 constituent list and determine if that's something we can make.

20 Q. Okay. Will this change affect Conoco's behavior
21 in New Mexico? Will they invest more money in New Mexico if we
22 make this change?

23 A. With all due respect, I didn't come today -- I
24 don't know all those answers. I really was focused on the
25 chloride and the below-grade tanks.

1 Q. Okay. So you -- okay. Let's venture into the
2 realm of theory here.

3 This will probably lower the operating costs, if not
4 so much the change in the chloride standard. It has the
5 potential to lower the operating costs for probably most of the
6 southeast operators, including ConocoPhillips?

7 A. Chloride alone probably won't help. I would have
8 to look at the 3103 constituents parameter list and evaluate
9 those, and I didn't do that for this hearing.

10 Q. Okay. So I guess what you're telling me is that
11 this may not effectively accomplish what the Governor is asking
12 us to accomplish, is it?

13 A. Without really looking at those 3103 parameter
14 lists, I'm not sure I can answer that.

15 Q. Okay. So does Conoco intend to come back to us
16 later and ask for further concessions?

17 A. We'd certainly encourage open dialogue and
18 looking at any issues when we look at them further, yes.

19 Q. Okay.

20 CHAIRMAN FESMIRE: I have no further questions.

21 Do you have anything else of the witness, Mr. Carr?

22 MR. CARR: Mr. Chairman, it's my witness.

23 CHAIRMAN FESMIRE: I realized that as soon as I said
24 that.

25 MR. CARR: No, sir, I do not.

1 CHAIRMAN FESMIRE: Does anybody else have anything
2 else of this witness?

3 Okay. Thank you very much, Mr. Wurtz.

4 MR. BROOKS: Mr. Chairman, I wasn't really planning
5 on presenting a rebuttal today, but Mr. Hansen is over here
6 chomping at the bit to explain one matter about the HELP model
7 that Mr. Neeper's testimony may have raised some questions
8 about. So I'm wondering if I can recall Mr. Hansen regarding
9 this one matter.

10 CHAIRMAN FESMIRE: Purely on a rebuttal basis?

11 MR. BROOKS: Yes, sir.

12 CHAIRMAN FESMIRE: Okay. Mr. Hansen, why don't you
13 take the stand. Do you remember that you've been previously
14 sworn in this case?

15 THE WITNESS: Yes.

16 REBUTTAL EXAMINATION

17 BY MR. BROOKS:

18 Q. Mr. Hansen, Dr. Neeper said something about the
19 leaks from liners and because of the small size of these pits,
20 the HELP model would not be an accurate prediction of the
21 amount of the leakage you might get from holes in the liners.
22 Is that the way you understood what he said?

23 A. Yes.

24 Q. Do you agree with that?

25 A. Not entirely.

1 Q. Explain why, please.

2 A. Okay. The HELP model uses a per acre calculation
3 for determining leaks. Of course, that's the input. The HELP
4 model does not have an areal extend boundary. So if I have a
5 one-acre area or a ten-acre area or a 100-acre area, the leak
6 rate will remain the same.

7 It could be said that something less than an acre
8 might leak more through the HELP model, but not less, as
9 characterized by Dr. Neeper.

10 Q. Was there something else you wanted to explain
11 about Dr. Neeper's testimony on the HELP model?

12 A. Well, there was one other issue that was raised
13 in that the HELP model did not account for what might be
14 underneath the plastic.

15 The HELP model could to that; however, in the spirit
16 of being conservative, the OCD did not account for anything
17 underneath the liner. So, therefore, it could be, say,
18 something like a geotextile so you have a free flow through
19 leakage through the plastic with nothing underneath to be a
20 more conservative leakage rate.

21 Q. Thank you.

22 MR. BROOKS: That's all my questions.

23 CHAIRMAN FESMIRE: Ms. Foster?

24 MS. FOSTER: No questions. Thank you.

25 CHAIRMAN FESMIRE: Mr. Carr?

1 MR. CARR: No questions.

2 CHAIRMAN FESMIRE: Mr. Frederick?

3 MR. FREDERICK: No questions.

4 CHAIRMAN FESMIRE: Doctor?

5 DR. NEEPER: Would you believe there's a question?

6 CHAIRMAN FESMIRE: Yes.

7 REBUTTAL CROSS-EXAMINATION

8 BY DR. NEEPER:

9 Q. Mr. Hansen, you have testified that the HELP
10 model assigns leakage on a per-area basis.

11 A. A per-acre basis, right.

12 Q. Per-acre basis. And so with a so-called "good"
13 installation, does the HELP model assign approximately one
14 default per acre?

15 A. Actually, you can adjust it --

16 Q. Yes, you can adjust it.

17 A. -- if you care to. But, yes, a default value for
18 good, yes.

19 Q. Did you use the default values?

20 A. Yes.

21 Q. If one had one default and it occurred far
22 away --

23 A. I'm sorry. Can I interrupt?

24 Q. You may interrupt.

25 A. Default pinholes and defaults; a little

1 difference; one pinhole, four defects.

2 Q. Four defects?

3 A. Right.

4 Q. Let us operate, then, on four defects per acre.

5 Would the average leak rate of four defects in an acre give you
6 four multiplied by the area 160, divide by the area of the
7 acre, which is 4,000?

8 In other words, the trench is about $1/25$ of an acre.
9 If you had four defaults in an acre, is it appropriate to
10 figure that the leak rate of a trench is $1/25$ of what you would
11 have from that acre? In other words, do defaults come in units
12 of $1/25$ each?

13 A. As I just explained, I could take a one-acre or a
14 ten-acre, but if I want less than an acre, it might be assigned
15 a hole or defect to that, something less than one acre.

16 Q. So in effect, did it not assume that you had the
17 same flow out of your trench that you would with an acre with
18 those four defaults in the acre?

19 A. For a leakage rate, yes.

20 Q. For leak rate. And so, then, it essentially
21 averaged that. It is calculating -- when you assign that rate
22 to it, you're assigning an average to the trench?

23 A. Yes.

24 Q. Is that not why when I considered the literature
25 value for one single hole I wound up with possibly a much

1 larger leak rate?

2 A. I don't believe so. The leak rate is based on
3 what the head is or what could be on that particular hole or
4 defect.

5 Q. We'll assume the same head.

6 A. But what you testified to was not head dependent.

7 Q. It was head dependent. That was shown on the --
8 it had the head you had. But what I'm asking you is --

9 A. I'm sorry. I don't believe it was.

10 Q. But your testimony -- and the question is whether
11 when four defects are assigned to a whole acre, can you take
12 the average leak rate for that acre and assume you have, then,
13 4/25 of a defect in the trench to give you the same leak rate
14 in the trench?

15 A. Anybody could, but the HELP model does not.

16 Q. What does it assume to get the same average leak
17 rate, then?

18 A. It assumes one acre, and that's the same leak
19 rate whether it's ten acres, one acre, or 100 acres.

20 Q. Or 160 square meters?

21 A. Or 160 square meters.

22 Q. I'll let it go at that. Thank you.

23 CHAIRMAN FESMIRE: Okay. Is there anybody in the
24 audience who would like to make a public comment? I think
25 everybody left is a party, with maybe a couple of exceptions.

1 This is probably your last opportunity on this case to get to
2 add something to the record. Looking out there, I see no
3 takers.

4 So we're going to move on to the next order of
5 business. We have a regularly scheduled Commission meeting on
6 the 9th, but as of right now, there's nothing on that docket.

7 We are going to need from the parties Proposed
8 Conclusions of Law and Findings of Fact, and if we were to ask
9 for them on the 9th, that would give you six days, and I don't
10 think that's long enough. We also have a special meeting on
11 Wednesday the 15th.

12 So what we're going to do is continue this hearing
13 until Wednesday the 15th. At that time, we will request the
14 parties to have delivered, prior to the meeting, their Proposed
15 Findings and Conclusions. And at that meeting, if there's time
16 that day, the Commission will deliberate on the case. If there
17 isn't, we'll continue it to a date that we can deliberate on
18 it. Is that acceptable?

19 COMMISSIONER BAILEY: Yes.

20 COMMISSIONER OLSON: That's fine.

21 CHAIRMAN FESMIRE: So at this time, we're going to
22 adjourn and --

23 MR. HISER: I have a question for you, Mr. Chairman.

24 Does that mean that the Commission will continue the
25 evidentiary portion of that, or simply the deliberation portion

1 of that?

2 CHAIRMAN FESMIRE: We're not going to close the
3 evidence until we get the Conclusions and Findings, but I would
4 not plan on making a big evidentiary showing on the 15th.

5 MR. HISER: I just wanted to make sure that's what
6 you were thinking.

7 CHAIRMAN FESMIRE: So we will -- Mr. Frederick?

8 MR. FREDERICK: I just want to clarify. So are the
9 Findings of Fact and Conclusions of Law due on the 15th?

10 CHAIRMAN FESMIRE: They're due prior to the hearing
11 on the 15th?

12 MR. FREDERICK: So does that mean they're due on the
13 14th?

14 CHAIRMAN FESMIRE: No, that means prior to the
15 hearing the 15th. We will consider them, look at them, and
16 decide whether or not we can deliberate then and whether we
17 have to schedule it.

18 MR. FREDERICK: Is that everything that's going to be
19 on the test?

20 MS. FOSTER: Mr. Commissioner, will those Facts and
21 Findings and Conclusions of Law need to be distributed to all
22 the parties?

23 CHAIRMAN FESMIRE: As with any other pleading,
24 they'll have to be distributed to everybody who's a party to
25 the case.

1 MS. FOSTER: Okay. Will you do that just prior to
2 the hearing?

3 CHAIRMAN FESMIRE: Just prior to the hearing.
4 Mr. Brooks?

5 MR. BROOKS: Could you ask the court reporter when
6 the transcript will be available?

7 CHAIRMAN FESMIRE: Joyce?

8 THE COURT REPORTER: Two weeks.

9 MR. BROOKS: I realize that, but if we have to
10 prepare Findings of Fact and Conclusions of Law by the 15th, it
11 would be extremely helpful if we could get the transcript a few
12 days before the 15th.

13 CHAIRMAN FESMIRE: Woe be it for me to violate a
14 contract. We'll continue the case to the 15th, and at that
15 point, we'll make sure when we get the transcript and we can
16 get it to everybody, and then we'll determine when the Findings
17 and Conclusions are due. It will be a very short period after
18 the transcript is available.

19 MR. BROOKS: Thank you, Mr. Chairman.

20 CHAIRMAN FESMIRE: Anything else? With that, we're
21 going to adjourn Case No. 14292 and continue it to Wednesday,
22 the 15th of April at 9 o'clock in this room; is that correct?

23 Thank you all very much.


24 * * *

1 **REPORTER'S CERTIFICATE**

2
3 I, JOYCE D. CALVERT, Provisional Court Reporter for
4 the State of New Mexico, do hereby certify that I reported the
5 foregoing proceedings in stenographic shorthand and that the
6 foregoing pages are a true and correct transcript of those
7 proceedings and was reduced to printed form under my direct
8 supervision.

9 I FURTHER CERTIFY that I am neither employed by nor
10 related to any of the parties or attorneys in this case and
11 that I have no interest in the final disposition of this
12 proceeding.

13 DATED this 3rd day of April, 2009.
14
15
16
17


18 
19


20 JOYCE D. CALVERT
21 New Mexico P-03
22 License Expires: 7/31/09
23
24
25

1 STATE OF NEW MEXICO)
2 COUNTY OF BERNALILLO)

3
4 I, JOYCE D. CALVERT, a New Mexico Provisional
5 Reporter, working under the direction and direct supervision of
6 Paul Baca, New Mexico CCR License Number 112, hereby certify
7 that I reported the attached proceedings; that pages numbered
8 1-235 inclusive, are a true and correct transcript of my
9 stenographic notes. On the date I reported these proceedings,
10 I was the holder of Provisional License Number P-03.

11 Dated at Albuquerque, New Mexico, 3rd day of
12 April, 2009.

13
14 
15 _____
16 Joyce D. Calvert
17 Provisional License #P-03
18 License Expires: 7/31/09

19
20 
21 _____
22 Paul Baca, RPR
23 Certified Court Reporter #112
24 License Expires: 12/31/09
25