





Main Results

Analysis 1

Company Oxy Permian, Ltd.
Well Oxy Engelbert #1

Field
Test Name / #

Test date / time
Formation interval
Perforated interval 7174-94
Gauge type / #
Gauge depth

TEST TYPE Standard

Porosity Phi (%) 4.5
Well Radius rw 0.33 ft
Pay Zone h 14 ft

FLUID TYPE Oil

Volume Factor B 1.45272 B/STB
Viscosity 0.425146 cp
Total Compr. ct 9.38531E-5 psi-1

Selected Model
Model Option Standard Model
Well Uniform Flux
Reservoir Two Porosity PSS
Boundary Infinite

Results
TMatch 0.0163 [hr]**-1
PMatch 0.00464 [psia]**-1
C 0 STB/psi
skin 0
Delta P Skin 0 psi
Xf 284 ft
Pi 2127.69 psia
k.h 126 md.ft
k 8.99 md
Omega 0.305
Lambda 2.05E-7
Rinv 694 ft
Test. Vol. 1.69747E+5 Barrels

BEFORE THE
OIL CONSERVATION DIVISION
Case No. 12776 Exhibit No. — 6
Submitted By:
OXY USA, Inc.
Hearing Date: December 6, 2001

AVG PHI = 4.5%
AVG SW = 25.5%
FVF = 1.45 BBL/STB
RESERVOIR AC-FT = 5,784.75
SE/QTR of Section 15 = 963.7 ac-ft
EST OOIP = $\frac{(7758)(.045)(.745)}{1.45} = 179.37 \text{ STB/ac-ft}$

ECONOMIC PARAMETERS:
DRILL AND EQUIP COST = \$769,907
\$20/BBL OIL FLAT
\$2.20/MCF GAS FLAT

160 ACRE SPACING

SE/QTR OF SECTION 15

EST OIP = 963.7 ac-ft x 179.37 bbl/ac-ft = 172,859 STB

EST GIP = 230,902 MCF

EST RECOVERABLE OIL AT 25% RF = 43,215 STB

EST RECOVERABLE GAS @ 80% RF = 184,722 MCF

RATE OF RETURN = 20.02%

NET PRESENT VALUE AT 10% = \$59,962

80 ACRE SPACING

EST OIP = 86,430 BBL

EST GIP = 115,451 MCF

EST RECOVERABLE OIL AT 25% RF = 21,608 BBL

EST RECOVERABLE GAS AT 80% RF = 92,360 MCF

RATE OF RETURN = 0%

NET PRESENT VALUE AT 10% = -\$233,491

BEFORE THE
OIL CONSERVATION DIVISION
Case No. 12776 Exhibit No. 8
Submitted By:
OXY USA, Inc.
Hearing Date: December 6, 2001

I N D E X

December 6th, 2001
Examiner Hearing
CASE NO. 12,776

| | PAGE |
|------------------------------------|------|
| EXHIBITS | 3 |
| APPEARANCES | 3 |
| APPLICANT'S WITNESSES: | |
| <u>THOMAS R. SMITH</u> (Geologist) | |
| Direct Examination by Mr. Kellahin | 6 |
| Examination by Examiner Stogner | 22 |
| <u>GARY WOMACK</u> (Engineer) | |
| Direct Examination by Mr. Kellahin | 30 |
| Examination by Examiner Stogner | 38 |
| REPORTER'S CERTIFICATE | 46 |

* * *

1 Q. (By Mr. Kellahin) Let's talk a little bit about
2 the well. Mr. Smith told us it had been drilled originally
3 as a Morrow test, but that was unsuccessful. OXY came back
4 up and has made an oil well in the Cisco formation? You're
5 familiar with all that process?

6 A. Yes, I am.

7 Q. Give us a short summary of the history of the
8 well.

9 A. It was indeed drilled to a depth of approximately
10 8900 feet in the Morrow formation. There was no sands to
11 complete in, Morrow sands, so the Cisco/Canyon zone was
12 identified by log analysis and it was indeed perforated at
13 the depths of 7174 to 7194, at two shots per foot, and then
14 stimulated with a 20-percent acid, gelled acid, with CO₂
15 foam.

16 Q. Have you run any type of test on the well, and if
17 so, what types of tests have been run?

18 A. The well was flow-tested after the stimulation
19 job. It was then shut in for a pressure buildup.

20 Q. What type of initial flow test results did you
21 achieve?

22 A. Initial flow testing was done for a period of
23 approximately 11 days, and the purpose of the test was
24 trying to establish if the reservoir was indeed limited,
25 and we did test the well until we felt like we had a

1 stabilized flow rate.

2 Q. What stabilized flow rate did you achieve?

3 A. It was approximately 230 barrels a day, on a
4 22/64 choke.

5 Q. What then was the next test you ran?

6 A. We ran a subsequent test later on to establish a
7 potential for the well.

8 Q. And how would you do that?

9 A. It was a 24-hour test that was done, the choke
10 size on this test was a 26/64 choke, and we did reach a
11 stabilized flow rate of 408 barrels per day.

12 Q. Have you determined what would be your depth
13 bracket oil allowable at this depth if the well is spaced
14 on 160 acres?

15 A. Yes, I have.

16 Q. What is that number?

17 A. 382 barrels per day.

18 Q. Have you done the calculation, Mr. Womack, to
19 show us what would be the additional discovery oil
20 allowable that the well might be entitled to?

21 A. Right, our calculations would be taking the top
22 perf of 7174 and multiplying that by 5 to get a bonus
23 volume of 35,890, of which you would divide that bonus
24 number by 730 to equal 49.2 barrels of oil per day
25 additional.

1 Q. You used the rules set forth in the Division Rule
2 Book under Rule 509? I believe you did.

3 A. Yes.

4 Q. All right, sir. What else have you done to the
5 well to test it?

6 A. It's just been flow test and the pressure
7 buildup.

8 Q. All right, let's talk about the pressure buildup.
9 Is there an exhibit that demonstrates the data and the
10 conclusions from the pressure buildup?

11 A. Yes, Exhibit 6 is the pressure buildup, with the
12 first page being the results sheet.

13 Q. All right, sir, take us through the process.
14 Give us a summary of the procedure and then your
15 conclusions about the test.

16 A. Okay, after the well was flow-tested for
17 approximately 11 days the well was shut in. At that time
18 the pressure bombs were run in the hole, the well was shut
19 in for 120 hours. That was the length of the pressure
20 buildup. At that time the pressure gauges were retrieved,
21 the data was downloaded, computer-type modeling software is
22 used. This particular software is Saphir, it's produced by
23 Kapp Engineering, it's a type-curve-modeling program.

24 Q. What are the conclusions from the test?

25 A. Conclusions, that it basically gave us a perm

1 number to work with.

2 Q. And what is the permeability, based upon the
3 test?

4 A. The calculated permeability was 8.99
5 millidarcies.

6 Q. Now, Mr. Smith by his log calculation has an
7 average porosity of 4 1/2 percent.

8 A. That's correct.

9 Q. If you take that number and integrate your 8.99
10 millidarcies of permeability, what can you as an engineer
11 conclude about the reservoir and what should be the initial
12 density of wells drilled in that reservoir?

13 A. Well, as Mr. Smith has stated, it's definitely
14 anomalous as far as the Cisco/Canyon goes. We do have
15 several other producers in the Cisco/Canyon, not in this
16 particular zone but in the Permo-Penn Gas, and several
17 pressure buildups, of course, have been done on those, and
18 the typical permeability is less than 1 millidarcy.

19 So you could infer that there is fracturing
20 involved here to get a correlation between the low
21 porosity, the relatively high permeability.

22 Q. In order to develop a recommendation for the
23 Division on the initial appropriate spacing, have you
24 attempted to obtain data on what is expected for the cost
25 components that you would utilize for determining how many

1 wells you could drill in this resource?

2 A. Yes.

3 Q. Let's turn to Exhibit Number 7. What are we
4 looking at here?

5 A. Exhibit Number 7 is a detailed well estimate for
6 drilling and equipping a Cisco/Canyon producer.

7 Q. this is the one for the Engelbert well?

8 A. Yes, it would be for a second well.

9 Q. Oh, this would be for a number two?

10 A. That's correct.

11 Q. How does this compare to the actual cost for the
12 Engelbert Number 1?

13 A. Well, as I stated before, the Engelbert Number 1
14 was drilled to a depth of 8900 feet, so this is quite a bit
15 of difference in depth.

16 Q. I see what you've done, you've adjusted this --

17 A. Right.

18 Q. -- as if it were to be a Cisco-only test?

19 A. That's exactly right, a depth of 7300 feet.

20 Q. All right. Have you taken the costs associated
21 with wells and tried to forecast what you would believe to
22 be the volume of oil within any given size spacing unit
23 within this accumulation?

24 A. Yes, I have.

25 Q. Let's go through that process. If you'll look at

1 Exhibit 8, before we look at the calculation, let's look at
2 the data or the assumptions you've made that go into the
3 calculation.

4 A. Okay.

5 Q. First number is a porosity number?

6 A. First number is the average porosity number of
7 4 1/2 percent, the average water saturation of 25.5, an
8 estimated formation volume factor of 1.45. The reservoir
9 acre feet was calculated from the isopach map that was
10 presented in Exhibit 4.

11 Q. All right, then you have some economic
12 parameters?

13 A. That's correct.

14 Q. All right. Have you taken the numbers, the cost
15 components and the reservoir data, and made an assumption
16 about utilizing a 160-acre spacing unit, being the
17 southeast quarter of Section 15?

18 A. Yes, I have.

19 Q. What have you estimated to be the original oil in
20 place within that quarter section?

21 A. Estimated original oil in place is estimated to
22 be 173,000 stock tank barrels.

23 Q. Of that original oil in place, what in your
24 opinion is an estimate of the recoverable percentage?

25 A. 25 percent was the percentage used.

1 Q. If you use 25 percent, is that within the range
2 of probabilities for recoveries of reservoirs of this type?

3 A. Yes.

4 Q. And if you use 25 percent, what will be your
5 volume of recoverable oil?

6 A. Approximately 43,000 stock tank barrels.

7 Q. If you take that, coupled with the gas recovery,
8 apply the economic parameters, what does it tell you?

9 A. We've recorded a rate of return of approximately
10 20 percent with the net present value at 10 percent being
11 60,000.

12 Q. Have you run your calculation to see whether or
13 not it would be economically possible to drill on a density
14 of less than 160 acres per well?

15 A. Yes, I have.

16 Q. Have you tried it on 80 acres?

17 A. Yes, I have.

18 Q. Show us what you did and what you concluded.

19 A. Okay, below the 160-acre spacing case there's an
20 80-acre spacing case, and simply what was done was to take
21 the reserves and divide them in half.

22 Q. And when you do that, what is the result? You
23 are going to recover just short of 22,000 barrels of oil?

24 A. That's correct.

25 Q. Well, you can't pay for a well like this with

1 that kind of resource, can you?

2 A. That's right, it shows basically that the well is
3 marginally economic in a 160-acre spacing.

4 Q. Net present value at 10 percent shows a negative
5 number. That's a negative \$233,000 plus change?

6 A. That's correct.

7 Q. Okay. So neither you, OXY or any other
8 reasonable operator could try to develop this, at least
9 initially, on less than 160 acres?

10 A. I wouldn't think so.

11 MR. KELLAHIN: That concludes my examination of
12 Mr. Womack.

13 We move the introduction of his Exhibits 6, 7 and
14 8.

15 EXAMINER STOGNER: Exhibits 6, 7 and 8 will be
16 admitted into evidence at this time.

17 EXAMINATION

18 BY EXAMINER STOGNER:

19 Q. Mr. Womack, let's go back to the discovery
20 allowable here and make sure I've got the numbers correct,
21 where you got the numbers.

22 A. Okay.

23 Q. Okay, 382 barrels of oil per day, that's the
24 average -- I'm sorry, the regular depth bracket allowable
25 for a well spaced on 160, completed between 6000 and 7000