

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

COPY

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION DIVISION FOR
THE PURPOSE OF CONSIDERING:

APPLICATION OF ENERVEST OPERATING LLC TO
AMEND THE UNIT AGREEMENT AND THE UNIT
OPERATING AGREEMENT FOR THE WEST LOCO HILLS
GRAYBURG NO. 4 SAND UNIT, AND FOR STATUTORY
UNITIZATION, EDDY COUNTY, NEW MEXICO

CASE NO. 14242

APPLICATION OF ENERVEST OPERATING LLC FOR
EXPANSION OF THE WATERFLOOD PROJECT FOR THE
WEST LOCO HILLS GRAYBURG NO. 4 SAND UNIT,
EDDY COUNTY, NEW MEXICO

CASE NO. 14243

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID K. BROOKS, Legal Examiner
WILLIAM V. JONES, Technical Examiner
TERRY G. WARNELL, Technical Examiner

December 4, 2008

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico
Oil Conservation Division, DAVID K. BROOKS, Legal Examiner,
WILLIAM V. JONES, Technical Examiner, and TERRY G. WARNELL,
Technical Examiner, on Thursday, December 4, 2008, at the
New Mexico Energy, Minerals and Natural Resources Department,
1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico.

REPORTED BY: JOYCE D. CALVERT, P-03
Paul Baca Court Reporters
500 Fourth Street, NW, Suite 105
Albuquerque, New Mexico 87102

RECEIVED
2008 DEC 10 PM 4 08

By 12/11/08

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A P P E A R A N C E S

FOR THE APPLICANT:

James G. Bruce, Esq.
ATTORNEY AT LAW
P.O. Box 1056
Santa Fe, New Mexico 87504

1 MR. JONES: Okay. Let's go back on the record, and
2 let's call Case 14242, Application of EnerVest Operating LLC to
3 Amend the Unit Agreement and Unit Operating Agreement for the
4 West Loco Hills Grayburg No. 4 Sand Unit, and for Statutory
5 Unitization, Eddy County, New Mexico.

6 Do you want to combine the two cases?

7 MR. BRUCE: Yes.

8 MR. JONES: Okay. Let's also call Case No. 14243,
9 Application of EnerVest Operating LLC for Expansion of the
10 Waterflood Project for the West Loco Hills Grayburg No. 4 Sand
11 Unit, Eddy County, New Mexico.

12 Call for appearances in both cases.

13 MR. BRUCE: Mr. Examiner, Jim Bruce of Santa Fe
14 representing the application. I have three witnesses.

15 MR. JONES: Any other appearances?

16 Will all witnesses please stand and state your names
17 one after another?

18 MR. BLAKLEY: Duane Blakley.

19 MR. KOWALCZYK: Gary Kowalczyk.

20 MR. LEE: Robert Lee.

21 [Witnesses sworn.]

22 DUANE BLAKLEY

23 after having been first duly sworn under oath,

24 was questioned and testified as follows:

25

DIRECT EXAMINATION

1
2 BY MR. BRUCE:

3 Q. Mr. Blakley, would you please state your full
4 name and city of residence and maybe spell your last name for
5 the court reporter.

6 A. Duane Blakley, Houston, Texas. And it's
7 B-l-a-k-l-e-y.

8 Q. Who do you work for and in what capacity?

9 A. I'm a senior landman for EnerVest Limited.

10 Q. And have you previously testified before the
11 Division?

12 A. No.

13 Q. Would you please summarize your educational and
14 employment background including some of your oil and gas
15 employers for the record, please?

16 A. I've got a BA and a JD from the University of
17 Texas; an MBA from the University of St. Thomas; I've been in
18 private law practice; I've been an attorney for various oil
19 companies, including Sohio; an independent landman; a contract
20 landman working for Exxon, BP, Amoco, numerous others; vice
21 president of oil and gas trust with Ross Bank; and land manager
22 and senior landman.

23 Q. And does your area of responsibility at EnerVest
24 include this part of southeast New Mexico?

25 A. Yes.

1 Q. And are you familiar with the land matters
2 involved in these applications?

3 A. Yes.

4 MR. BRUCE: Mr. Examiner, I tender Mr. Blakley as an
5 expert petroleum landman.

6 MR. JONES: Mr. Blakley should look a lot older with
7 this resume. So let's qualify Mr. Blakley as an expert in
8 petroleum land matters.

9 Q. (By Mr. Bruce): Mr. Blakley, would you please
10 summarize what EnerVest seeks in these two cases?

11 A. In Case 14242, EnerVest seeks to amend the unit
12 agreement and unit operating agreement and statutorily unitize
13 all interests in the unitized Grayburg formation underlying the
14 5,307.73 State, federal and fee lands.

15 In Case 14243, we seek to expand the waterflood
16 project for the unit.

17 Q. And what is the unitized interval?

18 A. The unitized interval is the underground
19 reservoir, the top of which is found at 2,767 feet, and the
20 base, which is found at 2,792 feet, on the gamma ray neutron
21 log of the Newmont-Ballard Well No. B-6 located in the SE/4,
22 SW/4, NE/4 of Section 1, Township 18 South, Range 29 East of
23 Eddy County, New Mexico, together with the Grayburg Sands
24 stringers encountered at varying intervals between the depths
25 of 100 feet above the top and 50 feet below the bottom of the

1 principal sand body shown by the log insofar as the same areas
2 lies within the geographical boundaries of the unit.

3 Q. And the unitized formation will include all
4 stratographic subsurface points through the unit?

5 A. Correct.

6 Q. Okay. Let's go into the -- there is an existing
7 unit here, correct, Mr. Blakley?

8 A. There is an existing unit and the definition is
9 from that original unit.

10 Q. And referring to Exhibit 1, what is the history
11 of this unit?

12 A. The unit was actually formed about 1962. It was
13 approved in Case No. 2472 by the Commission Order No. R-2166,
14 which is marked Exhibit 1, I believe. Waterflood operations
15 have been conducted in the unit since that time.

16 MR. BRUCE: Mr. Examiner, I've highlighted a couple
17 of things. As Mr. Blakley has testified, the correct acreage
18 is 5307.73 acres. The original was listed 5320. But there are
19 some lots in Section 7 and 18. So that is the acreage
20 discrepancy.

21 Q. (By Mr. Bruce): Was the unit agreement approved
22 by the Bureau of Land Management and the State Land Office in
23 1962?

24 A. Yes.

25 Q. And are Exhibits 2 and 3 copies of the original

1 unit agreement and the unit operating agreement?

2 A. Yes.

3 Q. Was this unit formed before Statutory Unitization
4 Act was enacted?

5 A. Yes, it was. Joinder in the unit was voluntary.

6 Q. And because it was voluntary, was participation
7 based on participating areas?

8 A. It was. In 1964, all lands within the unit area
9 were committed to the participating areas.

10 Q. Okay. And is Exhibit 4 the document and approval
11 which expanded the Grayburg participating area to encompass the
12 entire unit area?

13 A. It was.

14 Q. And this was approved by all the pertinent
15 governmental agencies, was it not?

16 A. That's correct.

17 Q. And because the participating area encompassed
18 the entire unit, were any lands eliminated under the old unit
19 agreement?

20 A. No, they weren't.

21 Q. Would you identify Exhibit 5 and describe its
22 contents for the Examiner?

23 A. Exhibit 5 is the land plat which outlines the
24 unit area and identifies the separate tracts which comprise the
25 unit area. Attached to the plat is a legal description of the

1 entire unit area. There are 43 main tracks with subtracts 54
2 in the unit. EnerVest operates all the unit area.

3 MR. BRUCE: And Mr. Examiner, I do have the exact
4 property description sitting in my office. It seems to be a
5 theme here today.

6 MR. JONES: It's in the application, isn't it?

7 MR. BRUCE: It is in the application, I think. But I
8 do have an up-to-date description. Mr. Examiner, for your
9 information, you might want to set this aside later. I believe
10 that some of the data on this, Mr. Lee, the engineer, will be
11 testifying about. It's easier to look at this plat than the
12 one that is in his exhibit.

13 By the way, Mr. Examiner, Exhibit 5-A is simply the
14 original land plat for unit area from the original Division
15 hearing. So you can compare the two to see that they are the
16 same.

17 Q. (By Mr. Bruce): Again, Mr. Blakley, the unit
18 area already exists. Why is EnerVest here today?

19 A. We purchased the property with the intent to
20 redevelop the waterflood project in the unit. The
21 redevelopment could potentially encompass about 124 injection
22 wells, 96 producing wells and expenditures over \$100 million.

23 When the unit was formed, it was voluntary and about
24 10 percent of the royalty interest owners and 10 percent of the
25 working interest owners did not ratify the unit. Because this

1 project is expensive, EnerVest wants to ensure that all
2 interest owners are subject to one unit agreement, all working
3 interest owners are subject to an updated operating agreement.
4 As a result, we are amending both agreements.

5 Q. And the agreements we are using are the type that
6 are -- especially the unit agreement -- is the type that is
7 actually directly off the State Land Office website; is that
8 correct?

9 A. It is exactly off the State Land Office website.

10 Q. Would you please identify Exhibit 6 for the
11 Examiner?

12 A. Exhibit 6 is the proposed amended unit agreement,
13 and it is the standard form from the State Land Office website.
14 It describes the unit area, the unitized formation, the
15 unitized substances, and includes all oil and gas produced from
16 the unitized formation and designates EnerVest as operator.

17 Q. And what is Exhibit 7?

18 A. The proposed unit operating agreement which sets
19 forth the authorities and duties of the unit operator as well
20 as the portion of the expenses between the working interest
21 owners.

22 Q. Does the amended unit operating agreement contain
23 a provision for carrying working interest owners?

24 A. Yes. That would be Article 11.

25 Q. And does it also provide for a penalty against

1 any non-consenting working interest owners?

2 A. Yes, it does.

3 Q. Because New Mexico Statutory Unitization Act
4 allow for an amended plan of unit operations?

5 A. Yes. Submitted as Exhibit 8 are portions of the
6 act which specifically allow an amendment to the plan
7 unitization. It also provides tract participation factors
8 previously approved shall remain the same after amendment.

9 Q. And what are the tract participation factors?

10 A. If you refer back to Exhibit 4, the expansion of
11 participating area, you'll see that it fixes participation
12 factors for each tract. These are the factors which will be
13 used so no one already committed to the unit will have his
14 participation changed.

15 Q. Now, let's discuss ownership of tracts in the
16 unit area. Would you -- and maybe I'll refer you back to
17 Exhibit 6 -- would you just briefly describe tract ownership
18 and how you determine the names of the working interest and
19 royalty interest owners in the unit area?

20 A. Well, the tracts are formed according to common
21 mineral ownership. In Exhibit 6, the amended unit agreement --
22 and take a look at Exhibit B-1 to that agreement -- you'll find
23 a tract-by-tract listing of names and interests that were
24 obtained from current Division orders, title opinions or
25 billing records.

1 Q. And you mentioned Division orders. The unit has
2 been in effect and producing for 40-some years as of this
3 point, correct?

4 A. Yes.

5 Q. As the operator, you took over -- I believe most
6 of the Division order files were from Yates Petroleum, one of
7 the prior operators?

8 A. Yates started it, and some of them came through
9 from -- T-Rex was the last one.

10 Q. Okay. Now, how many interest owners are there in
11 the proposed unit?

12 A. Well, the working interests: We started out
13 with 14. Three of those have sold to EnerVest, so we're now
14 down to 11. Those agreements have been submitted to the BLM,
15 and the assignment has been sent to be filed with record, but
16 we haven't received those back yet, so those are pending.

17 158 overriding royalty interest owners when we
18 started this will probably end up with more because, as we send
19 these things out, we find some of the folks were, you know --
20 it's now in estate. We've got several folks we'll probably
21 have to add to the list as we go. Sometimes the estate can
22 sign off on it, sometimes not. And 14 royalty owners.

23 There's really only one tract out there that's fee
24 land. The rest of it's either federal or State -- that would
25 be tract 43.

1 Q. The fee tract?

2 A. Right.

3 Q. Let's talk about the working interest owners.

4 Who are -- what is Exhibit 9, I should say?

5 A. That's all the working interest owners including
6 the ones, I believe, that we've already purchased.

7 Q. And this was a proposal letter to all of the
8 working interest owners within the unit area to join in the
9 unit?

10 A. That's correct. So far Thompson has sent us back
11 the operating agreement signed, and they didn't realize they
12 needed to also sign on the unit agreement, so I asked them to
13 please do that for me.

14 Q. Okay. And does -- skipping ahead a little bit,
15 do Exhibits 11 and 12 contain the signatures of working
16 interest owners to the unit agreement and the unit operating
17 agreement?

18 A. That's correct. At this point, including
19 Thompson, about 98 percent -- a little bit more on the working
20 interest side -- have signed up.

21 Q. You anticipate Tompson will sign the unit
22 agreement, also?

23 A. Oh, yeah. They seem to be rather anxious to
24 proceed.

25 Q. And was a proposal on the unit, the amended

1 unitization, sent to the fee royalty plus the overriding
2 royalty owners?

3 A. Yes.

4 Q. And is that reflected on Exhibit 10?

5 A. Yes.

6 Q. And -- go ahead.

7 A. We've actually sent out the notice to them. We
8 did a second one here just recently in order to get everybody
9 to sign up. I mean, it's -- you know, we're in third
10 generation on a lot of this stuff. And it takes a long time to
11 track everybody down, and they've all got small interests, and
12 this isn't exactly on the front burner for them. We're getting
13 them back in steadily, but not very fast.

14 Q. Does Exhibit 13 contain copies of the
15 ratifications from private royalty owners received to date?

16 A. Yes.

17 Q. And approximately what percentage to date of the
18 royalty and overriding royalties have ratified the unit?

19 A. Assuming that both the State and federal are
20 going to agree, then we're a little over 70 percent.

21 Q. Okay. Is Exhibit 13-A the letter of preliminary
22 approval from the Commissioner of Public Lands?

23 A. It is.

24 Q. And to date, we have not yet received the BLM --
25 a letter from the BLM, have we?

1 A. No. We've been talking with them, but no letter
2 as yet.

3 Q. Okay. And is it your understanding that, under
4 the Statutory Unitization Act, you have six months from the
5 date of an order to obtain the required percentage
6 ratifications?

7 A. Yes.

8 Q. Okay. And --

9 MR. BROOKS: I'm sorry. Did you ask him about
10 percentage ratification obtained from the royalty interest
11 owners?

12 MR. BRUCE: Yes.

13 MR. BROOKS: I missed it.

14 MR. BRUCE: Okay.

15 Q. (By Mr. Bruce): What is the approximate
16 percentage, Mr. Blakley?

17 A. Just a little over 70 percent at this point.

18 MR. JONES: That's after these people -- the State
19 and the federal --

20 MR. BRUCE: That's correct.

21 THE WITNESS: They are the bulk of it.

22 MR. JONES: Okay.

23 Q. (By Mr. Bruce): And Mr. Blakley, when we receive
24 a letter from the BLM, will that be submitted to the Division?

25 A. Yes.

1 MR. BRUCE: And of course, Mr. Examiner, both the BLM
2 and the State preliminarily approve it, and they don't give
3 their final agreement until after the Division approves it.

4 MR. JONES: Okay.

5 Q. (By Mr. Bruce): Now, we've submitted the letters
6 you've sent out, but especially with respect to the working
7 interest owners, do the proposals on the amended plan of
8 unitization with the working interest owners precede the
9 letters that we submitted in the record?

10 A. Yes. Actually T-Rex started it, and I think they
11 did the original letter out to the working interest owners.
12 Then we came in and followed up. Let's see -- I think they
13 sent it out June 6 of '08.

14 Q. And you referred to T-Rex. That's a company
15 called Texas Re-exploration?

16 A. Yeah, Re-exploration.

17 Q. And in your opinion, has EnerVest made a
18 good-faith effort to secure voluntary unitization of the
19 amended plan of unitization?

20 A. Yes, I believe we have. Tompson helped us write
21 the operating agreement, and they're the other large interest
22 owner in there.

23 Q. Now, was notice of the hearing on both -- notice
24 of the unitization application sent to all uncommitted royalty
25 interests and working interests?

1 A. Everybody that we had an address for.

2 Q. And for the waterflood application, was notice
3 sent to all of the offsetting operators and working interest
4 owners who were within a half a mile of the proposed injection
5 wells, the initial injection wells?

6 A. Yes, there was.

7 MR. BRUCE: Mr. Examiner -- wait a minute.

8 Q. (By Mr. Bruce): Mr. Blakley, when the notice
9 first went out to the royalty interest owners, by mistake did
10 it go out not certified?

11 A. That's correct.

12 Q. And was a subsequent certified letter sent?

13 A. It was.

14 MR. BRUCE: Mr. Examiner, at the end of these
15 hearings, I'd like to ask that both matters be continued to
16 December 18th because when the subsequent notice went out, it
17 gave the December 18th notice. They received -- they were sent
18 notice non-certified. And I would, rather than submit
19 piecemeal, I would prefer to have Mr. Blakley submit all
20 notices at one time.

21 MR. JONES: Okay.

22 MR. BRUCE: And Mr. Examiner, submitted as Exhibit 14
23 out of excess of caution, I notified a lot of overriding
24 royalty owners, and those are in Exhibit 14. I think a lot of
25 them did receive actual notice, but I did that nonetheless.

1 Q. (By Mr. Bruce): Mr. Blakley, were Exhibits 1
2 through 14 prepared by you or under your supervision or
3 compiled from company business records?

4 A. Both.

5 Q. And in your opinion, is the granting of this
6 application in the interests of conservation and the prevention
7 of waste?

8 A. Yes, it is.

9 MR. BRUCE: Mr. Examiner, I move the admission of
10 EnerVest Exhibits 1 through 14.

11 MR. JONES: Exhibits 1 through 14 will be admitted.

12 [Applicant's Exhibits 1 through 14 admitted into
13 evidence.]

14 MR. BRUCE: No further questions of the witness.

15 EXAMINATION

16 BY MR. JONES:

17 Q. The reasons you gave to statute -- to convert to
18 one of these old units to an officially statutory unit, you
19 said approximately 10 percent did not sign the original one,
20 and then you said to cover all your bases, and what else? Was
21 there anything else that you can remember?

22 A. Well, of course, the operating agreement was
23 originally set up for a much more diverse group. Quite
24 frankly, we can't get the percentages required under the
25 operating agreement to do anything. So it has to be changed in

1 order for us to be able to operate the thing under the terms of
2 the operating agreement.

3 Q. Okay. And all the tracks produced that you --
4 you have the general tracts, and then they're broke up into
5 subtracts. And that was the original tract division; is that
6 correct?

7 A. Yes. They broke some of those up into subtracts
8 because of the diverse mineral ownership. I mean, it really
9 had nothing to do with production. It's just making sure that
10 it was easy to pay and easy to bill.

11 Q. And I can ask your other witnesses about the
12 production of the different tracts. But you said something
13 about Yates originally had it, and then it went to T-Rex?

14 A. Yates had it at one time. Newmont had it at one
15 time I think Newmont may have had it -- I think Yates had it
16 and gave it to Newmont and maybe got it back briefly, and then
17 so --

18 Q. Why is the BLM delaying here? Is it that they
19 are just busy? What office do you talk to about this?

20 A. I've been talking with Carlsbad. And they've
21 actually been moving along pretty good.

22 Q. Okay.

23 A. We've had very good conversations with them.
24 We've been out with the archeologist, the chicken-and-lizard
25 man, conservationist. And everybody seems to be pretty happy

1 . over there at this point.

2 MR. BRUCE: Mr. Examiner, these units used to be
3 supervised by the Roswell BLM office. And just in the last few
4 months, supervision of the unit areas has been given to the
5 Carlsbad office, so they are still on a learning curve, also.

6 MR. JONES: I knew they were beefing up that Carlsbad
7 office with personnel. I didn't know if they had switched from
8 Roswell for injection type applications.

9 MR. BRUCE: They have.

10 MR. JONES: But they have now, I guess?

11 MR. BRUCE: Yes.

12 MR. JONES: Okay. I'm forgetting something here.

13 MR. BROOKS: Well, I don't think so. I may not have
14 understood everything, though.

15 EXAMINATION

16 BY MR. BROOKS:

17 Q. Are you proposing to expand the unit area
18 compared to the unit that was originally formed?

19 A. No.

20 Q. Okay. So this is just the same unit that was
21 originally formed?

22 A. Yes; same unit, same interests. Of course, the
23 folks owning -- working interests -- have changed. I think, of
24 course, they'll get into -- the other folks will get into it.
25 Basically, they are going in and doing smaller blocks on the

1 lower flood is what they have in mind.

2 Q. Yeah, well, why is it necessary to do a statutory
3 unitization if you're not -- if you're just unitizing the same
4 area that's already been unitized?

5 A. Well, we're amending the unit.

6 Q. Amending terms of the unit?

7 A. Right.

8 Q. But you pointed out that statute says you can't
9 amend the participation factors, right?

10 A. Right.

11 Q. So you're not amending the participation factors?

12 A. We're just modernizing the language so it's
13 easier to work with.

14 Q. Okay. Originally it was a voluntary unit, right?

15 A. That's correct.

16 Q. Everybody signed up on this old unit agreement?

17 MR. BRUCE: Not everybody, Mr. Examiner.

18 THE WITNESS: Not everybody.

19 MR. BRUCE: Mr. Examiner, that's part of it. If you
20 go to the records of the Division in the Land Office, you'll
21 see notations that about 10 percent never joined in. So they
22 would have to be paid on a lease basis.

23 MR. BROOKS: They were uncommitted tracts?

24 MR. BRUCE: Uncommitted. So they would have to be
25 paid out on a lease basis.

1 MR. BROOKS: So you would bring them in and they
2 would be paid on whatever was allocated. Under the new
3 proposal they would be paid on whatever is allocated to their
4 tract under the old proposal?

5 MR. BRUCE: Correct.

6 MR. BROOKS: But not the way they would have been
7 paid under the old agreement?

8 MR. BRUCE: Yeah, the uncommitted, correct.

9 MR. BROOKS: Okay. I think I understand it. It's
10 all fairly complicated.

11 MR. BRUCE: Plus, the other thing is that Mr. Blakley
12 didn't note, under the old unit operating agreement -- and old
13 unit operating agreements can be kind of odd -- it would be
14 hard to get the voting percentages necessary just to -- and I
15 think the other witnesses can testify about this -- even to
16 drill injection wells or -- they spend all the money they want
17 to spend.

18 MR. BROOKS: Yeah. Okay. That's all I have.

19 MR. WARNELL: No questions.

20 MR. JONES: Okay. Mr. Blakley, thank you very much.
21 We've only got ten minutes until we break for lunch.

22 MR. BRUCE: I think we can put the geologist on. He
23 told me he doesn't want to testify anyway.

24
25

1 GARY R. KOWALCZYK

2 after having been first duly sworn under oath,
3 was questioned and testified as follows:

4 DIRECT EXAMINATION

5 BY MR. BRUCE:

6 Q. Would you please state your name for the record
7 and city of residence?

8 A. My name is Gary Kowalczyk. I live in Houston,
9 Texas.

10 Q. And who do you work for and in what capacity?

11 A. I work for EnerVest Houston as a senior
12 geologist.

13 Q. Have you previously testified before the
14 Division?

15 A. No, I have not.

16 Q. Would you please summarize your educational and
17 employment background for the Examiner?

18 A. I received a Master's of science degree in
19 geology from the University of Toledo in Ohio in 1976. Since
20 1979, I have worked numerous projects in exploration and/or
21 development geologist for Columbia Gas Development, Belco,
22 Texas American Resources and now EnerVest.

23 Q. And does your area of responsibility at EnerVest
24 include this portion of southeast New Mexico?

25 A. Yes.

1 Q. And have you made a geologic study of the
2 Grayburg Reservoir in this unit, and are you familiar with the
3 geologic matters involved in these cases?

4 A. Yes.

5 MR. BRUCE: Mr. Examiner, I tender Mr. Kowalczyk as
6 an expert petroleum geologist.

7 MR. JONES: Mr. Kowalczyk qualifies as an expert in
8 petroleum geology.

9 Q. (By Mr. Bruce): Could you identify Exhibit 15
10 for the Examiner and describe the zone that is unitized?

11 A. Yes, I can. Exhibit 15 is an east/west
12 stratigraphic cross section across the unit area. It shows the
13 continuity of the Grayburg 4th Sand Reservoir across the West
14 Loco Hills unit. The thickness value shown within the boxes
15 with the Grayburg Sand correspond to the values that were used
16 to construct the Grayburg 4th Sand isopach map, which I'll show
17 you soon.

18 Q. Okay. What is Exhibit 16?

19 A. Exhibits 16 is a structure map on top of the
20 Grayburg 4th Sand Reservoir. It shows a gentle east/southeast
21 dip of the Grayburg 4th Sand Reservoir across the West Loco
22 Hills unit.

23 Q. And finally, what is Exhibit 17?

24 A. Exhibit 17 is the isopach of the Grayburg 4th
25 Sand Reservoir. As I mentioned, the isopach values used to

1 construct this map were derived from a series of cross sections
2 which correlated all the available well log control within and
3 immediately offsetting the Loco Hills unit. The map shows a
4 thick sandstone running generally east/west through the center
5 of the West Loco Hills unit.

6 Q. And in your opinion, is the unit outline, even
7 though it was previously established, justified from a geologic
8 standpoint?

9 A. Yes, it is. As you can see on the isopach map,
10 the Grayburg 4th Sand Reservoir thins towards the northwest and
11 south boundaries of the West Loco Hills unit.

12 Q. The reservoir continues outside of the unit area;
13 does it not?

14 A. And thins, yes. It's thinner and less.

15 Q. Okay. From a geologic standpoint, has this
16 reservoir been reasonably defined by development?

17 A. Yes.

18 Q. Is the reservoir, the Grayburg Reservoir,
19 continuous across the unit area?

20 A. Yes, it is.

21 Q. Are there any faults in this area?

22 A. No.

23 Q. Were Exhibits 15 through 17 prepared by you or
24 under your supervision?

25 A. Yes, they were, directly by me.

1 Q. And is the granting of these applications in the
2 interests of conservation and the prevention of waste?

3 A. Yes, it is.

4 MR. BRUCE: Mr. Examiner, I move the admission of
5 Exhibits 15 through 17.

6 MR. JONES: Exhibits 15 through 17 will be admitted.

7 [Applicant's Exhibits 15 through 17 admitted into
8 evidence.]

9 EXAMINATION

10 BY MR. JONES:

11 Q. Mr. Kowalczyk, the type log, is it on here
12 somewhere?

13 A. No, but the cross section has some of the more
14 recent logs on it, right.

15 Q. They're close by?

16 A. They're typical of the --

17 Q. Well, on this cross section, could you point out
18 the unitized little sand, and then the 100 feet above and 100
19 feet below?

20 A. The unitized sand is the yellow, as I defined as
21 yellow, interval.

22 Q. That's Loco Hills pay?

23 A. Yeah. Eight percent porosity has been cut off,
24 and then it is 100 feet above the top of that yellow sand and
25 50 feet below.

1 Q. So it says "any sands that appear 100 feet
2 above."

3 A. Yes. Stringers, mostly.

4 Q. So we're just talking Grayburg Sands here. We're
5 not talking any kind of carbonates?

6 A. Not that I'm aware of, sir.

7 Q. Okay. Sands are the only producing interval,
8 then?

9 A. Yes.

10 Q. And these -- a lot of these logs don't go much --
11 they don't go 100 feet below.

12 A. Most wells stopped as soon as they penetrated the
13 base of that yellow sand, the 4th Grayburg Sand.

14 Q. The production -- the cumulative production here
15 in this unit, and then these tract, are any of the cumulative
16 contributed from pay zones above the unitized interval or below
17 the unitized interval?

18 A. No, not that I'm aware of.

19 Q. So they definitely were held?

20 A. Most definitely.

21 Q. Was there any interest in zone above or below
22 this unitized interval?

23 A. Not that I'm been able to find on the logs, no.

24 Q. Okay. And these top of pay amount, is that above
25 sea level or below sea level?

1 A. That's above sea level. They're above.

2 Q. So we're talking elevations of around 4,000 feet
3 or 3500 feet?

4 A. Topographic elevations?

5 Q. Yeah.

6 A. I think it's less than that.

7 MR. LEE: I think it is in that neighborhood.

8 THE WITNESS: Yeah. You're right.

9 Q. (By Mr. Jones): Do you guys intend -- you say
10 \$100 million in the new investments. What geologically are you
11 going to do here? Are you going to do any more coring? Are
12 you going to do some special logs?

13 A. I'll provide the prognoses for the depths for the
14 drillers and correlate the logs once we log the producing
15 wells, and then help our engineers pick the perforations and
16 completion.

17 Q. So no coring or special core analysis?

18 A. Not that we're planning at this point. There are
19 some cores, I believe, that are available that have been looked
20 at by our engineers. He could probably describe them better.

21 Q. Are you two looking at any infill drilling?

22 A. Absolutely, yeah, that's the idea.

23 Q. Oh, okay. That's the bulk of the expense, then?

24 A. Right, right.

25 Q. So what does the existing spacing, well spacing,

1 and patterns look like?

2 A. It's not a regular pattern. It's more on a
3 40-acre.

4 MR. BRUCE: Our next witness has a map that kind of
5 shows it. It is very well irregular.

6 MR. JONES: Okay.

7 MR. BRUCE: The reservoir itself is under statewide
8 rules.

9 MR. JONES: Okay.

10 Q. (By Mr. Jones): So geologically, you think it
11 needs to be infill drilled?

12 A. I believe so. I believe there's been success on
13 other similar projects.

14 Q. So you see some intervals that might be -- that
15 you think might be encountered that would not be encountered
16 as --

17 A. That's correct.

18 Q. Okay. I think that's the gist of my questions.

19 MR. BROOKS: No questions.

20 EXAMINATION

21 BY MR. WARNELL:

22 Q. These five wells represented here by these logs,
23 the ones on each end --

24 A. Uh-huh.

25 Q. -- have not been perforated?

1 A. That's correct, uh-huh.

2 Q. Did they ever produce?

3 A. I think the one on the far right was never
4 perforated. The one on the far left is a deeper penetration
5 that is completed in a deeper -- the Morrow.

6 Q. So this one was a dry hole?

7 A. Yeah, correct. Never tested.

8 MR. WARNELL: No more questions.

9 MR. JONES: Okay. Well, thank you very much,
10 Mr. Kowalczyk.

11 Let's break. We will break for lunch and return at
12 1:15 p.m.

13 [Noon recess was taken from 11:40 a.m. to 1:20 p.m.]

14 MR. JONES: Okay. Let's go back on the record in
15 Case No. 14123.

16 MR. BRUCE: Mr. Examiner, the first exhibit Mr. Lee
17 will be testifying on is No. 18, which is a bunch of plats and
18 charts put together.

19 ROBERT LEE

20 after having been first duly sworn under oath,
21 was questioned and testified as follows:

22 DIRECT EXAMINATION

23 BY MR. BRUCE:

24 Q. Would you please state your legal name for the
25 record?

1 A. Robert Lee.

2 Q. And where do you reside?

3 A. Midland, Texas.

4 Q. What is your occupation by profession?

5 A. I'm a petroleum engineer, and I'm a consulting
6 petroleum engineer.

7 Q. And have you been employed by EnerVest with
8 respect to these cases?

9 A. I have.

10 Q. Have you previously testified before the Division
11 as a petroleum engineer?

12 A. Yes, sir.

13 Q. And were your credentials as an expert accepted
14 as a matter of record?

15 A. They were.

16 Q. And are you familiar with the engineering matters
17 related to this application?

18 A. Yes, sir.

19 Q. And have you studied this reservoir?

20 A. Yes, sir.

21 MR. BRUCE: Mr. Examiner, I tender Mr. Lee as an
22 expert petroleum engineer.

23 MR. JONES: Mr. Lee is qualified as an expert in
24 petroleum engineering.

25 Q. (By Mr. Bruce): Mr. Lee, would you refer the

1 Examiners to Exhibit 18 which contains a lot of data in it, and
2 rather than me slow you down, why don't you run through and
3 tell the Examiners what each of these plats says.

4 A. You bet. This is some data that we'll move
5 through that goes over some of the reservoir characteristics,
6 reservoir properties and historical data of the unit here.

7 The first map that we see with the gray outline of
8 unit and some yellow dots on it just shows the unit outline
9 with what the current active wells are. And right now there
10 are 30 active wells in the unit. There's two active injection
11 wells and 28 active producers. On Exhibit 5 that Gary had
12 talked about earlier, they're shown as red dots on his map. On
13 this map they're yellow dots.

14 The next piece of paper shows a permeability and
15 porosity plot. In the sheet right after that, shows 12 wells
16 and where they were located that had core data. Unlike a lot
17 of the projects that we seem to do, there's a fair amount of
18 core data available out here. So we're able to do some
19 analysis, and you can see kind of what that distribution looks
20 like on the permeability and porosity. Gary had used an 8
21 percent porosity cutoff which gives you about 1.5 millidarcies
22 on that fitted line through the data.

23 A lot of times, I will look at stuff down to 1
24 millidarcy. That gives you about a 7 percent porosity cutoff
25 on that; very good formation, very good reservoir in this unit.

1 You can see that there's a substantial amount of the data cloud
2 above 10 millidarcy with a few points over 100 millidarcy. So
3 it's a very good reservoir primary and secondary.

4 After those two pieces of paper, I have a reservoir
5 description table. The reservoir -- the field was noted on
6 here, but it was discovered in 1939, and I have a historical
7 production plot that will show that. Here I'm just listing
8 quite a bit of standard reservoir data that we look at.

9 Probably the takeaways off of this is that the
10 initial GOR was fairly low. It was about 470 standard cubic
11 feet per barrel, and that's based on some completion data that
12 we had on the early wells. There was no gas reported at that
13 time, so we can't see what the early gas production was doing.
14 But based on the initial ITs, it was fairly low.

15 The average thickness throughout the reservoir --
16 throughout the unit -- is 22.7 feet, almost 23 feet. Porosity
17 is a little over 16 percent, 16.3. The initial water
18 saturation was very low out here; it was 22 percent, which
19 gives us 77.8 percent original oil saturation. And that was
20 verified from some of the early core work that was done, some
21 of the work that was done there.

22 The average permeability from the data that we have
23 is about 23 millidarcies, maximum 134. There's some pretty
24 tight stuff, half a millidarcy.

25 Also on this sheet, I'm showing what the reserves

1 oil-in-place and recoveries were. The original oil-in-place
2 that I've calculated for the entire unitized area is almost 90
3 million barrels. The primary EUR was a little less than nine
4 million barrels. I'm calculating the recovery of 10 percent of
5 the original oil-in-place on primary.

6 The secondary recovery to date has been 15.1 million
7 barrels, which is another 16.8 percent for a total secondary
8 and primary of 24 million barrels. Almost 27 percent of the
9 original oil-in-place has been recovered. Based on some
10 analysis that we've done, we feel like there's nearly another
11 10 million barrels to be recovered out here; almost 11 percent
12 of the original oil-in-place. And that would bring the total
13 recovery for, once again, the unitized area, up to a little
14 less than 34 million barrels, almost 38 percent of the original
15 oil-in-place.

16 And then down at the very bottom, the cumulative
17 water injection is about 150 million barrels. The cum water
18 production is about 56 million barrels.

19 The next sheet that we can look at -- this is a
20 historical production curve for the unit starting back in 1939.
21 The initial production in '40, '41, was about 100,000 barrels a
22 month. It just goes on a standard primary decline. You see a
23 little blip there in the middle and late '50s. That's when the
24 fracing program was instituted.

25 A lot of these wells were completed open hole,

1 natural shot with nitro. In the 1950s, they had brand new
2 technology with sand fracs, so they came in and had some
3 success sand fracing these wells. Then it goes back on to
4 decline, gets down to about almost 10,000 barrels a month.

5 And then in 1963, in actually 7/63, the waterflood
6 starts. And you can see the increased -- the green line that
7 shows our oil production there. And it gets up to a peak of
8 about 150,000 barrels a month. At that same time frame on this
9 plot in 1963, I show the water injection in the purple line
10 there, and the injection volumes at that time was about 800,000
11 barrels per month.

12 The water production, I pick it up as starting in
13 1970. That's when the data, the IHS data, starts reporting
14 water production, but you can see the water production
15 increasing from 1970 through about 1978. Around 1980, they --
16 you can see the oil is on decline, starting to see breakthrough
17 in some of these areas. From 1980 on, pretty much the
18 injection is just comprised of the existing produced water.

19 Oil production declines down to about 2500 barrels a
20 month in the early '80s and just kind of languishes in there.
21 And then in the middle '90s, Yates came in, and there's some
22 plugging of wells at that point in time, shutting more wells in
23 and the oil continues to kind of drop down. Right now, it
24 makes about 30 barrels a day.

25 The next plot, next page, just shows what I'm using

1 as my volumetric calculation. Once again, a lot of the same
2 data we've seen on porosity water saturations. In the middle
3 box on the oil per acre feet, I calculate about 776 barrels of
4 oil per acre feet. And then at the third box down, looking at
5 the net volumes, we have 5300 acres, 21.8 feet average
6 thickness. And so I get an acre-feet number of 115,000, which,
7 times the 776, gives us the original oil-in-place number of
8 89,865,000; once again, about 90 million barrels.

9 This is the next plot, next map, and it shows what
10 the historical pattern was. You had asked earlier about the
11 spacing, and if you look at the acres of the developed portion
12 of the field and the number of wells, you're on 40-acre
13 spacing, but it really wasn't a very regular injection pattern
14 that they had here like you'd like to see, you know, coming in
15 and putting in a five-spot pattern.

16 Some of those patterns are huge in size, over 100
17 acres, 150 acres in size, and so it just kind of lends itself
18 to maybe not having the most effective and efficient sweep that
19 you might like to see even though we had very good permeability
20 on our rock.

21 And that's one of the things when we were looking at
22 this that kind of pointed out the fact that there may be some
23 additional potential here; these wide-spaced patterns, very
24 irregular. There's some colors on this map. Each pattern is
25 colored.

1 There's a legend over on the right-hand side that
2 talks about recovery of original oil-in-place. I don't take
3 those recoveries as being literal, and where I got those from
4 was in the late 1970s, there was a New Mexico Tech doctoral
5 student named Anil Kumar that was commissioned to do a
6 reservoir study of this West Loco Hills unit.

7 And he went in and created this database where he
8 took all the patterns and came up with fee-to-pay, original
9 oil-in-place, all the saturation work and did a pretty
10 extensive analysis of that primary. Then he looks at it in
11 whatever it was -- 1978 -- at that time frame, which pretty
12 much you had recovered all the primary and all the secondary at
13 that point in time, and he looks at what the recoveries were
14 allocating to those patterns as best he could using an angle
15 open to flow method to put that oil that came out of the wells
16 or quarter wells back into that pattern.

17 And doing that, he calculated what kind of recoveries
18 he would have had. Some of these don't make a lot of sense. I
19 wouldn't expect to get 55 percent recovery out of the
20 reservoir, but what it showed me -- and the people who have
21 studied this with me -- was that for the most part, some of the
22 smaller patterns -- I don't believe the 65 -- but they had
23 better recoveries than these large irregular patterns. So once
24 again, that was another indication that this would be a viable
25 field and reservoir to come in and tighten up that spacing on.

1 I think that's probably -- I think that's all to take
2 away on that one. But that just shows you the history, shows
3 you what it looked like and some of the recovery.

4 The next map shows once again the outline of the
5 unit. And what I would envision to be kind of the ultimate
6 final pattern out here, coming in and drilling this up on
7 20-acre spacing, the blue triangles being the injection wells,
8 green dots being the oil producers. And just collapsing
9 everything down into where you got confined patterns, and
10 you've got a better sweep through the reservoir.

11 And there's been other units out here where they have
12 done that up along this same trend. So based on what we saw by
13 analogy on some of the other Grayburg units -- the wide
14 pattern, better coverage on small spacing -- it just kind of
15 indicated to us that there was going to be additional reserves
16 here to come in and revitalize this thing.

17 Q. And Mr. Lee, looking at the plat you just
18 referenced and turning back to your color-coded recovery plat,
19 the initial development, where will the initial development of
20 EnerVest be?

21 A. It will be shown as shown here on Exhibit 5,
22 basically kind of in the S/2 of Section 11, SW/4 of Section 12,
23 kind of along the east middle of Section 10.

24 Q. So you can say it's in the south central portion
25 of the unit where the recoveries have been less?

1 A. Have been poorer, yes. Where I'm showing a lot
2 of red, where I'm showing poor recovery of original
3 oil-in-place, that's where they focused their phase one
4 development at.

5 Q. Go ahead.

6 A. Sorry. And their well spots don't necessarily --
7 I didn't measure out the footages on this. This is sort of a
8 visualization of where these are, but what I'm proposing as
9 being a field-wide pattern does match what their plans are.

10 The next exhibit, next piece of paper in that
11 exhibit, is an expected oil and gas production plot. And the
12 well count is shown there, also. Where you ramp up to a little
13 over 200 producing wells, expected oil rate gets up to about
14 90,000 barrels a month. As potential, we feel like it would be
15 a pretty significant project.

16 The last piece of paper in that exhibit are some
17 economics. And I'm showing kind of a phase one, which has been
18 proposed today, and then the full development, which is what I
19 had analyzed here. And for phase one, you have seven
20 producers, 16 injection wells. The total cost of that project
21 is going to be a little less than \$11 million. And we hope to
22 recover a little less than a million barrels, incremental
23 barrels, from that work. And the value of those barrels is
24 about \$15 million.

25 The total field project, as you can see there, will

1 be to come in and drill 102 producers, 131 injection wells;
2 total cost about \$85 million. Once again, getting about 10
3 million barrels. Incremental value of that is going to be
4 about \$225 million.

5 The water that we're going to be using for our
6 injection -- and I'm planning on -- I would expect to put away
7 about 200 barrels a day in our injection wells. Initially, you
8 might be able to put away more until you get the pressure back
9 into the reservoir, but that shouldn't take long. I mean, you
10 don't really have any gas volume left to fill up here, so once
11 you -- you should see pressure response pretty quick.

12 And I think about 200 barrels a day is what I'm using
13 for my injection volumes. That water is going to come from
14 whatever produced water we have here in the unit, and also
15 produced water from some Yeso-Paddock-Glorieta wells operated
16 by Concho and Marbob. And Birch Keeley, you know, they are
17 about two or three miles just due north of us, and we've been
18 in contact with them; they're amenable to letting us tie-in and
19 use that water right now.

20 Disposal is an issue out there for them, and they are
21 agreeable to provide that water, but nothing has been signed
22 yet. But that's where my injection water is planning to come
23 from.

24 Q. Mr. Lee, was the waterflood expansion posed as a
25 method of extending the life of the reservoir?

1 A. Absolutely, yes.

2 Q. And based on your studies, will the project be
3 economic?

4 A. Yes, sir.

5 Q. And is the portion of the pool which is unitized
6 suitable for a waterflood expansion?

7 A. Infill drilling and some expansion, yes. Yes,
8 sir.

9 Q. And is the project area at this time depleted so
10 it is prudent to apply an enhanced recovery program?

11 A. Yes. The enhanced recovery program had already
12 been put in place, and now we're down to about a barrel a day
13 per well. And the proposed project is going to recover
14 additional barrels with a more efficient sweep, yes, sir.

15 Q. So it will be technically and economically
16 feasible at this time?

17 A. That is correct.

18 Q. And will the expanded waterflood operations
19 result in the recovery of substantially more hydrocarbons from
20 the pool than would otherwise be recovered?

21 A. Yes, sir. Nearly 10 million barrels.

22 Q. And will this expansion project benefit the
23 working interest and royalty interest owners in the unit?

24 A. Yes, sir.

25 Q. Let's move to your C-108, Mr. Lee.

1 A. Okay. You want to go page-by-page?

2 Q. I think we're going to go through it in detail.

3 A. Okay. Very good.

4 Q. Let's discuss the injection operations in your
5 Exhibit 19 -- and no, I do not want you to go in detail through
6 it -- but why don't you leaf through the tabs and maybe start
7 out with the well data, and we'll just go on from there.

8 A. Absolutely. The first tab is item 3 and is
9 listed as well data on the injection wells. On the tagger
10 data, I have presented what's anticipated to be done. This is
11 just a typical well. I didn't do it on every injection well.
12 They're going to be the same: Brand new drilling project;
13 brand new wells to work with; and it's going to be good.

14 Surface casing is going to be set down to about 450
15 feet with enough cement pumped to circulate to the surface.
16 They're going to use on the injection wells 4 1/2 casing, once
17 again, circulate cement to surface. There is a drilling
18 prognosis included in this data, in this tab, also.

19 And the very last sheet is a schematic of a well bore
20 diagram of what a typical injection well is going to look like.
21 And the second sheet in there is a list of the wells that will
22 be drilled, whether they are going to be producers or
23 injectors, and what the exact footage locations are.

24 Q. And this is the initial phase of the project?

25 A. This is phase one: What's been presented today

1 to be drilled. And Gary has said the depth of the intervals is
2 going to vary across the field, but we're going to come in and
3 set a Lok-Set packer within 100 feet of that top perf. It's
4 just going to vary down in there, but we'll be within 100 feet
5 of the top perf.

6 Injection zone in the Grayburg Field Loco Hills:
7 Some of the wells will be drilled as producers; others are
8 going to be drilled as injectors, but they may be produced for
9 a short period of time to kind of evaluate pressures,
10 saturations in the reservoir at that point in time while
11 they're in the process of building facilities and getting ready
12 for injection.

13 There's no shallower oil and gas zones out in this
14 area that are productive. There are some deeper producing
15 wells; there are some Bone Spring wells, there are some Morrow
16 wells out in here.

17 Q. On that Exhibit 5, aren't there some Bone Spring
18 horizontals out there?

19 A. There are. And they are shown -- Section 12 has
20 a couple of horizontal wells in it. Bone Spring wells are
21 running east/west. Section 7 has a couple that run almost a
22 mile north and south on the W/2 of Section 7, then OXY has a
23 few Morrow wells out here also.

24 Q. Okay. Let's go to that plat. It just says map.
25 What does that reflect?

1 A. This is a map of the -- a land map -- of the
2 area. The outline is not particularly easy to discern on this,
3 but what you can see is the half-mile radiuses around the unit.
4 And what I did, since we didn't have injection wells, you know,
5 I've got my recommendation, my proposal, of where the injection
6 wells ought to go.

7 Some operators, at some future point in time, they
8 want to have a lease-line injection well. So for my area
9 review, I went one-half mile away from the unit boundary rather
10 than from 330 inside the unit where I think that probably the
11 injection well will actually be drilled. But to give us some
12 latitude to put in a lease-line well in if they ever wanted to,
13 I looked at everything a half-mile outside from the unit
14 boundary.

15 Q. So you expanded the area that you would
16 technically be required to submit at this time?

17 A. That's correct. Because I looked at the entire
18 unit, not just the phase one portion there in the south-central
19 part of the unit.

20 Q. And this Exhibit 19, although we are discussing
21 at this point, the phase one, the data in Exhibit 19 contains
22 all data within the area of review and within the unit area?

23 A. That is correct. That is correct.

24 Q. Okay.

25 A. And all wells that fall within my half-mile

1 radius around the unit boundaries are shown in item 6, the tab
2 that's labeled "Area of Review." And I've sorted those by
3 section, and included all of the applicable data that's
4 requested on the C-108.

5 Q. Approximately how many wells are there in the
6 area of review? Just a ball park figure.

7 A. I think there's probably about 300, a little over
8 300. Of those, if I recall correctly -- and I'm not exactly
9 sure -- but probably about 270 of them are plugged. You look
10 troubled, Will.

11 MR. BROOKS: He's got his work cut out for him.

12 THE WITNESS: So a lot of the wells have been plugged
13 out. We have plugging reports on diagrams on those. But
14 anyhow, all the data for all the wells in the area of review
15 are shown here in that section.

16 Q. (By Mr. Bruce): And why don't you go back to
17 those P and A wells?

18 A. The tab behind that -- I have a tab called "P and
19 A" wells. And there they just start. And we have the tabs
20 listed by section. As you work down through there, all the
21 well bore diagrams based on the plugging reports of all the
22 plugged wells out in the area of review. And I'd say skip
23 through all those, there's --

24 Q. And you did personally and with the assistance of
25 some other people, look at all this plugging data?

1 A. That's correct. That's correct.

2 Q. And are there some problem wells?

3 A. There are some wells where we deem them to have
4 some issues. Some of them that I'm not positive on how they'll
5 be viewed, and so --

6 Q. Is that set forth under a separate tab?

7 A. Yes. And it's labeled "Problem Wells."

8 Q. Give Mr. Jones a chance to --

9 A. Before we look at those well bore diagrams in
10 there, there's two items to examine: One is a map of the unit.
11 And once again, we've gone in and with a green line kind of put
12 where the area of review is -- to delineate that.

13 And also then, in Section 10, 11 and 12, you can see
14 red triangles showing where the proposed injection wells are,
15 yellow circles showing where the proposed producers will be.

16 Q. In phase one?

17 A. In phase one, that's correct. And in addition to
18 that, I've got three classifications of wells shown by red
19 dots, green dots and blue dots.

20 Red dots, there's five of them. These are plugged
21 wells that we just have some issues with. The green dots are
22 plugged wells that potentially could have issues. We just kind
23 of need some guidance on how the Commission would view those.
24 And I have -- there's five of these.

25 And then there's two wells that are with blue dots up

1 in Section 33 and 34. One of the things that we looked at was
2 how much cement we had above the injection zone. And I've got
3 two wells here where I have less than 100 feet of cement above
4 the zone of injection, so we included those.

5 Q. And again, how many -- the red dots, how many of
6 those wells?

7 A. There's five.

8 Q. Okay. So overall, despite the quite large number
9 of P and A'd wells, your review shows that there are a dozen
10 wells with issues.

11 A. Yes, that's correct. That's correct.

12 Q. Go ahead, Mr. Lee.

13 A. Probably, I'm just going to run through those
14 wells. Behind those maps, I have well bore diagrams, and I
15 have the plugging reports on the ten plugged wells with issues.
16 The two wells where it doesn't look like we have sufficient
17 cement above the interval, they're actually still producing, so
18 I didn't have a well bore diagram on those. But I've got ten
19 well bore diagrams on the other wells, and they are in the
20 order of which they are on our list here.

21 There's two wells in there, the Miller #5 and the Guy
22 N #1X, that we just didn't have any data. There's nothing out
23 on the OCD website. They're just wasn't any information on
24 them. The Miller #5 was plugged by a company called Resler Oil
25 Company in Section 4. And Resler had plugged another well in

1 Section 4, the Miller #1. It shows up on my green list down
2 there. It had several plugs, but they were ten-sack plugs. So
3 the number of plugs that they had in the well was probably
4 sufficient. It had ten sacks. That's just where we needed
5 some guidance on. I can't find any data on this Miller #5, but
6 at least I know the operator. I know how he plugged that
7 Miller #1.

8 Then the Guy N #1X, once again, there's just no data
9 at all that I can find, and I can't find where Underwood
10 Sanders, the operator on this well, plugged any of the wells
11 within this area of review.

12 Q. And you said there was no data that you could
13 drum up on the OCD's website. Did you also -- were you in town
14 and did you check the physical files of these old wells?

15 A. Yes, we did. We went upstairs to the third
16 floor -- last name is Romero and --

17 MR. JONES: Lawrence.

18 THE WITNESS: Exactly, Lawrence. And we dug out -- a
19 lot of the files fortunately had not gone to storage yet. And
20 so he still had them for this area. So I looked at all those
21 and the microfiche that you had, and there was nothing else to
22 be gleaned that wasn't already on the website, and that's what
23 Lawrence said that I would find. So if it's out there, we got
24 it.

25 I also -- and it became somewhat pertinent in one of

1 the other questionable wells -- we checked with the BLM in
2 Carlsbad. I submitted a request to Kirk Simmons down there, a
3 written letter, asking them to review the files on these wells.
4 And I talked to Kirk several days ago.

5 He said they did not find anything on these wells
6 with plugging reports. They have some microfiche data that he
7 said there might be a very slight chance -- once again -- there
8 might be something on microfiche that they didn't have in the
9 physical file.

10 But the bulb to their microfiche reader has been out
11 for several months and they haven't gotten it replaced yet.

12 Q. (By Mr. Bruce): They couldn't afford the light
13 bulb?

14 A. So we really tried hard to gather whatever data
15 we could. I don't know where else to go. These operators are
16 not in existence anymore, so I won't have any luck with that.

17 Q. I was saying in following these two charts, you
18 do have well bore plugging diagrams together with other
19 material from the Division's files?

20 A. Yes. And the next one on the list is the West
21 Loco Hills Unit, Tract 11-6. I have a plugging diagram and a
22 plugging report on it. It was plugged in '98 by Yates. It was
23 drilled back in 1945 to 3,000 feet. They set surface at
24 400 feet, had 8 1/4 surface pipe in there, but they never ran a
25 long string, never ran a production string, and it sat there

1 from 1945 on. Yates goes in and tries to plug it, and they got
2 down to 450 feet and couldn't get any further.

3 MR. JONES: Which well?

4 THE WITNESS: This is the West Loco Hills Gas Unit
5 Trace 11-16. It's in Section 11.

6 MR. BRUCE: The diagram is attached, Mr. Examiner.
7 If you go to -- past the two spreadsheets and three pages in.

8 THE WITNESS: There's the two. The first ones I
9 don't have any data on at all.

10 MR. JONES: Okay.

11 MR. BRUCE: Yes. That the Yates well.

12 THE WITNESS: Okay.

13 Q. (By Mr. Bruce): And what year, approximately,
14 did Yates attempt that?

15 A. '98.

16 Q. 1998.

17 A. The next well in that section is called the
18 State 0-16 #1. It's a well that was plugged in 1965. It looks
19 like -- it appears to me that the bottom plug that they put in
20 the open hole did not cover the pay zone. Then they pulled the
21 7-inch at about 1,000 feet, then they pumped a 20-sack plug up
22 at the 8 5/8 casing at 412 feet. Then they set a surface plug.

23 So that's one I would bring to your attention that it
24 looks like it may not have cement across the zone based on the
25 plugging report.

1 The one after that one is the Southern Union #1.
2 This is the well I was really kind of speaking about with the
3 USGS. As you can see on the plugging report in 1961, that
4 there's nothing left else out on the OCD file about this well,
5 but their USGS report says that, "As per our intention to plug,
6 all plugs were set as intended with the exception of surface
7 plug."

8 So I'm told what they changed and what they plugged
9 as a surface plug, but I don't have the intent. And so, you
10 know, this is one of those wells that, you know, in the year
11 1961, you know, probably they plugged it correctly. I mean,
12 they've been putting something at the base of salt and top of
13 salt, but I just don't have that intent to really demonstrate
14 that. So I included it there for your perusal.

15 And those are the five wells that really we saw that
16 kind of had issues. The other wells -- I've got a couple of
17 wells in here, West Loco Hills Tract 31 #1 and #2. They pumped
18 cement plugs in the bottom of the open hole. It looks like
19 they covered the pay zone, cut off the 7-inch casing and set a
20 surface plug. So we did not have a plug at the top of the base
21 of the salt that was recorded.

22 Then there was another well called the Western
23 Develop Miller #1. And on this well, it was drilled -- they
24 pulled all the pipe. There was not even surface pipe left on
25 this well. The plug set at the bottom of the hole does not

1 appear to cover the pay zone. Then they set a plug at the
2 bottom of the salt and surface and top of the salt. So it does
3 look like they would contain any fluid movement in there from
4 getting up to any fresh water. You've got a couple of plugs in
5 there. But, like I say, it doesn't look like they got cement
6 across the pay zone.

7 But I don't know. That's a well that you could
8 almost say, well, it look like they've got sufficient plugs to
9 protect my freshwater in it. But just to be prudent and
10 diligent in the examination of the wells within the area of
11 review, we felt like we ought to include it and once again, put
12 it before you and see what you say.

13 Another well that shows up in there is the Miller #1.
14 This one had a plug at the bottom of the 7-inch and plugs off
15 the producing zone. They set a plug at the base of the salt,
16 top of the salt, plug at the surface -- probably the number of
17 plugs was adequate as they were ten-sack plugs. So once again,
18 I could go either way on that saying that it's sufficiently
19 plugged just because of the number of plugs they put in there.

20 Then the last well that we're hooking at here is
21 called the Canfield Federal well. And it was -- had a
22 cast-iron bridge plug set at the bottom zone. It was plugged
23 in 1996 by Herman Ledbetter. And they put cement on top of
24 that cast-iron bridge plug, then they came up to top of the
25 salt at 400 feet and squeezed 150 sacks in there and plugged it

1 out from here. Other than having a plug at the base of the
2 salt, it would probably look okay to me. But once again, I
3 wanted you to see.

4 So that kind of covers the wells that we think we
5 might have potential issues on.

6 Q. Other than those wells you've just itemized, are
7 the other wells properly plugged and abandoned so as to
8 prevention the movement of fluids?

9 A. That is correct, yes.

10 Q. Let's move to on your basic injection program and
11 why don't you discuss that and the injection program, the
12 produced water, et cetera.

13 A. Right. This is the last tab. As I said earlier,
14 we're anticipating about 200 barrels a day per injection well
15 into the ground. The injection system is going to be a closed
16 system. The surface injection pressure should be around 500
17 pounds. That's going to be dictated by the .2 PSI per foot
18 gradient so that will vary a little bit across the field, but
19 it's going to run about 500, 510 pounds.

20 Once again, the proposed injection fluid is going to
21 be produced water here plus water we get from Concho and Marbob
22 out of that Birch Keeley stuff to the north. The injection,
23 once again, is for increased waterflood recovery. On the
24 completion of the wells, I anticipate that there will be at
25 least a small frac job put on these -- maybe 15, 20,000

1 pounds -- just in order to get some water in the ground in some
2 of these Permian sands. After drilled, logs will be submitted.

3 There does appear to be some freshwater in the area.
4 I found three freshwater wells kind of in the area of this
5 flood. One is in 35, Section 10, Section 24; the data is
6 there. They are about 200-, 250 feet deep. And I got that
7 data, and I included the data from the State Engineer's website
8 in the WAIDS New Mexico website. You can see what the
9 chlorides are on each of those wells that was reported.

10 The casing program is going to be sufficient to
11 isolate those zones and has been historically in the past
12 sufficient to cover all the freshwater zones. And the
13 injection water comes from the north. The water analysis and
14 the commingling of those waters -- there's analysis of that
15 water in there also behind these papers.

16 Q. And you've already mentioned the source of the
17 injection waters, but will the injection water be compatible
18 with the formation water?

19 A. Yes, it will be. And that's shown on the water
20 analysis and the combinations of water that we have presented
21 here behind -- at the end of this C-108.

22 Q. One thing I meant to ask: Going back to the
23 problem wells, in looking at that first plat, insofar as the
24 initial phase of the waterflood expansion goes --

25 A. Uh-huh.

1 Q. -- there appear to be --

2 A. Two.

3 Q. -- two wells that need to be looked at before
4 injection begins.

5 A. That's correct. The one at 11-N in Section 2,
6 unit letter M. There's also a well in 2-N, N or I, but it's
7 going to be over a half mile from the injection well to the
8 south. So there's two wells to be examined.

9 Q. Okay. Now, at the next hearing, we'll be
10 submitting data on notice to the offsets. Insofar as this
11 hearing went, was notice given to all offset operators or
12 working interest owners within a half mile of the proposed
13 initial phase injection wells?

14 A. Yes, sir.

15 Q. But you submitted data on all lands in the area
16 of review. Does EnerVest request in the order an
17 administrative procedure whereby it can gain approval for
18 additional injection wells?

19 A. Yes, sir.

20 Q. Were Exhibits 18 and 19 prepared under your
21 supervision?

22 A. Yes, sir.

23 Q. In your opinion, is the granting of these
24 applications in the interests of conservation and the
25 prevention of waste?

1 A. Yes, sir.

2 MR. BRUCE: Mr. Examiner, I move the admission of
3 Exhibits 18 and 19.

4 MR. JONES: Exhibits 18 and 19 will be admitted.

5 [Applicant's Exhibits 18 and 19 admitted into
6 evidence.]

7 EXAMINATION

8 BY MR. JONES:

9 Q. You did an awful lot of work here, and we really
10 appreciate you doing this, especially the detailed AOR work and
11 all the reservoir engineering work you did. It's very
12 valuable.

13 I think you covered pretty much everything. I could
14 ask lots of questions here for -- but I don't want to drag it
15 out here too much. But the 7 percent cutoff versus the 8
16 percent; you said you could have with your .2 -- I've heard
17 that in the past, too, you know .2 for your permeability and
18 then go off over and go down to your porosity. Was that log
19 porosity you're talking about?

20 A. Yes.

21 Q. Already been converted?

22 A. No, it was core porosity. It's the core
23 porosity, the core permeability, that we were plotting.

24 Q. Okay.

25 A. And we did it at one time, and I can't remember

1 what the results were, but we did look at the log versus core
2 porosity. And I just can't recall what the --

3 Q. But I guess the gist of my question would be
4 would that make even more reservoir rock available?

5 A. Right.

6 Q. So that would drop your recovery --

7 A. Recovery.

8 Q. -- just a tiny bit, but it would raise your OIP a
9 little bit?

10 A. Right. Exactly. And I don't think it's going to
11 be huge because of that 1 percent.

12 Q. That recovery factor has been reasonable for --
13 does this compare? Was it is 1.2 you had, 1 point --

14 A. The secondary to primary ratio?

15 Q. Secondary to primary ratio? 1.68.

16 A. Yeah.

17 Q. Does that compare to any analogous waterfloods in
18 this Grayburg Sands?

19 A. Yes. Some of the stuff we looked at over to the
20 east -- and I've just kind of gone brain dead -- it was like
21 the Grayburg Jackson unit. Devon did -- Avon and Devon did a
22 big project out there probably 15 years ago. And that's one of
23 the places we looked at.

24 There was also some leases there, the Keel A and the
25 Keel B. We looked at those, and that was part of the analysis

1 we did. We just didn't bring it today to demonstrate the
2 floodability, but we did look at those. And we saw it was
3 comparable to what the results of those had been.

4 You know, that 1.68, that's kind of a -- we call it a
5 secondary to primary ratio, but, you know, a lot of times it's
6 really technically like a secondary plus development ratio.
7 Because you had additional wells drilled after the flood was
8 put in. So it was not as pristine as having primary down to an
9 abandonment point and then put a flood in.

10 Q. Okay.

11 A. So you're getting some pseudo-primary from that.

12 Q. Okay. So it seems to have decent porosity and
13 permeability --

14 A. Yes, sir.

15 Q. -- for Grayburg Sands. Queen Sands, I'm more
16 familiar with them, and they seem to have decent total
17 porosity, but maybe less effective porosity, you know. What
18 happened here is that you don't have it all cluttered up with
19 stuff?

20 A. I don't know. But, I mean, this is the best rock
21 I've seen in a Grayburg reservoir where you're getting core
22 data with 130 millidarcies of permeability. I mean, it's just
23 fantastic rock. I haven't ever worked on anything that looked
24 this good.

25 But it's just the way it was piled up. And it seems

1 like it gets a little more finger, a little less faulty looking
2 as you get on out of going east and then going west.

3 Q. Is this, since it's a sand and everything,
4 maybe -- does it have any kind of mobile clays or anything? Do
5 you have to be careful with waters you put in and make sure you
6 have all the option out of your freshwater and all the
7 corrosion inhibitors, your scale inhibitors and everything? Do
8 you have to be careful with it?

9 A. I guess I would say, well -- I'm trying to think.
10 Back in the '60s when a lot of these were put in, a lot of them
11 used freshwater. You had that Double Eagle water line that
12 comes off the Caprock going to Carlsbad coming through here. A
13 lot of people used that water. It seemed like they used some
14 here, but I don't think that was predominant.

15 I don't know that I've seen a lot of swelling clays
16 or issues like that in the Grayburg. But definitely in the
17 facilities -- and that's why you have a closed system -- you
18 definitely want to keep that oxygen down and put in the oxygen
19 scavenger and everything like that to prevent the corrosion and
20 issues that will occur and arise here.

21 Q. And your iron.

22 A. Exactly. As best as you can. I have yet to
23 figure out a good way to get iron sulfide totally resolved and
24 to deal with it. You just kind of put the frac to it and do
25 the best you can with the filtration.

1 Q. Okay.

2 A. It's a problem.

3 Q. Okay. Well, it sounds like being a sand, you'd
4 have to -- you would have to frac it, though, right?

5 A. Yeah. And that's why we're kind of putting
6 these, you know, kind of small fracs on it, you know, the 15-
7 to 20,000.

8 Q. You're going to have to energize them a little
9 bit?

10 A. You know, I haven't ever out there. I've always
11 just used a gel frac. It seems like it comes back okay. The
12 CO₂ energizes it and sometimes I think it's kind of a -- in
13 reservoirs like this, I've always kind felt like it was a kind
14 of a waste because if I put that gas in there, my experience
15 has been I've had to just kind of dissipate.

16 So I don't really get the flow-back like you do, say,
17 in your -- some of these bigger fracs that they're doing in the
18 Wolfberry or some of these gas zones and things like that where
19 I'm really trying to get that fluid back quick. The fluid
20 doesn't seem to be that damaging to my reservoir, and so we
21 just swab it back or even just hang it on a pump.

22 But I've put gas in fracs out there, and they blow
23 back pretty good for about 30 for 40 minutes, and then it's
24 kind of dead, and I think I lose a lot of energy just adding to
25 the reservoir. I don't think it helps me that much.

1 Q. The pressure out there now, you think it's pretty
2 depleted?

3 A. Yes. And I don't have a pressure where we've
4 gone in and actually ran a bomb or anything. I'm guessing it's
5 probably down to a couple hundred pounds or so.

6 Q. Even the initial pressure, you think would that
7 have been good enough for admissible CO₂ or even this type plug
8 or --

9 A. I don't know.

10 Q. Is that totally out of the question for the
11 picture?

12 A. That's an excellent point, excellent question,
13 because I have an answer for you.

14 Q. Okay.

15 A. Yates actually went in and had a CO₂ pilot out
16 here.

17 Q. Oh.

18 A. And that's really why Anil Kumar was doing a
19 study on the project. But you're very borderline to being able
20 to reach ~~a~~missibility. We looked at that and ~~a~~missible
21 pressure that you've got to get to -- you might achieve it, but
22 it's going to be about 11 or 1200 pounds, maybe 1300 hundred
23 pounds, and your initial pressure was 1,000.

24 Q. Okay.

25 A. It's borderline whether or not you're going to

1 achieve ~~admissibility~~. But Yates drilled it up -- drilled a
2 little pilot up on 10-acre spacing and trucked CO₂ from Denver
3 City for about a year-and-a-half, two years. And they were
4 wagging it, of course. This was in the early '80s. ^{90's}

5 And we saw an increase in oil production. And then
6 they cut the CO₂ down because of the expense of trucking it and
7 the price of CO₂, but they kept the water going. And what we
8 saw was that the oil production stayed up.

9 And then later on in the late '80s, whenever there
10 was a cut, in the early '90s, they cut back the water
11 injection. And at that point in time, I saw the oil production
12 drop. So once again, that was another thing that we looked at
13 that really kind of gave us, you know, a lot of confidence or
14 gave us some confidence that the tighter spacing would be
15 beneficial.

16 It was always kind of a question, you know, did the
17 CO₂ help me get the oil? Was it tighter spacing? But since
18 they cut the CO₂, and I still had my oil rate up, we felt like
19 it was the tighter spacing in the water injection. And like I
20 say, subsequent work that we had done and examined says that it
21 was questionable as to whether they ever reached ~~admissibility~~.
22 They would see at the injection wells pressures that should be
23 ~~admissible~~ at the injection well, but by the time I get to my
24 producer, I'm hundreds of pounds less, and then you just got
25 free again, gas. And it didn't retain its ~~admissibility~~. But

1 the whole reservoir wasn't pressured up to the 12-, 1300
2 pounds.

3 Q. Okay. Okay. Starting out in the area that has
4 been the porous first, if you weren't going to infill drill it,
5 would you still have done that?

6 I guess I should rephrase that. It seems like
7 different people have different theories on whether to
8 concentrate in the good areas with some enhanced work or try to
9 just get more oil in place out in the areas that haven't
10 responded so far.

11 A. I think ultimately it's going to become a
12 two-pronged attack. If I have an area that did not recover or
13 do very well, and I can identify why, it's tied, I think --
14 it's whatever, then, I might lean to kind of shy away from
15 that. But what we saw was that our isopach maps didn't really
16 lend itself to a reason as to why these should not have been
17 better.

18 The logs that we had that we looked at, I can't
19 recall anything in here that looked detrimental. So it just
20 seemed liked it was an area that didn't get a very good sweep.
21 It just didn't perform very well. So that was one of the
22 reasons to hone in on that part of the reservoir.

23 Q. Okay. I don't have anymore questions.

24 MR. WARNELL: I have a concern about some of the area
25 of review wells, and I'm glad that you're looking at those.

1 Some of those first wells were first drilled the 1939, and a
2 couple of them, like you are pointing out, there's no plugging
3 history or anything at all on them.

4 A. On two of them; that's correct.

5 Q. So if OCD was to come back and say, "Those need
6 to be plugged," what do you do?

7 A. I would ask my client, EnerVest, what are they
8 going to do. You'll have to resolve it somehow, and whether it
9 is to -- ultimately, I think it's going to boil down to an
10 economic decision as to whether or not, based on the results
11 that you see in some of these other areas, I can carve out a
12 half-mile radius around a well that may be problematic where I
13 just don't have any data on it.

14 Is it worth avoiding that part of the reservoir, or
15 do I think that it's successful enough where I'm putting my
16 pilot at that I can extend it out here. Maybe it warrants
17 going in and trying to do something with that well. I don't
18 know where else to go to look for data. Maybe there's some
19 other place to go to look for some data.

20 But I don't know where it is. I would say it comes
21 down to economics of what's the potential of the reserves
22 around or near a well that may not be properly plugged.

23 MR. WARNELL: I don't have any further questions.

24 MR. JONES: The data is probably in an attic or
25 something. Some geologist that was -- *and OFF @ McDonald's*

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

THE WITNESS: Exactly.

MR. BROOKS: No questions.

THE WITNESS: Thank you, sir.

MR. BRUCE: That concludes our case.

MR. JONES: Thank you, very much. Okay, Mr. Bruce,
so we've heard these cases, but we're going to continue them to
December the 18th.

MR. BRUCE: Yes.

MR. JONES: That being the last case on the docket,
the docket is adjourned.

* * *

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 4242
heard by me on _____.

 , Examiner
Oil Conservation Division

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

REPORTER'S CERTIFICATE

I, JOYCE D. CALVERT, Provisional Court Reporter for the State of New Mexico, do hereby certify that I reported the foregoing proceedings in stenographic shorthand and that the foregoing pages are a true and correct transcript of those proceedings and was reduced to printed form under my direct supervision.

I FURTHER CERTIFY that I am neither employed by nor related to any of the parties or attorneys in this case and that I have no interest in the final disposition of this proceeding.

DATED this 4th day of December, 2008.




JOYCE D. CALVERT
New Mexico P-03
License Expires: 7/31/09

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO)
)
COUNTY OF BERNALILLO)

I, JOYCE D. CALVERT, a New Mexico Provisional Reporter, working under the direction and direct supervision of Paul Baca, New Mexico CCR License Number 112, hereby certify that I reported the attached proceedings; that pages numbered 1-64 inclusive, are a true and correct transcript of my stenographic notes. On the date I reported these proceedings, I was the holder of Provisional License Number P-03.

Dated at Albuquerque, New Mexico, 4th day of December, 2008.



Joyce D. Calvert
Provisional License #P-03
License Expires: 7/31/09



Paul Baca, RPR
Certified Court Reporter #112
License Expires: 12/31/08