

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION DIVISION FOR
THE PURPOSE OF CONSIDERING:

ORIGINAL

APPLICATION OF JUDAH OIL, LLC, FOR
APPROVAL OF A COMMERCIAL SALT WATER
DISPOSAL WELL, EDDY COUNTY, NEW MEXICO

CASE NO: 14364

REPORTER'S TRANSCRIPT OF PROCEEDINGS
EXAMINER HEARING

RECEIVED OCD
2009 SEP 30 P 2:06

BEFORE: RICHARD EZEANYIM, Presiding Examiner
DAVID K. BROOKS, Legal Examiner
TERRY G. WARNELL, Technical Examiner

September 17, 2009

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, RICHARD EZEANYIM, Presiding Examiner; DAVID K. BROOKS, Legal Examiner; and TERRY G. WARNELL, Technical Examiner, on Thursday, September 17, 2009, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South St. Francis Drive, Room 102, Santa Fe, New Mexico.

REPORTED BY: Jacqueline R. Lujan, CCR #91
Paul Baca Professional Court Reporters
500 Fourth Street, N.W., Suite 105
Albuquerque, NM 87103 505-843-9241

A P P E A R A N C E S

FOR THE APPLICANT:

MICHAEL FELDEWERT, ESQ.
HOLLAND & HART
110 North Guadalupe, Suite 1
Santa Fe, New Mexico 87501

WITNESSES:

PAGE

James Campanella

	Direct examination by Mr. Feldewert	4
10	Examination by Mr. Brooks	9
	Redirect examination by Mr. Feldewert	34

George L. Scott III

	Direct examination by Mr. Feldewert	12
13	Examination by Mr. Warnell	25
	Examination by Mr. Ezeanyim	30

E X H I B I T S

16	EXHIBITS 1 THROUGH 5 WERE ADMITTED	8
17	EXHIBITS 6, 8 AND 9 WERE ADMITTED	25
18	REPORTER'S CERTIFICATE	37

19
20
21
22
23
24
25

1 MR. EZEANYIM: We call Case Number 14364.
2 This is the application of Judah Oil, LLC, for approval
3 of a commercial salt water disposal, Eddy County, New
4 Mexico. Call for appearances.

5 MR. FELDEWERT: May it please the
6 Examiner, Michael Feldewert from the Santa Fe office of
7 Holland & Hart on behalf of the applicant. I have two
8 witnesses here.

9 MR. EZEANYIM: Any other appearances?
10 Before we continue this case, I need to submit two
11 letters into the record. The first letter came from
12 Scott Branson, opposing the application. The second
13 letter is from the state land office supporting the
14 application. So I wanted to admit these documents into
15 the record so that we have this information.

16 MR. FELDEWERT: Mr. Examiner, we're
17 thinking on the same line, because I have both of those
18 marked as exhibits.

19 MR. EZEANYIM: Stand up, state your names
20 and be sworn, please.

21 MR. CAMPANELLA: James Blaise Campanella.

22 MR. SCOTT: George L. Scott III.

23 (The witnesses were sworn.)

24 JAMES CAMPANELLA

25 Having been first duly sworn, testified as follows:

DIRECT EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. FELDEWERT:

Q. Please state your full name for the record.

A. James Blaise Campanella.

Q. What is your position with Judah Oil, LLC?

A. Manager/operator.

Q. And are you familiar with the application that was filed in this case?

A. I am.

Q. And is Exhibit Number 1 a copy of the C-108 application that was filed on behalf of the company by Mr. Prichard?

A. Yes, it is.

Q. Would you just briefly outline for the Examiner what Judah Oil seeks under this application?

A. We are looking to convert our MWJ State Number 1Y well, oil well, to a commercial disposal well.

Q. Where is that well located?

A. It's located in Unit N, Section 30, Township 24 South, Range 29 East.

Q. If I look in Exhibit B to your application, which we've marked as Exhibit Number 1, does that show your proposed disposal well?

A. Yes, it does.

Q. MWJ State 1Y well?

1 A. That's correct.

2 Q. What's the current status of that well?

3 A. It is a producing oil well.

4 Q. Is it located on fee acreage or state?

5 A. State land.

6 Q. And how many barrels of produced water do you
7 seek authority to inject?

8 A. Approximately up to 4,000 a day, average,
9 3,000.

10 Q. What do you expect your maximum pressure to
11 be?

12 A. Maximum pressure would be 726 pounds.

13 Q. And what formation do you propose to dispose
14 into?

15 A. Delaware formation.

16 Q. What's your perforation range?

17 A. From 36 through 4,975.

18 Q. Now, does Exhibit G to your application, which
19 we've marked as Exhibit 1, does it identify the parties
20 that received a copy of your application?

21 A. Yes, it does.

22 Q. That would be the second page, the page after
23 Exhibit G; is that right?

24 A. That's correct.

25 Q. It shows that you notified the state land

1 office?

2 A. Yes, I did.

3 Q. It looks like notice was provided to a surface
4 lessee?

5 A. It was.

6 Q. Then you provided notice to a number of
7 companies. Are they the operators within a half mile of
8 your proposed disposal well?

9 A. They operate within a mile radius of my
10 proposed well.

11 Q. And is Exhibit Number 2 -- does that contain a
12 copy of the certified return receipts indicating that all
13 of these parties received a copy of your application?

14 A. Yes, it does.

15 Q. Who's the nearest operator to your proposed
16 injection well?

17 A. Nearburg.

18 Q. Is Exhibit Number 3 a copy of a letter from
19 Nearburg indicating that they did not oppose your
20 application?

21 A. Yes, it is.

22 Q. As the Examiner just noted, is Exhibit Number
23 4 a copy of a letter from the state land office
24 indicating it does not oppose your application?

25 A. Yes.

1 Q. Why was this case set for hearing?

2 A. The land lessee from the State of New Mexico,
3 Scott Branson, filed a protest.

4 Q. He's a grazing lessee?

5 A. Yes.

6 Q. Have you had discussions with Mr. Branson
7 about his concerns?

8 A. Yes, I have.

9 Q. Where do you understand things stand today?

10 A. He has sent a letter to the OCD by mail and
11 also email, which we should have already received, that
12 he's withdrawing his protest.

13 Q. So you talked to him and addressed his
14 concerns?

15 A. Yes.

16 MR. EZEANYIM: How long ago was that
17 letter? Did it come in the mail?

18 THE WITNESS: He mailed it. It's going to
19 be here -- he probably mailed it Monday or Tuesday --

20 MR. EZEANYIM: To the OCD?

21 THE WITNESS: -- and we haven't received
22 it yet. So I asked him to email it to Michael's email so
23 we would have it, so it's probably there. But we have
24 got the issue addressed.

25 MR. EZEANYIM: Okay. Good.

1 Q. (By Mr. Feldewert) So he's not here today.
2 You've talked with him and you understand that you've
3 addressed his concerns?

4 A. Yes.

5 Q. Is Exhibit 5 an affidavit of publication in
6 the Artesia News of this hearing?

7 A. Yes, it is.

8 Q. Has Judah Oil brought a geologist to this
9 hearing to address whatever questions the Examiner may
10 have about this application?

11 A. Yes.

12 MR. FELDEWERT: Mr. Examiner, at this time
13 I would move the admission of Exhibits 1 through 5.

14 MR. EZEANYIM: Exhibits 1 through 5 will
15 be admitted.

16 (Exhibits 1 through 5 were admitted.)

17 MR. FELDEWERT: I have no further
18 questions of this witness.

19 MR. EZEANYIM: Very good. Mr. Brooks?

20 MR. BROOKS: Looking at -- where was your
21 list of the people who have been notified? I was looking
22 at it a minute ago. It's in the C-108.

23 MR. FELDEWERT: It's the page, Mr.
24 Examiner, right between the two exhibits -- third to the
25 last page.

1 MR. BROOKS: Of the C-108?

2 MR. FELDEWERT: Yes. Which has been
3 marked Exhibit 1.

4 MR. BROOKS: Okay.

5 EXAMINATION

6 BY MR. BROOKS:

7 Q. On Exhibit B to the C-108, the inner circle
8 there is the area of review; right?

9 A. That's correct.

10 Q. Where do these various companies -- where is
11 their operation?

12 A. Nearburg is the operator of the Ruby well
13 within the half-mile radius to the east of the MWJ
14 wellbore. They also operate the Amethyst, which is in
15 Section 32, and they also operate -- those are the two
16 wells that Nearburg operates.

17 Q. Okay. They operate the well in the east half
18 of 30?

19 A. That's correct.

20 Q. Go ahead.

21 A. And Judah Oil -- I operate -- actually
22 operates the McKee well, which is in Section 25. NGX --
23 we have actually taken over operations from NGX.

24 Q. So NGX was notified because they formerly
25 operated the McKee well?

1 A. That's correct. And Primero should be --
2 Primero operates the Milano State in Section 36 and the
3 Queen Lake State.

4 Q. Part of that area is within the area of review
5 up there in the northeast quarter?

6 A. That's correct. Murchinson operates the north
7 half of Section 30.

8 Q. You included the BLM on your list. Is there
9 some unleased acreage in there?

10 A. There's some acreage that offsets the MWJ
11 between the McKee and the MWJ. The BLM operates that
12 lease.

13 Q. That's unleased?

14 A. That's federal. It, actually, I believe, is
15 leased. To be honest with you, I don't know who has that
16 lease, but it's BLM land.

17 Q. Normally the person that should be notified
18 would be the lessee if it's not operated. But the McKee
19 well there, that's -- you identified the operator of
20 that; right?

21 A. Right. I believe that Nearburg actually
22 operates that federal land. We have the quarter section
23 in between.

24 MR. BROOKS: Thank you. That's all I
25 have.

1 MR. WARNELL: No questions.

2 MR. EZEANYIM: I think Mr. Campanella
3 is -- we are going to qualify him for the record as a
4 fact witness; is that correct?

5 MR. FELDEWERT: As a fact witness, yes.

6 MR. EZEANYIM: Is that technical or fact?

7 MR. FELDEWERT: Fact, yes.

8 MR. EZEANYIM: For the record, because we
9 didn't do it at the beginning -- I want to make it for
10 the record that he's a fact witness for our purposes. Be
11 that as it may, the next witness is an engineer?

12 MR. FELDEWERT: We have a geologist.

13 MR. EZEANYIM: I can ask Mr. Campanella
14 about the -- if he knows about -- if there's any
15 production within the area. This is a commercial salt
16 water disposal going to be from 36 to 4,975. Is there
17 any production within a half mile, two miles, of this
18 interval that we're going to dispose this salt water?

19 MR. FELDEWERT: Let me step back. The
20 geologist is going to address the zone, itself. In terms
21 of whether there's any production within a half mile or a
22 mile, I'm assuming Mr. --

23 THE WITNESS: Not in these zones that
24 we're looking at, except for the area that the geologist
25 will discuss that the well is currently producing out of.

1 MR. EZEANYIM: Okay. I think I'll reserve
2 some of those questions for the geologist. You may step
3 down.

4 Call your next witness.

5 MR. FELDEWERT: We call George Scott.

6 GEORGE L. SCOTT III

7 Having been first duly sworn, testified as follows:

8 DIRECT EXAMINATION

9 BY MR. FELDEWERT:

10 Q. Mr. Scott, why don't you give us your full
11 name for the record?

12 A. George L. Scott III.

13 Q. What is your relationship with Judah Oil?

14 A. Consulting geologist to Judah Oil.

15 Q. Have you previously testified before the
16 Division?

17 A. Yes.

18 Q. Have you previously testified before Mr.
19 Ezeanyim?

20 A. No, I have not had the pleasure.

21 Q. Why don't you briefly outline your educational
22 background?

23 A. I have a Bachelor of Science from New Mexico
24 Tech in geology. During that time I worked at the
25 Petroleum Recovery Research Center, also, at the Bureau

1 of Mines, had an academic minor in petroleum engineering.
2 Then I worked for a couple of years, including work for
3 Mack Chase, which was about 30 years ago. And then I
4 went to school at the University of Texas, at Austin, and
5 I had two and a half years of graduate-level study in
6 petroleum engineering, in geology and geophysics. Then I
7 resumed working in southeast New Mexico, and today have
8 about 33 years of experience working in the Permian
9 Basin.

10 Q. Are you familiar with the application filed in
11 this case?

12 A. Yes, I am.

13 Q. Have you conducted a study of the area that is
14 the subject of this application? Particularly, the
15 interval which they propose to inject.

16 A. Yes.

17 MR. FELDEWERT: I would tender Mr. Scott
18 as an expert witness in petroleum geology.

19 MR. EZEANYIM: Mr. Scott is so qualified.
20 However, the only mistake you made was to go to the
21 University of Texas.

22 THE WITNESS: This is true. I should have
23 gone to OU.

24 MR. EZEANYIM: You should have gone to
25 Texas A&M. I'm sorry. Go ahead.

1 Q. (By Mr. Feldewert) Now, Exhibit Number 1,
2 which is the C-108 application, contains data on the salt
3 water disposal well; correct?

4 A. Yes.

5 Q. Have you examined that data?

6 A. Yes.

7 Q. Is this a good candidate for a commercial
8 disposal well?

9 A. Yes.

10 Q. Just briefly outline why that is.

11 A. The wellbore is presently commercially
12 non-productive.

13 Q. Let me stop you there. It's producing but
14 it's not commercially productive?

15 A. Correct. It's producing but not in commercial
16 quantities. The well is stratigraphically very favorable
17 for injection of water, running water, in the Delaware
18 formation. Whereas there will be some additional
19 perforations required, the well is partially perforated
20 in the bottom of the hole.

21 Q. Is this going to be an open system?

22 A. This will be an open system with anticipated
23 average injection of 3,000 barrels of water per day.

24 Q. Your proposed anticipated injection pressure,
25 is that going to be by gravity, or --

1 A. We anticipate -- and this is partly by
2 comparison to another well that is in the area --
3 average injection pressure of about 250 psi, with a
4 maximum pressure of 726 psi, to answer your question.
5 Initially, we might be able to gravity feed, but once we
6 start putting a significant quantify of water in, we'll
7 be at about 250 psi as anticipated pressure.

8 Q. Is Exhibit 6 a better copy of the area of
9 review?

10 A. Yes.

11 Q. Why don't you take a look at that and just
12 identify for the Examiner how many wells within the area
13 of review actually penetrate the proposed injection zone.

14 A. There are two wells that actually penetrate
15 within the half-mile radius. In addition to that, we
16 have three wells that are fresh water wells within that
17 radius. Actually, maybe two, but one is right on the
18 half-mile circle.

19 Q. What are the two wells that -- well, one of
20 them is the proposed injection well?

21 A. Yes.

22 Q. What's the other well that penetrates the --

23 A. The Ruby 30 State Com. Number 1, and it's
24 represented -- the wellbore diagrams are represented in
25 Exhibit C, I believe -- yes -- of the C-108 application.

1 Q. The second page of Exhibit C?

2 A. Yes.

3 Q. Is that the one that is operated by Nearburg?

4 A. Yes.

5 Q. Does the casing in this well support the
6 approval of this application?

7 A. Yes. We've got production string of seven
8 inch with cement over the entire interval that we would
9 be injecting into in the proposed MWJ well.

10 Q. In terms of the -- I know this is a commercial
11 well, which makes it somewhat difficult, but what are the
12 possible sources of the water that's likely to be
13 disposed of?

14 A. It would be principally Delaware -- produced
15 oil from the Delaware formation, from the Bone Spring
16 formation, and to a lesser degree, water produced from
17 the Pennsylvania and, principally, the Morrow formation,
18 from the Pennsylvania.

19 Q. Does the application contain data on these
20 water sources in Exhibits D and E?

21 A. Yes, it does.

22 Q. Let's get to the area we want to focus on
23 here. Have you examined whether the zones in which Judah
24 Oil proposes to inject are productive of oil and gas?

25 A. Yes. Can we refer to Exhibit 8 at this point?

1 Q. Pull out this big one?

2 A. Yes.

3 Q. Why don't you orient the Examiner?

4 A. Okay. Exhibit 8 is a west to east subsurface
5 cross-section. The well in the middle is the proposed
6 salt water disposal well, the Judah Oil, LLC, well. And
7 present for this well we have -- of course, the curve to
8 the left is the gamma ray curve. In the middle are the
9 compensated neutron and formation density compensated
10 curves, the porosity curves.

11 On the right side we have the dual resistivity
12 curves, and then on the column on the right side, where
13 it shows "WS", meaning water saturation, we have
14 calculated water saturation values beginning at 3,700
15 feet and then down all the way to near the bottom of the
16 wellbore. And these show that all -- and let me add, the
17 perforations in the bottom of the hole in red are
18 present, existing perforations.

19 MR. EZEANYIM: Red? Where is red? Okay.
20 Down here?

21 THE WITNESS: Yes, sir. So the bottom
22 perforations are the existing perforations. In yellow
23 are shown the intervals that will be perforated pursuant
24 to the proposed conversion of this into a salt water
25 disposal.

1 Q. (By Mr. Feldewert) Let me stop you right
2 there. Mr. Ezeanyim suffers from the same issue that one
3 of my partners does, that is color blind. I will keep
4 that in mind in the future. I apologize.

5 So what we have here, Mr. Scott, is in your
6 middle column on the left-hand side, we have a series of
7 rectangles that you've drawn?

8 A. Yes, sir. In the bottom, little holes are
9 drawn into the bottom rectangles. That's specifically
10 below from about 48 -- approximately 4,880 to 4,970,
11 approximately.

12 Q. And your rectangles, which on the exhibit are
13 colored in yellow, show up in the middle column. They
14 stand from your bottom perms up.

15 A. Yes.

16 Q. And roughly corresponding with them is a
17 percentage that shows --

18 A. -- water saturations. And these water
19 saturation calculations show very clearly that all of the
20 zones are water productive. In addition -- and this is
21 based on my review of the mud log data and all of the
22 other available well data in this area, and this includes
23 the wells that are productive over in Section 36 and 25
24 to the west and southwest, which I was involved in the
25 company that drilled those wells -- there are no mud log

1 shows above -- you know, in this interval, in this area,
2 there are no hydrocarbon shows. There's no shows of
3 significant economic potential. You have to get up to
4 about 3,300 feet in this area to have a potential gas
5 zone, and then the only exception is the existing
6 perforations in this Judah Oil well, which are presently
7 noncommercial, and that is from the Delaware, from the
8 Brushy Canyon Delaware.

9 Q. Let me ask you this while we're on those
10 perforations. Was this well subject to any kind of a
11 stimulation effort prior to the decision to --

12 A. Yes. These perforations had a small frac
13 treatment pumped into them.

14 Q. Did it have any success?

15 A. The well was, basically, still non-commercial.
16 It enhanced the production slightly from a few barrels to
17 a few more barrels of oil a day, but it was still
18 non-commercial.

19 Q. Anything else important about this exhibit?

20 A. Well, you can also see on this map -- it's
21 shown on your Exhibit 6, as well -- the presence of the
22 fresh water wells. And, of course, I'm jumping ahead of
23 myself.

24 Q. Before we get to those, let me ask you this:
25 What conclusions have you drawn about the use of this

1 interval for a disposal well?

2 A. Well, the proposed interval?

3 Q. Yes.

4 A. It will -- there's a well about two miles east
5 of us. Pogo put a disposal well in. It's a closed-loop
6 system. But they are producing into the equivalent --
7 the stratigraphically equivalent upper part of our zone.
8 So approximately from 3,700 to about 4,100 is what Pogo
9 produces two miles to the east in this same stratigraphic
10 section.

11 Q. I don't think we necessarily need to get it
12 out in the open, but is Exhibit 9 the sundry notice,
13 along with -- what do you call this thing?

14 A. That's the porosity log showing the
15 perforations that they disposed into.

16 Q. So the identity of the well that you're
17 talking about is identified in Exhibit 9?

18 A. Yes, sir.

19 Q. Is this a good candidate for a disposal -- is
20 this zone a good candidate for a disposal well?

21 A. Yes. By comparison to the Pogo well, we
22 actually have a thicker stratigraphic interval, so it
23 would be a very good disposal candidate.

24 Q. Let's move on to --

25 MR. EZEANYIM: Before you move on, let me

1 understand this, because this is good. How do you
2 calculate your water saturation?

3 THE WITNESS: Basically, I do a modified
4 Archie's equation. I used a water resistivity of .04,
5 which is --

6 MR. EZEANYIM: From the log; right?

7 THE WITNESS: Yes, sir. But the RW value
8 that we used was based on taking produced waters from
9 this specific area and having them measured, and then I
10 would take the deep resistivity curve to get an RT value,
11 and then RW value of RT and square root of, divide it by
12 the porosity.

13 Now, I did not do any invasion corrections for
14 resistivity like I would have done, because there was no
15 microlog available to a tornado chart correction. So I
16 just used -- I took for RT the deep curve measurement.

17 MR. EZEANYIM: Is that why you called it
18 modified Archie's equation?

19 THE WITNESS: Yes, sir. Modified, because
20 I didn't do what would typically be an invasion -- an RT
21 corrected for invasion, yes, sir.

22 MR. EZEANYIM: If your calculations are
23 correct, looking at those SWUs, the Nearburg well is in
24 the area of review?

25 THE WITNESS: I'm sorry?

1 MR. EZEANYIM: Nearburg. There is a well
2 belonging to Nearburg that is producing?

3 THE WITNESS: Yes, sir. And that is the
4 well to the right on this cross-section, and it is
5 structurally just a few feet -- I'm sorry. I should have
6 mentioned there's a structural datum, a minus 1,800 foot
7 structural datum, that these wells are hung on, and then
8 the stratigraphic shale markers are indicated to show
9 stratigraphic correlations. So the Nearburg well is very
10 fairly close to the east, about a quarter mile to the
11 east.

12 And being that it was structurally not that
13 much lower, at the time I was doing the cross-section, I
14 compared the water saturation values and they were
15 comparable. So I made the focus be about the Judah SWD
16 well. But the water saturation values in the Nearburg
17 well were actually a little bit higher water saturations
18 than -- slightly higher than our well here, and that
19 would make sense because they're a little bit lower
20 structurally.

21 MR. EZEANYIM: Okay. Go ahead.

22 Q. (By Mr. Feldewert) Then I want to focus back
23 here on Exhibit Number 6, which is your color map of the
24 area of review, and it shows some of the water wells in
25 the area. Have you reviewed the groundwater hydrology in

1 the vicinity?

2 A. Yes.

3 Q. And you pointed out -- you showed two, maybe
4 three, water wells within the area of review. What
5 conclusions have you reached about the water source in
6 this area?

7 A. Exhibit F in the C-108 shows fresh water
8 analyses, but water in this area occurs in the luvium
9 field from depths of about 120 to about 350 feet. Then
10 from -- if you look at the -- in our C-108, if you look
11 at the wellbore diagrams for both our well and, of
12 course, for the -- well, for our well -- we've got three
13 strings of casing covering the fresh water zones. We
14 have 13 and three-eighths string down to 429 feet with
15 cement circulated to the surface. We have eight and
16 five-eighths casing set to 2,710 feet, also with cement
17 circulated. Then we have the production string of
18 four-and-a-half-inch pipe, and it doesn't have the cement
19 circulated to the surface, but -- the fresh water zones
20 are very well protected by three strings of pipe, and two
21 of which have cement behind pipe.

22 Q. Now, does Exhibit F contain water samples from
23 these nearby water wells?

24 A. Yes.

25 Q. Last question. Have you found any evidence of

1 any open faults or any other hydrologic connections
2 between your proposed injection interval and any
3 underground source of drinking water?

4 A. No.

5 Q. Is there a particular feature out here that
6 gives you confidence that this disposal operation is not
7 going to pose a threat to groundwater?

8 A. Stratigraphically between the zones and the
9 Delaware that we will be -- that the MWJ will be
10 producing -- injecting the water into, there are hundreds
11 of feet of anhydride and dolomitic anhydride, very dense,
12 no porosity, between our Delaware formation and the
13 shallow fresh water zones. So you have, basically, very,
14 very thick evaporitic minerals, very thick in terms of
15 anhydrides, the dolomites, even some salts, that would
16 not fracture or propagate a fracture or allow any kind of
17 communication of fluids upwards into the fresh water.

18 Q. In your opinion, will the approval of this
19 application be in the best interest of conservation and
20 production in the area?

21 A. Yes. It would allow -- it would potentially
22 allow more wells to be drilled in the area where
23 production would otherwise be commercially borderline.
24 Because with having a closed disposal well versus having
25 to truck your water off, the economic savings would lead

1 to more development under state leases.

2 MR. FELDEWERT: Mr. Examiner, at this
3 point I would move the admission into evidence of
4 Exhibits 6 through 9.

5 MR. EZEANYIM: Exhibits 6 through 9 will
6 be admitted.

7 (Exhibits 6 through 9 were admitted.)

8 MR. FELDEWERT: I have no further
9 questions of this witness.

10 MR. EZEANYIM: Any questions?

11 MR. BROOKS: No questions.

12 MR. EZEANYIM: Any questions?

13 EXAMINATION

14 BY MR. WARNELL:

15 Q. I have a question about your logs here. I
16 hate to get that back out.

17 On the upper perms there -- and the question
18 was just above 4,900.

19 A. Yes, sir.

20 Q. Is that gas or oil?

21 A. It was oil. A little bit of casing had gas
22 but a very small amount, not enough to sell, and,
23 principally, water.

24 Q. Doesn't that look more like a gas profile?

25 A. On the Judah well?

1 Q. Yes.

2 A. Yes. Except these are old Dresser logs, and
3 the old Dresser logs were very -- they were very much
4 enhanced. You got a lot more crossover, pseudo gas
5 effect, due to the fact that it was just a Dresser log.
6 For instance, if you look over at the Schlumberger log to
7 your east for the same section up and down the hole --
8 for instance, I would point out at 3,870 to 3,890, you
9 know, there appears to be a gas effect there, yet the
10 zone calculates 93 percent water saturation.

11 Now, if you move over to the east in the
12 Nearburg well that is a Schlumberger log, there's no gas
13 effect at all anywhere. And you see this in this Dresser
14 log in quite a few places, what I would call pseudo gas
15 effect. But when you look at the corresponding
16 Schlumberger log that is very nearby, obviously the same
17 beds are present, no gas effect. That's the difference
18 between the old Dresser logs and the Schlumberger logs.

19 Q. Well, one may have been run on a limestone
20 matrix and one on a sandstone.

21 A. Yes, but they're both limestone matrices.

22 Q. They are both?

23 A. Yes, sir. In this part of the country it
24 would be very unusual to do anything but limestone
25 matrix. It's something I kind of routinely will check

1 anyway, but they're both limestone matrices. The
2 difference is the old Dresser logs were quite a bit more
3 enhanced. I used to principally be a log analyst
4 consultant for a lot of companies, including Mesa, and we
5 virtually did not run a Dresser atlas in a Wildcat well,
6 only if it was an infield well, because it was well known
7 that it was going to generate a pseudo gas effect and it
8 would optimize your porosities. You know, your true
9 porosities were not reflected very well with those logs.

10 Q. Let's go uphole in that same well, up around
11 3,700 there. I think that's your last set of proposed
12 perms for the injection well?

13 A. Yes, sir.

14 Q. When I glanced at this the first time, I
15 thought that looked like hydrocarbon to me, and, in fact,
16 it looked like gas. You probably didn't use the same
17 argument; right?

18 A. Yes. For one thing, there was no mud log
19 shows. Secondly, it calculates 90 percent water
20 saturation. And third, if you move over and look at the
21 well to the east, the Nearburg Ruby 30 State Com. Number
22 1 well, at exactly 3,725, that is exactly correlative
23 sandstone bed. There the zone looks shaley, because the
24 Schlumberger log accurately reflects that there is no gas
25 effect, so it's purely due to the Dresser log.

1 And we actually drilled some wells back in the
2 '80s, and we would run Dresser and Schlumberger in the
3 same hole, kind of have a log run-off, and then we'd go
4 in and cut cores sometimes, and it was generally found
5 that Schlumberger was very accurate and the old Dresser
6 logs were optimized.

7 Q. I agree with that 100 percent. I hadn't
8 noticed the caliper. There's a bit of a wash-out there.

9 A. Yes, sir, but not so much that it would alter
10 the density neutron from compensating, because you're
11 at -- what is that -- 11 inches.

12 Q. My concern is that there's a lot of
13 perforations and a lot of depth in that well.

14 A. Yes, sir.

15 Q. Are you going to be injecting into a producer,
16 the zone --

17 MR. CAMPANELLA: Would you like me to make
18 a quick statement?

19 MR. EZEANYIM: No. You will be re-called
20 if that's necessary. Let them finish.

21 A. Was there a specific question?

22 Q. (By Mr. Warnell) Yeah. It just makes me a
23 little uneasy that we're going to open up all those
24 perforations and inject water into something that may be
25 a potential producer.

1 A. I've drilled the wells to the southwest and
2 actually re-entered the well in 25 to the west. In the
3 well on the west, there were no mud log shows from, you
4 know, 40 -- from 4,600 up, there was no shows at all.
5 This particular section that we've got proposed to
6 perforate, it's present over this area, but it calculates
7 to be water productive in the entire area, and there's no
8 production from it within miles. This section is fairly
9 laterally continuous, so we don't really find production
10 until you get up into the -- you know, at about 3,300 you
11 have a potential gas zone, but nothing correlative with
12 this as part of the Delaware section.

13 MR. WARNELL: Okay. That's all I have.
14 Thank you.

15 MR. BROOKS: Nothing.

16 MR. EZEANYIM: This case could not have
17 come to hearing if you had gotten that letter before the
18 hearing. Because I think this case came to hearing
19 because of that objection from Mr. Scott Branson; right?

20 MR. FELDEWERT: Correct.

21 MR. EZEANYIM: But we are going to get
22 that letter anyway.

23 MR. FELDEWERT: Mr. Branson filed -- a
24 grazing lessee -- filed an objection, and that, to my
25 knowledge, was what caused it to go to hearing before the

1 Division, which caused my client to bring everybody up to
2 Santa Fe, which is fine, but it would have been nice to
3 have avoided that cost. So I hope that answers your
4 question.

5 MR. EZEANYIM: Yes. That's, basically,
6 what I was saying. Well, they're here now. We have to
7 ask questions.

8 EXAMINATION

9 BY MR. EZEANYIM:

10 Q. What Terry was asking you about those wells,
11 when I look at that injection well, there is one
12 producing well by Nearburg, and we're talking about using
13 this, and you said -- is this produced from the cement
14 level?

15 A. No, sir. It's producing from the deeper Bone
16 Spring formation.

17 Q. So deeper than 975?

18 A. Yes, sir. Like 6,600 feet.

19 Q. That is a Nearburg well?

20 A. Yes, sir.

21 Q. This well, who owned the well initially, the
22 one you're going to be converting to salt water disposal?
23 Who owned it before?

24 A. Judah owns it. Acutally, my company owned it
25 many years ago, and Judah took the well over.

1 Q. Who is your company?

2 A. My company was Energex Company, or NGX
3 Company. But we couldn't produce it commercially, and
4 Judah Oil took it over and operated it, because sometimes
5 a one-man operation can run a well more economically.

6 Q. When you owned it, did it produce anything at
7 all?

8 A. Actually, it was perforated in the Bone Spring
9 at the time, and it just -- the well was loaded up with
10 fluid, so we never sold hydrocarbons off the wellbore.

11 Q. So the Bone Spring is deeper than the zone
12 you're injecting; right?

13 A. Yes, sir. It's about 1,000 feet deeper.

14 Q. Now, for commercial salt water disposal, the
15 waters will be coming from the Delaware, the Bone Spring,
16 the Mesaverde and the Morrow?

17 A. Yes, sir.

18 Q. Did you conduct any water analyses on those?

19 A. We had some water analyses that I believe was
20 going to be -- that it just got sent in today to Mike.

21 THE WITNESS: Were you going to provide
22 that?

23 MR. FELDEWERT: Mr. Examiner, we have
24 within the application the water analyses. We actually
25 have two types of information on the potential sources of

1 produced water. Now, of course, we're dealing with a
2 commercial well, which makes it difficult to project
3 where the water may come from. But you'll see on Exhibit
4 D they provided information from a Website on the TDS,
5 chlorides, potential water. Exhibit E is water analysis
6 of the Delaware, primarily because they could not get TDS
7 information off the initial Website. So there is
8 information in here of the water that they project will
9 go into this disposal well.

10 MR. EZEANYIM: Because potentially you
11 could be receiving water from those four formations.

12 MR. FELDEWERT: Potentially. Probably the
13 most -- I don't know what the most likely source is.

14 MR. EZEANYIM: Does anyone know the most
15 likely source?

16 THE WITNESS: The Delaware formation would
17 be the most prolific source, sir.

18 MR. FELDEWERT: And the water analysis was
19 provided for the Delaware.

20 MR. EZEANYIM: But not for the rest of the
21 three?

22 MR. FELDEWERT: The other three have the
23 information from the state Website on the general quality
24 of the water.

25 Q. (By Mr. Ezeanyim) You talked about injecting

1 at 250. Are you going to be injecting by gravity?

2 A. Initially -- it would probably take by gravity
3 initially. But once any volume is -- once -- for
4 instance, my analogy to the Pogo well two miles to the
5 east, I believe they were injecting at about 250 psi
6 about 2,000 barrels of fluid a day. So I would say, you
7 know, we've got our maximum limit that we're applying
8 for, but we would hope to be about -- to put 2 or 3,000
9 barrels a day down at pressure rates of 3 to 400 psi,
10 what we're hoping for.

11 Q. And the injection well, this injection well
12 you are going to convert, I have the schematic on the
13 C-108?

14 A. Yes.

15 Q. Fresh water, there is no harm to the fresh
16 water?

17 A. No fresh water, sir.

18 Q. No open faults?

19 A. No, there are no faults.

20 Q. Especially when you're looking at commercial
21 well disposal.

22 A. Um-hum.

23 MR. EZEANYIM: No further questions.

24 MR. FELDEWERT: I have two things. One, I
25 need to point out for the record, I just realized there

1 is no Exhibit 7, so I want the record to reflect that, so
2 you don't think you're missing it. When we got to
3 labeling the exhibits there was a mistake made. We don't
4 have an Exhibit 7.

5 MR. EZEANYIM: No Exhibit 7. So Exhibits
6 6, 8 and 9.

7 MR. FELDEWERT: Secondly, I think Mr.
8 Campanella, in light of the questions from Examiner
9 Warnell, has something else he'd like to add, so if I may
10 just briefly recall him.

11 MR. EZEANYIM: Okay.

12 You have previously been sworn. Sit down,
13 sir.

14 JAMES CAMPANELLA

15 REDIRECT EXAMINATION

16 BY MR. FELDEWERT:

17 Q. Go ahead.

18 A. We did submit an application originally, and
19 we received a probe test from Nearburg, and they wanted
20 to preserve the upper perms in their well, or the upper
21 zone, which is in our well around 3,400 feet, 3,350 or
22 something of that nature. We worked with them -- they
23 went through their log analyses and I worked with their
24 reservoir engineer and came up with the perforations for
25 our wellbore, our zones. They're very comfortable with

1 the area that we're looking at because we work real close
2 with them. I just wanted to add that. So we can answer
3 some questions you may have as far as leaving some --
4 having some oil zones, producing zones, available. They
5 went through that very thoroughly. That letter that is
6 resubmitted removing their objection is after we went
7 over their log. I just wanted to throw that in.

8 MR. WARNELL: I just can't help believe
9 that when you perforate that top zone -- well, you're
10 going to get a gasket there, I think.

11 THE WITNESS: What we'll do is I'll let
12 you-all know on our reports when we do that. If we know
13 it's commercial, I promise you, I want it as much as you
14 do, because I still have the lease. We'll squeeze those
15 perms if we have to. And also, we'll check for any kind
16 of oil residue when we perforate it. If we notice oil,
17 we'll go and test that zone and make sure it's not
18 productive.

19 MR. EZEANYIM: According to your
20 testimony, Nearburg doesn't have any injection above 975
21 feet. It's only when you go below 975 feet you have the
22 injection; right?

23 THE WITNESS: Yes. That's correct. They
24 went over that zone with us.

25 MR. EZEANYIM: As long as you stay above

1 975 feet, you're okay.

2 THE WITNESS: Uh-huh.

3 MR. FELDEWERT: Thank you, Mr. Examiner.

4 We have nothing further to present.

5 MR. EZEANYIM: Okay. At this point Case
6 Number 14364 will be taken under advisement.

7 How about we go for lunch now, or just
8 conclude these two cases before we go to lunch? Why
9 don't we take a five-minute break and come back and
10 conclude these two before we go to lunch.

11 MR. BRUCE: My cases will only take about
12 five minutes, total.

13 (A recess was taken.)

14 * * *

15

16

17

18

19

20


21

22

23

24

25

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 14364
heard by me on 9/17/09

Examiner
Oil Conservation Division


REPORTER'S CERTIFICATE

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I, JACQUELINE R. LUJAN, New Mexico CCR #91, DO
HEREBY CERTIFY that on September 17, 2009, proceedings in
the above captioned case were taken before me and that I
did report in stenographic shorthand the proceedings set
forth herein, and the foregoing pages are a true and
correct transcription to the best of my ability.

I FURTHER CERTIFY that I am neither employed by
nor related to nor contracted with any of the parties or
attorneys in this case and that I have no interest
whatsoever in the final disposition of this case in any
court.

WITNESS MY HAND this 30th day of September,
2009.



Jacqueline R. Lujan, GCR #91
Expires: 12/31/2009