

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

ORIGINAL

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION DIVISION FOR
THE PURPOSE OF CONSIDERING:

APPLICATION OF ANADARKO PETROLEUM
CORPORATION FOR APPROVAL OF AN ACID
GAS INJECTION WELL, SAN JUAN COUNTY,
NEW MEXICO.

CASE NO. 14829
NOV 12 P 3:48
RECEIVED OGD

REPORTER'S TRANSCRIPT OF PROCEEDINGS
EXAMINER HEARING

October 15, 2009
Santa Fe, New Mexico

BEFORE: RICHARD EZEANYIM: Hearing Examiner
DAVID BROOKS: Technical Advisor
TERRY WARNELL: Technical Advisor

This matter came for hearing before the New Mexico
Oil Conservation Division, Terry Warnell Hearing Examiner,
on October 15, 2009, at the New Mexico Energy, Minerals
and Natural Resources Department, 1220 South St. Francis
Drive, Room 102, Santa Fe, New Mexico.

REPORTED BY: PEGGY A. SEDILLO, NM CCR NO. 88
Paul Baca Court Reporters
500 Fourth Street, NW, Suite 105
Albuquerque, NM 87102

I N D E X

1		Page
2	APPLICANT'S WITNESSES:	
	Charles Johnson	
3	Direct Examination By Ms. Munds-Dry	6
	Alberto Gutierrez	
4	Direct Examination by Ms. Munds-Dry	14
	Cross-Examination by Mr. Roybal	64
5	Cross-Examination by Ms. Altomare	66
	Redirect Examination by Ms. Munds-Dry	82
6	Tony Marques	
	Direct Examination by Ms. Munds-Dry	82
7		
	OCD'S WITNESS:	
8	Brad Jones	
	Direct Examination by Ms. Altomare	83
9	Cross-Examination by Ms. Munds-Dry	96
10	BHP'S WITNESS:	
	Dr. Stephen Bessinger	
11	Direct Examination by Mr. Roybal	96
	Cross-Examination by Ms. Munds-Dry	106
12	Cross-Examination by Ms. Altomare	110
	Redirect Examination by Mr. Roybal	115
13		
	APPLICANT'S EXHIBITS:	
14	Exhibits 1 - 3	109
15	BHP'S EXHIBITS:	
	Exhibit 1	109
16		
	A P P E A R A N C E S	
17	For the Applicant:	OCEAN MUNDS-DRY, ESQ.
		Holland & Hart, LLP
18		110 North Guadalupe, Suite 1
		Santa Fe, NM 87501
19		
	For BHP:	JAMES BRUCE, ESQ.
20		Attorney at Law
		P. O. Box 1056
21		Santa Fe, NM 87501
22		
		CHARLES E. ROYBAL, ESQ.
		Senior Counsel, San Juan Coal Co.
23		300 W. Arrington, No. 20
		Farmington, NM 87401
24		
25	HEARING EXAMINER:	Good morning, everybody.

1 Thank you all for coming. We'll call Case No. 14329, and
2 this the Application of Anadarko Petroleum Corporation for
3 approval of an acid gas injection, San Juan County, New
4 Mexico.

5 Call for appearances.

6 MS. MUNDS-DRY: Good morning, Mr. Examiners.
7 Ocean Munds-Dry with the law firm of Holland & Hart, LLP
8 this morning here representing Anadarko Petroleum
9 Corporation.

10 Mr. Ezeanyim, before I identify my witnesses I
11 just wanted to point out the Anadarko representatives that
12 are here with us today so you can see their faces and get
13 to know them.

14 Sitting with me at the table today is Ms. Kuhn,
15 Senior Counsel for Anadarko. We also have Tony Marques,
16 who is the engineering manager. And we also have Julie
17 Petite, who is the Senior EHS Analyst for Anadarko. And
18 we also have Ken McEvers, who is the Operations
19 Superintendent for the San Juan River.

20 HEARING EXAMINER: Okay, good. They're not
21 going to be witnesses?

22 MS. MUNDS-DRY: No, sir. I have two witnesses.
23 I have Mr. Chuck Johnson, who will testify for us, and
24 Mr. Alberto Gutierrez will also testify.

25 HEARING EXAMINER: Okay. Any other appearances?

1 MS. ALTOMARE: Mikal Altomare on behalf of the
2 Oil Conservation Division. I have one witness, Brad
3 Jones.

4 HEARING EXAMINER: Okay. Any other appearances?

5 MR. BRUCE: Mr. Examiner, Jim Bruce of Santa Fe.
6 I am here in association with Charles Roybal, who is
7 in-house counsel for BPH Billiton of San Juan Coal
8 Company. And we do have one witness, Mr. Steve Bessinger,
9 who is the engineering manager at the mine.

10 HEARING EXAMINER: Very good. Any other
11 appearances here? At this point, may all the witnesses
12 stand, state your name and be sworn in.

13 MR. GUTIERREZ: Alberto Gutierrez.

14 MR. JOHNSON: Chuck Johnson.

15 MR. BESSINGER: Steve Bessinger.

16 MR. JONES: Brad Jones.

17 (Note: The witnesses were sworn in by
18 the court reporter.)

19 HEARING EXAMINER: Before we go on with this
20 case, I have to bring to your notice that rather than have
21 comments from the public from the Farmington and Kirtland
22 area, for the record, I'm going to mention the names. It
23 doesn't appear as if there are any appearances. I didn't
24 see them here, so we need to read -- I mean, not read all
25 their letters but at least mention that they commented on

1 this acid gas injection.

2 No. 1 is Chris Dixon who is from Farmington. He
3 raised comments and concerns about injecting acid gas into
4 the formation. No. 2 is Roseanne Williams of Kirtland.

5 I'm not going to read the letters one by one
6 because they're lengthy letters. They're all raising
7 concerns about injecting acid gas into the formation.

8 Larry and Caroline Tinsel of Kirtland have the
9 same concerns.

10 The Bureau of Land Management supports the
11 application, however, they said that they need to know
12 whether there is any hydrocarbon production in the
13 Entrada. If there is none, then they support the
14 application.

15 The first portion here is Janet Reese of
16 Kirtland. She's expressing the same concern like the
17 others are expressing.

18 Now, there's a Citizens Alliance. They are also
19 expressing concerns about the acid gas. They say they
20 don't understand it very well what is going on.

21 So for the record, we're going to have them into
22 the record that they commented and we put them under
23 administrative notice.

24 At this point, I'm going to call on counsel. Do
25 you have any opening statements?

1 MS. MUNDS-DRY: I don't, Mr. Hearing Examiner,
2 unless the other counsel do.

3 HEARING EXAMINER: Any opening statements?

4 MS. ALTOMARE: I don't think it's necessary at
5 this time.

6 HEARING EXAMINER: Okay, you can go ahead and
7 proceed.

8 MS. MUNDS-DRY: I'd like to call my first
9 witness, Mr. Chuck Johnson.

10 CHUCK JOHNSON,
11 the witness herein, after first being duly sworn
12 upon his oath, was examined and testified as follows:

13 DIRECT EXAMINATION

14 BY MS. MUNDS-DRY:

15 Q. Would you please state your full name for the
16 record?

17 A. Charles David Johnson. I go by Chuck Johnson.

18 Q. Mr. Johnson, where do you reside?

19 A. Woodlands, Texas.

20 Q. And by whom are you employed?

21 A. Anadarko Petroleum Corporation.

22 Q. And what is your position with Anadarko?

23 A. I'm the business development manager for
24 Anadarko Petroleum in the Midstream Division for which the
25 San Juan River Plant is an asset. Specifically, I am a

1 steward of the plant in maintaining its value and its
2 long-term viability.

3 Q. Have you previously testified before the
4 Division?

5 A. No, I have not.

6 Q. Are you familiar with the application that
7 Anadarko has filed in this case?

8 A. Yes, I am.

9 Q. Are you familiar with the gas operations at the
10 San Juan River Natural Gas Processing Plant?

11 A. Yes, I am.

12 Q. Would you please, Mr. Johnson, provide the
13 Examiners today with an overview of Anadarko?

14 A. Anadarko Petroleum in the summer of 2006
15 acquired two assets through stock purchase. One was
16 Western Gas Resources, and other was Kerr-McGee
17 Corporation.

18 That made Anadarko one of the largest
19 independent oil and gas exploration companies. As of the
20 year end of 2008, Anadarko has 2.3 billion barrels
21 equivalent of proven reserves --

22 HEARING EXAMINER: Excuse me. Before you
23 continue, are you presenting him as a fact witness or as
24 an expert witness?

25 MS. MUNDS-DRY: Just as a fact witness.

1 HEARING EXAMINER: A fact witness. I want the
2 record to reflect that. If it's a fact witness, it's a
3 fact witness; expert witness, is an expert witness.

4 MS. MUNDS-DRY: He does not plan to present any
5 technical testimony today.

6 HEARING EXAMINER: Okay, he's going to give an
7 overview?

8 MS. MUNDS-DRY: Just an overview of Anadarko,
9 yes, sir.

10 HEARING EXAMINER: Okay.

11 Q. Please continue, Mr. Johnson.

12 A. Okay. So Anadarko, with these two acquisitions,
13 we have 2.3 billion barrels equivalent of proven reserves,
14 4,100 employees, and our total asset is \$48 billion at the
15 end of year 2008.

16 Q. And could you go into a little bit more depth
17 about your operations here in New Mexico, and in
18 particular, at the gas processing plant?

19 A. The gas processing plant is -- central to our
20 processing plant is the treatment of our gas, H₂S and CO₂,
21 predominantly from Barker Dome and the Paradox formation.
22 That we collect that and gather that and treat that for
23 pipeline quality gas.

24 Q. And Mr. Johnson, would you please explain to the
25 Examiners why Anadarko is proposing this project?

1 A. Central to the long-term viability in the San
2 Juan plant is the sulphur recovery unit. It's antiquated,
3 it's 30 years old, and it needs to be replaced.

4 Rather than replacing that unit with like-kind
5 equipment, there's newer technology with an acid gas
6 injection well that is more environmentally friendly and
7 offers a better solution rather than emitting the CO2 into
8 the atmosphere that we're doing today.

9 Q. And talk about how this will improve
10 efficiencies at your plant.

11 A. Right now, our emissions are basically limited
12 because of the age of the plant, and we're not able to
13 accept any more H2S and CO2 composition gas.

14 Q. And what will the effect on production be in the
15 San Juan Basin?

16 A. The acid gas injection well is actually an
17 enabler. We have several producers that have shut-in
18 production today and they have drilling plans that are on
19 hold until our plant can take more of their production.

20 Q. And why, Mr. Johnson, would the granting of this
21 application be good for Anadarko's operations?

22 A. Anadarko strives to be a good environmental
23 steward at every opportunity. This acid gas injection
24 well is that opportunity, and it would be so on a
25 long-term and reliable basis.

1 Q. What about the effect on the jobs at the plant
2 as well?

3 A. In addition, you know, specific to New Mexico,
4 this acid gas injection well will restore the plant to 30
5 year viability, maintain the current jobs that we have at
6 the plant, as well as in the near term in the coming
7 months, create new jobs for the amount of drilling and
8 equipment that we would have to install for this plant.

9 Q. Mr. Johnson, does Anadarko plan to continue to
10 use the sulphur recovery unit if this application is
11 granted and you're able to drill and inject with the acid
12 gas injection well?

13 A. No, we do not.

14 Q. And likewise -- and I think there is some
15 crossover here, but if you could explain to the Examiners
16 why this application is also good for the state of New
17 Mexico.

18 A. Well, for the same reasons, basically, as for
19 our company. We want to be a good environmental steward.
20 This is the first opportunity to really take out of
21 service 30 year old technology. We want to sequester the
22 CO2 that we're venting today, and again, return and
23 maintain that plant to viability.

24 Q. Who did Anadarko retain to prepare the C-108
25 application?

1 A. Geolex, Inc. of Albuquerque, New Mexico.

2 Q. And will Anadarko call a professional petroleum
3 geologist and hydrogeologist to review this C-108
4 application?

5 A. Yes. Alberto Gutierrez is President of Geolex.

6 Q. And is there an engineer from Anadarko also
7 present here today in case the Examiners have any
8 questions within his expertise?

9 A. Yes. Tony Marques is a chemical engineer with
10 Anadarko Petroleum.

11 MS. MUNDS-DRY: Mr. Examiners, that concludes my
12 direct examination of Mr. Johnson.

13 HEARING EXAMINER: Thank you. David?

14 MR. BROOKS: No questions.

15 MR. WARNELL: Mr. Johnson, could you tell me a
16 little bit about the sulphur recovery unit? You say it's
17 old, how old is it?

18 THE WITNESS: It was built in 1979.

19 MR. WARNELL: And how does the sulphur recovery
20 unit work?

21 THE WITNESS: You know, I'm going to -- I'd like
22 to defer that to Ken McEvers, if that's okay?

23 MR. WARNELL: Very good. That's fair. No more
24 questions.

25 HEARING EXAMINER: Do you know what the daily

1 capacity of the SRU is currently?

2 THE WITNESS: I know it by tons. It's 5 tons of
3 emmissions. That is our restriction. It used to be a 60
4 ton unit and because of its age and efficiency, we cannot
5 meet efficiency standards to keep it. We're only at --
6 has it hit 70 percent?

7 MR. McEVERS: 70 percent recovery is the NMED of
8 New Mexico. We were classified as a new sulphur recovery
9 unit last year. At 5 tons and above, we have to be at 90
10 percent recovery. At 5 tons, the air quality doesn't care
11 about the recovery. So we keep it below the 5 tons until
12 we get project approval.

13 HEARING EXAMINER: Okay. That's all I have for
14 you right now.

15 MS. MUNDS-DRY: I have a few more questions but
16 I didn't know if other counsel maybe has some questions.

17 HEARING EXAMINER: Any questions? Okay.

18 Q. (By Ms. Munds-Dry:) Mr. Johnson, you understand
19 that BHP is present here today?

20 A. Yes.

21 Q. And have you had a chance to speak with the
22 representatives from BPH about some of their concerns?

23 A. Yes.

24 Q. And what do you understand there may need to be,
25 as you understand it?

1 A. They have internal risk assessment of our
2 operations, whether it be with our current plant or with
3 the acid gas injection well, and they have not had time to
4 assess this application with the acid gas injection well
5 with their internal risk assessment.

6 Q. And do you understand that they've asked you to
7 be a part of that risk assessment process?

8 A. Yes.

9 Q. And what was your response?

10 A. Absolutely. From the time of this hearing to
11 the time the well is actually turned into production 12
12 months from now -- or sooner, if possible, we have
13 plenty -- ample time, we'll set meetings and go through a
14 thorough investigation with them to satisfy their
15 concerns.

16 Q. So Anadarko has committed to making its people
17 and resources available to participate in that risk
18 assessment process?

19 A. Yes.

20 Q. And do you believe that can happen separate and
21 offline from this C-108 process?

22 A. Yes.

23 Q. Thank you.

24 MS. MUNDS-DRY: That's all I have, Mr. Examiner.

25 HEARING EXAMINER: Thank you. You may step

1 down.

2 MS. MUNDS-DRY: I'd like to call my next
3 witness, Mr. Gutierrez.

4 ALBERTO GUTIERREZ,
5 the witness herein, after first being duly sworn
6 upon his oath, was examined and testified as follows:

7 DIRECT EXAMINATION

8 BY MS. MUNDS-DRY:

9 Q. Would you please state your full name for the
10 record?

11 A. Alberto A. Gutierrez.

12 Q. And where do you reside, Mr. Gutierrez?

13 A. In Albuquerque.

14 Q. And by whom are you employed?

15 A. I'm employed by Geolex, Inc.

16 Q. And what is your position with Geolex?

17 A. I'm a hydrogeologist and I'm the president of
18 the company.

19 Q. And what is your relationship to Anadarko?

20 A. I'm a consultant to Anadarko in this acid gas
21 injection feasibility and permitting project.

22 Q. And what were you asked to do by Anadarko?

23 A. Basically, Anadarko asked us to review the
24 feasibility and the potential targets for acid gas
25 injection associated with the acid gas stream from their

1 San Juan River Plant.

2 Q. And have you previously testified before the
3 Division?

4 A. Yes, I have.

5 Q. And were your credentials as a petroleum
6 geologist and a hydrogeologist made a matter of record and
7 accepted by the Division?

8 A. Yes, they have been.

9 Q. Are you familiar with the C-108 that was filed
10 in this case?

11 A. Yes. I prepared that and -- our company
12 prepared that C-108.

13 Q. And have you made a geologic and hydrologic
14 study of the area?

15 A. We have.

16 MS. MUNDS-DRY: Mr. Ezeanyim, we would tender
17 Mr. Gutierrez as an expert in petroleum geology and
18 hydrogeology.

19 HEARING EXAMINER: He is so qualified.

20 Q. Mr. Gutierrez, I believe you prepared a Power
21 Point presentation for us today?

22 A. I did.

23 Q. Would you please state what Anadarko seeks with
24 this application, and then if I could ask you to review
25 your Power Point.

1 A. Surely. As I mentioned, Anadarko retained us to
2 evaluate the potential for acid gas injection at this
3 facility.

4 As the Hearing Examiner is well aware, this acid
5 gas technology is something that has been -- we're seeing
6 more and more of in the state of New Mexico. We've now
7 permitted five of these wells in the state and completed
8 three of them.

9 So, it is a technology that as people are more
10 and more concerned -- as Anadarko is -- about the effects
11 of greenhouse gases on the environment, that it is an
12 attractive technology because of the ability to sequester
13 large amounts of CO2 that are currently being emitted into
14 the atmosphere, as well as handling and improving overall
15 emissions at gas plants by eliminating SRUs.

16 So, I have prepared a Power Point here that I
17 would like to go through. It basically highlights
18 information that is already included in the C-108
19 application, but it also addresses some of the issues
20 which have arisen through the process. And I'd be happy
21 to go through that.

22 Q. Thank you, Mr. Gutierrez, if you would please
23 just take us through your presentation.

24 A. Okay. This coversheet, by the way, just to
25 orient folks, the photograph on the right is a photograph

1 of the gas plant, kind of an overview looking towards the
2 east. And the photograph on the left, the aerial
3 photograph, is an aerial photograph of the general
4 vicinity of the plant.

5 So, let's talk a little bit about what we're
6 going to talk about today first of all. This AGI project,
7 as I mentioned, has an environmental benefit, which is
8 basically the sequestering of CO2 which would otherwise --
9 and which is currently being released into the atmosphere
10 as a result of the treatment of gas.

11 The subsurface feature, such as BHP's mine
12 workings nearby, water wells and surface water, will be
13 protected by the well design and the geologic factors.
14 And we'll be going into that in quite a bit of detail in
15 our discussion here.

16 The AGI project reduces waste and potential air
17 emissions upsets by eliminating this SRU, as Mr. Johnson
18 mentioned. The adequacy of the target reservoir, i.e.,
19 the Entrada formation, has been demonstrated by a
20 successful injection at other wells outside the area of
21 review, but still in the general vicinity approximately 4
22 to 5 miles away.

23 The final Rule 11 Plan for this proposed AGI
24 project is something that we have worked very hard with
25 and appreciate the hard work that Brad Jones of the

1 Environmental Division has done and how much effort we've
2 put in and they've put in to getting a plan together and
3 getting it approved. And that has been approved for this
4 project.

5 The C-108 application that has been submitted
6 details the full information that is needed, Mr. Hearing
7 Officer, for you to be able to evaluate this project.

8 And the adjacent operators support the project,
9 and all the surface owners have received proper notices as
10 we will see in our exhibits that we intend to introduce.

11 This again is just a very general map. It
12 shows -- This is located north of the town of Kirtland and
13 lightly west. This is an approximate boundary of the
14 property, the 320 or so approximately acres that encompass
15 Anadarko's property at the San Juan River Plant.

16 Let's talk a little bit about the background
17 here. As I mentioned, Anadarko retained us in February.
18 We met with the Division shortly thereafter to introduce
19 this project to the Division representatives so that they
20 could understand kind of what we were trying to do.

21 What we were hired to do was evaluate whether
22 there was a reservoir in this area that was capable of
23 accepting between 1 1/2 and 5 million cubic feet a day of
24 acid gas, CO₂ and H₂S.

25 And the key factors that we were asked to look

1 at was, one, the reservoir has to be looked at -- It's
2 basically the same stuff we look at in any acid gas
3 project, which is can the reservoir accept acid gas safely
4 without affecting either existing or potential oil and gas
5 or other mineral production.

6 Can we construct a well that will prevent
7 leakage into groundwater and will the reservoir have the
8 adequate, appropriate geologic properties to assure its
9 integrity over the long term as fluid is injected into the
10 reservoir?

11 The well ideally would be located at the San
12 Juan Basin Plant site if the geology was amenable, and
13 indeed, our investigation shows that it is.

14 And the well design and reservoir should allow
15 for the certification of the system as a CO2 sequestration
16 project for obtaining carbon credits.

17 As we all know, Congress is in the process of
18 considering cap and trade legislation, and the Western
19 Carbon Initiative all are looking at this issue. So, it's
20 a very timely kind of issue.

21 So, in a general sense, what do we look for in a
22 reservoir that we're going to use for sequestering CO2 and
23 acid gas? One, we want -- and most importantly, a
24 geologic seal that permanently can contain that injected
25 fluid and not allow it to come out of the injection zone

1 and affect other zones.

2 We want to have a zone that is clearly isolated
3 and ideally below any fresh groundwater. We want to have
4 no affect -- no deleterious affect on existing or
5 potential production of oil and gas resources or other
6 mineral resources in the area.

7 We want a reservoir that is laterally extensive,
8 that's permeable and that's got good porosity so it can
9 take the amount of gas that we intend to put in there.
10 And it's got to have a compatible fluid chemistry so that
11 we don't have problems once we begin the injection of the
12 gas.

13 So, what we did initially in order to be able to
14 carry out this effort is do a detailed geologic evaluation
15 of the area. We began by identifying all the regional
16 background geologic data that were available for the area.
17 And this is covered in Section 4 of the C-108.

18 We also defined the characteristics of the ideal
19 acid gas reservoir which is what I went over in the
20 previous slide.

21 We identified, located, and evaluated all the
22 wells in the local area. And this extended beyond the
23 area of review, because, as I mentioned and as you will
24 see in some of my later slides, it's a good thing, but
25 within the area of review, we didn't have any wells at all

1 that penetrated the injection zone.

2 But the bad thing about that is, we needed data
3 on the injection zone. So we had to look beyond the area
4 of review. And so we evaluated the stratigraphy in the
5 area to confirm the reservoir, that it would meet the
6 basic geologic criteria that's presented in Sections 4 and
7 Figures 5 through 13 of the C-108. We'll go through those
8 in a little more detail here shortly.

9 We constructed cross-sections with the available
10 logs from those wells in the area, both in the area of
11 review and outside of the area of review.

12 We did a structural analysis as well, and we
13 reviewed the saltwater disposal well test data from
14 saltwater disposal wells within the area of review not in
15 the injection zone that we're looking at, but in zones
16 above it to look at fluid chemistry. And I'll talk a
17 little bit later about why that was important.

18 We also looked at saltwater disposal wells in
19 the Entrada formation outside of the injection zone to
20 evaluate the ability of that formation to take acid gas.

21 We conducted a preliminary reservoir analysis of
22 the Entrada formation, which I also will discuss. And
23 since our evaluation confirmed feasibility, we then moved
24 on to the next step of preparing a C-108 and submitting it
25 to the Division for approval.

1 Okay, so let's kind of go step by step -- and I
2 hope not to bore you, but I will walk you through and
3 present to you, I think, the process by which we evaluated
4 this site.

5 As I mentioned, we identified and characterized
6 the wells in the area of review. There are very few
7 shallow producing wells in the area. There was a total of
8 something like eight producing wells in the area and three
9 plugged wells, and those are detailed in the C-108.

10 They're Entrada wells that are used for
11 saltwater disposal. They're well outside the area of
12 review in a down-dip direction. And we'll look at some of
13 those here shortly.

14 That's what gives us our information about the
15 Entrada, in addition to the fact that we're fortunate in
16 New Mexico that all around the rim of the Colorado
17 plateau, the Entrada formation is actually exposed and has
18 been fairly well characterized in terms of its
19 characteristics.

20 Based on this stratigraphic analysis and the
21 evaluation of the Entrada wells, we determined that the
22 Entrada is an excellent acid gas reservoir with a 30 year
23 plus -- actually, it is a significantly longer lifetime
24 than that, but that was our criteria for this particular
25 project. And we'll go through and look at some of that in

1 just a moment.

2 The analysis indicates that -- and frankly, the
3 stratigraphic analysis shows that this is a good location
4 in general, the area of the plant.

5 The specific location of the well is really
6 designed to minimize any potential surface risks
7 associated with H2S by minimizing the distance that we
8 have to have a surface pipeline of H2S from the
9 compression facility to the wellhead itself.

10 Data from the nearby Entrada wells demonstrate
11 that it is capable of taking the injective fluid that we
12 intend, well under the calculated maximum injection
13 pressure that we calculated based on OCD guidelines. And
14 that calculation is laid out in the C-108 and came out to
15 be 1,985 PSI..

16 This map is a -- it's not the best map, however
17 it is in the C-108 -- a visual representation of leases in
18 the area. In large measure, the leases that we have in
19 the area are all federal and state leases, they're all
20 leased.

21 There is very little production in the area as
22 we mentioned. I'll go over that in a little more detail.
23 It's presented in the C-108. There are federal coal
24 leases and state coal leases that are part of the San Juan
25 Coal Company's operations and BHP's Operations. And we'll

1 talk a little bit about that as we get further in the
2 application.

3 So, let's just take a look at the regional
4 geology. Basically what we've got is a gently dipping set
5 of stratigraphy to the northeast and to the east in the
6 area. And this is a pretty good regional cross-section.

7 This incorporates quite a number of wells that
8 are outside of the area of review, but what it does is
9 give you a pretty good picture regionally of what we've
10 got. We've got a pretty simple kind of layer cake
11 geology.

12 Like I said, dipping to the northeast, we have a
13 series -- we have a very thick section -- If we just start
14 at kind of the Chinle formation, which is that first
15 patched formation, this constitutes the top of the
16 Triassic age rocks in the San Juan Basin.

17 Immediately overlying that formation is the
18 Entrada, which is our target zone. You can see that there
19 are three wells. These are all well outside the area of
20 review but these -- I'm sorry, two wells -- that penetrate
21 the -- This is our proposed well right here, the location
22 of our proposed well.

23 These two wells to the northeast penetrate --
24 this was a basement test, an old well that has been
25 plugged back to the Entrada. So this basal portion has

1 been plugged back.

2 They're injecting saltwater into the Entrada
3 here, and there is an Entrada test that was unsuccessful,
4 and that also is injecting saltwater into the Entrada.
5 These are about 4 1/2 miles from the plant to the
6 northeast.

7 HEARING EXAMINER: Those are those two wells,
8 those in the 4 1/2 miles?

9 THE WITNESS: Yes.

10 HEARING EXAMINER: None of them is within the
11 area of review?

12 THE WITNESS: No, they're well outside the area
13 of review.

14 A. Like I said, this well -- as a matter of fact, I
15 think is about 4 1/2 miles from the outside of the area of
16 review, this is more like 5 1/2 half miles. You can see
17 these wells -- this one and this well, is just outside the
18 area of review.

19 We do have a couple of shallower wells that only
20 go into kind of the Gallup formation, which is the only
21 real productive formation in this area there, and -- But
22 as you can see, there really are no significant structural
23 features.

24 There's no offsets that we noticed in these
25 wells. And one of the important things that I mentioned

1 earlier is -- which I think is another very good example,
2 we did look at some formation fluids in both the Entrada
3 formation and in some of the -- the Point Lookout and some
4 of these other shallower formations that have been used
5 for saltwater disposal in the area.

6 And there is a real significant difference in
7 that formation water which indicates that we really don't
8 have any kind of regional communication between those
9 reservoirs.

10 There is also a very -- the Caprock, this
11 very -- what appears to be this thin layer here, is
12 actually about 150 foot thick Wanakah and Todilto
13 formation which is a siltstone and recrystalized limestone
14 which has very, very low porosity and very low
15 permeability.

16 That is overlaying by the Morrison formation,
17 which is a series of interbedded -- As you may well know,
18 in the San Juan Basin, it's a very thick -- almost a
19 thousand foot thick section of shale and interbedded
20 sandstone.

21 And above that we have the Dakota formation,
22 which is a sandstone that has been used for -- it has had
23 some production in the area and is also used for saltwater
24 disposal.

25 And then we get into the lower Manco Shale, the

1 Gallup formation, and the Upper Manco. So all of these
2 are basically largely shale units with some interbedded
3 sands, very low permeability.

4 Again, and we got about 2,500 feet of that
5 Cretaceous Section, then we get to the Point Lookout, the
6 Metafee, and then ultimately, to the Lewis Shale. And
7 then this Picture Cliff formation. And then above it, the
8 Fruitland, which is where the coal is located in this
9 area.

10 But it's important to note that we've got -- in
11 addition to a very good Caprock that you'll see in the
12 logs, we've got about 5,000 feet of section between that
13 and the coal workings and any surface water or groundwater
14 in the area.

15 HEARING EXAMINER: Since you are there, what is
16 the thickness of the Entrada in this area?

17 THE WITNESS: In the area here where we
18 anticipate, it is approximately 170 feet thick or so.

19 HEARING EXAMINER: On the Entrada. Okay. Can
20 you talk a little bit more about the overlying systems and
21 underlying system between the --

22 THE WITNESS: I would like to, Mr. Hearing
23 Examiner, if it's all right, I'll move on to some other --
24 I've got some detailed logs of those that would show --

25 HEARING EXAMINER: Because I am interested in

1 knowing the underlying and overlying in the Entrada.

2 THE WITNESS: Right.

3 A. And so just to go over it again in a regional
4 sense, this is the Chinle formation. It's about 1,200 to
5 1,500 feet of mudstone with very thinly laminated
6 limestones.

7 It's a pretty imprintable Triassic unit. As
8 matter of fact, it's exposed very well in the -- when you
9 ride from Bernalillo up through San Isidro, it's that very
10 red formation that is a claystone at the base of White
11 Mesa. You see about 300 or 400 feet of it exposed there.
12 But again, it's a Triassic age, basically, mudstone.

13 HEARING EXAMINER: It just occurs to me now -- I
14 don't know, I might say without asking my legal examiner,
15 when I read some of these comments from the citizens, it
16 occurred to me that if you want to do an acid gas now,
17 because of the ignorance of the citizens out there, you
18 may have to do this training in the area you want to do it
19 so that we don't get all those -- maybe, I don't know, but
20 from what I'm reading, it appears that most people don't
21 understand what's going on, you know.

22 So if you go ahead -- like Citizens for
23 Environmental Alliance and the San Juan Citizens Alliance
24 and have a meeting and show them this, it might help, I
25 don't know. It just occurred to me as you are talking.

1 THE WITNESS: And that's a good point. And I
2 will say that as you know, Mr. Hearing Examiner,
3 originally this was set for hearing back in June. And at
4 that time -- prior to that time, I had gotten a call from
5 the San Juan Citizens Alliance and I did spend a couple
6 hours on the phone with their director explaining this to
7 them.

8 But I agree with you, it may be useful at some
9 point to have -- He mentioned, well, he sure would like to
10 have, you know, some of this kind of information, and I
11 invited him and said, you know, "If you'd like further
12 information, you could also come to the hearing and see
13 it." But he said, "Well, then we have to travel to
14 Santa Fe," et cetera. So your point is well taken.

15 HEARING EXAMINER: I think the burden is on the
16 operator to educate the citizens on what you're trying to
17 do.

18 THE WITNESS: Sure.

19 HEARING EXAMINER: Okay.

20 A. Then to answer your question, the zone
21 immediately above the Entrada here is a the Wanaka
22 formation. And this is -- it's difficult to draw it to
23 scale at this kind of size here because just of the size
24 of the lines, but it's approximately 150 feet thick. And
25 that is essentially, as I mentioned, siltstone and

1 recrystallized limestone. And we'll see it in more detail
2 in the logs.

3 And then overlying that again is another
4 thousand plus foot thick package of mud stones that are
5 represented by the Morrison formation.

6 Okay, so let's get to some of those detailed
7 cross-sections. As I mentioned, up to the north and east
8 of the -- Here is the plant. These Entrada wells that we
9 have are basically -- one here, this test here, this one
10 here, Sponge Bob -- I love that name -- that is plugged
11 back, and then injecting into the Entrada, and then also,
12 this Salty Dog well here.

13 So this log, we didn't have porosity logs for,
14 but we have some old logs for this, and I'll have -- The
15 first cross-section shows four of these wells. And then
16 my detailed cross-section with the logs will show these
17 other three wells.

18 So let's look at first this general
19 cross-section. The Chinle formation, this is -- the
20 Chinle mudstones and claystones which underlie the
21 Entrada.

22 Here we see the Entrada formation, which is our
23 target formation. You can see that we've got some pretty
24 good porosity here in that formation, and we'll see how --
25 I'll give you another cross-section that has some more

1 detailed analyses of the porosity logs.

2 This, you can see that immediately above, this
3 is the Todilto. We have a very rapid drop in the
4 porosity. This is this siltstone and recrystallized
5 limestone.

6 And then this Upper Wanaka is essentially a
7 recrystallized, very low porosity limestone interbedded
8 with siltstone.

9 HEARING EXAMINER: And this was outside the 1
10 mile area of review?

11 THE WITNESS: Well outside, yes.

12 A. Let me go back and show you -- Okay, if you look
13 at -- Here is the section that includes the plant. So if
14 we just look -- this is 5 1/2 miles out to this well,
15 about 7 miles up to this well, and about 4 1/2 down to
16 this well.

17 So as I mentioned, again, now we're going to
18 look at a detailed porosity section where we had porosity
19 logs for this Salty Dog, the Sponge Bob, and Big Field
20 wells.

21 Here you can see we've got about 170 feet of
22 Entrada formation with porosity ranging from about 18 to
23 21 percent; here about 18 percent. The Entrada thins a
24 little bit to the southeast.

25 We are getting on a little bit of a high towards

1 the southeast part of the Basin in the Triassic section,
2 so the Entrada thins a little in that direction.

3 We anticipate in our area -- although, like I
4 said, we don't have any wells within the area of review
5 that penetrate the Entrada, but we anticipate that the
6 section will look more like what we see in here, this 18
7 to 21 percent porosity at probably about 170 feet.

8 We got the Todilto, which is a pretty thin
9 formation which is part of this Upper Wanaka formation.
10 You can see, it's got a very distinctive lower porosity
11 kick immediately above the Entrada and it stays that way
12 throughout the Wanaka.

13 And I didn't continue these logs, but they are
14 certainly available. These logs on up, we're relying on
15 this Wanaka formation as our Caprock, but as I mentioned
16 earlier, we've got above that another thousand feet of
17 Morrison formation, which is largely mudstones and
18 siltstone before we get to the Dakota.

19 And then above that, we got the Manco and
20 ultimately the Lewis Shale which provides about another
21 3,000 feet of low permeability log.

22 HEARING EXAMINER: On that Entrada, were you
23 able to come into permeability of the Entrada?

24 THE WITNESS: The permeability, we don't really
25 have a very good handle on because they haven't really

1 done permeability tests certainly within the area of
2 review. But what I can say is that they're injecting very
3 high volumes of saltwater into the Entrada and have been
4 for over 15 years up in that Sponge Bob well at relatively
5 low pressure. So it appears to have very good
6 permeability.

7 HEARING EXAMINER: But there's no way to
8 determine that?

9 THE WITNESS: Not at this point. When we drill
10 the well, we intend to core. And I'll go through a little
11 bit of what we intend do to when we drill the well. But
12 we intend to core both the Caprock like we did on the
13 Southern Union Jal 3 well, and to core the actual
14 reservoir so that we can do detailed permeability testing
15 on that.

16 HEARING EXAMINER: Okay.

17 A. One of the things that we want -- we're
18 obviously very interested in looking at is the regional
19 structure. And we've given you the structure here on two
20 zones.

21 This is the top of the Entrada. Now, we've got
22 limited data to do that with, because as I mentioned,
23 we've got one well way out here to the southwest that
24 penetrated the formation, and then we have those wells we
25 were just looking at to the north and east.

1 But what we see is a pretty smoothly dipping
2 formation to the north and east, and we see the same kind
3 of -- We've got much better control with the Dakota
4 because a lot of wells had reached the Dakota there and we
5 see that we've got pretty similar kind of gentle northeast
6 dipping beds there which indicate no significant
7 discontinuities or fractures or faults in the area.

8 Okay, so let's talk now a little bit about the
9 AGI itself. The application for the C-108 requests
10 approval for a well that would have the potential to
11 inject from 1.5 to 5 million cubic feet a day of acid gas.

12 Which would be interjected, Mr. Hearing
13 Examiner, unlike the last one that we did for Southern
14 Union, this well is going to be like the Linum well, a dry
15 gas injection well.

16 So we're not injecting any waste water here,
17 we'll be compressing and injecting supercritical
18 dehydrated acid gas, which obviously is of benefit from
19 lower corrosion to the system as a whole. This is our
20 request in the C-108.

21 We have a current Rule 11 Plan which limits that
22 injection to 3.8 million cubic feet a day of acid gas, and
23 it is our intent to operate at no higher than this
24 injection rate, although we are seeking approval for up to
25 5 million in the well.

1 We would not be able to go to that level until
2 we filed a new Rule 11. If at some time in the future the
3 plant would want to expand, we would have to file a new
4 Rule 11 and get it approved before commencing with that
5 higher injection. But we feel that the well itself is
6 easily capable of taking up to 5 million cubic feet a day.

7 HEARING EXAMINER: But now you're limited by the
8 plan to 3.8 million?

9 THE WITNESS: That is correct. And that's what
10 we're requesting would be the initial injection rate.

11 HEARING EXAMINER: So if you need to go to 5
12 million, you have to come in for an amendment?

13 THE WITNESS: That is correct. We would have to
14 come in for actually a new Rule 11 -- or an amended Rule
15 11 Plan. But our goal is to have the actual order for the
16 injection allow us to inject up to 5 million even though
17 we understand -- and you could put a condition in that we
18 would need to have a new Rule 11 before going to a higher
19 rate

20 HEARING EXAMINER: I understand.

21 A. The conceptual design is shown in Figure 2-4 of
22 the C-108. And we'll go through that in detail. The
23 layout of the plant includes H2S monitors which are shown
24 on the Rule 11 Plan for this maximum 3.8 million cubic
25 feet a day. And this was approved by OCD in October 2009.

1 It also has H2S monitors that are located
2 offsite, and we'll look at those in a map here shortly.
3 This is just a very -- this again is just -- I know it's
4 hard to see it here, but it is in full scale in the
5 Rule 11 Plan.

6 This is a diagram of the plant showing H2S
7 monitors for the plant itself, and evacuation routes, et
8 cetera. Again, there are more details in the Rule 11
9 Plan.

10 Let's take a look here. And we've been talking
11 about the SRU. Here is the SRU currently. This is the
12 SRU which will be shut down as part of this project when
13 the AGI would go into service.

14 It is anticipated that the compression
15 facilities will be built in this area right here where
16 I've got a red dot. And the well itself is located
17 approximately 200 to 400 feet -- we don't know exactly,
18 and it will depend on the drilling constraints. And when
19 we go to file the actual drilling permit, we would know
20 that.

21 But what our goal is, is to minimize this length
22 of high pressure acid gas line that has to go between the
23 compression facility and the wellhead itself just for
24 safety's sake.

25 But basically, what is currently going to the

1 SRU right now -- here is the stack for the SRU, this is
2 where all the CO2 is now being vented into the atmosphere,
3 and that feedline would now be going straight to this
4 compression facility, and then this SRU would be
5 mothballed or taken down.

6 There is currently -- One thing that I will
7 mention is that there is a tail gas incinerator with the
8 SRU. That tail gas incinerator would still be left in
9 service in the event there was an upset and need to flare,
10 but the rest of the SRU will be decommissioned.

11 Okay, this map -- again, this is out of the Rule
12 11 Plan. This shows the -- using the OCD's formula for
13 calculating the radius of exposure associated with H2S
14 release.

15 Now, it's very important to note that while
16 these radii of exposure are calculated on the basis of
17 OCD's formula and is a formula that essentially takes what
18 is -- the whole 24 hour throughput of the plant and treats
19 it as an instantaneous release of acid gas, which is a
20 situation that can't really occur, but it is what is used
21 for determining these radii of exposure.

22 Now, these red dots that you see are H2S
23 monitors that would be placed outside of the dense grid of
24 H2S monitors that exist within the plant itself.

25 This would be an initial assembly area in the

1 event of a potential minor release, and we have assembly
2 areas going further outside of the ROEs and the evacuation
3 routes and points. This is all detailed in the Rule 11
4 plan.

5 Also, these green dots would show in the case of
6 a catastrophic release where there would be road blocks
7 that would prevent any entry into the potentially effected
8 area.

9 HEARING EXAMINER: Talking about these two radii
10 of exposure, that first one and the second one, can you
11 talk more about those?

12 THE WITNESS: Certainly.

13 A. The first radius of exposure right here is the
14 500 PPM radius of exposure, again, calculated with this 24
15 hour release of the entire acid gas stream going through
16 the plant.

17 This is a radius of exposure of 1,634 feet away
18 from the -- centered on the well itself. This radius of
19 exposure is the 100 PPM radius of exposure, and it's a
20 3,576 foot radius of exposure.

21 It encompasses this golf course area and several
22 other public areas within the -- some unmanned facilities
23 like the San Juan turbine station here, this El Paso
24 station here, this Mapko pump station, this XTA well, and
25 this El Paso warehouse, those are unmanned facilities, but

1 they are encompassed within that radius of exposure.

2 There are some residences that are on the
3 outside of this -- adjacent to the -- and just inside the
4 100 PPM radius of exposure on the east side of the plant.
5 Again, these are things that we have dealt with in the
6 Rule 11 Plan, and I think Mr. Jones will present some
7 testimony.

8 But we have developed a training program, as you
9 mentioned, and a way in which we will involve all of these
10 entities in training and information associated with the
11 potential risks with H2S in the area.

12 Okay, let's get back to the AGI facility itself.
13 As I mentioned, this is just a general schematic. Again,
14 I want to emphasis, Mr. Hearing Officer, this is a design
15 -- this is not a new design, this is a design we have used
16 and have permitted by the Division for five other wells
17 here in New Mexico.

18 The compression facility here is where we would
19 take the low pressure acid gas that comes out of the
20 aiming unit, we would compress it here. On the outside of
21 this compression unit is an automatic safety valve, and
22 then this high pressure gas line down to the Christmas
23 tree on the well, and then another automatic safety valve
24 set at about 250 feet in the well.

25 So that really, if someone was -- for example, a

1 pickup truck was to back into the Christmas tree and knock
2 this out, this valve would shut off any additional
3 injection into the well. This valve would shut off any
4 ability of material to come back up that is in this tubing
5 in the well, and what would be released would be the H2S
6 that is in this length of pipe right here.

7 Which again, I want to mention, would be a
8 significantly smaller radius of exposure than what was
9 calculated for the Rule 11 plan.

10 This design for the well includes -- and we'll
11 look at it in a little more detail, but basically includes
12 setting surface casing to about 1,100 feet in the Lewis
13 Shale, in the imprintable Lewis Shale cemented to the
14 surface.

15 Inside that, we would set the production string
16 which would have two joints which would straddle the basal
17 portion of the Capstone. And then the top portion of the
18 injection unit would be corrosion resistant alloy joints
19 in which we would set the corrosion resistant packer.

20 We would then have the teflon lined tubing in
21 the production string stabbed into that packer to inject
22 into the zone below.

23 The annular space we're proposing would be
24 filled with diesel and would be monitored for pressure
25 like we have on the other previous designs to prevent --

1 or to detect any potential tubing leak of acid gas and to
2 prevent corrosion of that production casing.

3 HEARING EXAMINER: Is it possible to divert that
4 -- in case of emergency upset on those two safety valves,
5 can you divert the gas -- in which you say is small -- to
6 divert gas that's in the area of the former SRU?

7 THE WITNESS: Well --

8 HEARING EXAMINER: Is there a way to do that?

9 THE WITNESS: In short, the answer is no.

10 HEARING EXAMINER: You can't do that?

11 THE WITNESS: No. Because -- and my view is
12 that if you had a catastrophic failure of the line here,
13 you know, that gas would be released pretty much
14 instantaneously. We could certainly divert -- once we
15 shut this valve, we would divert the gas stream -- the
16 ongoing gas stream to our tail gas unit. But what I was
17 saying is, that if we had a failure in this zone, that gas
18 would probably be released.

19 A. This gives you a little more detail of the well
20 itself. Again, as I mentioned, this is a tried and true
21 design that we have already operating on a variety of
22 wells in southeast New Mexico.

23 In this case, we are setting surface casing
24 deeper than we normally would set it in order to provide
25 an added measure of security and safety to BHP's mine

1 workings and also to potential shallow groundwater. I'll
2 talk about that in the area here.

3 But this surface casing would be set to a
4 depth -- we have a little piece of conductor casing at the
5 top just set at 50 feet or so, but then the surface casing
6 would be set to about 1,100 feet.

7 And the reason I say about 1,100 feet is, we
8 don't know exactly what the depth of the Lewis Shale is
9 there, but we anticipate it would be about 1,100 feet. We
10 would set the casing well under the Lewis Shale, we will
11 cement that to the surface.

12 Of course, we'll run a cement bond log of that,
13 and then we'll drill out of that surface casing and drill
14 down to the injection zone.

15 Before we get to the injection zone, we intend
16 to core approximately 40 to 60 feet of that injection zone
17 with a traditional core.

18 And then we will also core in the injection zone
19 itself with both maybe traditional core, maybe sidewall
20 core, so we can do the permeability testing of both the
21 Caprock and of the injection zone to assure us, one, of
22 the quality of the reservoir, and two, of the quality of
23 the Caprock.

24 As I mentioned, this production casing here at
25 where we straddle the zone that goes to the Caprock and

1 into the injection zone, we would put in two joints of
2 this corrosion resisting alloy production casing, and
3 that's what will anchor the packer into -- which is
4 anchored right here. And our tubing then stabs into that
5 packer and the injection takes place below this zone.

6 HEARING EXAMINER: Are you going to run a
7 logging sweep in the injection zone?

8 THE WITNESS: Absolutely. We're going to run
9 actually a logging sweep through the whole Caprock --
10 well, through the whole section.

11 But we will run detailed formation microimaging
12 logs through the Caprock and into the injection zone just
13 like we did at Suggs down in Jal.

14 It was very useful to us because that formation
15 microimaging log gives you a good idea of any fracturing
16 or any -- It gives you a very detailed strike and dip
17 information, and it's also very good -- we'll run a full
18 sweep of normal porosity and gamma ray, neutron, and all
19 of those kinds of -- basically, a triple platform kind of
20 logging sweep.

21 HEARING EXAMINER: Yeah. And I think normally
22 -- You're going to use some kind of cement that is not
23 susceptible to corrosion there and you are going to cement
24 all of your strings to this --

25 THE WITNESS: That is correct.

1 HEARING EXAMINER: It needs to be designed to
2 withstand that corrosion --

3 THE WITNESS: Absolutely. It's actually less
4 important in this installation than it was in the Subbs
5 installation, because the Subbs installation, we were
6 injecting a combination of gas and waste water.

7 But you're absolutely right, I mean, once the --
8 Actually, the beauty of the deal is that once this gas
9 gets into the injection zone, the injection zone is a
10 saline aquifer right now, so then that's where we create
11 that corrosion. So that's especially important in
12 cementing this production string, so we would be doing
13 that there.

14 But, you know, the beauty of that is that once
15 under the kind of pressure that -- that normal lithostatic
16 pressure that the Entrada is under there, that gas goes
17 into solution in that saline aquifer and it doesn't come
18 out as a gas phase, it goes into solution and makes it
19 less likely to go anywhere other than in the injection
20 zone.

21 HEARING EXAMINER: Are you also going to use
22 fiberglass tubing?

23 THE WITNESS: We would use probably a teflon
24 liner.

25 HEARING EXAMINER: Or nickel?

1 THE WITNESS: Yes.

2 Q. And Mr. Gutierrez, before you leave here, if you
3 could talk about why the surface casing was set at the
4 depth -- why you're proposing to set the surface casing at
5 the depth you are.

6 A. Well, we've got a great formation in the Lewis
7 Shale there that is, like I say, deeper than we normally
8 would set the surface casing. But we feel very
9 comfortable that if we set it in that Lewis Shale, that
10 provides an added measure of protection to the mine
11 workings of BHP, which my understanding is, don't extend
12 beyond that approximately 500 or 550 feet of depth in the
13 area.

14 And we've got -- we don't have very deep
15 groundwater in the area. The deepest well water runs
16 about 150, and that's well below that zone as well.

17 Okay, so let's take a look at the water wells in
18 the area of review. There are a whole series of -- These
19 little triangles you see up here, these are water wells
20 that BHP has installed for mine dewatering. Those are not
21 potable water wells, but they are water wells nonetheless.

22 Those are relatively shallow wells. And then we
23 have -- But the only domestic wells we have are these six
24 wells that are shown in this area down approximately
25 three-quarters of a mile away from the facility. The

1 deepest of these wells is 150 feet. And as I mentioned,
2 we are way below that.

3 We're injecting at depths of 6,700 feet, and
4 we've got our surface casing set to 1,100 feet. So those
5 wells will be well protected.

6 Okay, so let's summarize. What are the geologic
7 factors that make us comfortable about the integrity and
8 safety of this project? There's no significant structure
9 offsets or discontinuities in the geologic section. We
10 feel very comfortable on that based on what we have seen
11 of the geologic data in the area and what we understand of
12 the regional geology there.

13 The Caprock and the Wanaka are low porosity
14 siltstone and recrystallized limestone which will provide a
15 direct effective barrier above the injection zone. We
16 also have an overlying Jurassic and Cretaceous section to
17 the Lewis Shale that's over 5,000 feet of low permeability
18 shale and mudstone with some interbedded sandstones which
19 effectively add to the isolation of BHP's mine workings
20 and surface water and groundwater resources in the area.

21 The Caprock integrity will be confirmed with
22 detailed logging and coring as I explained earlier.

23 And by the way, one of the things that the
24 BLM -- as you mentioned, Mr. Hearing Officer, the BLM
25 wrote us a letter and they said they were supportive of

1 the project, they just wanted to confirm with this logging
2 effort that there were no hydrocarbon resources in the
3 Entrada.

4 This is a case where I want Anadarko not to make
5 a discovery in the Entrada. The proposed injection
6 pressure is well below the fracture pressure of the
7 reservoir.

8 That calculation has been done using strictly
9 OCD's formula for calculating that, and that's laid out in
10 the C-108. And I think our actual calculation based on
11 our presumed depth of injection was 1,984.6 PSI as
12 grounded into 1,985.

13 Obviously, that would vary depending on exactly
14 what depth we find our injection zone when we drill the
15 well. The injection history of the saltwater wells in the
16 Entrada formation outside of the area of review
17 demonstrate that it is a closed system as well as the work
18 that we've done with looking at the formation fluid in
19 both that and upper formations.

20 HEARING EXAMINER: Before you go from that,
21 you're asking for 1,985. I looked at your calculations
22 and they say you're using 1.04. How do you come about
23 with that?

24 THE WITNESS: That's the same value that we have
25 used -- that we discussed with the Division when we did

1 the Linum well, which was also a dry gas injection,
2 because since it's dehydrated gas, it's slightly lighter
3 than water which is the --

4 HEARING EXAMINER: Yeah. If you use a different
5 gradient than the 1.04, that makes a whole lot of
6 difference in the calculations.

7 THE WITNESS: But most of the water that we have
8 overlying it is basically saline water, so that's why
9 we're using the 1.04 for.

10 HEARING EXAMINER: Okay, but you still use a
11 gradient of 1.04 to --

12 THE WITNESS: Yes.

13 HEARING EXAMINER: Because that's why I was
14 wondering. If you use 1.04 as your gradient, then it
15 should be 1.0. But you're right, if your saline is --

16 THE WITNESS: Right.

17 HEARING EXAMINER: Okay.

18 A. There are no wellbores that penetrate the
19 injection zone within the one mile area of review.

20 Then let's talk about the well design factors
21 that assure the integrity and safety of the proposed
22 project.

23 Number one, the well design, which we just
24 discussed in detail, I'll just summarize here, we're going
25 to set the surface casing in the Lewis Shale to about

1 1,100 feet. That's 500 to 600 feet below BHP's workings
2 in the Fruitland, and about 800 feet below any domestic
3 water wells in the area that we show those five wells.

4 Production casing will be set within the surface
5 casing and cemented to the surface with CRA joints at this
6 base. And as we talked about with that Halburton cement,
7 which is actually quite a pain operationally to do, but it
8 does provided some measure of added safety, and that is a
9 good thing in these kinds of wells.

10 The cement bond logs, obviously, we will be
11 submitting to the Division for their inspection and review
12 to assure that the bond between the surface casing and the
13 formation and the production casing and the formation is
14 adequate.

15 The corrosion resistant teflon tubing will be
16 used inside the production casing. It will be stabbed
17 into the corrosion resistant packer and the annular space
18 will be filled with diesel and will be monitored for
19 pressure to ensure that if there is a tubing leak, we can
20 know immediately and it won't affect the production
21 casing.

22 This is a proven technology. Similar designs
23 are already implemented without any leakage problems in
24 similar and deeper zones in southeast New Mexico, Texas,
25 and in Alberta for many years, including three similar

1 operations at depths of 5,000, 9,000, and 11,000 feet
2 respectively that we've permitted and have been completed
3 and are currently being operated in southeast New Mexico.

4 Okay, so finally, the C-108 requires notice of
5 adjacent operators and surface owners. Mr. Hearing
6 Officer, as you're well aware, while the Division's rules
7 really call for only a half mile circle for AGI wells,
8 we've always used 1 mile.

9 And so, it's the same practice we did here, we
10 noticed all of the operators and surface owners within
11 that 1 mile circle.

12 We put the C-108 application on a website, and
13 in that notice to all of the owners, we provided a link to
14 that website which also had the Rule 11 Plan, the original
15 plan that we had submitted that the Division asked us to
16 revise and to significantly change. And then when we did
17 that, we posted that plan to the website as well so it
18 would be available for review.

19 And we had a number of people that called and
20 talked to us and asked questions, and we dealt with those
21 primarily early in the summer.

22 The surface owners and operators confirmed
23 receipt of notice, and the application link -- and this is
24 included in an exhibit that we will present here shortly,
25 and the notice was published in the Farmington Times as

1 required by the OCD, both in English and Spanish.

2 And the adjacent operators obviously support the
3 project for many of the reasons that Mr. Johnson laid out
4 in his testimony. They got shut-in production they'd like
5 to get produced.

6 And so to go over in summary what we did, the
7 project, I think, has some real benefits to the state of
8 New Mexico and to the environment because of sequestration
9 of CO2.

10 And frankly, I think this Division should be
11 patting itself on the back, because through the permitting
12 of these wells, New Mexico has really become a pioneer in
13 this whole area of CO2 sequestration associated with this
14 acid gas injection, and it does provide significant
15 amounts of greenhouse gases that are currently being
16 released into the atmosphere from being released into the
17 atmosphere.

18 Subsurface features, such as BHP's mine workings
19 and the nearby water wells and surface water will be
20 protected by the well design and geologic factors that we
21 discussed earlier.

22 The AGI project reduces waste and potential air
23 emissions by taking this ancient SRU out of service. The
24 antiquity of the target reservoir has been well
25 demonstrated by our geologic investigation and by the long

1 injection history in these wells that are outside the of
2 area of review.

3 The final Rule 11 Plan for this proposed AGI at
4 the 3.8 million cubic feet acid gas per day has been
5 approved by the OCD and is fully protective of the exposed
6 public areas at the surface.

7 And the C-108 application details all the
8 information I think necessary for the Division to evaluate
9 and approve the installation of the AGI well. And the
10 adjacent operators support the project, and surface owners
11 have all received proper notices.

12 So with that, that concludes my presentation.

13 Q. Thank you, Mr. Gutierrez. And as you heard, the
14 Hearing Examiner has obviously reviewed the C-108, but if
15 you would, for the record, identify what we've marked as
16 Exhibit No. 1 and give us a brief overview of how you
17 structured this document?

18 A. Sure. This is the C-108 application. As the
19 Division is well aware, Mr. Hearing Examiner, the C-108 is
20 actually just a two-page form, however, there is no way to
21 include all of the relevant information that you need to
22 make a decision in that form.

23 But what we do have is, behind the cover page,
24 we have the C-108 form, and then each of the questions on
25 the form where the information that addresses that

1 question is laid out is indicated on the form and refers
2 to the actual document, the C-108, which is divided into
3 seven sections.

4 And as you can see on the table of contents
5 there, the first is a summary, the second, just an
6 introduction and organization of the application.

7 The third deals with the proposed construction
8 and operation of the well. There is where you have the
9 pressure calculations, et cetera.

10 The fourth is the detailed geologic assessment.
11 The fifth, the analysis of the oil and gas wells and other
12 plugged and water wells in the area of review.

13 The sixth is the notice requirements. The
14 seventh is an affirmative statement that there is no
15 hydraulic connection between the injection zone and
16 overlying fresh water sources.

17 And that's basically the application.

18 Q. Mr. Gutierrez, if you would please turn to the
19 figures section and turn to Figure 2 in the C-108, this is
20 a slide you reviewed in your presentation. I'd just like
21 you to highlight a few things. Have you found that
22 document?

23 A. Yes.

24 Q. Okay. You outlined for the Examiners the
25 location of the proposed well and compressor facility in

1 relation to the existing SRU. Could you explain for the
2 Examiners why that location of the well -- if you could
3 expand on why that location was picked for the well.

4 A. Yes. If you look at Figure 2, you can see that
5 right now there is a low pressure acid gas line that goes
6 from approximately where the aiming unit is, which is near
7 where the proposed compressor facility is, up to the
8 existing sulphur recovery unit.

9 And that line would now be modified so that --
10 and this is only intended to be a schematic. I mean, the
11 actual connections will be developed when the surface
12 facilities are designed.

13 But essentially, the concept is that we would --
14 what we're trying to do basically by the location of the
15 well is have it far enough away from the tail gas
16 incinerator and from the rest of the plant that we can
17 safely drill the well and conduct any operations at the
18 wellhead that need to be done periodically during
19 completion of the well and also future servicing of the
20 well.

21 But at the same time, we want to minimize the
22 distance of the high pressure acid gas line that goes from
23 the facility to the well itself. And so, it's a balancing
24 of those factors.

25 Q. Thank you. And also in your presentation, you

1 mentioned that one of your criteria for the well and for
2 the proposed injection zone, you're looking at an
3 approximate life span of 30 years. Is that what you
4 expect the life span of this project to be?

5 A. That's kind of the planning horizon. There's
6 nothing in the design of the well or the system that makes
7 me think that it couldn't last significantly longer than
8 that, but that's kind of the design life we worked with.

9 HEARING EXAMINER: Thank you for asking the
10 question. Why did you pick 30 years?

11 THE WITNESS: You know, I don't think I have a
12 good answer for that, Mr. Hearing Examiner. I think we
13 have typically -- That ends up being the horizon, the
14 planning horizon for most of these kinds of projects.

15 I mean, certainly it is an expression of how
16 long we feel the viability of the plant is certainly
17 assured for that time period.

18 So we want a minimum of that kind of life span
19 available for injection of the well, and we wouldn't want
20 a reservoir that we would have a problem that would
21 pressure up within a few years and have a significant
22 investment that we wouldn't be able to continue injecting
23 over a longer period of time.

24 I'm just saying, you know, whether it was 30
25 years or 35 years, I mean, that's just typically the life

1 span that we look at.

2 Q. But is the intent of this project -- and I think
3 you discussed this in your presentation -- for permit
4 sequestration of the acid gas?

5 A. Oh, yes, absolutely. We anticipate that the --
6 we feel very comfortable based on the geology that -- and
7 in fact, in order to get the carbon credits certified, you
8 ultimately have to convince an independent verifier of
9 those carbon credits that you can essentially, permanently
10 ~~sequester the CO2 in that geologic zone:~~

11 ~~So we feel comfortable that we can do that~~
12 within a geologic time frame.

13 Q. Thank you. I'd like to just highlight a few
14 things from your presentation and follow up on a few
15 things in the C-108 application that I don't believe were
16 covered.

17 If you could remind us, what is the average in
18 maximum injection pressures that have been proposed in the
19 application? And perhaps you could indicate for the
20 Examiners where that's located in the C-108, if you would,
21 please.

22 A. Yes. As the Hearing Examiner noted earlier,
23 he's obviously looked at that calculation in here, but
24 that calculation is shown on Page 4. We anticipate that a
25 maximum injection pressure would be about 1,985 PSI, but

1 based on what we've seen and the performance of existing
2 injection wells in the Entrada outside of this area, we
3 would anticipate 1,900 pounds would be an average kind of
4 injection pressure.

5 Q. And if higher pressure is needed, will Anadarko
6 justify that higher pressure with a Division witness
7 step-rate test?

8 A. Absolutely.

9 Q. And do you plan to inject under pressure or by
10 gravity?

11 A. It will be under pressure. We need to first
12 make sure that the acid gas stays in a supercritical
13 phase, and that has to be done under pressure.

14 HEARING EXAMINER: Are you asking for 1,900 or
15 1,985?

16 THE WITNESS: 1,985 is the maximum that we're
17 asking for.

18 HEARING EXAMINER: So you're asking for 1,985?

19 THE WITNESS: That is correct.

20 Q. Mr. Gutierrez, have you provided an expected
21 fluid composition of the fluid to be injected?

22 A. Yes, we have. That fluid composition is
23 essentially 90 percent CO₂, 10 percent H₂S, and some trace
24 C₁ through C₇ hydrocarbons.

25 Q. And if you would please refer to the C-108 --

1 and I know you touched on this in your presentation, but
2 because of the importance of it, I'd just like you to
3 review for the Examiners the groundwater hydrology in the
4 area.

5 A. Sure. That is discussed in Section 4.5 of the
6 application along with a list of the wells that is
7 included in Appendix A2.

8 We identified seven domestic wells that are all
9 completed within shallow sands of the Kirtland and
10 Fruitland formations. The deepest of those extends to
11 only 150 feet in the area.

12 There is also, in the southern portion of the
13 area of review, there is this Farmer's Mutual Ditch, it's
14 an irrigation canal, and that's only a depth of 8 to 10
15 feet surface water.

16 Q. And based on your review, what conclusions can
17 you reach about the hydrology of this area?

18 A. Well, there are, you know, limited water
19 resources in these shallow zones, they can produce some
20 pretty good water, but the well design in the injection
21 zone -- and in particular, the well design and the surface
22 casing we feel will more than adequately isolate these
23 zones.

24 As a matter of fact, if you look at surface
25 casing for most of the oil and gas wells that are

1 completed in this area, it's significantly less surface
2 casing than we're proposing here.

3 Q. And in your opinion, will the injection of acid
4 gas pose a threat to any fresh water resources in the
5 area?

6 A. No. I'm convinced that it will not.

7 Q. And based on the result of your examination of
8 available geologic and engineering data on this reservoir,
9 have you found any evidence of open faults or other
10 hydrologic connections between the injection interval and
11 any underground source of drinking water?

12 A. Absolutely not. As a matter of fact, I haven't
13 found any evidence of that kind of structural
14 discontinuity even well below the zones where drinking
15 water or domestic water exists.

16 Q. And did you make that affirmation in Section 7
17 of the C-108?

18 A. Yes. It's on Page 14, Section 7.

19 Q. And you also discussed this in your presentation
20 but I'd just like to highlight this for the Examiners,
21 what is Section 5 in the application?

22 A. Section 5, gives the details of active oil and
23 gas wells and plugged wells in the area. There's very
24 few, as I mentioned, and there are three plugged wells in
25 the area, and the full plugging information of those is

1 included in Appendix B.

2 Q. And after you reviewed that data, are you now
3 satisfied that there is no remedial work that is required
4 on any of these wells to enable Anadarko to safely operate
5 this project?

6 A. Yes. And primarily, that's because all those
7 wells are thousands of feet above completed -- above the
8 injection zone, none of them penetrate or even get close
9 to the injection zone.

10 Q. And is this the expansion of an existing
11 project?

12 A. No, it's not, it's a new project.

13 Q. What is the status of the land on which the well
14 will be drilled?

15 A. Anadarko owns that land.

16 Q. And what is Appendix E to the application?

17 A. Appendix E to the application was the original
18 hydrogen sulfite contingency plan that we submitted along
19 with the application which has been superceded by the work
20 done in conjunction with Mr. Jones of the Environmental
21 Division of the OCD with the other Rule 11 Plans.

22 Q. And as far as you know, has the OCD indicated
23 its approval of that Rule 11 Plan?

24 A. That is my understanding.

25 Q. Does Anadarko have an approved bond for the

1 well?

2 A. No, we do not. We will obviously get a bond
3 prior to obtaining a drilling permit for the well. But,
4 you know, since we don't have an order yet or even applied
5 for a drilling permit, we don't have a bond yet.

6 Q. If you could please turn to what's been marked
7 as Anadarko Exhibit No. 2 and identify and review this
8 packet for the Examiners.

9 Mr. Gutierrez, I believe you already indicated
10 in the C-108 that the list of affected parties as defined
11 by Division rules is included in the appendix to the
12 C-108, so what is the packet that I've given you?

13 A. It includes that same list, which is Table B-1.
14 It has all of the surface owners. It is a five page list
15 of all of the surface owners, their names, addresses, et
16 cetera, within the area of review.

17 And that is followed by a copy of essentially
18 the letter that was sent to each and every one of those
19 surface owners, followed by a copy of the affidavit of
20 publication of the notice in the Farmington Daily Times,
21 and then followed by all of the return receipts and copies
22 of the signed green cards that we got back from all of the
23 noticed parties.

24 Q. And just because I like to point these things
25 out for Mr. Brooks, is Appendix C the list also of the

1 operators and leases in the area of review?

2 A. Yes.

3 Q. As well as the list of operators, the names and
4 addresses that's in the C-108?

5 A. Yes, that is correct.

6 Q. And Mr. Gutierrez, what is Exhibit No. 3?

7 A. Exhibit No. 3 is just a copy of the two slides
8 which we showed. I wanted to highlight these because they
9 were not included in the C-108, but it was just a summary
10 of all the factors that -- the geologic factors and the
11 actual well design factors that assure us of the integrity
12 and safety of this project.

13 Q. Thank you. Finally Mr. Gutierrez, in your
14 opinion, will the granting of this application be in the
15 best interests of conservation, the prevention of waste,
16 and the protection of correlative rights?

17 A. Yes. And in addition, I think it will be a very
18 good thing for the environment because we'll have that
19 much less CO2 put in the atmosphere.

20 Q. And will it also protect human health?

21 A. Absolutely.

22 Q. And were Exhibits 1 through 3 either prepared by
23 you or compiled under your direct supervision?

24 A. They were.

25 MS. MUNDSD-DRY: Mr. Ezeanyim, I'd move for the

1 admission of Exhibit 1 through 3 into evidence.

2 HEARING EXAMINER: Any objections?

3 MS. ALTOMARE: My only objection would be that I
4 would ask that Anadarko supplement Exhibit 1 by submitting
5 the updated version of the contingency plan in the
6 proposed amendment to the contingency plan so that
7 Appendix E is complete in its entirety so that the
8 superceded version of the Rule 11 Contingency Plan is
9 complete and updated.

10 MS. MUNDS-DRY: We can certainly do that, and
11 that's why we wanted to mention that the Appendix E was an
12 outdated version as it was submitted to the Division. So
13 we would certainly do that.

14 HEARING EXAMINER: Any objection?

15 MR. BROOKS: No objection.

16 HEARING EXAMINER: Okay. So without further
17 objection, Exhibits 1 through 3 will be admitted into
18 evidence. Now, cross-examination?

19 MS. MUNDS-DRY: Yes, that concludes my
20 examination of Mr. Gutierrez.

21 HEARING EXAMINER: Mr. Bruce?

22 MR. BRUCE: Mr. Roybal has a few questions for
23 the witness.

24 HEARING EXAMINER: Excuse me, before you do
25 that --

1 MR. BROOKS: Is Mr. Roybal in-house counsel as
2 a --

3 MR. BRUCE: He is in-house attorney for BHP
4 Billiton.

5 MR. BROOKS: Okay, that will be acceptable. Go
6 ahead.

7 HEARING EXAMINER: I'm sorry. I'm not an
8 attorney so I needed to clarify that. Go ahead.

9 MR. ROYBAL: Mr. Hearing Examiner, I'm Charles
10 Roybal. I'm in-house counsel for BHP Billiton and San
11 Juan Coal Company. My office is in Farmington, New
12 Mexico.

13 HEARING EXAMINER: Thank you. Go ahead.

14 CROSS-EXAMINATION

15 BY MR. ROYBAL:

16 Q. Looking at the Entrada disposal, I just have a
17 couple of details to enquire about. How long have the
18 wells been injecting?

19 A. I don't know the exact number of years, I think
20 probably in the order of about 10 to 12 years.

21 Q. And what are the injection volumes?

22 A. Let me look. I don't know if we have that in
23 the C-108, but as I recall, they are on the order of a
24 couple thousand barrels a day.

25 Q. And do you have any idea of a total volume to

1 date for those wells?

2 A. I don't. Although, I believe that they have
3 injected well in excess of a couple million barrels each,
4 but I don't have the exact numbers off the top of my head.

5 Q. And how about the maximum pressures in the
6 wells?

7 A. Well, those wells have been -- You know, they're
8 deeper, but the maximum pressures have been running in
9 the -- about 2000 PSI, I think. And actually, I think,
10 some of them are less than that. But those wells are
11 deeper in the section so the pressure is a little bit
12 higher.

13 Q. Shifting over to your Rule 11 Plan, I was a
14 little confused about whether we were talking about a 3.8
15 million input or -- at one point we were discussing 5, I
16 think?

17 A. Right. As I mentioned, what we are requesting
18 is that the well itself be approved to take up to 5
19 million cubic feet a day of acid gas, but in order to get
20 beyond 3.8 million, 3.8 million is what our Rule 11 Plan
21 covers currently.

22 So if we were able to inject additional amounts,
23 we would have to go back to the Division first and get a
24 new Rule 11 Plan approved for that higher level. But what
25 I was looking at was the subsurface capability of the well

1 would be within the 1.5 to 5 million range.

2 MR. ROYBAL: Those are all my questions,
3 Mr. Hearing Examiner.

4 HEARING EXAMINER: Thank you. Ms. Altomare?

5 CROSS-EXAMINATION

6 BY MS. ALTOMARE:

7 Q. I just want to clarify one thing for the record.
8 It's not a huge thing, but I know everybody gets the
9 Environment Department and our Environmental Bureau a
10 little confused.

11 And just to be clear on the record, the
12 individuals with whom Anadarko worked with to be sure that
13 the revised version of the Rule 11 Plan met all regulatory
14 requirements was the Environmental Bureau with the Oil
15 Conservation Division; is that right?

16 A. Yes. That's Mr. Jones and Mr. Von Gotten.

17 Q. Correct. I just wanted to make sure because
18 there's a lot of confusion between -- because there's a
19 lot of throwing around of the word "environmental" and it
20 gets confusing.

21 HEARING EXAMINER: That's a good point.

22 Q. Just for the record, I wanted to be sure we were
23 all on the same page with whom you were working to make
24 sure that all came to fruition. So I think that that's
25 all I have. So thank you.

1 HEARING EXAMINER: Any redirect?

2 MS. MUNDS-DRY: Nothing further.

3 MR. BROOKS: Mr. Gutierrez, as I understand,
4 Exhibit 2 concerns only the surface owners that were
5 notified, correct?

6 MS. MUNDS-DRY: Mr. Brooks, it's a little
7 confusing, but it contains both the green cards for the
8 operators and surface owners.

9 MR. BROOKS: Okay, so it contains a list only of
10 the surface owners?

11 THE WITNESS: That is correct.

12 MR. BROOKS: But it contains the certified mail
13 receipts for both the surface owners and the mineral
14 owners who were notified?

15 THE WITNESS: The operators and leasees.

16 MR. BROOKS: Right. I was using mineral owner
17 in the term instead of just an owner in the interest of
18 the minerals and not in terms of mineral fee owners.

19 THE WITNESS: Yes.

20 MR. BROOKS: Okay. Now, with a list this long,
21 it would surprise me if you got signed receipts for
22 delivery from every person on the list; would that be
23 accurate that there are not --

24 THE WITNESS: That is correct. We got about 90
25 percent of them back. We also have in this Exhibit B,

1 there are a number of notices -- The last 11 or 12 pages
2 that have two or three entries each that show where the --
3 for some reason, it was either unclaimed or returned and
4 it's a copy of what we got back from the post office.

5 MR. BROOKS: Yeah, that would be a copy of the
6 outside of the envelope. I see there are a number of
7 those here.

8 THE WITNESS: That is correct.

9 MR. BROOKS: And you would be relying then upon
10 the published notice, the affidavit of published notice
11 for service of notice upon those persons who you did not
12 get return receipts from?

13 THE WITNESS: That's correct. I mean,
14 unfortunately what happens too many times with these
15 things, Mr. Brooks, is that, you know, people get a
16 certified letter, and for whatever reason they don't know
17 it's coming and they don't want to even open it. So they
18 end up refusing delivery of it or whatever and -- but we
19 do the best we can.

20 MR. BROOKS: Or the notice is sent to them and
21 it's delivered to them when they're not present and they
22 simply never come to the post office to claim it?

23 THE WITNESS: That's correct.

24 MR. BROOKS: I'm familiar with that issue.
25 Okay, I think that clarifies the record. Thank you.

1 MR. WARNELL: Mr. Gutierrez, if you could go to
2 Exhibit 4 of the well sketch of the AGI, you talked about
3 cutting the core?

4 THE WITNESS: Let me get to that figure. Okay.

5 MR. WARNELL: You talk about cutting cores,
6 either conventional core or wire line core. Could you
7 tell me a little bit more about the coring that you
8 anticipate in that area and the depths?

9 THE WITNESS: Yes, sir. We anticipate that we
10 will reach the top of the Entrada at approximately 6,515
11 to -- basically, about -- let's just say about 6,500 feet.
12 It's our intent to begin -- we would probably begin
13 coring -- our goal would be to try to begin coring
14 approximately 60 feet -- conventional core about 60 feet
15 above that contact.

16 So, we would like to get at least 30 or 40 feet
17 of really good conventional core out of that Caprock. And
18 then we probably would core into the injection zone for
19 some distance. And then we typically will drill on
20 through the injection zone and run our open-hole logs and
21 our formation microimaging log.

22 And then based on that, we would then run wire
23 line for sidewall coring in the zones that look
24 particularly interesting in that injection zone.

25 MR. WARNELL: Okay. What's your experience with

1 full core versus the sidewall cores?

2 THE WITNESS: Well, you know, it really depends
3 on the zone that you're coring in. Obviously, a full core
4 is a lot nicer because it allows you to do a better kind
5 of permeability testing especially if we -- one of our
6 primary motivators is probably overkill for strict
7 evaluation of the Caprock for normal injection purposes.

8 But for the requirements that are coming down
9 the pipe with respect to certifying the carbon credits for
10 a permanent sequestration of CO₂, we feel it's important
11 to have a better core.

12 And we can run like actual acid gas permeability
13 tests in that core, and for that purpose, the conventional
14 core is a little better.

15 Sidewall core -- you know, interestingly enough,
16 the last time we did this, it was in a zone that was
17 basically a dolomitic limestone and we got pretty good
18 recovery on those sidewall cores.

19 But sometimes in a zone like the Entrada, we may
20 not do that well because it's a sandstone and it can be
21 pretty friable. So typically what we will do is core some
22 way into that and try and get some conventional core.

23 But then the advantage of -- you know, it's kind
24 of like you pays your nickel, you takes your chances. You
25 really want to put down the log to be able to identify

1 what are the areas you're most interested in coring.

2 But then obviously, by the time you've done
3 that, you can't take a conventional core anymore and all
4 you can do is a sidewall.

5 But typically, you know -- obviously, our
6 recovery is a lot better with a conventional core. But
7 we've gotten some pretty good sidewall cores. And we
8 typically will run maybe 30 of them on a wire line and you
9 get maybe 20 decent ones back.

10 MR. WARNELL: And you'll send that off to a lab
11 to be evaluated and --

12 THE WITNESS: Yeah. We'll do thin sections,
13 we'll do, you know, standard core permeability analysis.
14 And typically, as the Division knows and as Mr. Ezeanyim
15 knows, when we complete one of these wells, we put a
16 pretty comprehensive -- Like for the Southern Union well,
17 it ended up being about this big well completion document
18 that transmits to the Division all of the logs, all of the
19 core data, the photographs of the core, the thin sections,
20 all of the permeability testing and everything else
21 associated with that.

22 MR. WARNELL: One of the things in that report
23 would be not only the permeability but an RW?

24 THE WITNESS: That's correct.

25 MR. WARNELL: I'll be anxious to see that.

1 Thank you. I also was just wondering here about the
2 contingency plan. The letters that Richard referred to
3 that we got from the concerned citizens around Kirtland,
4 they all seemed to have a common thread through them.
5 They're concerned about no contingency plan or a lack of a
6 contingency plan. So I got the feeling looking through
7 those letters that they're under the belief that there is
8 no contingency plan.

9 THE WITNESS: Well, when we started out in this
10 process and we submitted the draft, what we called the
11 Rule 118 Plan, which was the formal rule for a contingency
12 plan, we became aware through that process from the
13 Division that they did not have on file an approved
14 contingency plan for the facility.

15 And that matter was what we rectified in our
16 original -- we identified that in the original meeting
17 they had prior to when the hearing was scheduled, and
18 that's what we worked with with the Environmental Bureau
19 of the OCD to rectify.

20 So there is currently an approved Rule 11
21 Contingency Plan for the facility as it is operating today
22 in place, and that has been approved. It was approved in
23 September.

24 And there is a plan that has been submitted that
25 would be for the proposed acid gas injection operation at

1 the 3.8 million level that the Division has reviewed and
2 approved in October.

3 HEARING EXAMINER: I think what Terry is asking
4 is what I mentioned before. I know you have the correct
5 contingency plan Rule 11, but the citizens out there
6 don't. And that's what they're looking to -- They're
7 asking what are the contingency plans in case you have
8 upsets or an emergency.

9 So you may have stated them to the Environment
10 Bureau of the OCD, but the citizens out there don't know
11 that. So that's what I think he's asking because of what
12 we're seeing in the letters we've received that say that
13 you are the OCD, what are you going to do.

14 For example, what if there is an upset on
15 Christmas day or something like that, who is going to take
16 care of that? That means they don't have the training or
17 they lack the knowledge or are ignorant of what's going
18 on.

19 That goes to what I said before that the
20 operator needs to do some training when they do this so
21 that people understand.

22 THE WITNESS: And that's a point well taken,
23 Mr. Hearing Examiner, and part of the Rule 11 Plan
24 includes training requirements.

25 And I don't know if that's something that

1 Mr. Jones is going to talk about, but part of that is
2 included and we anticipate doing that type of training for
3 all of the people that are affected in that plan.

4 MR. WARNELL: I have no more questions.

5 HEARING EXAMINER: Okay, I think I got a letter
6 that I need to address here because I think -- Okay. All
7 right, let's go back to the area of review. The area of
8 review was -- you have nine of them, and none of them
9 penetrate the injection zone; is that right?

10 THE WITNESS: That is correct.

11 HEARING EXAMINER: But you still gave us
12 information on them so that we can evaluate them?

13 THE WITNESS: Absolutely. It is included in the
14 C-108 in Section 5.

15 HEARING EXAMINER: Okay.

16 A. Just to clarify, there are six wells that are
17 operating currently and three that are plugged.

18 HEARING EXAMINER: And those plugged wells, you
19 gave us the schematics?

20 THE WITNESS: That's correct.

21 HEARING EXAMINER: Okay.

22 THE WITNESS: And just as a further point,
23 Mr. Hearing Examiner, I'd like to refer you to Page 11 in
24 the C-108, because I think it's important to note that of
25 the wells that are in the area of review, the majority of

1 the wells extend only into the Fruitland formation with
2 one exception, which is this saltwater disposal well in
3 the Menafee formation.

4 So you can see that most of those wells really
5 don't even get to the depth of what would be our surface
6 casing. There is only this saltwater injection well that
7 injects into the Menafee which is completed at a depth of
8 3,420 which is located right adjacent to the plant. And
9 that is the deepest currently operating well in the area.

10 There is a plugged well in the Gallup formation
11 about a little over six-tenths of a mile away, and then
12 two plugged wells in the Fruitland formation.

13 HEARING EXAMINER: Okay. So you're going to do
14 a conventional core and a full-size core because we need
15 to know what would happen and where the Entrada is?

16 THE WITNESS: Yes, sir.

17 HEARING EXAMINER: And you said there is no
18 hydrocarbon production as far as you know today that would
19 compromise that injection zone?

20 THE WITNESS: That is correct. Of course, we
21 will be confirming that during drilling.

22 HEARING EXAMINER: On the outside -- I'm talking
23 about the construction of the injection well. Now, on the
24 back side, you're going to have diesel, right?

25 THE WITNESS: That's correct.

1 HEARING EXAMINER: And that will have to be
2 monitored continuously?

3 THE WITNESS: Absolutely. That diesel will be
4 -- that outside annular space is completely sealed, and
5 then we have a pressure monitor in there. So it should
6 essentially be at zero pressure all the time.

7 HEARING EXAMINER: And you understand that an
8 MIT should be conducted -- apart from initial MIT, an MIT
9 should be conducted every two years?

10 THE WITNESS: That's the normal condition that
11 we see on those orders, yes, sir.

12 HEARING EXAMINER: And your one safety valve
13 will be at 250 feet?

14 THE WITNESS: Yes, sir.

15 HEARING EXAMINER: Now, talking about preserving
16 the environment, your tubing, you say, is not fiberglass.
17 What is it made out of?

18 THE WITNESS: It will be a teflon lined steel
19 tubing.

20 HEARING EXAMINER: Okay. And your packer will
21 be of the same material?

22 THE WITNESS: No, the packer will probably be
23 ink alloy corrosion resistant packer.

24 HEARING EXAMINER: Okay. And the gas is .8, is
25 that correct, the gas range, the specific gravity of the

1 gas?

2 THE WITNESS: Point 8, yes.

3 HEARING EXAMINER: And what did you say the
4 depth of the nearest fresh water is in the area?

5 THE WITNESS: Well, there's probably some fresh
6 water also in the Fruitland formation, but in terms of the
7 domestic wells in the area, the only free water that's
8 being used is at a maximum depth of 150 feet.

9 And that's seven wells that are located to the
10 southeast of the facility, and they are shown on Appendix
11 A2. A1 has the water quality data.

12 And A2 is a map in there. And it shows
13 basically -- Figure A1 shows those wells, and that's the
14 figure I showed in my presentation.

15 HEARING EXAMINER: Okay. Which water did you
16 analyze?

17 THE WITNESS: The water analyses, we did not
18 take samples of the water, what we did was -- we did not
19 see any analyses in the state engineer's records, so what
20 we did was, there were some water analyses that were taken
21 during the preparation of the discharge plan removal for
22 this facility in 2006.'

23 And those are shown from the daily well which is
24 the only water well in the area that wasn't located
25 downgradient from the facility. And the average TDS for

1 those was about 2,700 to 4,500 milligrams per liter. So
2 it's pretty salty fresh water.

3 HEARING EXAMINER: Okay. What kind of logs are
4 you going to run there, injection testing, neutron, is
5 that what you're going to --

6 THE WITNESS: No, it's the whole platform.

7 HEARING EXAMINER: CDL too?

8 THE WITNESS: Yes.

9 HEARING EXAMINER: And your cores, conventional?

10 THE WITNESS: Yes, sir. And the formation
11 microimaging log.

12 HEARING EXAMINER: Okay. Did you try to
13 calculate some -- you were talking about 30 years?

14 THE WITNESS: Yes, sir. That's shown in the
15 C-108 application on Figure 13. We calculated it both at
16 the basically low ended, the 1.5 million cubic feet a day,
17 and the 5 million, with some safety factors.

18 HEARING EXAMINER: What do you use as a safety
19 factor?

20 THE WITNESS: It's about a 50 percent safety
21 factor; 46 percent or so. And what we've got here, if you
22 look at Figure 13, we anticipate a radius -- at the actual
23 planned injection rates, we anticipate a radius -- my
24 guess would be somewhere on the order of a thousand feet
25 or so and would encompass approximately 80 or 90 acres.

1 HEARING EXAMINER: Let's talk about this Rule 11
2 Plan that authorizes 3.8 million a day, but you're asking
3 for 5 million a day. Can you tell me again what you
4 need -- what you are requesting and based on what
5 information?

6 THE WITNESS: Yes, sir. Our original
7 application was -- and what Anadarko is looking for is the
8 flexibility to -- You know, at the current operation, if
9 they were to put in the well today, they would be
10 basically injecting about a million and a half cubic feet
11 a day. So that was the low end of what we were asking
12 for.

13 Then the high end is 5 million cubic feet a day,
14 and that's what we anticipate would be the maximum
15 capacity of the plant.

16 But in order to reach that capacity, there would
17 probably be some significant plant changes that would have
18 to be made beyond just associated with the injection well,
19 just for the aiming unit and some other things like that.

20 So the maximum capacity that the plant that we
21 think that it could do the way the bulk of the plant is
22 structured now is the 3.8 number. So that's what we
23 foresee as the most likely injection rate for the near
24 term.

25 But at some point in the future, Anadarko may

1 wish to expand that depending on, you know, a lot of
2 things, like gas prices and how much drilling and how much
3 gas is available, and we would like the flexibility to use
4 this injection well to dispose of up to 5 million.

5 But of course, that presumes we would go back to
6 the Environmental Bureau of the Division and get a Rule 11
7 Plan that would be appropriate for that level of
8 injection.

9 HEARING EXAMINER: You're trying to see how we
10 could do that. If this application is approved -- I don't
11 know, you want to get approved for 5 million now, so that
12 whenever all those changes you make in the plan occur, you
13 can go back to the Environmental Bureau and get permission
14 to go up to 5 million without coming back to amend this
15 permit in case it's approved; is that right?

16 A. That's correct. And my suggestion -- I guess
17 this is probably more for the lawyers, but my suggestion
18 would be, just like there are many conditions that are put
19 in the order, like limiting the maximum pressure and
20 everything else, that there could be a condition in the
21 order that would say that for an injection rate above 3.8,
22 that we would have to come back to the Division before
23 injecting and get an approved Rule 11 Plan for that
24 injection rate.

25 HEARING EXAMINER: Okay. When you say go back

1 to the Division, how do you intend to do that, just go
2 back to the Environment Bureau without conducting a
3 hearing?

4 THE WITNESS: Well, Rule 11 Plans don't require
5 any public notice or hearings, so we would just go back to
6 the Bureau.

7 HEARING EXAMINER: I just wanted to make it
8 clear.

9 THE WITNESS: Yes.

10 HEARING EXAMINER: Okay. Could you talk to me
11 about the compression facilities that you use to complete
12 this gas before it goes ahead, the compression facility --
13 I know you showed it there, but I need you to talk more
14 about completion.

15 THE WITNESS: Right. Probably I'm not the best
16 person to talk about that. My responsibility ends at
17 about the surface of the earth and mine goes below that.

18 The compression facility, to my understanding,
19 has not been designed yet, but I think there may be some
20 Anadarko personnel in here that could speak to that more
21 accurately than I can.

22 MS. MUNDS-DRY: And Mr. Ezeanyim, as I
23 mentioned, we do have an engineer manager here. If you'd
24 like to talk about that in more detail, we could call him
25 and you can ask him questions.

1 HEARING EXAMINER: Okay. Let me finish. I just
2 want to see what's happening with the compression
3 facility. But let me finish with what we have here. I'm
4 done with you then. Any other questions for him?

5 MS. MUNDS-DRY: I did have one quick question
6 related to your questions on Rule 11.

7 REDIRECT EXAMINATION

8 BY MS. MUNDS-DRY:

9 Q. Mr. Gutierrez, when we receive the approved
10 plans from the Environmental Bureau, did we post those
11 anywhere for the public to view?

12 A. We did, we posted them on the same website where
13 we posted this. We replaced that. In effect, when it was
14 requested that Appendix E be replaced, we already did that
15 on the website back on September 17th.

16 Q. An amended plan, when was that posted for the
17 well site?

18 A. I think October 6th or 7th.

19 MS. MUNDS-DRY: I have nothing further for
20 Mr. Gutierrez. Would you like us to call Mr. Marques to
21 discuss --

22 HEARING EXAMINER: Yes, briefly.

23

24

25

TONY MARQUES,

1 the witness herein, after first being duly sworn
2 upon his oath, was examined and testified as follows:

3 DIRECT EXAMINATION

4 BY MS. MUNDS-DRY:

5 Q. Would you please state your full name for the
6 record?

7 A. Anthony David Marques.

8 Q. And Mr. Marques, where do you reside?

9 A. Woodlands, Texas.

10 Q. And by whom are you employed?

11 A. Anadarko Petroleum.

12 Q. And what is your position with Anadarko?

13 A. I'm manage Southern Region Midstream
14 Engineering.

15 Q. And are you familiar with the C-108 application
16 that's been filed by Anadarko?

17 A. Yes.

18 Q. And are you familiar with the gas operations at
19 the San Juan River Natural Gas Plant?

20 A. Yes.

21 Q. And have you testified before the Division
22 previously?

23 A. No, I have not.

24 Q. Could you please briefly review your education
25 and your work background for the Examiners?

1 A. I'm a 1978 graduate of the Colorado School of
2 Mines with a Bachelor's of Science in Chemical and
3 Petroleum Refining Engineering. I have an MBA from the
4 University of Phoenix.

5 My first job out of college was with Union
6 Carbide Corporation for approximately two years in a
7 petrochemical plant. Since then, I have been employed by
8 Western Gas Resources for Anadarko Petroleum Corporation
9 doing engineering, engineering management work, and
10 natural gas gathering, treating, processing, basically,
11 the full gamut of natural gas facilities-type work from
12 the wellhead through product delivery.

13 Q. How long have you worked for Anadarko?

14 A. Since August 2006, I believe.

15 Q. And what are your duties for Anadarko?

16 A. I manage the Southern Region Midstream
17 Engineering group.

18 MS. MUNDS-DRY: We would tender Mr. Marques as
19 an expert in petroleum and chemical engineering.

20 HEARING EXAMINER: He's so qualified. Thank you
21 for doing that. All of that just to bring you up to ask
22 you a few questions about some of the ins and outs of the
23 construction of the injection well. I want you to tell me
24 about your completion facility, the way you bring the gas
25 and all those things that go into that.

1 THE WITNESS: Okay. We've completed our
2 preliminary design to the point where we're ready to start
3 writing our AFEs. Basically, we will be taking the
4 acid gas -- roughly 90 per CO2, 10 percent oxygen,
5 hydrocarbons off of the aiming regeneration system at
6 approximately 5 PSIG.

7 We'll take that, compress it to -- we look at
8 cases that range anywhere from 1,500 up to 1,985 PSIG for
9 the injection pressures.

10 In that process, we will remove the water --
11 Well, to clarify, the acid gas, when it comes to
12 compression, is water saturated. As we go through the
13 compression, we are going to be cooling it on the inner
14 stage of each of the five stages of compression. That
15 will remove the water.

16 The water will be treated and recycled back to
17 the aiming unit to produce our water makeup requirements.
18 We will cool it. I believe it's in between the fourth and
19 fifth stages of compression to get the water content out
20 such that there won't be free water left in the system
21 when we actually go to injection.

22 There will still be some water in the solution,
23 but because of the properties of the fluid, it won't come
24 out as a free water. That minimizes the chances of
25 corrosion.

1 HEARING EXAMINER: Okay. And then what is the
2 composition now, H2S, CO2 and other --

3 THE WITNESS: We've used as a basis 90 percent
4 CO2, 10 percent H2S with some trace hydrocarbons. We've
5 looked at a range of compositions in facility design
6 anywhere from 3 percent H2S up to 10 percent H2S.

7 HEARING EXAMINER: Okay. So you have from
8 within --

9 THE WITNESS: Up to the hexanes, heptanes.

10 HEARING EXAMINER: Okay. Do you do any form of
11 treatment on this gas before injecting it into the
12 formation?

13 THE WITNESS: The only treating or treatment we
14 do is the innerstage cooling to remove the water instead
15 of a separate dehydration. We've evaluated that and we
16 think that gives us the best operation by cooling the gas
17 to the point where we condense out water instead of having
18 to run it through a separate dehydration unit.

19 HEARING EXAMINER: Okay. Does anybody have any
20 questions for this witness? Okay, you may be excused.
21 Thanks. Who wants to go next?

22 MS. MUNDS-DRY: That concludes our presentation.

23 (Note: A break was taken.)

24 HEARING EXAMINER: Let's go back on the record
25 and continue Case No. 14329. Ms. Altomare, you may call

1 your witness.

2 MS. ALTOMARE: I'm calling Brad Jones.

3 BRAD JONES,

4 the witness herein, after first being duly sworn
5 upon his oath, was examined and testified as follows:

6 DIRECT EXAMINATION

7 BY MS. ALTOMARE:

8 Q. Can you state your name for the record, please?

9 A. Brad Jones.

10 Q. And Mr. Jones, what is your title or position?

11 A. I'm an environmental engineer for the
12 Environmental Bureau of the Oil Conservation Division.

13 Q. And how long have you held that position?

14 A. A little over three years.

15 Q. And as part of your position with the Oil
16 Conservation Division's Environmental Bureau, did you have
17 an opportunity to review what's been referred to as the
18 Rule 11 H2S Contingency Plan for the Anadarko application
19 in this matter?

20 A. Yes.

21 MS. ALTOMARE: And just for clarification for
22 the Examiners, unless it becomes necessary later, I'm
23 presenting Mr. Jones only as a fact witness in the context
24 of what he did in this particular matter, although he does
25 have expertise in the area.

1 HEARING EXAMINER: Okay. Very good.

2 Q. Mr. Jones, have you heard the testimony
3 presented so far in the Anadarko matter?

4 A. Yes.

5 Q. How did you first become aware that Anadarko was
6 making this application for this acid gas injection well?

7 A. The Environmental Bureau was approached and
8 inquiry was made to have us look at the plan before the
9 APD was submitted. We were requested to look at the plan
10 to see if it satisfied the requirements of Rule 11.

11 Q. Okay. And just for clarification on the record,
12 when you say APD, you mean Application for Permit to
13 Drill?

14 A. Yes.

15 Q. Okay. And the portion of that APD that you were
16 asked to review was actually what has been referenced as
17 Appendix E to that APD, which is the Rule 11 Contingency
18 Plan; is that right?

19 A. Yes.

20 Q. Were you at any point asked to actually review
21 the C-108 application itself?

22 A. No.

23 Q. Was the Application for Permit to Drill any part
24 of your consideration within the scope of your job duties?

25 A. No. The Environmental Bureau doesn't review

1 those applications.

2 Q. Okay. What were your initial conclusions upon
3 reviewing the original submission of Appendix E, the H2S
4 Contingency Plan for Anadarko's application in this case?

5 A. The initial plan had a limited view. It didn't
6 address all the requirements under Rule 11 as in the
7 proper assessment, the radius of exposure, and some of the
8 other general provisions that needed more details. So we
9 asked for additional information to address those
10 concerns.

11 Q. And was Anadarko amenable to working with the
12 Oil Conservation Division's Environmental Bureau to
13 correct those deficiencies in the originally submitted
14 plan?

15 A. Yes, they were.

16 Q. And was a meeting held with Anadarko
17 representatives, Oil Conservation Division
18 representatives, and Anadarko and Oil Conservation
19 Division counsel on June 10, 2009 to begin that process?

20 A. Yeah. There was an initial meeting based on the
21 initial submittals that we reviewed. And in that meeting,
22 we discovered that Anadarko has a general health and
23 safety plan that includes a lot of H2S provisions and
24 addresses issues beyond health and safety and beyond the
25 H2S part, but include provisions within it. So that

1 discovery allowed for the generation of the amended
2 version, it's my understanding.

3 Q. So at that meeting, it was discovered that there
4 was an internal document or plan that was more
5 comprehensive but nothing that had been submitted and
6 approved to the Division, specifically what is now known
7 as a Rule 11 H2S Contingency Plan?

8 A. Yes.

9 Q. Okay. After that meeting, did you work with
10 Anadarko representatives to assist in the revisions or as
11 they revised the plan to ensure that they were making
12 revisions that were consistent with regulatory
13 requirements?

14 A. Yes. Our first concern was to establish a plan
15 for the facility itself, a gas plan which is required. So
16 we used that as a foundation for the amendment for the
17 additional installation of the acid gas injection valve.

18 Q. So the first step was to establish a contingency
19 plan for the facility as it was operating already?

20 A. Yes.

21 Q. And was that accomplished to the satisfaction of
22 the Oil Conservation Division's Environmental Bureau?

23 A. Yes. I believe we approved the -- the date of
24 the plan was September 17th, I believe, but we didn't get
25 a chance to look at it until the 21st, and we responded to

1 let them know that we approved that plan.

2 Q. So as of September 21, 2009, the Anadarko gas
3 facility currently in operation had an approved
4 contingency plan in place?

5 A. Yes.

6 Q. And at that time, did you further advise
7 Anadarko that we were still awaiting the proposed
8 amendments relating to their application for the injection
9 well that we are now discussing today?

10 A. Yes.

11 Q. At some point, did Anadarko submit an amendment
12 relating to that injection well?

13 A. Yes.

14 Q. Did you have an opportunity to review that?

15 A. Yes. We made a couple of changes in it. I
16 think it was finally finalized -- I'm not sure of the
17 date. I know that version was October 7th, and we may
18 have approved it that same day.

19 Q. Okay. And when you say that it was approved, do
20 you mean that it met -- according to your review, it met
21 regulatory requirements?

22 A. It was approved on contingent approval of the
23 permit to drill the well. There are some limitations
24 within it. Since they don't know exactly where the well
25 location is, some of the facility maps will have to be

1 updated after things are constructed.

2 But the general approach is to address the
3 actions that you would take based upon certain levels of
4 releases and response-type actions, or things that are
5 addressed inside here that wouldn't be subject to those --
6 to the installation of the well as it stands now. So you
7 wouldn't have to wait for it. So those things are
8 currently addressed, yes.

9 Q. Okay. And that amendment addresses updating the
10 plan if the well is approved and drilled and installed as
11 proposed by Anadarko?

12 A. Yeah. And they're mainly facility maps,
13 equipment maps, safety equipment-type maps.

14 Q. So in summary, at this point in time, are you
15 confident that both documents, the Rule 11 H2S Contingency
16 Plan that was submitted and reviewed by you on or about
17 September 17, 2009, and the amendment addressing the
18 proposed injection well submitted approximately October 7,
19 2009, meet regulatory requirements according to your
20 review and your understanding of those requirements?

21 A. Yes, they satisfy the requirements.

22 Q. You heard the testimony earlier regarding
23 Anadarko's intentions to later file for a amended Rule 11
24 Plan if and when it decides to seek permission to go
25 beyond 3.8 million?

1 A. Yes.

2 Q. At that point in time, they would require
3 approval of a modified plan; is that right?

4 A. Yes.

5 Q. And what would be required of them at that point
6 in time?

7 A. Multiple things. They would have to reestablish
8 the rates of exposure. With that, there might be steps
9 for their assembly points. Where they're going to
10 assemble during evacuation might be reestablished. Road
11 block areas, notification, identification of parties that
12 would need to be notified if there was a release if they
13 were within that range of exposure, all of those things
14 will have to be reestablished.

15 The thing I would like to clarify and I think
16 might resolve some issues, is that if this injection well
17 is approved as it is today, the gas plant itself is
18 currently permitted under the Water Quality Control
19 Commission requirements of 20.6.2, that they have a
20 discharge permit.

21 The inclusion of that gas injection well would
22 need a modification to that permit. They can't do that
23 until they have approval of that well, so they can't
24 pursue that modification.

25 That rule requires that they provide public

1 notice for modifications to that existing facility. We
2 consider this well a function of the gas plant, so there
3 will be public notice on this again.

4 He will look at the gas plant per Rule 11, which
5 is 19.15.11 for hydrogen sulfide gas which includes the
6 smell of the gas plant, addresses the contingency plan,
7 addresses the gas plants themselves.

8 So part of that submittal would be updating a
9 discharge plan permitted for the gas plant to include this
10 amended H2S plan.

11 So with that, if they were to increase
12 capacity -- they had already mentioned they're going to
13 have to install additional equipment for that purpose, so
14 at that time, they would have to once again amend the
15 discharge permit which would require notification again,
16 public notice, and at that time would signal us that we
17 would need to request an amendment to the H2S plan as
18 well.

19 Q. To be clear, at this point in time, if the
20 application for the acid gas injection well is approved
21 and this project moves forward, Anadarko will need to seek
22 an amendment to their discharge permit presently?

23 A. Yes.

24 Q. And then in the future, if they do seek an
25 amendment to their H2S contingency plan to go beyond the

1 3.8 million which would require the installation of
2 additional equipment, at that point in time, they would
3 again need to seek an amendment to their discharge permit
4 at that point as well?

5 A. Yes. And these permits are issued by the
6 Environmental Bureau. So we would be reviewing those
7 modifications and approving those.

8 Q. And do you recall what the notice requirements
9 are in those circumstances for modifications of discharge
10 permits?

11 A. The provision is 20.6.3.108 under the Water
12 Quality Control Commission regulations. I believe that
13 the public notice does require by certified mail one-third
14 a mile from the property boundary in which -- where they
15 determine discharge occurred.

16 So that would include the facility. So it
17 wouldn't be from the facility boundary, it would be from
18 the boundary of the property in which Anadarko owns. So
19 the third of a mile would start from there.

20 Q. Okay. Mr. Jones, have I missed anything
21 critical with regard to your interaction with Anadarko
22 over the past several months that you would like to
23 provide testimony regarding?

24 A. No. I think that covers it.

25 MS. ALTOMARE: I'll go ahead and pass the

1 witness.

2 CROSS-EXAMINATION

3 BY MS. MUNDS-DRY:

4 Q. I have one question just to clarify, Mr. Jones.
5 When you said you were approached to review the H2S plan
6 in conjunction with the application for permit to drill,
7 did you mean the C-108 or a C-101, which is a separate
8 form -- an APD, what we call? I just want to make sure.

9 A. Well, I'll simplify it. The only thing I
10 received for review was Appendix E.

11 Q. Okay. That helps.

12 HEARING EXAMINER: Mr. Bruce?

13 MR. BRUCE: We don't have any questions.

14 HEARING EXAMINER: Okay. Do you have any?

15 MR. WARNELL: No questions.

16 HEARING EXAMINER: Mr. Roybal, your witness?

17 MR. ROYBAL: We call Steve Bessinger.

18 STEPHEN L. BESSINGER,
19 the witness herein, after first being duly sworn
20 upon his oath, was examined and testified as follows:

21 DIRECT EXAMINATION

22 BY MR. ROYBAL:

23 Q. Would you state your name for the record,
24 please?

25 A. Stephen L. Bessinger.

1 Q. And your place of residence?

2 A. Farmington, New Mexico.

3 Q. Could you state your position, please?

4 A. I'm the Mining Engineering Manager for San Juan
5 Coal Company. I'm a registered engineer and have a
6 Bachelor's and Master's in Mining from the Colorado School
7 of Mines, and a Doctorate in Mining Engineering from West
8 Virginia University.

9 I've worked for a number of different
10 enterprises in the coal mining industry. I worked for
11 Consolidation Coal Company in both production and
12 engineering capacities, supervisor in engineering
13 capacities. I've been the engineering manager for the
14 past several years at San Juan Coal.

15 MR. ROYBAL: We would offer him as an expert
16 witness.

17 HEARING EXAMINER: He's so qualified.

18 Q. Dr. Bessinger, could you state your current
19 responsibilities for San Juan Coal Company?

20 A. Yes. I'm responsible for the entirety of San
21 Juan Coal company's activities, and in regard to today's
22 discussion, the San Juan underground mine as depicted here
23 in the figure is an ongoing activity that's near proximity
24 to the site of concern.

25 We're responsible particularly for the design of

1 the mine with regards to geotechnical and ventilation
2 aspects in this case, and the health and safety attributes
3 insofar as what we call hierarchy of control in limiting
4 risks that might jeopardize the safety of the work force
5 over the sustainability of the asset, threats to the
6 environment, and so forth.

7 HEARING EXAMINER: Where is the well located in
8 relation to your mine?

9 THE WITNESS: Well, because the well isn't
10 precisely located, we'll say that it is approximately as
11 depicted here with the red dots. What you see here are
12 mine workings, both past, present, and future.

13 The ones that are cross-hatched as you see here,
14 are the ones that are already extracted, and those dates
15 and times reflect the time line in which the extraction
16 occurred. These areas over here are areas where the
17 mining is yet to be conducted.

18 And these areas that are depicted as looking
19 very much like roads on a city map, these are underground
20 entries that we maintain open for the purpose of
21 ventilating the mine. And there's a ventilation shaft
22 located down here that will continue to be in service
23 until the whole southern side of the mine is complete.

24 So people will work and travel in this area
25 continuously up until the last panel of extraction in the

1 southern group of long well panels.

2 HEARING EXAMINER: On Section 6, do you have the
3 lease to mine those areas?

4 THE WITNESS: Yes. We do need and intend to
5 mine those areas. We have a mandate from the BLM to mine
6 those areas consistent with the leases we have through BLM
7 for the safety --

8 HEARING EXAMINER: Do you have all the leases in
9 Section 36 that you show over there in Section 36?

10 THE WITNESS: Well, this area up here is
11 currently lined up to this location. And then we're going
12 to move back down here by January of this year, mine again
13 this way, come to this location, be -- approximately
14 January 11, go this way, January 12, this way, and so on
15 until we've completed approximately five panels in the
16 southern area of the mines.

17 HEARING EXAMINER: Excuse me, counsel, I need to
18 understand that map.

19 MR. ROYBAL: I was going to ask some questions.
20 Hopefully we'll do that.

21 HEARING EXAMINER: Okay. Go ahead.

22 Q. Could you very briefly explain the mining
23 process in terms of long wall and development and what's
24 involved in that?

25 A. Well, with the long wall mining process, just to

1 kind of give an overview beyond what's on the map, the
2 primary access to the mine is a series of east/west
3 entries up here north of the area of the map.

4 From there, we drive what are call gate roads,
5 which you can see one such gate road right here, through a
6 series of three entries connected by what are called
7 cross-cuts. These cross connecting entries.

8 This gate road is developed out at the
9 easternmost point of our penetration into the mining area,
10 and when finally mines from north to south down to here,
11 and connections across here, this is defined as a long
12 wall panel.

13 Sometime thereafter, we installed the entire
14 long wall equipment from here to here, which is
15 approximately 1,003 feet.

16 HEARING EXAMINER: From where to where?

17 THE WITNESS: Across the bottom of each of those
18 long wall panels as they developed. The southernmost
19 entries are what we call setup runs. They're essentially
20 the launching point for the long wall equipment.

21 Upon having started, it commences in a
22 continuous and successive fashion to mine out northward
23 with the strata that overlies the coal collapsing to fill
24 a void that's created when the coal is removed.

25 At the same time that that process is occurring,

1 another set of gate roads is being developed south which
2 ultimately will be connected across. And the long wall
3 would move in the completion of the prior panel, the
4 successive new panel, and that larger process repeats
5 endlessly until the resource is completely extracted.

6 Q. The gate road stays in place after the long wall
7 process is completed?

8 A. The gate road stays principally in place. There
9 are three entries which constitute a gate road set. In
10 the course of mining the long wall, the two innermost
11 entries collapse into the so-called dog, the area of the
12 uncontrolled rock material, and then with the next mine,
13 those two entries collapse again leaving only one entry
14 standing and two sets of pillars in a row that we call
15 chain pillars.

16 These areas are actually sealed off without
17 atmospheric seals that we use in the mining process, but
18 the ventilation for each successive long wall panel comes
19 down through here and out to this ventilation shaft.

20 And in order to maintain that shaft and let it
21 service all its functions, which include egress from the
22 mines to an emergency facility, we have this -- people
23 work and travel in this area and it periodically would
24 include, as would be required, to keep it accessible and
25 suitable for a critical ventilation path.

1 HEARING EXAMINER: From that red dot, what is
2 the distance between that and your mine workings?

3 THE WITNESS: Well, the scale here is about a
4 thousand feet. So we're looking at something less than a
5 thousand feet.

6 HEARING EXAMINER: So approximately a thousand
7 feet?

8 THE WITNESS: Well, if you went straight by
9 where the dot is located out from where it's pointed, it
10 might be 300 to 500 feet.

11 HEARING EXAMINER: So let's say it's 500 to a
12 thousand feet. But you don't have any need inside that
13 section that you've already located?

14 THE WITNESS: We don't intend to have any
15 extraction beyond the perimeter of what's been marked
16 here.

17 HEARING EXAMINER: Okay.

18 Q. What depth are we looking at, depth of coal in
19 that area?

20 A. In this area, you're probably talking about the
21 400 to 600 foot depth range.

22 Q. In terms of surface operations in that area,
23 would you describe what San Juan Coal's operations are?

24 A. Well, actually, there are a number of impacts.
25 The shaft we talked about shortly ago. We also have the

1 power line and related road system that connects that, as
2 well as periodically what we call good vent bore holes
3 that were used to assist in mining ventilation process.

4 But some of those are left behind when we
5 actually complete mining in the event that it's necessary
6 for us to conduct some procedure that connects the surface
7 to the coal seam.

8 One example might be in the event we detect a
9 spontaneous combustion situation within a sealed gob, then
10 we might want to inject nitrogen.

11 We also have activities out in here where we
12 travel. And we have generalized security patrols and
13 various smaller environmental remediations down in this
14 area.

15 In addition to that beyond our activities are
16 several small sand and gravel operators that are operating
17 in an area that overlies our leases. But since it's a
18 different mineral, they're actually working through the
19 BLM to exploit that resource.

20 Q. Can you generally describe how long BHP and San
21 Juan Coal Company are going to be in this area?

22 A. Well, the intention here would be that there
23 would possibly be a group of five or possibly six panels
24 to be mined out here. So perhaps until 2014 or so, we're
25 likely to be still heavily involved in this area. Going

1 on from there, we expect to generally be involved in the
2 near vicinity until at least 2017 under current contract.

3 Q. Is there a ventilation shaft that's in the
4 vicinity?

5 A. There is, the ventilation shaft as I've
6 indicated here.

7 Q. And what distance is that from the wellbore?

8 A. I don't know the exact length, but estimating
9 from the scale included, I'd say it's approximately 2,500
10 feet.

11 Q. Does your area of responsibility include safety
12 of miners in this area?

13 A. It does with regard to design and infrastructure
14 aspects of the mine. Primarily here, we would be talking
15 about ventilation risks and escape and refuge
16 alternatives.

17 One of the major concerns that would exist
18 around a proposal like this is the possibility that -- we
19 would have people working in relatively confined spaces
20 that are dependant on an atmosphere that is conducted to
21 them -- and any possible contamination to that atmosphere
22 by whatever means from a man-made source, whether that be
23 in the mine or in proximity of some supportive facility on
24 the surface.

25 Q. Dr. Bessinger, this morning I think we heard

1 from Mr. Charles Johnson from Anadarko, and his -- I guess
2 his statement was that the risk assessment process had
3 been discussed with San Juan Coal Company?

4 A. That is correct.

5 Q. Could you describe that process?

6 A. Well, the risk assessment process, we look at a
7 wide variety of concerns that primary range across the
8 spectrum from health, environment, safety, and community.

9 Those concerns are prioritized by likelihood and
10 frequency, and of course, the greatest concern would be
11 those that have a high likelihood and high severity which
12 constitutes serious concerns, and those sorts of concerns
13 are the ones that we would primarily target in
14 investigating or pursuing our risk assessment.

15 Q. And the relation to the process of addressing
16 the concerns of this project, can you address that?

17 A. Well, yes. Because we seem to have been
18 underinformed in the process of transactions to date, it
19 has come to be agreed between Anadarko and ourselves that
20 we would pursue a mutual risk assessment and focus on
21 risks with regard to likelihood and severity of the risks
22 that had a serious score in that likelihood, and severity
23 of product would be reasonably mitigated as a part of the
24 design process for this proposal.

25 Q. With regard to Exhibit No. 1, could you -- is it

1 your testimony that that's an accurate depiction of the
2 mine workings and -- maybe not completely current, but as
3 accurate?

4 A. Yes. The workings presented there are accurate
5 to within the date of approximately April of '09, and as
6 indicated there.

7 MR. ROYBAL: Mr. Hearing Officer, if it would be
8 helpful, we have smaller copies of this exhibit that could
9 be admitted into the record of this hearing.

10 HEARING EXAMINER: Yes, that would be helpful.

11 MR. ROYBAL: At this time, I pass the witness.

12 CROSS-EXAMINATION

13 BY MS. MUNDS-DRY:

14 Q. I just have a few questions, Dr. Bessinger. I
15 think you indicated the sort of white areas -- I think is
16 what you called them, are those areas -- I think you
17 indicated those are the mined out areas?

18 A. The long wall mining has been completed in the
19 areas that are cross-hatched.

20 Q. And those long wall panels, I believe you
21 indicated have been collapsed then?

22 A. The area cross-hatched in white has been
23 effected by subsidence, yes.

24 Q. Okay. I also wanted to ask you for the record,
25 Dr. Bessinger, what is the red line on the map there?

1 A. Well, that red line is a composite of various
2 responsibilities that we have either through leases or
3 permits for areas. Essentially, the area within the
4 greatest concern for us is north of the red line and its
5 principality.

6 Q. And Dr. Bessinger, I believe you indicated that
7 you're somewhere in Section 36 there currently in a long
8 wall panel?

9 A. That's correct.

10 Q. And so you plan to move northeast?

11 A. Well, we progress in a sequence that is easterly
12 successively.

13 HEARING EXAMINER: Where the red line is, that
14 is where you have a lease?

15 THE WITNESS: Leased and/or surface permits.

16 HEARING EXAMINER: So you have a lease where the
17 well is situated?

18 THE WITNESS: I believe that's correct. And we
19 do not intend to mine that area. So the fact that we have
20 any coal rights in that area is not really relevant to
21 the -- We have no future intent to mine that area.

22 HEARING EXAMINER: Why don't you want to mine
23 it?

24 THE WITNESS: Well, the decision not to mine
25 this area was principally related to the fact that for us

1 to long wall that area, we would have had to continue this
2 panel further south, and to do so would have damaged the
3 plant facilities and infrastructures.

4 And so in order to not damage those
5 unnecessarily, we actually bypassed that coal.

6 HEARING EXAMINER: But the plan was that you
7 obtained the lease to mine that area?

8 THE WITNESS: Right. I think the intentions
9 around this were rather arbitrary. I don't think there
10 was ever any actual intention to mine under the plant
11 area. But the air plant, as an example, was actually
12 constructed in conjunction with the mine.

13 HEARING EXAMINER: Okay. Go ahead.

14 Q. So Dr. Bessinger, if I understand correctly, in
15 the second long wall panel there, you'll be there until
16 2010, approximately?

17 A. Approximately January of 2010.

18 Q. So you'll be moving away from the well each
19 successive year?

20 A. That's correct, as a long wall itself, but until
21 we complete mining here, we'll have to continue to have
22 access and maintain the interests that's depicted there as
23 the southernmost boundary in those works.

24 Q. And you expect to be done in approximately 2014
25 with those long wall panels?

1 A. Just estimating it casually, yes.

2 Q. Dr. Bessinger, did you listen to the testimony
3 today of Mr. Gutierrez?

4 A. Yes, I did.

5 Q. And you're aware then that Anadarko plans to set
6 the surface casing at approximately 1,100 feet?

7 A. Yes.

8 Q. And that the injection zone is approximately a
9 thousand feet below your mine workings?

10 A. Correct.

11 Q. And you mentioned also in your testimony that
12 you may have some other surveys and other documents that
13 indicate where your vent shafts and your vent --
14 boreholes, is that what you call them?

15 A. Gob vent boreholes.

16 Q. Would you be willing to share those with
17 Anadarko?

18 A. Yes. I think we certainly would be reviewing
19 those. It's in the assessment protest.

20 Q. Thank you. Those are all the questions I have.

21 HEARING EXAMINER: Thank you. Before I proceed
22 Mr. Roybal, do you want to admit that exhibit?

23 MR. ROYBAL: Yes, I would move for the admission
24 of this Exhibit 1.

25 HEARING EXAMINER: Any objections? It will be

1 admitted.

2 CROSS-EXAMINATION

3 BY MS. ALTOMARE:

4 Q. Dr. Bessinger, you talked about workers that are
5 working in a confined space that you were concerned about
6 having contamination exposure. Are those workers provided
7 with supplied air while they're working in those confined
8 places?

9 A. Well, when I say confined space, I really
10 contrast that to the general earth atmosphere. We don't
11 consider it a confined space under the best mining
12 practices, but relative to general earth atmosphere,
13 they're dependant on atmosphere that's conducted to them
14 from elsewhere and then flows through the ventilation
15 system to ultimately be exhausted to the surface.

16 So they don't have quite the same benefit in the
17 choice of atmosphere as you have with the general earth
18 atmosphere.

19 Q. So they're provided air through a ventilation
20 system?

21 A. Correct.

22 Q. But not through any kind of a personal
23 ventilation system?

24 A. No.

25 Q. That they wear on their person or anything like

1 that?

2 A. No. In the normal conduct of work, it's much in
3 the same environment we have here.

4 Q. Okay. And the ventilation system that we're
5 speaking of, those vents, do they draw air in, or do they
6 force air or gas out of the mining area?

7 A. In the case of the gob boreholes, they typically
8 exhaust the gob atmosphere and fresh air is conducted
9 through the mining ventilation system.

10 Q. Okay, so the ones that are under the surface
11 actually are pushing air or gas out?

12 A. Right.

13 Q. Okay. The risk assessment process, is there a
14 typical time frame that you normally see with that
15 process?

16 A. Well, that's a process that in the case of
17 something like this probably could be transacted in a
18 relatively brief period of time of several days, but there
19 may be milestone events that trigger review or perhaps
20 information input into that process.

21 So the conclusion of it doesn't really conclude
22 until we can see that the project is completed. But the
23 biggest part of the exercise itself can be done in a
24 period of a couple days, identifying the concerns, and
25 those concerns would then be addressed, opportunity

1 permitting.

2 Q. Okay. And has San Juan Coal or BHP done a
3 collaborative risk assessment process of this nature
4 before with another entity?

5 A. We have, we actually do those kinds of things
6 relatively routinely. And so I guess, yes -- I think the
7 answer to that is yes, we have done those.

8 Q. And is your company happy with the cooperation
9 that they are receiving from Anadarko at this point in
10 time?

11 A. Yes, we seem to have an acceptable level of
12 cooperation.

13 MS. ALTOMARE: Those are all the questions I
14 have.

15 HEARING EXAMINER: Dr. Bessinger, what is the
16 relationship between BPH and San Juan Coal?

17 THE WITNESS: San Juan Coal is a wholly owned
18 subsidiary of BHP. It's the sole source of fuel for San
19 Juan Generating Station.

20 HEARING EXAMINER: Okay, so BHP owns San Juan
21 Coal?

22 THE WITNESS: Correct.

23 HEARING EXAMINER: You mentioned that before you
24 came in here you were underinformed, you mentioned
25 something about that. So after listening the your

1 testimony, did you learn something you didn't know before
2 you came to the hearing today?

3 THE WITNESS: Yes. I think certainly we were
4 exposed to newer information that is helpful in
5 considering the process.

6 HEARING EXAMINER: Okay. You have no intention
7 to mine in the area south of the demarked lines?

8 THE WITNESS: No, there is no current ambition
9 to mine in any area that's south of the marked lines
10 there.

11 HEARING EXAMINER: And the reason being that
12 there is no coal down there?

13 THE WITNESS: Well, there is coal down there,
14 but for a variety of different reasons, we determined that
15 this is the likely southern extent of work.

16 We talked about the potential damage to the
17 plant; the same is potentially true of the residential
18 area over here. So because we want to balance our concern
19 for the community impact and the environmental impact,
20 we're trying to stay away from areas that have any
21 significant man-made structures or artifacts in there.

22 HEARING EXAMINER: Okay. Very good. Could you
23 tell me now from your testimony what impact this acid gas
24 injection would have on your mine workings? I don't know
25 what's going to happen because -- I'm just submitting the

1 information, I don't know what's going to happen. Suppose
2 this is approved, what would be the impact on your
3 operations?

4 THE WITNESS: Well, my vision of what would go
5 forward based on the mutual agreement, we would conduct a
6 risk assessment on any reasonable mitigations, that we
7 would place those mitigating strategies, and then the
8 project would probably proceed to a successful completion.

9 By virtue of the fact mitigations are in place
10 and by virtue of the fact that time post 2014 we will have
11 largely moved our activities away from the proximity of
12 the site, then the combinations of those things should
13 render the impact as limited to minimal.

14 But the concern that we have is that somewhere
15 in this process, it might have been possible for a
16 mitigating step to have been overlooked as it might apply
17 to us and we wanted to maintain our relevancy in the
18 discussion.

19 HEARING EXAMINER: So you are going to work on
20 those details and work it out?

21 THE WITNESS: Yes.

22 HEARING EXAMINER: I hope that presently the
23 mine workers are not in any danger?

24 THE WITNESS: At present, no, there is not
25 a hazard beyond acceptable levels of mitigations that are

1 in place. As it stands now, there seems to be adequate
2 mitigations in place for the facilities that are just now
3 -- and once we complete the risk assessment and implement
4 the mitigations that might come about as a result of that
5 assessment, we should return to a similar condition should
6 the project go ahead.

7 HEARING EXAMINER: Okay, good. Redirect exam?

8 MR. ROYBAL: Very briefly.

9 REDIRECT EXAMINATION

10 BY MR. ROYBAL:

11 Q. The San Juan Generating Station, could you tell
12 us who operates that?

13 A. Well, Public Service Company of New Mexico is
14 the operator of the San Juan Generating Station, and it
15 supplies a significant amount of power to the state of New
16 Mexico.

17 So any disturbance in our activities becomes a
18 key issue to a very large sector in society. Our need for
19 sustained operations is significant because there is no
20 ready alternative.

21 Q. The relationship between San Juan Generating
22 Station and San Juan Coal Company is --

23 A. We're their only source of fuel and they are our
24 only customer.

25 Q. But no ownership or --

1 A. No, we have no ownership.

2 Q. Very good. Thank you.

3 HEARING EXAMINER: Is there any impact on costs
4 by this application to San Juan Generating Station because
5 -- Counsel just asked you that question.

6 THE WITNESS: Well, provided that we're able to
7 implement mitigating strategies, those strategies should
8 render the impacts minimal in the case of the mine or the
9 power plant.

10 HEARING EXAMINER: Okay. Anything else?

11 MR. ROYBAL: Not to ask any questions of this
12 witness, but if you would indulge in a quick closing
13 statement to summarize our position.

14 HEARING EXAMINER: That's what I'm coming to
15 now, closing statements. Go ahead.

16 MR. ROYBAL: We appreciate the opportunity to
17 appear before the Division and the Hearing Officer, and
18 actually, the opportunity to have met with Anadarko to
19 have discussions on this matter.

20 San Juan Coal Company neither opposes or
21 supports this application, but we do believe that through
22 the mechanisms we've discussed, the risk assessment, we
23 can address our concerns and help fulfill not only our
24 obligations to our workers and to the community, to the
25 state of New Mexico and to our customer, San Juan

1 Generating Station, we believe that's what we're here to
2 do today.

3 We do understand the OCD's position and that it
4 does take into account other minerals within its
5 jurisdiction, and the potash situation is a prime example
6 in the southeastern part of the state.

7 I guess what we would ask is for the Division in
8 its order to recognize our interests and at a minimum, to
9 be given notice of any revisions to Rule 11.

10 I think that is probably under your rules, we'd
11 probably get that anyway. But we do feel that the issues
12 that we raised today and in this process should be taken
13 into account as this project goes forward.

14 HEARING EXAMINER: Thank you very much. Any
15 other closing statements? And that goes to what I said in
16 the middle of the testimony, is that, have knowledge of
17 what's going on by everybody.

18 I think if the operator -- or the applicant in
19 this case -- has educated -- including the APDs, public,
20 we wouldn't have had this -- You know. All you have here
21 is the letters, comments, and most of them are based on
22 ignorance, the way you read it.

23 So this is why we're having a hearing. We're
24 having a hearing, everybody is authorized to come here and
25 voice their opinion. So I'm glad that we are going to --

1 you know, have to continue this way.

2 But like I said, you guys, the operator wants to
3 bring this acid gas injection -- Because all of them go to
4 hearing at this time. We need to educate the public in
5 the area. Because most people there -- If I were in their
6 shoes, I wouldn't understand, then I'd raise concern.

7 I mean, if I'm living there, we do exactly what
8 we're doing without having any knowledge. So that's why
9 I'm saying that training might be a good thing to do.

10 Is there anybody here who was in the room when
11 we started that wants to make a comment? Does anybody
12 here want to make any comment, any one from the public?

13 Okay.

14 Well then, at this point, Case No. 14329 will be
15 taken under advisement.

16 (Whereupon, the proceedings concluded.)

17

18

19


20

21

22

23

24

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 14329
heard by me on 10/15/09

Examiner
Oil Conservation Division

25 STATE OF NEW MEXICO)
) ss.

1 COUNTY OF BERNALILLO)

2

3

4

REPORTER'S CERTIFICATE

5

6

I, PEGGY A. SEDILLO, Certified Court

7

Reporter of the firm Paul Baca Professional

8

Court Reporters do hereby certify that the

9

foregoing transcript is a complete and accurate

10

record of said proceedings as the same were

11

recorded by me or under my supervision.

12

Dated at Albuquerque, New Mexico this

13

10th day of November, 2009.

14

15

16

17

18

Peggy Sedillo

PEGGY A. SEDILLO, CCR NO. 88
License Expires 12/31/09

19

20

21

22

23

24

25