

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION DIVISION FOR
THE PURPOSE OF CONSIDERING:

COPY

APPLICATION OF CHEVRON USA INC. FOR CASE NO. 14401
AMENDMENT OF DIVISION ORDER NO. R-5530-E
TO REVISE THE INJECTION WELL COMPLETION
REQUIREMENTS AND TO CHANGE THE BASIS FOR
THE CALCULATION OF THE AUTHORIZED INJECTION
PRESSURE FOR CARBON DIOXIDE FROM SURFACE
PRESSURE TO THE AVERAGE RESERVOIR PRESSURE
IN ITS PREVIOUSLY APPROVED TERTIARY RECOVERY
PROJECT IN THE CENTRAL VACUUM UNIT EOR
PROJECT AREA, LEA COUNTY, NEW MEXICO,
and the

APPLICATION OF CHEVRON USA, INC. FOR CASE NO. 14402
AMENDMENT OF DIVISION ORDER R-4442,
AS AMENDED, TO REVISE THE INJECTION
PRESSURE FOR CARBON DIOXIDE FROM SURFACE
PRESSURE TO THE AVERAGE RESERVOIR PRESSURE
IN ITS PREVIOUSLY APPROVED TERTIARY
RECOVERY PROJECT IN THE VACUUM GRAYBURG-
SAN ANDRES PRESSURE MAINTENANCE PROJECT,
LEA COUNTY, NEW MEXICO.

RECEIVED OGD
2009 DEC 17 P 2:04

REPORTER'S TRANSCRIPT OF PROCEEDINGS
EXAMINER HEARING
December 3, 2009
Santa Fe, New Mexico

BEFORE: DAVID BROOKS: Hearing Examiner
TERRY WARNELL: Technical Advisor

This matter came for hearing before the New Mexico
Oil Conservation Division, David Brooks Hearing Examiner,
on December 3, 2009, at the New Mexico Energy, Minerals
and Natural Resources Department, 1220 South St. Francis
Drive, Room 102, Santa Fe, New Mexico.

REPORTED BY: PEGGY A. SEDILLO, NM CCR NO. 88
Paul Baca Court Reporters
500 Fourth Street, NW, Suite 105
Albuquerque, NM 87102

I N D E X

1		
2		Page
3	APPLICANT'S WITNESS:	
4	SCOTT INGRAM	
	Examination by Mr. Carr	7
5	Redirect Examination by Mr. Carr	92
6	TEJAY SIMPSON	
	Examination by Mr. Carr	22
7		
8	KOBY CARLSON	
	Examination by Mr. Carr	55
9	PAUL BROWN	
	Examination by Mr. Carr	77
10		
11	APPLICANT'S EXHIBITS:	
12	Exhibit No. 1, PowerPoint Presentation:	
	Slides 1 - 9	21
13	Slides 10 - 21	51
	Slides 22 - 27	74
14	Slides 28 - 36	88
	Exhibit No. 2	96
15	Exhibit No. 3	96
16		
17	COURT REPORTER'S CERTIFICATE	97

A P P E A R A N C E S

20		
21		
22	FOR THE APPLICANT:	WILLIAM F. CARR, ESQ.
23		Holland & Hart, LLP
		P. O. Box 2208
		Santa Fe, NM 87504-2208

25

1 HEARING EXAMINER: At this time we will call
2 Case No. 14401, application of Chevron USA, Inc. for
3 amendment of Division Order R-5530-E. Do you want us to
4 call both cases?

5 MR. CARR: Yes, Mr. Examiner, I'd appreciate it
6 if you'd also call 14402.

7 HEARING EXAMINER: Okay. We will also call Case
8 No. 14402, application of Chevron USA for amendment of
9 Division Order No. R-4442. It's my understanding that
10 appearances will be joined in these two cases, so we'll
11 call for appearances in both cases.

12 MR. CARR: May it please the Examiner, my name
13 is William F. Carr of the Santa Fe office of Holland and
14 Hart. We represent Chevron USA, Inc. in these cases. We
15 have asked that they be consolidated because they do
16 present the same issues and the same relief is sought.

17 We have seven wells in the Central Vacuum Unit
18 and two in the vacuum Grayburg-San Andres Unit. And so we
19 will need separate orders because there are separate
20 orders governing the enhanced recovery projects in each of
21 these units.

22 The cases you will see present really three
23 issues. Two of them relate to the completion requirements
24 in the original orders approving these units. Nine of the
25 wells in these units have the tubing cemented in the case.

1 The wells failed mechanical integrity tests, they had
2 trouble getting the cement to bond.

3 And in meetings with the Hobbs District office,
4 this method of completing wells was, in fact, approved.
5 Notice of intent were filed on those wells, C-103s were
6 approved on all.

7 And the problem is that this procedure conflicts
8 with the Division's order defining how the wells are to be
9 completed. So when this was discovered, we were advised
10 to come back and seek an amendment order.

11 When it was discovered we didn't know there were
12 nine wells, there was an inventory of the Chevron operated
13 properties in southeast New Mexico, and we discovered
14 several others.

15 We also discovered that there were packers
16 throughout the units that were set more than 100 feet
17 above the top perforation and the casing ^{shot} ~~shot~~. And that
18 activity would fall err to the same problem as the
19 completion, and so we added that to our application.

20 The third issue relates to a change in the way
21 injection pressures are calculated. And we'll show you
22 that when the initial orders were entered, the injection
23 pressure was set at a certain surface pressure and we were
24 anticipating injecting a hundred percent CO2. We have a
25 contaminated gas stream, it's not only CO2, it's 87

1 percent CO2.

2 But what this does is, it has about a 400 pound
3 impact on the bottomhole pressure and it is having an
4 adverse effect on our ability to inject principally into
5 the Central Vacuum Unit.

6 So we're asking and we will show you how we
7 recommend this be handled so that we still have virtually
8 the same bottomhole pressure, but we can get there with a
9 different surface pressure, and we'll explain that to you.

10 I have four witnesses that I'm going to call.
11 Scott Ingram is the project manager for this area. He's
12 an earth scientist. He's going to give you some general
13 background information and review recent historical events
14 that led to this problem and will summarize our
15 recommendation.

16 Tejay Simpson, the operations manager, is going
17 to review current operations, he's going to review with
18 you some recent mechanical integrity tests that were run
19 on each of the nine wells at issue. And he's going to
20 address questions that popped up during the meeting with
21 the Division concerning how ultimately these wells could
22 be plugged.

23 Koby Carlson, our automation analyst, will be
24 here to explain the SCADA system which Chevron uses. This
25 was originally for data acquisition but has recently been

1 affecting the identifying leaks, surface leaks, and he's
2 going to show you how this can be used now. And Chevron
3 proposes to use this downhole as well.

4 And then we'll call petroleum engineer Paul
5 Brown who is going to address the issue of the packer
6 setting depth and also the change in injection pressures.

7 And so with that, I would like to at this time
8 call Scott Ingram.

9 HEARING EXAMINER: Okay. For the record, are
10 there any other appearances in this case? Seeing none,
11 will the witnesses stand and identify themselves for the
12 record?

13 MR. BROWN: Paul Brown.

14 MR. SIMPSON: Tejay Simpson.

15 MR. CARLSON: Koby Carlson.

16 MR. Ingram: Scott Ingram.

17 HEARING EXAMINER: Please swear the witnesses.

18 (Note: The witnesses were placed under.
19 oath by the Court Reporter.)

20 MR. CARR: Mr. Examiner, our presentation is in
21 the form of a Power Point presentation, and I have given
22 you a hard copy of the slides. And we're going to refer
23 to them by the slide number you see on the page. And if I
24 slip up, I may call them -- refer to them by page number.
25 But we will go through all of those.

1 HEARING EXAMINER: Very good. You may call your
2 first witness.

3 SCOTT INGRAM,
4 the witness herein, after first being duly sworn
5 upon his oath, was examined and testified as follows:

6 DIRECT EXAMINATION

7 BY MR. CARR:

8 Q. Would you state your name for the record,
9 please?

10 A. My name is Scott Ingram.

11 Q. Mr. Ingram, by whom are you employed?

12 A. I work for Chevron USA.

13 Q. And what is your current position with Chevron?

14 A. I'm a certified petroleum geologist. I work as
15 an earth scientist and as a project manager for Chevron.

16 Q. Have you previously testified before the Oil Con
17 servation Division?

18 A. Yes, I have.

19 Q. At the time of that testimony, were your
20 credentials as an expert witness in geology and earth
21 science accepted and made a matter of record?

22 A. Yes, they were.

23 Q. What are your responsibilities day to day at the
24 Vacuum Grayburg-San Andres Unit and the Central Vacuum
25 Unit?

1 A. I provide earth science support to the team. We
2 work in team environments. And I also provide informal
3 leadership and project management services to the team.

4 Q. Are you familiar with the applications filed in
5 each of these cases?

6 A. Yes, I am.

7 Q. And have you prepared exhibits or slides for
8 presentation here today?

9 A. Yes.

10 MR. CARR: We tender Mr. Ingram as an expert in
11 geology and earth science.

12 HEARING EXAMINER: His credentials are accepted.

13 Q. Mr. Ingram, would you refer to Slide 2 and
14 review for the Examiners what it is that Chevron seeks in
15 these cases?

16 A. Yes. As Bill kind of went over in his summary,
17 there are three parts to our hearing application. And
18 they're summarized here and you'll see that the number
19 references again throughout the presentation, the 1, 2 and
20 3, are identified in three specific parts.

21 First of which is the injection well completion
22 requirements, and the reason that we're here today is that
23 we have nine wells, nine injectors that were approved by
24 the District with these remediated tubing cemented in
25 place that we subsequently learned don't comply with

1 current injection orders, that the casing tubing annulus
2 can no longer be monitored.

3 The second item is that the ^{injection D43}injunction packer
4 setting requirements, we want those to be modified. The
5 reason being, we desire the ability to set the injection
6 packer higher than within 100 foot of the top perf but
7 still within the unitized interval.

8 And then the last number item is that we want to
9 amend the verbiage around the maximum CO2 injection
10 pressure. The reason for this is as Bill indicated, we
11 desire to be able to reference the maximum bottomhole
12 ^{injection}~~injunction~~ pressure rather than the maximum surface
13 injection pressure in order to respond to the reduced
14 injection fluid density so that we can essentially have
15 the same bottomhole injection pressure.

16 Q. Let's go to Slide 3, and would you review the
17 current well completion requirements in the orders that
18 approved each of these EOR projects?

19 A. Yes, I will. I can't read that from here, but
20 what you see in front of you are the actual text from the
21 injection orders. On the top of Slide 3 is the text from
22 the ^{Central}~~simple~~ vacuum unit injection order. On the bottom of
23 Slide 3 is the Vacuum Grayburg-San Andres Unit injection
24 orders.

25 And then the numbers you see beside those, the

1 1, 2 and 3, are the portions of those orders that deal
2 specifically with the three issues that we're bringing
3 before you today.

4 The first part is that where it says, "The
5 casing tubing annulus shall be filled with an inner fluid
6 and a gauge ^{or DJ} where approved leak detection device shall be
7 attached to the annulus in order to determine leakage."

8 The second portion is the part that deals with
9 the injection packer placement. And it says, "A packer
10 set within approximately 100 foot of the uppermost
11 injection perforations or casing ^{slide DJ} ~~sheet~~."

12 And then the last portion deals with the CO2
13 injection pressure, and the verbiage states that the CO2
14 produced gases at a maximum surface injection pressure of
15 350 psi above the current maximum surface injection
16 pressure for water, provided, however, such CO2 injection
17 shall not occurred at a surface injection pressure in
18 excess of 1850 PSI." That's the verbiage in the current
19 order.

20 Q. Mr. Ingram, let's address first Issue No. 1,
21 Injection wells with the tubing cemented in the casing.
22 And I'd ask you to go to Slide 3, and by using this slide,
23 basically review for the Examiners how you got to this
24 point and why we're here?

25 A. Okay. Again, this is the first item in our

1 application. Again, we repeat it at the top of this slide
2 the verbiage from the injection order that states the
3 casing tubing annulus shall be filled with an ~~inner~~ ^{inert} fluid.

4 HEARING EXAMINER: Okay, now your on Slide 4?

5 THE WITNESS: Yes. It's actually Slide 4.

6 MR. CARR: I'm sorry, that's right. I just
7 can't read. Slide 4.

8 A. So this text is from the actual injection order,
9 and this issue around these injectors -- and there's nine
10 of them, this began -- or surfaced in late May of this
11 year with the Vacuum Grayburg-San Andres Unit No. 47.

12 The actual first well that was remediated this
13 way was Central Vacuum Unit 58 that was done in 2003 after
14 there were seven unsuccessful squeeze attempts made on
15 that wellbore.

16 The Chevron Operations supervisor at the time
17 and the OCD Hobbs District supervisor at the time met and
18 developed the remedial plan that was subsequently put into
19 place on that well and each of these other nine wells,
20 which was to cement the tubing in place.

21 We submitted an intent, and that was approved.
22 The work was done, and then all the subsequent C-103s were
23 approved for each of the other nine wells up until the
24 VGSAU 47. In fact, it's first C-103 approved and then we
25 noticed that there had been some detail omitted from that

1 so we filed a second C-103 covering that activity, and
2 that C-103 was subsequently denied.

3 Then in July of this year, the Santa Fe office
4 for the OCD contacted me personally and conveyed that the
5 OCD District offices didn't have the authority to grant a
6 variation that violates the OCD order.

7 Then all of our subsequent research, we found
8 that there were a total of nine New Mexico Chevron
9 operated injectors completed this way, all of which are at
10 vacuum following the Central Vacuum Unit 58.

11 Q. In your meeting with the Santa Fe office, you
12 were required to shut in the Vacuum Grayburg-San Andres
13 Unit No. 47, but allowed to continue to use the other
14 wells pending this hearing?

15 A. Yes, that's correct.

16 Q. All right. Let's go to the next slide which I
17 believe is 5, and I'd ask to you identify that and review
18 it.

19 A. Okay. This is a plat of the vacuum field area.
20 Vacuum, if you don't know is, located approximately 25
21 miles northwest of the city of Hobbs. And the colors on
22 the projection here don't come out real well, but this
23 green outline that's in the northeast quarter of the
24 display, that's the Central Vacuum Unit.

25 The red outline to the southwest is the Vacuum

1 Grayburg-San Andres Unit boundary. The round circles that
2 you see -- and there should be nine of those total, those
3 are the nine wells that are the subject of this hearing,
4 five of which are inside this what looks up here as gray,
5 but I think on the handouts there's a pink shaded area.

6 The pink shade represents our current CO2
7 phases, our areas of the two units that are currently
8 under enhanced oil recovery. So there are five in there
9 and we have planned expansions to the north and south that
10 will also bring in those next two closest injectors into
11 CO2 or enhanced oil recovery projects in the future.

12 So there are a total of seven that are involved
13 or will be involved in the CO2 process, and those are the
14 ones most important to our reserve recovery. And then it
15 again shows the location of the VGSAU 47, the one that is
16 currently shut in.

17 Q. When were these units approved and pressure
18 maintenance operations authorized?

19 A. The Central Vacuum Unit was initially
20 established in 1977. Pressure maintenance was approved in
21 1978, and then enhanced oil recovery was approved in 1997.

22 And then for the Vacuum Grayburg-San Andres
23 Unit, it was unitized in '72. Pressure maintenance began
24 later in '72. And then we were initially approved for
25 enhanced oil recovery in 2001, we did not implement that

1 project in time, and that authority expired. We reapplied
2 and received approval for enhanced oil recovery in 2007
3 and actually initiated C02 flooding in the Vacuum
4 Grayburg-San Andres Unit in 2008.

5 Q. And when did Chevron assume operation of these
6 units?

7 A. Chevron assumed operation in the fall of 2001
8 through a merger with Texaco.

9 Q. Let's go to Slide No. 6, the timeline. Would
10 you explain what this shows?

11 A. Yes. This is a time line that shows each of the
12 nine wells that are the subject of this hearing. They are
13 shown here on the left. And they are shown sequentially.

14 The red blocks are the period in which we
15 established a downhole problem, either an MIT failure or
16 some other evidence that we had a downhole problem.

17 Then the blocks that are shaded in blue are
18 where we conferred and sought out an intent approval from
19 the OCD to remediate the wells, and then the green blocks
20 show when the wells were remediated, subsequent C-103s
21 approved, and then the wells returned to injection.

22 So it essentially shows kind of a sequential
23 work. The first four, if you notice, were done in a
24 relatively short time frame. Then there was a span of
25 about a year and a half before we have need to utilize

1 this remedial method again on a subsequent well, and then
2 the last five wells were done between 2005 and 2008.

3 Q. Since receiving a letter from the OCD concerning
4 this matter and advising Chevron that the District could
5 not approve changes that were inconsistent with the
6 Commission or Division orders, what has Chevron done?

7 A. Well, we filed application for this hearing. We
8 ran blanking plug tests on each of these nine wells. We
9 also first researched and found that there were a total of
10 nine wells that had been completed this way.

11 We ran blanking plug MIT tests on each of those
12 nine wells, and each of them passed, which confirmed that
13 today, the tubing is still sound and we have mechanical
14 integrity within the wellbore.

15 I lost track of my notes, but it seemed like
16 there was another item or two that we did.

17 Q. Did we attempt to identify wells or packers
18 where --

19 A. Yes, we did. Thank you. We recognized that
20 since Mr. Jones with the Santa Fe office had told me that
21 the district offices didn't have the authority to approve
22 anything that violated the order, that the longstanding
23 practice of when an injection packer needed to be set
24 higher than 100 foot above the top perf, the practice of
25 contacting the district office and getting either written

1 or verbal approval to do so, was also in violation of the
2 written order. So it's something that needed to be
3 amended by amending the field rules -- or the --

4 Q. Did Chevron meet with the Oil Conservation
5 Division in Santa Fe?

6 A. Yes, we did. Actually, each of the four of us
7 came and met with the Santa Fe office here just a few
8 weeks ago and presented a proposal for continued use of
9 these nine wellbores that we feel will very adequately
10 continue to protect the ground water resource and allow us
11 to continue to use these wellbores.

12 Q. And certain concerns were expressed by the
13 Division at that meeting, were they not?

14 A. Yes.

15 Q. And in the testimony today, we addressed those
16 things?

17 A. Yes, we did.

18 Q. Let's go to what has been marked Slide 7.

19 A. Okay, the other witnesses will go into much
20 greater detail as to -- Well, I'm a slide ahead of myself.

21 This slide summarizes the situation as it is
22 right now, that because of the small size of the tubing
23 string cemented into place in these wells, seven of the
24 wells are 2 7/8 inch tubing, and then in two, it's 2 3/8.

25 We really don't have any viable remedial

1 options. Anything that you might try would be extremely
2 costly, would put the tubing that's cemented in place at
3 risk of no longer being viable.

4 By that I mean, one medial option, pretty much
5 the only one would be to go in and mill out this fiber
6 lined tubing and set a cap string inside. And in that
7 milling operation, you're very likely going to violate the
8 wall thickness of the tubing and then have, once again, a
9 lack of mechanical integrity.

10 And any of those scenarios would require then
11 injecting down a smaller string which would further reduce
12 your injectivity and reduce the value of the wellbore. So
13 none of those are viable options.

14 The consequences of losing all of these nine
15 wellbores are that we would lose approximately 485 barrels
16 of production currently, and over the life of those
17 portions of the patterns, we would lose 2.2 million
18 barrels, including reserves. And that represents about
19 \$19 million in state revenue based on an oil price of \$70
20 a barrel.

21 To redrill all of those nine wells would cost,
22 based on today's drill costs, approximately \$15 million,
23 and that number may actually be a little conservative in
24 that some of our recent wells exceeded that \$1.5 million
25 per well to drill.

1 And that only represents the capital costs to
2 drill the wells, it does not represent the ongoing
3 operational costs, the cost of the CO2 to recycle through
4 them.

5 So when you lump on that kind of a cost to a
6 project where you've got very mature patterns, you really
7 further erode the economics. And with the current
8 economic restraints that we have with our budgetary and
9 capital restraints that we have in -- I really feel like
10 most of these wells would not likely be replaced.

11 And I need to explain that we are part of
12 Chevron Corporation, and our role within that corporation
13 for the large part is to provide cash to fund other
14 opportunities.

15 We do receive capital to maintain our
16 production, but we have to compete with all of these other
17 opportunities. And if we can't -- if the opportunities
18 that we have can return a profit, albeit a small one, if
19 it's not as big as a profit that's available elsewhere, we
20 can't get the capital.

21 And so that's why I'm very comfortable in making
22 that statement, that most of these wells could not be
23 economically replaced.

24 Q. Have you been able to estimate the costs
25 incurred to date just to go out and cement the tubing in

1 the casing?

2 A. Yes. Through the operations that we followed on
3 these nine wells of cementing the tubing in place, I
4 personally went back through the well files and reviewed
5 those projects, and the total was over a million dollars
6 on these nine wells in remediating these wells in a
7 fashion that was endorsed by the district office.

8 Q. Let's go to Slide 8. And can I ask you at this
9 point to just summarize what Chevron's recommendation is
10 going to be, keeping in mind that other witnesses will
11 provide the detail.

12 A. Right, the detail will follow. Our proposal is
13 that we will test these wells, improve the mechanical
14 integrity at five times the currently required OCD
15 frequency via an annual blanking plug test, and that we
16 will monitor for changes in the injection rate versus
17 injection pressure on a daily basis with our SCADA system.

18 SCADA stands for supervisory control and data
19 acquisition, and it will be explained more in just a
20 minute.

21 And by doing that, we'll be able to generate
22 alarms that will prompt human response and ^{evaluation} ~~evacuation~~. *DS*
23 Valid alarms will require the well to be shut in and the
24 wells would not be able to resume injection until an MIT
25 had been reconfirmed -- or confirmed.

1 And we did further research and confirmed that
2 this proposal, this proposed approach fully complies with
3 Federal UIC regulations. And in fact, it's an approved
4 method that's being used in the other jurisdictions.

5 Q. Let's go to the next slide.

6 A. This a copy of the EPA regulations dealing with
7 mechanical integrity. And under Item 1468B, you see that
8 it states, "One of the following methods must be used to
9 evaluate the absence of significant leaks in Paragraph
10 (a) (1) of this section."

11 And then the subsection labeled No. 1, there is
12 the section that the State of New Mexico has opted to
13 follow all these years, which is that you confirm
14 mechanical integrity by performing an initial pressure
15 test, and then monitoring the tubing casing annulus
16 pressure with sufficient frequency. That's what is normal
17 in New Mexico.

18 But what the Federal UIC regulations also
19 alternatively allow is that you either, two, pressure with
20 liquid or gas, which is this proposed blanking plug
21 testing that we're -- you'll hear more about in just a
22 minute, and that also, the UIC regulations give you the
23 option of doing 1, 2, or 3.

24 Three being that you -- records of monitoring
25 showing the absence of significant changes in the

1 relationship between injection pressure and injection flow
2 rate for the following Class 2 enhanced recovery wells.

3 And that's the SCADA system that we're
4 proposing. So our proposal actually incorporates not just
5 one of these three, but two of these three.

6 Q. Mr. Ingram, I will Chevron call additional
7 witnesses to review the operational and technical portions
8 of the case?

9 A. Yes, it will.

10 Q. Were Slides 1 through 9 of Exhibit 1 prepared by
11 you?

12 A. Yes.

13 MR. CARR: May it please the Examiners, at this
14 time I would move the admission into evidence of Chevron's
15 Slides 1 through 9.

16 HEARING EXAMINER: Chevron Slides 1 through 9
17 are admitted.

18 MR. CARR: That concludes my direct examination
19 of Mr. Ingram.

20 HEARING EXAMINER: Mr. Warnell?

21 MR. WARNELL: I think it was Mr. Kellahin this
22 morning that said something about the devil is in the
23 details?

24 THE WITNESS: Well, I have angels following me.

25 MR. WARNELL: Angels? Okay. I was glad to see

1 that you addressed the UIC regulations and concerns. I
2 think that was a big concern upstairs. I don't have any
3 other questions.

4 HEARING EXAMINER: Is there any H2S in this gas
5 stream?

6 THE WITNESS: Yes.

7 HEARING EXAMINER: And what are the
8 concentrations?

9 THE WITNESS: We've got a gas analysis that
10 comes up here shortly. I think it's on the order of 2
11 percent.

12 HEARING EXAMINER: Okay, so another witness will
13 be covering that?

14 THE WITNESS: Yes, sir.

15 HEARING EXAMINER: Okay. Thank you. I have
16 nothing further.

17 MR. CARR: May it please the Examiners, at this
18 time I will call Tejay Simpson.

19 TEJAY SIMPSON,

20 the witness herein, after first being duly sworn
21 upon his oath, was examined and testified as follows:

22 DIRECT EXAMINATION

23 BY MR. CARR:

24 Q. Would you state your name for the record,
25 please?

1 A. Tejay Simpson.

2 Q. Would you spell your first name?

3 A. My first name is spelled T-e-j-a-y.

4 Q. Mr. Simpson, by whom are you employed?

5 A. I'm employed by Chevron.

6 Q. And what is your current position with Chevron?

7 A. I'm the operations supervisor for our field
8 management team that can include the Central Vacuum Unit
9 and the Vacuum Grayburg Unit.

10 Q. Have you previously testified before the Oil
11 Conservation Division?

12 A. I have not.

13 Q. Would you review your work experience for the
14 Examiners?

15 A. Certainly. I'm completing my 30th year of
16 experience in oil and gas operation. The last two years
17 of that have been in a first-level supervisory position of
18 oil and gas operations, from primary production to
19 secondary and tertiary, and gas plant operations. The
20 last six years have been primary with CO2 operations.

21 Q. And your area of responsibility does include the
22 area in which we find these two units?

23 A. Yes. The field management team that I manage
24 includes a number of properties scattered throughout the
25 county, but two primary properties are the Central Vacuum

1 Unit and the Vacuum Grayburg.

2 Q. What are your day-to-day responsibilities for
3 the operation of these units?

4 A. Just general oversight and direction to the
5 workforce, both Chevron and contract workforce in the
6 execution of the daily activities.

7 My primary responsibility in that is, Chevron
8 has a philosophy of operation excellence that truly
9 governs the way we do our business. And that addresses
10 how we address safety to our people, the protection of the
11 environment, and efficient operation of the resources that
12 we have.

13 Q. Are you familiar with the applications filed in
14 these consolidated cases?

15 A. Yes, I am.

16 Q. And have you prepared exhibits for presentation
17 here today?

18 A. Yes I have.

19 MR. CARR: May it please the Examiners, we
20 tender Mr. Simpson as a practical oilman and as the
21 operations supervisor of these units.

22 HEARING EXAMINER: His credentials are accepted.

23 Q. Could we go to Slides 10 and 11, and I would ask
24 you to provide the Examiners with a current operational
25 overview of these units.

1 A. With the Chevron operation, we are the evolution
2 of many mergers and acquisitions. And like many
3 properties in southeast New Mexico, we have aging an
4 infrastructure. We have had various construction and
5 maintenance practices through the different companies and
6 different time periods, clearly different types of
7 construction and the way things are taken care of.

8 And we clearly, as alluded to with the H2S
9 question, we handle other fluids and gases. The three of
10 these combined have undoubtedly resulted in historical
11 episode issues. He have issues out there that we continue
12 to work.

13 And part of Chevron's focus on operation
14 excellence is clearly to address that as we do business in
15 the future, that we become world class not only in the
16 protection of people, but in the environment as well.

17 And so it's a big challenge. And we have
18 specifically in our FNT, is we handle significant amounts
19 of fluid and equipment. We produce about a hundred
20 thousand barrels of day of fluid with about 90 percent of
21 that being produced water, and about 75,000 MCF a day of
22 gases with about 55,000 of that being CO2 contaminated
23 gases.

24 We have three phases of operation: Production,
25 and then separation and processing facilities, and then

1 sales and reinjection.

2 So in the course of the day, we're handling
3 300,000 barrels of fluid and 225,000 MCF a day of gas. So
4 our exposure to events is significant.

5 Chevron -- you know, the thing that's unique --
6 what I find unique with them is, I was a -- one of the
7 legacy companies is where I have come from, is anything
8 I've seen with Chevron is -- in their drive. And it's
9 actually referred to as an execution of focus in force to
10 become world class in our spill prevention.

11 So when you look at the combination of the
12 challenges of the equipment that we have and that we
13 operate, it takes a very systematic approach to start
14 addressing each of these challenges that we have so that
15 we can reduce the likelihood of us having continued spills
16 and contamination of the environment.

17 The first of our rules establishing clear
18 standards is in how we build facilities and installations.
19 So as facilities are built in the future, there is a very
20 clear standard as to how they'll be built for their
21 specific purpose of ensuring reliability and that they are
22 mechanically sound and don't -- and it's very unlikely
23 that we have continued spills in the future.

24 With the many different properties, we have
25 facility construction, consolidation efforts that are

1 going on, and the leak construction. The big focus in
2 that regard is to minimize our footprint and minimize our
3 exposure.

4 We operate the facility with 20 tanks, including
5 vessels of operation, all of which create risk. We
6 consolidate those facilities so that we significantly
7 reduce the number of pieces of equipment that we have to
8 operate and maintain, and therefore have at risk.

9 The next level of approach is in flowline
10 inspection and testing programs. We actually have
11 initiatives now that -- we just completed our third year
12 of performing mechanical integrity tests through hydro
13 testing of all surface-installed flow monitors that we
14 have in our property for the purpose of reducing the
15 likelihood of failures during operation. And it's been a
16 very successful program.

17 And then the SCADA deployment and the leak
18 detection development that has been in various forms since
19 the late 1980s, we have been limited in how we used that.
20 And what you'll see more of today is how we're taking that
21 to a new level of use, specifically around spill
22 prevention and early detection.

23 And a very specific focus on it in 2010 is trunk
24 line evaluation where we're evaluating our trunk lines
25 that exist, including testing and inspection of these

1 trunk lines.

2 So our main components of operation and the main
3 driver force is focused on prevention. And then you'll
4 see as we go forward, to operate SCADA more effectively to
5 supplement that prevention effort with early detection.

6 Very specific to the Central Vacuum Unit and the
7 Vacuum Grayburg, it is a combination of secondary and
8 tertiary floods. We have wells of up to 70 years in age.
9 Presently, we operate approximately 140 injection wells
10 with 57 of those being in CO2 service.

11 Q. Those are just in the Central Vacuum Unit and
12 Vacuum Grayburg-San Andres Unit?

13 A. That's correct. And as mentioned earlier, SCADA
14 was deployed in the late 1980s, but the primary purpose of
15 SCADA up until recent years has been on data acquisition,
16 limited control, and a little bit of alarm notification.

17 As far as the current injection wells, the way
18 we currently assess mechanical integrity, we monitor the
19 annular pressure monthly, and then we conduct annual OCD
20 witnessed Braidenhead inspections, and then five year OCD
21 witnessed pressure mechanical integrity tests.

22 Those five year tests are ^{dispersed} ~~disbursed~~ and they are
23 conducted on a rotational basis at the same time as the
24 Braidenhead inspections with our bleach well, and then
25 once every five years.

1 Q. Let's go to Slide 12, and I'd ask you to just
2 identify it for the Examiners and explain what you have
3 there.

4 A. This table is for your information. It is the
5 nine wells that are in question with the tubing that's
6 cemented in hole, a list of well numbers, and where these
7 wells are located; a brief summary of the surface casing
8 size and the depth, the pressure casing size and the depth
9 that it's set, and then the tubing strings that are
10 installed.

11 And each of these tubing strings have a
12 fiberglass liner inside of the tubing. There may be two
13 that have a dual line system, which is a PCV system,
14 through all of that.

15 And then this shows the dates they were
16 installed, and were there packers at the time they were
17 installed -- and there were, and additionally, profile
18 nipples present, which enabled us to do mechanical
19 integrity tests.

20 The last column is -- you know, after we
21 discovered we were in noncompliance, we wanted to ensure
22 that we had mechanical integrity, and we did conduct tests
23 in October.

24 These were nonbinding, nonofficial tests, these
25 were informational only. And then the outcome of the

1 tests. We were able to get successful tests on all nine
2 wells. We'll go into more detail on that testing.

3 Q. In the last column, we show the pressure to
4 which the wells were tested?

5 A. Correct.

6 Q. Some were at 2,500, some were at 2,000 pounds.
7 Why did you reduce the pressure?

8 A. I'll go into fairly significant detail on the
9 testing procedures that we used. But we hadn't done this
10 approach. And part of our process here was to develop a
11 procedure that we could execute repeatedly and
12 efficiently.

13 And we started the first few wells -- our well
14 procedure on what we would execute, we did the first few
15 wells at 2,500 psi, because that was the test pressure
16 that they were done when they were originally cemented in
17 place.

18 As we started doing the testing -- And it's very
19 clear that hydro testing, by its very nature, has the
20 potential to be a destructive test. And since we were
21 significantly above the normal operating injection
22 pressures, we saw that we could lower the pressure in
23 which we tested, still have sufficient differential as
24 compared to what the reservoir pressure injection was, and
25 be able to identify a leak, yet not exaggerate the risk

1 that we had in performing the test on the well.

2 Q. One of these, in fact, was tested only to 1,715
3 psi?

4 A. Yeah, and that's -- You'll see later that, quite
5 frankly, it was a procedure that was not followed. And I
6 don't have an answer for why that happened, it did.
7 You'll see later that we have a very specific procedure --

8 Q. Mr. Simpson, even that well was tested at
9 pressures above normal operating injection pressure?

10 A. Yes. The No. 71 is the well in question. And
11 it -- we had to do something mechanically at surface to
12 achieve the test. And we put the well on water injection
13 for a few days and actually had it shut in for, I think,
14 three or four days prior to doing the test. And so we had
15 sufficient differential against the reservoir even to
16 1,750.

17 Q. Let's go to Slide 14, and I'd ask you to explain
18 how the mechanical integrity testing was conducted on
19 these wells. First we'll go to 13 which is the schematic?

20 A. Sure. And this is just intended to be a very
21 simple schematic to show the differences between the
22 conventional setup on our wells that does have the annular
23 areas still intact versus the wells that have the cement
24 as is now in that annular area.

25 On the left is a conventional well. And the

1 kind of bluish area represents the annular space between
2 the injection tubing and the production casing, and it's
3 filled with inner packer fluid to reduce the corrosion
4 inside there, and also to help us immediately transfer the
5 pressure to surface monitoring equipment in the event that
6 we lose integrity of either our tubing or our packer or
7 develop a casing leak.

8 The clear advantages of this situation is that
9 we have easy access to monitor the annulus so that we can
10 identify if there has been a condition change that puts
11 the aquifer at risk. The other real clear benefit is it's
12 easy to execute remedial work. The packer can be removed
13 and remedial work can be done. It's fairly simple to do
14 that.

15 With the -- now shown on the right where we do
16 -- we have replaced the packer fluid with cement that we
17 eventually lost the ability to monitor that annular space
18 that no longer exists.

19 What we have realized is -- some unintended
20 benefits of the second scenario is, in a conventional
21 method, when you look at the reference between where the
22 fresh water and aquifer is, in our area, the top of the
23 aquifer is approximately 100 feet from surface, in places,
24 maybe as deep as 225 feet from the surface. And our
25 production interval is -- essentially we're -- mid perf is

1 approximately 4,500 feet. So we have a, you know, a
2 significant distance vertically from our production
3 interval to the aquifer.

4 At any time in a conventional configuration that
5 we developed a tubing leak or a packer leak or a casing
6 leak, the pressure of that failure immediately transfers
7 vertically over the entire interval of the annular area.

8 So we have the pressure of that event and that
9 potential contamination immediately adjacent to the
10 vertical depth of the aquifer.

11 A second issue that we've seen is in the
12 tubulars that we're using today, the fiberglass lined
13 tubings. One potential failure point that we see is in
14 the thread and couple connection. There's a seal in there
15 that has a tendency over time that it can break down.

16 And we think a contributing factor to that is
17 the cyclic loading of the fluids with varying pressures,
18 temperatures, density of fluids, and then just the sheer
19 frictional effect of fluid running in the tubing. And
20 this cycling impacts on the tubing and has vibrational
21 effects on there, and we believe that's a contributor.
22 And that's clearly not intended.

23 But what we recognized is that with the second
24 scenario with the tubing cemented in the hole, we
25 significantly reduced the likelihood of vertical vibration

1 in the event that we have a leak down lower in the tubing
2 string, there's not an open conduit for that pressure to
3 go up to the aquifer, it has to -- it gets forced back to
4 the cement barriers in the 4,500 feet of the opt that we
5 drilled for.

6 The second is that we've introduced stability to
7 that injection string to reduce the impact of the cyclic
8 loading and the vibration effect on that, and we expect it
9 to result in increased life in our fluid production.

10 Q. Now let's go to Slide 14 and I'd ask you to
11 explain how mechanical integrity testing was conducted on
12 these.

13 A. Again, when we became aware that we were out of
14 compliance, it was critical that we put together a
15 procedure to test these wells at a frequency that would be
16 meaningful to ourselves and to the Commission that we
17 could show mechanical integrity and try to come up with a
18 way that we could execute this efficiently, both for our
19 time and for the Commissions time, and obviously for the
20 expense associated with that.

21 And so this is a procedure that we started with.
22 We got the pump truck initially, and we flushed our tubing
23 with fresh water, understanding that this is a potentially
24 destructive test, and so if we caused a failure during the
25 test, we want to ensure that we have fresh water present

1 in the tubing at the time of the test.

2 We have a slip-on unit and we run in hole with a
3 gauge ring, which is a tool that enables us to ensure that
4 there is no restrictions in our tubing all the way down to
5 the point of where our profile nipple is set.

6 Once we accomplish that and we feel we have no
7 obstructions, we run in hole with a blanking plug. And
8 the blanking plug mechanically engages into the profile
9 nipple and it performs a mechanical seal essentially
10 closing off the bottom of the tubing.

11 And the way you test to verify that those plugs
12 are set and there's no leaking, is open those up to
13 atmosphere, and the pressure on the tubing would bleed off
14 if the blanking plug is set and the seal is intact. All
15 of the wells bled off as they should have.

16 After we had set, we did perform hydro testing
17 with the tubing, initially at 2,500 psi. We reduced the
18 target after the first few to 2,000 psi at surface as --
19 you know, for the reason discussed previously, we ran a
20 chart on these wells for documentation, retrieved our
21 blanking plug, and then returned the well to operation.

22 On the initial test, we did have Max Brown with
23 the district office come out, and he was able to witness
24 the procedure that we were going to use. Because of other
25 obligations, he wasn't able to stay for the entire test,

1 but he did witness the procedure that we intended to use
2 and approved that procedure.

3 Again, these were nonbinding, unofficial tests,
4 information only, and because of the sensitive nature, we
5 felt it was important to have them both. The last well
6 that we did test was witnessed for the completion of the
7 job.

8 Now, we clearly learned some issues in this
9 attempt. We were not successful in acquiring a good test
10 on each well on the first attempt. And the things we
11 learned doing this is, CO2 in the tubing was a real factor
12 for us. And our flushing the well with fresh water wasn't
13 sufficient on its own to eliminate the CO2.

14 And the characteristics of CO2 is, as the CO2
15 increases in temperature, it has a tendency to expand, and
16 it attracts an environment that manifests itself as
17 increasing pressure. If the temperature decreases, then
18 it contracts and manifests itself and attracts
19 environments that decrease in pressure which would also
20 give the appearance of a leak on a hydro test.

21 We also, as you'll see in some photographs
22 later, we have check valves at the wells. There are local
23 isolation valves at the well, and if our check valve
24 leaked, then it would give the appearance of a reduction
25 pressure agreement test, and can give the appearance of a

1 failed test as well.

2 And then, just the sheer potential risk
3 associated with running tools in and out of a well, plus
4 the destructive nature -- potential destructive nature of
5 hydro testing, so those are the things that we have
6 learned during an initial test, and we actually had to
7 make some changes in procedures.

8 Q. Before we go to this slide, Mr. Simpson, you did
9 experience certain problems while you were running the
10 initial blanking plug MIT test?

11 A. Right.

12 Q. When you experienced these problems, you then
13 had to go and retest the well?

14 A. That is correct.

15 Q. And when you experienced problems, were these
16 problems with the wellbores or were they with the surface
17 equipment?

18 A. In every case, they were not wellbore issues,
19 they were either failure to effectively sweep the CO₂ out
20 of the tubing, or they were mechanical failures at surface
21 that allowed the pressure to bleed off back into the
22 surface equipment.

23 Q. Okay. Let's go now to Slide 15, and would you
24 review the lessons you learned?

25 A. Sure. These were the very specific lessons that

1 we did learn, and they are instrumental in shaping our new
2 procedure that we're proposing, learning that going
3 forward, wells that are on CO2 injection will need to be
4 waggled to water for several days prior to testing. This
5 will enable us to sweep that CO2 out of the tubing
6 effectively and not have any interference on test.

7 The testing with fresh water definitely is
8 needed to be done. It needs to be understood that with --
9 you know, using fresh water is to minimize exposure to the
10 environment.

11 And to make sure we understand it when it comes
12 into play, there is a gradient difference of the fresh
13 water versus the produced water, and so that needs to be
14 taken into account on targeted test pressures somewhat.

15 All nine of these wells, depending on the
16 approval of our request, all nine of these wells will be
17 rebuilt -- wellheads will be rebuilt and configured so
18 that we have isolation wells at the well site, we have
19 figure eight lines, and isolation valves.

20 What this will allow us to do is to eliminate
21 the possibility of a leaking check valve during the test
22 and -- which we did identify on two of the wells.

23 And again, our overall purpose in coming up with
24 a very detailed procedure, is so that we can be efficient
25 in our execution of this process and do what we can to

1 have certainty that during our first attempt each time,
2 that we can be successful.

3 Other key factors is making -- if we can
4 schedule and execute all of these tests at the same time,
5 then we can -- it helps us be efficient in the utilization
6 of the service company personnel at the scene of the pond
7 and our onsite supervision, and would prevent scenarios
8 where a well didn't get tested to the target pressure as a
9 result of different people being involved in the
10 supervision.

11 And clearly, if we can use the same service
12 company personnel with each test, likelihood of
13 repeatability is greatly improved.

14 Q. All right. Mr. Simpson, let's go to Slide 16.
15 This is what Chevron is recommending as the test procedure
16 to be conducted annually on each of these wells; is that
17 right?

18 A. That is correct.

19 Q. Would you review that?

20 A. Yes. This procedure is fairly specifically
21 detailed, but it became very obvious that we needed to be
22 very specific in detail to ensure that it would be
23 followed and executed properly each time. As well, we need
24 to ensure that the well has been on water injection for a
25 minimum of five days prior to the test date.

1 We'll document the well operation injection
2 pressure prior to the initiation of the test, and this
3 will be critical in helping us determine the test
4 pressure. Closing our isolation valves and position
5 figure eight blinds in a closed position which will
6 eliminate any possibility of leaks back to surface
7 equipment.

8 We'll rig up our slip-on unit, then run the hole
9 with the appropriate sized gauge ring and bailer. And
10 this is a piece we made in a -- you know, in our efforts
11 to be efficient in our work, any time we run tools in the
12 hole on the well, if there is additional information that
13 we can gain, we're going to try to do that.

14 So this particular item of the bailer and
15 grabbing samples is an operational issue for us to learn
16 about fuel accumulation in our wells that we can plan
17 medial work in the future with full tubing, not
18 specifically around the accomplishment of this test, but
19 using the opportunity for multiple purposes.

20 We'll rig up our pump truck and flush the tubing
21 with fresh water at 150 percent displacement, and that
22 will help us to get the produced water out of the tubing
23 prior to the test.

24 Run in hole with a blanking plug and set in the
25 profile nipple and conduct that test as previously

1 explained. Perform a pressure test of tubing and a
2 profile nipple seal to appropriate pressure based on
3 differential pressure and gradient correction.

4 So the proposal is, instead of an arbitrary
5 pressure of 2,500 of PSI, or 2,000 of psi, or pick your
6 number, actually focusing on differential pressure from
7 normal operating conditions, one that is still sufficient
8 to be very visible if we have any bleedoff, even if it is
9 bleedoff into our reservoir, and that will enable us to
10 recognize the leak, but use the minimum pressure that we
11 could to conduct the test while still proving there's no
12 leak.

13 And because they would be flushing the tubing
14 with fresh water, which is a different gradient than the
15 produced wear, that would need to be taken into account as
16 well.

17 And so just roughly, if we had a 300 psi
18 differential target, then we would need to add typically
19 about 90 to 100 psi for the differential of the two
20 gradients, and so we would test at approximately 400 psi
21 above the oil injection pressure that we found when we
22 arrived at the location.

23 Unless we conducted the test, obviously we want
24 to have very standard on how we gather the data and report
25 it just -- even to the point that we're going to default,

1 we're going to use a 24 hour chart, the 96 minute clock,
2 and it's just a detail that enables every -- every mark
3 that's on that chart represents one minute then, and so
4 it's very easy to read and interpret that chart.

5 And obviously, if the OCD inspector wants
6 something different than that, then we'll adjust from
7 there, but not given any direction, our default will be
8 that.

9 We'll retrieve our blanking plug and return the
10 figure eight blind to the open position and return the
11 well to operation, assuming that it did pass the test.

12 Q. All right. Let's go to the photograph, Slides
13 17 and 18. What do they show?

14 A. I'm going to shift from our actual mechanical
15 integrity testing that was performed on the wells to how
16 we are using SCADA in our future.

17 As I mentioned earlier, Chevron has an
18 operational excellence focus, and one of those goals is
19 world class performance in spill prevention, and that's in
20 the range of single digits, low single digits on barrels
21 spilled per million barrels produced.

22 And so in that effort -- you know, much of what
23 I described earlier -- what I described is around
24 prevention, preventing events from happening.

25 We have this year alone in the field management

1 team that I'm responsible for, has spent \$1.6 million on
2 inspection and installing new liners in our tanks on the
3 properties that we operate.

4 We have flowline inspection testing projects, we
5 have reliability projects on our mechanical equipment, all
6 of those are really centered around reliability and
7 prevention of events.

8 And historically, we have not used our SCADA for
9 that purpose of spill prevention or detection. And one of
10 the ways we can achieve world class performance is, when
11 we're not successful in preventing a failure from
12 occurring, the earlier we can detect it, then the more
13 timely we convene our response, and therefore, the smaller
14 the impact to the environment.

15 And with all leaks, we presently depend upon
16 human interface. We put a man in a truck and drive around
17 the lease looking at the operation of the equipment and
18 looking for evidence of leaks.

19 In some places we use aerial -- you know,
20 airplanes to fly over and look for evidence of leaks. And
21 so as we're going forward, we'll continue to use those
22 mechanisms, but with a major dependence on SCADA to
23 accomplish that.

24 And regardless of the mechanisms that we used,
25 whether it's -- you know, humans in a truck, airplanes, or

1 even in SCADA, the larger the leak, the more likely it is
2 we're going to find it in a short amount of time. The
3 probabilities just simply go up because our senses are
4 more attuned to the things that are there.

5 And unfortunately, one of the things that we've
6 learned specifically on the injection wells where we have
7 large differential pressures, we're injecting frequently
8 from 1,500 psi to 1,800 psi, and on our surface equipment,
9 obviously they -- you know, we're at atmospheric pressure
10 on the outside, so we have a large differential across
11 those, so when a leak develops, the nature of that high
12 differential across that barrier results in a significant
13 erosion effect and small leaks don't stay small very long.
14 And so the likelihood of us being able to find them
15 increases significantly.

16 So all of that is going back around to what you
17 see before you here is -- probably 18 months ago, it was
18 clearly understood that we needed to improve our ability
19 to detect leaks. Relying solely on people to drive by and
20 physically look wasn't good enough to take us to world
21 class performance in spill prevention.

22 And so, the use of SCADA, we started deploying
23 these systems, and so this is one that exists at the
24 Vacuum Grayburg. I think this is Well No. 37. That's not
25 particular important. And this is an indication of what

1 we're presently putting on our equipment.

2 And through these efforts and understanding
3 this, we understand there may be an opportunity to apply
4 the same technology to subsurface leak identification as
5 well.

6 So on a typical well installation on the far
7 right-hand side, there is a separate transmitter that's
8 monitoring the pressure on the tubing.

9 On the bottom left-hand corner is a conventional
10 well that still has the annular area available. There is
11 a pressure transmitter that is mounted on the brushing
12 casing valve.

13 And the in upper left-hand corner at that well
14 location is simply solar powered equipment with a small --
15 essentially a small computer that is there purely for the
16 purpose of leak detection to communicate deviations in
17 those pressures back to the hose that then can process the
18 data.

19 Q. All right. Let's go to the next slide.

20 A. Now, at the other end, our facility is built in
21 a hub-and-spoke configuration to release our produced
22 water and our CO2 to a central point, which we call an
23 injection header.

24 And we, through our computer equipment at that
25 site, we send the fluid out to the individual wells and we

1 can monitor the rate at which we send the fluid out and
2 the pressure that it leaves and use the computer to
3 operate the mechanical chokes to regulate those target
4 rates and target pressures.

5 Now, as mentioned earlier, we've had equipment
6 in place since the late 1980s, and this picture we have
7 here is our newest generation equipment that's there and
8 it has the ability to communicate within itself multiple
9 times a second and back to our host SCADA servers every
10 one to two minutes. And our older systems communicate
11 back to our host servers in the range of every seven to
12 ten minutes.

13 So you can see as we deploy this -- I'm sorry,
14 Koby Carlson is our expert on this, and he'll go into much
15 more detail on the logic and the theory and technical
16 aspects of how this works.

17 But think about the concept of being able to
18 monitor that equipment in minutes versus the times of day
19 a guy drives by there, more than once a month he's
20 checking the pressure manually, and we have a significant
21 improvement, in my view, to identify deviations that
22 occur.

23 Q. All right. Let's go to the next slide,
24 Surveillance, Monitoring, and then Initial Response.

25 A. So obviously, as we deploy the system, we are

1 going to have to change the routine duties of our field
2 inspectors, the guys that are taking care of these wells,
3 to ensure that we provide the data, that that data gets
4 looked at timely, and corrective actions are deployed
5 timely.

6 This slide is just showing a summary of how we
7 will -- expectations that we'll have in place for our
8 field inspectors that will help us to ensure that we can
9 identify the problems, if they occur, and then the actions
10 that will be taken.

11 So every day on these nine wells in question,
12 every day the field specialists will be required as part
13 of their routine job duties to visibly go look at the
14 trends, the rate and pressure trends on each of these nine
15 wells looking for deviations that occur from the norm.

16 Second to that, as part of the reports that get
17 printed out each day will be included the injection wells,
18 we show what state they are in, whether they're in normal
19 condition or if they're in alarm condition based off of
20 exceeding some pretty common triggers that are there.

21 And then third is a call-out alarm systems. So
22 if we have a deviation trigger that's being exceeded for a
23 term and time period not to exceed 24 hours, then it will
24 do a -- we have a radio and cell phone call-out system
25 that it will notify somebody that they need to go take a

1 look at the equipment.

2 So it's great to have all of that, but if we
3 don't have a response system in place when this occurs, we
4 have the potential to have a breakdown. So the next part
5 is the response system that we would have in place.

6 So if the field specialist identifies deviations
7 in those trends, he'll be expected to review that trend
8 with the operations supervisor or our production team lead
9 the same day that that deviation is identified. Also,
10 he'll be expected to conduct an on-site investigation to
11 verify the integrity of our measuring equipment.

12 We have different levels of responses in Chevron
13 and these will be at our highest level of response. He
14 will also be expected to conduct an on-site investigation
15 to identify if a surface leak may exist.

16 So in this scenario, whether the leak is a
17 surface leak or it's a subsurface leak, the profile is
18 going to look identical. And so we need to ensure that we
19 don't have a surface leak that's occurred.

20 If they've done those things and they're still
21 concerned, the well will be shut in, and notifications
22 made to the operations supervisor. If that's suspected,
23 an operations supervisor will at that time provide
24 notification to the OCD district office of a possible loss
25 of mechanical integrity, and then we will put into action

1 the testing of the tubing with a predetermined program
2 that's in place.

3 Q. Mr. Simpson, at the meeting with the Oil
4 Conservation Division several weeks ago, Mr. Fesmire
5 expressed some concern about how these wells could
6 ultimately be plugged and abandoned; have you look into
7 that issue?

8 A. Yes, we did. And again, with Chevron's approach
9 of operational excellence, commingling wells is not what
10 we do on a day in and day out basis.

11 HEARING EXAMINER: Let me interrupt at this
12 point. I want to take a luncheon recess and it looks like
13 we're moving from one subject to another.

14 MR. CARR: Let me tell you that this takes about
15 two minutes, and then we have concluded with Mr. Simpson.

16 HEARING EXAMINER: Okay, let's conclude with
17 this witness.

18 A. So we have hired the services of a company that
19 that's the one thing they do. So when this question came
20 up, we contacted one of our contacts in Houston, who is a
21 Chevron employee that manages our plugging operations
22 through Sunset, and sent them wellbore schematics and
23 asked them to prepare general procedures on how we would
24 plug these.

25 So the next two slides go over the generic

1 procedures for the 2 7/8s and the 2 3/8s tubing. Now,
2 obviously, a very specific procedure will be put in place
3 for an individual well and it will be sent to the OCD
4 office for approval. But these represent that they have
5 gotten an expert in this field to look at this and give us
6 a proposal on how they would conduct a plugging operation
7 in the event that we needed to do that.

8 Q. And if you need to do that, based on your work
9 with your service company, do you believe that they could
10 be plugged so they would not become a vehicle for the
11 migration of fluids at the zone?

12 A. Yeah, I asked that question of Mr. Bledso, and I
13 have to yield to his expertise that they are confident
14 they could be successfully plugged.

15 Q. Could you just briefly summarize your testimony?

16 A. Sure. Clearly, it's my responsibility to manage
17 the operations of our field on a day in, day out basis.
18 Part of that is making sure that we have good dialogue and
19 interaction with the OCD. And I think we've accomplished
20 that. Not every day is that pleasant, but it's effective.

21 It is a requirement of Chevron operations that
22 we are compliant with rules and regulation that are in
23 place, and in this case we thought we were. Once we found
24 out that we were not, we knew we needed to look into our
25 options about how we could be in compliance.

1 I think the proposal that we have, with the
2 combination of mechanical integrity tests with the
3 blanking plugs. And as we go forward into the full use of
4 SCADA, I feel very confident that we are going to be able
5 to probably actually increase our ability to identify when
6 we've lost integrity as compared to our present
7 operations.

8 Q. Were Slides 10 through 21 in Chevron Exhibit 1
9 prepared by you, or have you reviewed them and can you
10 testify to their accuracy?

11 A. Yes, I can.

12 MR. CARR: May it please the Examiners, at this
13 time we would move the admission of Slides 10 through 21.

14 HEARING EXAMINER: Slides 10 through 21 will be
15 admitted.

16 MR. CARR: Mr. Examiner, this would be an
17 appropriate time to break for lunch. They may want to
18 cross Mr. Simpson now or after lunch. The Chevron people
19 are on a 2:45 flight out of Santa Fe, so we do have some
20 time.

21 HEARING EXAMINER: Okay, yeah, you have a very
22 confining schedule to make that flight. I believe they --

23 MR. CARR: It will be a company plane, so they
24 just have to be there at 2:45.

25 HEARING EXAMINER: Very well. We'll stand in

1 recess until 1:20.

2 (Note: A break was taken for lunch.)

3 HEARING EXAMINER: We're back on the record.

4 MR. CARR: Mr. Examiner, we had just completed
5 our direct of Tejay Simpson.

6 HEARING EXAMINER: Right. Mr. Warnell, do you
7 have any questions for Mr. Simpson?

8 MR. WARNELL: I did have. I'm not sure where
9 everything went. I wanted to look Slide 13. Can we talk
10 about what's in between that fresh water at the top and
11 the pay zone?

12 THE WITNESS: There's two casings, there's
13 surface casing, which is on average set around 375 feet or
14 so, and it is circulated to provide the initial barrier,
15 and then the production casing -- If I'm understanding
16 your question correctly.

17 MR. WARNELL: No, I probably didn't state it
18 very well. What I'm kind of curious about is what kind of
19 formations -- I know that we've got the red beds in there,
20 right?

21 THE WITNESS: Yes.

22 MR. WARNELL: And are there any other producing
23 zones between what you say is the pay zone in green and
24 the aquifer up on top near the surface? I think you said
25 it was 225 feet.

1 THE WITNESS: I think Mr. Ingram would be better
2 suited to answer that question.

3 MR. WARNELL: All right.

4 MR. INGRAM: Can I speak from here?

5 HEARING EXAMINER: Well, we probably need to put
6 you formally on the stand. Do you have any other
7 questions for Mr. Simpson?

8 MR. WARNELL: No, I don't. Go ahead, let's put
9 that off until --

10 HEARING EXAMINER: Yeah, we can defer that. I
11 have no questions for Mr. Simpson, so the witness may
12 stand down and you may call your next witness.

13 MR. CARR: Mr. Examiner, would you prefer to
14 have Mr. Ingram take the stand now just to respond to that
15 question, or should we recall him after we finish the
16 case?

17 MR. WARNELL: Why don't we just do it now?

18 HEARING EXAMINER: Okay, let's do it now.

19 MR. WARNELL: Okay. Mr. Ingram, thank you. I'm
20 trying to get a better handle on -- just help me out here,
21 what's in between those two?

22 MR. INGRAM: Okay, I think the second question
23 that I heard raised, was there any other producing
24 formation between the Ogallala and this pay zone. And the
25 answer is a qualified no. The San Andres, which is our

1 pay zone here, is the shallowest productive reservoir at
2 this field.

3 There has been some very spotty Yates
4 production. If I can go back to about Slide 5, there used
5 to be two Yates producers in this vicinity. I do not
6 believe they are active anymore.

7 So that's in Section 35, which is outside of our
8 two units. And at this scale to the east about two or
9 three miles, there are a group of five or six Yates
10 producers -- again historically, Yates producers, I don't
11 know if any of those are active now.

12 The Yates reservoir there, when it does produce,
13 produces about a 40 to 45 percent nitrogen content. So
14 it's a low BTU gas reservoir. And if it's productive
15 here -- We have not yet tested it. We considered testing
16 it for a fuel gas source. If it were productive here,
17 that would be the only hydrocarbon bearing reservoir
18 between our pay zone and the Ogallala.

19 Now, as far as the rest of the strata, the
20 Ogallala, as Tejay testified, is from 100 to 225 feet,
21 roughly. That's part of the Santa Rosa interval. That
22 would continue down to roughly a thousand feet, and then
23 there's an evaporite bed and then the Solato formation,
24 which is from roughly 1,500 foot to about 2,700 foot,
25 which is mainly a massive body of salt.

1 MR. WARNELL: That's the salt.

2 MR. INGRAM: And then beneath that, you go into
3 the Tansalon hydrate, and then the Yates, Seven
4 Rivers, Queen, and then the Grayburg. And then beneath
5 that is the San Andres which is the main reservoir in
6 these two units.

7 MR. WARNELL: Okay.

8 MR. INGRAM: So there are essentially 4,000 feet
9 of the permeable strata between our reservoir and the
10 Ogallala.

11 MR. WARNELL: But we do have a big salt zone in
12 there that's -- you say is 1,500 to 2,700 --

13 MR. INGRAM: It's roughly from 1,500 to 2,700,
14 yes, sir.

15 MR. WARNELL: Okay. That's all I have.

16 HEARING EXAMINER: Okay. The witness may stand
17 down. You may call your next witness.

18 MR. CARR: May it please the, Examiners, at this
19 time I call Mr. Koby Carlson.

20 KOBY CARLSON,

21 the witness herein, after first being duly sworn
22 upon his oath, was examined and testified as follows:

23 DIRECT EXAMINATION

24 BY MR. CARR:

25 Q. Would you state your name for the record,

1 please?

2 A. Koby V. Carlson.

3 Q. And Mr. Carlson, where do you reside?

4 A. In Midland, Texas.

5 Q. By whom are you employed?

6 A. Chevron USA.

7 Q. And what is your current position with Chevron?

8 A. I am an I-Field automation analyst.

9 Q. And what is your area of expertise?

10 A. It's in instrumentation, control, and SCADA.

11 Q. Have you previously testified before the New
12 Mexico Oil Conservation Division?

13 A. No, I have not.

14 Q. Would you review your education and work
15 background for the Examiners?

16 A. I attended Albuquerque Technical Vocational
17 institute, the electrician's program. Held a New Mexico
18 journeyman's license for over 25 years.

19 I'm an International Society of Automation
20 Certified Control System Technician. I've been involved
21 with instrumentation and control over for 30 years, and I
22 have more than 25 years SCADA experience.

23 In Chevron, I've held the positions of
24 electrician, electronic instrumentation specialist, SCADA
25 technologist, SCADA analyst, and now I-Field SCADA

1 analyst, and that's been over the last 20 and a half
2 years.

3 I also received a Chairman's Award. At Chevron,
4 that's the highest personal recognition you can get for
5 work in SCADA.

6 Q. Now, tell us about what you do.

7 A. I do automation.

8 Q. And what do you do for Chevron, you build
9 systems; is that fair to say?

10 A. Yes.

11 Q. And what are they designed to do?

12 A. I build lots of different kinds of systems.

13 Related to this ^{Case DB} ~~case~~, I've actually designed systems and
14 created technologies for leak detection.

15 Q. How did you become involved with this project?

16 A. I believe there's two reasons. My technical
17 competence in this. Like I said, I've created the most
18 advanced leak detections that we use in our business, and
19 possibly the company.

20 I design hardware, meaning -- Tejay had
21 mentioned earlier, we have these computers throughout the
22 field. I design those from the microchip well. I write
23 the computer codes to go in those microchips to enable
24 those systems.

25 I do software development. I do advanced

1 algorithm development, and in the case of surface leak
2 detection, I've actually applied artificial intelligence
3 to those processes.

4 And the second reason, I think, is probably my
5 personal commitment is protecting people, the environment
6 and the way we operate.

7 And I have a lot of latitude on what I work on
8 at Chevron, and I choose to work on leak detection because
9 it's important to me, and I spend hundreds of hours
10 outside of my Chevron job developing technologies to make
11 us more effective in this area.

12 Q. Are you familiar with the applications filed in
13 these cases?

14 A. Yes, I am.

15 Q. And have you prepared exhibits for presentation
16 today?

17 A. Yes, I have.

18 MR. CARR: May it please the, Examiners, I would
19 tender Mr. Carlson as an expert automation analyst.

20 HEARING EXAMINER: Okay, his credentials are
21 accepted.

22 Q. I think what would be helpful, Mr. Carlson,
23 initially, to explain to The examiners what is the
24 supervisory control and data acquisition system scan?

25 A. SCADA is a collection of sensors, computers,

1 radios, networks, programs, algorithms, and the like, that
2 allow us to collect information, control our facilities
3 and our processes, and feed our information systems that
4 are business systems.

5 Historically, like Tejay mentioned, it's been
6 used a lot for control and data acquisition. So it's
7 mostly used to bring information in from our wells to get
8 it into our information system. So when Scott needs to go
9 look at performance of a well, he has that information
10 available to him.

11 But now we've started to move this technology to
12 really achieve our goals for protecting the environment.
13 We've been developing what I consider pretty advanced leak
14 detection for a number of years, and I believe those leak
15 detection technologies that we've developed at the surface
16 can be applied downhole to do leak detection.

17 Q. Let's go to the slides you've prepared, and I'd
18 ask you to go through these and explain to the Examiners
19 what we're looking for and what SCADA shows you. And I
20 think we should start with Slide 22 on the Vacuum
21 Grayburg-San Andres 17 30 day grade pressure graph.

22 A. This is VGSAU 17. It's a 30 day rate and
23 pressure graph before you. This information was gathered
24 by our SCADA system. This information is a trend of
25 values over time. So the oldest data on this graph is on

1 the left side, and the newest data is on the right.

2 So one of our proposals is to monitor the
3 relationship between rate and pressure in our wells to try
4 to determine if we have leaks downhole. I purposely chose
5 a period on this graph when our operations were not
6 stable.

7 And as you can see, there's a lot of spikes in
8 rate and pressure, with flow rate being the blue that's on
9 the bottom, and pressure, the red line that's on the top.
10 And as you can see, whenever our pressure changes, our
11 rate changes -- maybe not to the exact extent, but the two
12 trends definitely follow each other very closely.

13 So the purpose of this slide is to demonstrate
14 that there is a very tight relationships between rate and
15 pressure in a well. And this tight relationship exists
16 for a couple of reasons. It exists because of the
17 friction in our tubulars, which is just the basic physics
18 of the flood flowing, and it exists because of the
19 dcharacteristics of the reservoir.

20 So note the circled area approximately in the
21 middle of the graph. What I've done here, I've zoomed in
22 on that circle --

23 Q. And you're on Slide 23, right?

24 A. On Slide 23. And this information is now
25 present in a zoomed in form on Slide 23. And this is the

1 same well, same data. And again, I purposely chose a
2 point in the graph where things are not stable.

3 And this graph is actually scaled so that the
4 left side of the graph, you'll notice that the tubing
5 pressure in red is below the rate. In the middle where
6 it's higher, it's above the rate, and towards the middle
7 of the graph, the lines actually overlap.

8 And the scaling is done like that to really show
9 you how closely the two process variables are related to
10 each other. Although they're not perfectly lined up, you
11 can see that as it goes through its range of operation,
12 the variables do correlate very well.

13 Q. If we look at this graph, it's obviously based
14 on a number of data points. Is this typical of the number
15 of measurements you would get in a two day period on one
16 of these wells using the SCADA system?

17 A. Yes, sir. I think Tejay testified earlier that
18 our newer systems get information about everything two
19 minutes, and the older ones were on the order of eight
20 minutes. This graph is probably made up of a thousand
21 data points, maybe. So this is typical of the frequency
22 we get, the data into our SCADA systems.

23 And the time line again is on the bottom, oldest
24 data on the left, the newest data on the right. And the
25 scaling for the blue and red rates and pressures is on the

1 left-hand side of the graph.

2 Q. Are you ready to go to Slide 24?

3 A. Yes, sir.

4 Q. Let's go.

5 A. Slide 24 is the exact same data that was in
6 Slide 23, only instead of the values being rate and
7 pressure being plotted over time, now we have rate and
8 pressure plotted against each other.

9 And so there is a couple of things to note about
10 this. If you look towards the right-hand side of this
11 graph, you'll notice that the little red dots are above
12 the line. In the middle, they're on the line and towards
13 the left. It appears to me that the majority of the them
14 are below the line.

15 Now, each one of these dots represents a reading
16 coming back from the SCADA system. So again, this data
17 was purposely collected with our operations in an unstable
18 state.

19 And the line that is drawn through this data set
20 isn't something I just arbitrarily drew through there,
21 it's something called a linear regression line, which is a
22 scientific way to draw a line through a data set and
23 actually have it fit to the data set with the least amount
24 of overall error. It's called linear regression.

25 So what we would expect to see, is if we

1 developed a leak in this well, we would see these grouping
2 of dots, say, this middle group, it would devolve to the
3 right and possibly down, because we would have an increase
4 in flow rate and a reduction in pressure on our wells.

5 So the bottom line is, this is -- this is worse
6 case, almost. We would never purposely go choose unstable
7 states to build well models, but I think it does
8 demonstrate that even choosing unfavorable data points on
9 the well, that most of those data points fall along that
10 line.

11 And the whole theory of monitoring rate versus
12 pressure to look for leaks is based around the fact that
13 when something physical changes in your system, you will
14 see something physical change in the way your data fits
15 your regression lines.

16 Q. Now, this is a water injection well?

17 A. Yes, sir.

18 Q. Have you prepared similar data on the CO2
19 injection well?

20 A. Yes, sir, I did.

21 Q. And that's Slide 25?

22 A. This is Slide 25. This slide was prepared the
23 same way as the previous slides, I just didn't include the
24 slides that led up to the linear regression line, just
25 because they were somewhat redundant.

1 I think the important things to note of the --
2 with CO2, you heard Tejay say that with CO2, it's very
3 sensitive to changes in temperature causing wide swings in
4 pressure.

5 As you see, the data points are not as closely
6 grouped to the linear regression line as we saw with
7 water. And it's apparent to me by looking at this graph
8 that the grouping of the dots near the middle means that
9 this process may be more tightly controlled in the field
10 than the water injection. And it's just an observation.

11 But again, the way the data points fit the
12 linear regression line, we would expect to see the rate go
13 up and the pressure go down. And what we expect to see
14 actually depends on the types of pumping systems we have,
15 but with the pumping systems we have in these fields, that
16 would be the pattern we would see in the data set if we
17 developed a leak.

18 MR. WARNELL: So the time period here on this
19 graph is --

20 THE WITNESS: There is no time period on this
21 graph, it is rate versus pressure.

22 A. So what this is saying, if you look at 2,500 --
23 MCF, you're going to be running approximately 55 PSI
24 pressure.

25 Q. This was a two day test, was it not?

1 A. Oh, the data that this was based on? I think
2 this was approximately two days of data that this graph is
3 based on.

4 MR. WARNELL: So if my eyes were good enough, I
5 could count those little dots there and I could get some
6 kind of a sample rate?

7 THE WITNESS: Yes, sir.

8 MR. WARNELL: And that sample rate is going to
9 be --

10 THE WITNESS: It's the -- When we wag wells
11 between water and CO2, the sample rate doesn't change,
12 whatever it is is what it is, and this is probably in the
13 order of something less than ten minutes, ten minutes per
14 point.

15 Q. Of both CO2 and water you do have a high degree
16 of correlation?

17 A. Yes, sir. And we have the ability to -- if we
18 wanted to, we could go to the instrument and pull this
19 data much more frequently, it's just there's really no --
20 we don't have any operational reason to do it.

21 Q. And these are wells that were not leaking?

22 A. To the best of my knowledge, they're not
23 leaking.

24 Q. Do you have a slide that shows a profile for a
25 typical leak?

1 A. Yes, sir, I do.

2 Q. And that is the next slide?

3 A. That is the next slide.

4 Q. So let's go to that.

5 A. I want to spend a little bit of time on this
6 slide because it really takes a lot of explanation to
7 understand what we're seeing on the data here.

8 The top line that I have labeled pressure was an
9 absolute pressure. And you'll notice that I did this test
10 in 2006. So it's been quite some time, so I can't
11 remember the exact conditions that this test was performed
12 under.

13 But I would assume this pressure, absolute
14 pressure, is going to be something over a thousand
15 pounds, probably 1,200 or 1,300 pounds. And I have no
16 idea what the flow rate was in this cases.

17 But what you can see looking towards the left
18 side of the graph, looking at the top and the bottom
19 lines, the red one and the blue, is that they are very
20 stable up to the point where you see something happen.
21 And at that point in time and before that, where that
22 little blue dot is on the top line and I'll -- For your
23 information, this graph is a 30 minute time period here
24 that we're looking at.

25 So what we did, we went out and we simulated a

1 leak at the point where you see the little blue dot on the
2 pressure line, and you see that graph starting to head
3 down. And this pattern that you see of pressure going
4 down and rate going up is exactly what we expect to see
5 when we lose downstream resistance to our pumping systems.

6 This is different than what we see -- if we ramp
7 up our rates, up we see rate and pressure go up, if we
8 slow our pumps down, we see rate and pressure go down.

9 So the only time we really see this, that these
10 lines go in opposite direction, is the result of losing
11 integrity, or for some reason, flow increasing downstream
12 of our system is down.

13 We've cast these algorithms into something
14 called design patterns, and this one we call a rate and
15 pressure provider. It's looking at what happens with a
16 piece of equipment that is a source for flow and pressure.
17 And the rate and pressure provider design pattern is
18 exactly what we do with our injection wells, we're
19 providing rate and pressure to an injection well.

20 So I want to move to the two lines there in the
21 middle. Because one of the challenges with leak
22 detection, when we use absolute set points, it is -- you
23 remember I told you I couldn't recall exactly what the
24 pressure was, or exactly what the rate is, is that as
25 operations change day to day, if we were to set an alarm

1 on this pressure, we would have to set it here, and then
2 if we were going to go for an extended time and operate at
3 a different pressure, we would have to be moving those
4 alarms all the time, and that is -- It's pretty tedious
5 for humans to do.

6 So what's happened here, we've run the pressure
7 and rate data through some algorithms that actually change
8 that information into the two center lines which is
9 looking for change.

10 So now the left-hand graph is relevant in that
11 50 on the upside is an increase in either 50 pounds or 50
12 barrels a day in rate, same with on the negative side. So
13 now what we see is, under normal operating conditions, the
14 zero line is the line that's in the middle of the graph
15 between the positive 10 and the negative 10.

16 So what we're seeing is, we're not seeing any
17 change. And as soon as we simulated the leak here, you
18 can tell probably a minute or so, now we see rate going up
19 and pressure going down.

20 The significance of this is now we can alarm on
21 a certain number of barrels increase in rate, or a certain
22 number of pressure decrease. We can do that with absolute
23 pressure.

24 The one flaw that exists in doing that is that a
25 human still has to do it, and what I mentioned earlier,

1 when we change our operations, if we reduce the speed of
2 our pumps, we still see rate and pressure going down and
3 we may trip our alarms.

4 So the final step that we've done for surface
5 leak detection, is to run this information, the processed
6 information on the middle two lines, through artificial
7 intelligence that is smart enough to actually look at
8 these graphs and tell which direction they're going.

9 And if it sees rate and pressure going up, or
10 rate and pressure going down, it knows that's a result of
11 our supply changing, but yet if it sees the values go in
12 an opposite direction, it can make a decision to alarm us.

13 And Tejay covered the expected response from an
14 alarm condition that happens on one of these wells.

15 Q. And you in fact are using this data to identify
16 leaks on the surface; is that right?

17 A. Yes, sir, this technology is running today and
18 it's used in various places to detect the patterns and
19 data of leaks.

20 Q. And under normal conditions, rate and
21 pressure --

22 A. I mean normally, if this was a one day trend,
23 you would just see this on zero. It can move around a
24 little bit. If we have an event, we see this type of
25 response.

1 And although this was a test to test the
2 accuracy of these algorithms and their ability to see this
3 information, when we've seen actual leaks, we've seen data
4 that's virtually identical.

5 Q. And when you have a leak, you immediately see
6 the trends take off in different directions, pressure one
7 way, rate the other way?

8 A. Depending on the types of pumps. With the types
9 of pumps that are at vacuum, we would see this kind of
10 trend. If we have something we call positive displacement
11 pumps, the rate will stay the same, but the pressure will
12 fall more dramatically than we've seen in this graph here,
13 and our artificial intelligence is coded to know about
14 that as well.

15 Q. All right. Let's go to the next slide, Slide
16 27. What does this show?

17 A. Slide 27 is a -- this came out of one of our
18 information systems called DSS. We have data that's
19 collected on different frequencies. Operations in the
20 field gets data in minutes, or sometimes seconds,
21 depending on the process.

22 Engineering gets information on a daily rate,
23 meaning they just see the results for the day, they don't
24 need to see the small changes in our processes.

25 What we see here is, in the blue triangle that's

1 labeled "Injection Rate," you can see that things were
2 running along pretty constant. And in this graph, each
3 one of the little blue colored triangles is one data point
4 each day.

5 So each one of those triangles represents one
6 day in time, again, the oldest information being on the
7 left-hand side of the graph, then newer information moving
8 to the right.

9 What you see just to the right of the marker on
10 the bottom of the graph that's labeled "'05," I believe,
11 about four data points to the right of there, you see the
12 blue and purple trends were running along in pretty stable
13 horizontal positions, and that some event happened to
14 cause the injection rate to go up and the pressure to go
15 down. And it looks like approximately two to three weeks
16 later, there is a diamond on the top of this graph that's
17 labeled "MIT Failed Test." So I guess the mechanical
18 integrity test failed.

19 And at that time what you notices is that if you
20 look down at the bottom of the graph in approximately the
21 middle, the little blue diamonds are there but they're
22 right against the bottom line, so they're difficult to
23 see, and you notice that the injection pressure didn't
24 fail.

25 I believe this is when they shut in the well to

1 actually repair the well. And then you see the injection
2 pressure fall over the next several weeks and months as
3 they were working on this well.

4 The significance of this is, if you look back to
5 the previous slide and you look at this slide, the
6 patterns that we normally see on our surface equipment and
7 this graph that we see when we actually have been able to
8 document a downhole failure, the patterns in the data are
9 virtually identical now.

10 There was no violation of the OCD's rules or
11 regulations in that this was -- we normally are required
12 to test this every 30 days, and apparently when they did
13 go do their test, they picked up that this was failed and
14 they shut the well in, and I presume either left it down
15 or maybe it's been worked over since then, and as of
16 today, I have no knowledge of that.

17 But I think these two slides are compelling in
18 that they really demonstrate that what we expect to see,
19 we see.

20 Q. If we look at the slide that is on the screen
21 now, there was a leak and it wasn't detected for several
22 weeks; is that correct?

23 A. I believe judging from when the well was shut
24 in, that would be correct.

25 Q. If we go to back to the prior graph, we were

1 able to detect a leak within a matter of minutes?

2 A. Yes, sir, that's correct.

3 Q. So by using SCADA, isn't it reasonable to assume
4 you'd be able to identify leaks much more rapidly than
5 operating under current procedures by the OCD?

6 A. If our leak detection algorithms would have been
7 on this, we would have detected that something was wrong
8 at the first data point that -- I don't know which number
9 it would be, but it's the obvious one that's above the
10 normal -- what I would call the regression line for the
11 injection rate.

12 So we would have of detected this much sooner if
13 we had had our current leak detection algorithms on this
14 one.

15 Q. Can the SCADA system be deployed on each of the
16 nine wells that are the subject of this hearing?

17 A. Yes, it can.

18 Q. And how long would it take you to deploy these
19 systems on those wells?

20 A. Approximately a day.

21 Q. And what you've shown us is a system you use to
22 detect surface leaks, and from this data, it's your belief
23 that they will also work to show downhole leaks?

24 A. Yes.

25 Q. Okay. Do you have anything to add to your

1 testimony?

2 A. No, I do not.

3 Q. Were Slides 22 through 27 prepared by you?

4 A. Slides 22 through 26 were prepared by me, Slide
5 27 was prepared by Scott.

6 Q. And have you reviewed Slide 27?

7 A. Yes, I have.

8 Q. And in your opinion, is it an accurate
9 representation?

10 A. I believe it is.

11 MR. CARR: May it please the Examiners, at this
12 time I'd move the admission of Slides 22 through 27.

13 HEARING EXAMINER: Slides 22 through 27 are
14 admitted.

15 MR. CARR: And that concludes my examination of
16 Mr. Carlson.

17 HEARING EXAMINER: Okay. Mr. Warnell?

18 MR. WARNELL: Mr. Carlson, I have a question
19 here. On Slide 26, up at the top of the chart where
20 you've got your rate and pressure, you've got the date
21 there, 5/1/2006?

22 THE WITNESS: Okay.

23 MR. WARNELL: Right there where the date is
24 captured and the time?

25 THE WITNESS: On the top left?

1 MR. WARNELL: Yes.

2 THE WITNESS: Yes, sir.

3 MR. WARNELL: Can you tell me why is the time
4 different?

5 THE WITNESS: If you'll notice, there are two
6 vertical lines on this graph, one about -- on your
7 printout approximately an inch from the left, and another
8 one an inch from the right.

9 MR. WARNELL: Right.

10 THE WITNESS: The significance of that is the
11 red line, the date and time at the top left is where the
12 red line was captured, and the date and time where the
13 blue line that's on the right is time stamped there. And
14 on the right-hand side of the graph where you're looking
15 at -- where it says "Negative 9 none," it is showing the
16 difference in time between those two data points. They
17 were not significant on this graph.

18 MR. WARNELL: Okay.

19 THE WITNESS: The snapshot I've taken here is
20 not of the full software package we used to do this, so if
21 you click on any one of these four lines, it will show you
22 the date and time and the difference in the readings.

23 And I really don't know which value those are
24 representative of. They're kind of irrelevant, but
25 they're just always there in the picture.

1 MR. WARNELL: All right. That was confusing. I
2 thought maybe the red line represented rate, and the blue
3 line represented pressure or something, but I see what
4 you're doing now.

5 THE WITNESS: Now, if you were to put the --
6 they're called scooters -- on two different points on one
7 of the lines and then chick on it, it would tell you the
8 difference in time and the difference in value, but
9 they're just not important to this graph, the important
10 time values are on the bottom.

11 MR. WARNELL: Okay, thank you. Now, you're the
12 expert, so maybe you can help me out on Slide 17. I'm
13 curious, what is that three-quarter inch rod sticking up
14 in the air coming off of that flange?

15 THE WITNESS: This one?

16 MR. WARNELL: Yes, that. What is that?

17 THE WITNESS: I'm going to have to say that I
18 have no idea, but I'm sure Tejay knows.

19 MR. SIMPSON: These wells used to have a
20 pressure safety relief valve coming off the top, and it
21 was a brace to hold that in place.

22 MR. WARNELL: Okay. Everything else looked like
23 it had a purpose, but that I just couldn't figure out.
24 Okay, thank you. I have no other questions.

25 HEARING EXAMINER: Very good. I have no

1 questions.

2 MR. CARR: That concludes our portion of the
3 case related to the cemented tubing in the case. I would
4 now like to call Paul Brown, our engineering witness, to
5 discuss the issue concerning the depths packers have been
6 set, and also, the calculation of the detection pressure.
7 So I call Mr. Brown.

8 PAUL BROWN,
9 the witness herein, after first being duly sworn
10 upon his oath, was examined and testified as follows:

11 DIRECT EXAMINATION

12 BY MR. CARR:

13 Q. Would you state your name for the
14 record, please?

15 A. Paul Brown.

16 Q. And Mr. Brown, where do you reside?

17 A. Midland, Texas.

18 Q. By whom are you employed?

19 A. Chevron.

20 Q. And what is your current position with Chevron?

21 A. Petroleum engineer.

22 Q. Have you previously testified before the New
23 Mexico Oil Conservation Division?

24 A. I have not, no.

25 Q. Could you briefly summarize your educational

1 background and your work experience?

2 A. I have a bachelors degree in chemical
3 engineering from Texas A&M. I'm a registered petroleum
4 engineer in the State of Texas. I have 26 years of
5 experience starting with Texaco and now currently with
6 Chevron. I have been assigned to the vacuum field
7 operation for the past two years.

8 Q. And are you familiar with the applications filed
9 in these cases?

10 A. Yes.

11 Q. And are you familiar with the engineering issues
12 involved in these cases?

13 A. Yes.

14 MR. CARR: We tender Mr. Brown as an expert
15 witness in petroleum engineering.

16 HEARING EXAMINER: He is so qualified.

17 Q. I'd like now to address the injection well
18 completion requirements as they relate to packer setting
19 depth, and I would ask you to refer to what is our Slide
20 28 and review that for the Examiners.

21 A. Okay. At the very top of the slide in the small
22 print is the actual wording from the orders dictating
23 where the packer needs to be set in that -- you know,
24 needs to be set approximately within a hundred feet of the
25 uppermost injection perforation or casing ^{slide 28} tube.

1 As these wells -- every time that we have to
2 pull an injection well, just due to the corrosion that is
3 induced down below in the casing, we're always having to
4 raise the packer seat each time just so we can have a good
5 seat in the casing so we can restore mechanical integrity.

6 And just over time, you know, every time we have
7 to enter a well, we're constantly going up the hole with
8 our packer seats. And we -- there have been situations
9 where we have gotten above -- we've had to set the packer
10 greater than one hundred feet above the top perforation.

11 And to do that, we have either gotten written
12 permission from the District, or we've gotten verbal
13 permission from the District to do that, but according to
14 the notice we got from Santa Fe in July, the District did
15 not have that authority to grant those waivers.

16 Q. When you go to the District and get one of these
17 waivers, do they require that the packers still be set
18 within the unitized interval?

19 A. They do. Of the ones I have personally been
20 involved with, when we're seeking to get that permission,
21 we tell them where the top of the -- where we want to set
22 the packer where the top of the unitized interval is, so
23 they know that the packer is still going to be set below
24 the -- or set within the unitized interval.

25 Q. All right. Let's go to Slide 29. What is this?

Slide 29

1 A. Slide 29 is a listing of the -- we researched
2 our data base, and we have 31 wells that have the packer
3 set at greater than 100 feet above the top perforation or
4 the casing shoe.

5 And then we've also determined that there's 38
6 other injection wells where the packer is set currently
7 within 75 to 100 feet of the top perf. So in all
8 likelihood, the next time we have to pull those wells,
9 we'll be having to set our packer greater than 100 feet.
10 And as the field ages, this is just going to be a
11 continual situation of more and more wells over time
12 having to raise the packer above the 100 foot data.

13 Q. The 31 wells where the packers are 100 feet
14 above the perfs or casing shoe, those have each been
15 approved by the District office?

16 A. Right.

17 Q. But that procedure is inconsistent with the
18 directive we've received from the Division?

19 A. It's inconsistent with their orders, yes.

20 Q. Let's go to Slide 30.

21 A. Slide 30 is a north/south cross-section across
22 the vacuum field with the CVU to the north and the VGSAU
23 to the south. And what we have highlighted correlated the
24 top of the unit boundary, and if you just follow along
25 there.

1 And then down here we have a correlated the
2 uppermost perf in all these wells going from north to
3 south. And it shows that there is roughly 350 feet from
4 the top of the unit boundary to the uppermost perf. So
5 there is a pretty good spread between the top of the
6 boundary to the perfs.

7 Q. Okay. Then let's go down to Slide 31.

8 A. And Slide 31 -- you know, our recommendation
9 would be to amend the orders from how they currently are
10 to really stay where we have -- to set the injection
11 packer as close as possible to the uppermost injection
12 perforations to a casing shoe, so long as it remains
13 within the unitized interval.

14 And this change will protect our other
15 formations and protect correlative rights, and it will be
16 in compliance with the Federal UIC regulations which we
17 have on the next slide.

18 Q. Okay, let's go to the next slide.

19 A. We researched -- A question that was posed to us
20 at our meeting with OCD a couple weeks ago, was if we
21 raised -- if we set our packers greater than 100 feet
22 above the top perf, would that be in compliance with
23 federal regulations.

24 And we researched this, and we actually saw that
25 the regulations allow for having injection -- not actually

1 requiring a packer in an injection well, that -- And then
2 it was also determined that there's really no regulation
3 on where the packer has to be set in an injection well if
4 an operator even chooses to run a packer.

5 Q. If we look at your testimony, you have
6 identified 38 wells that look like within the foreseeable
7 future may have to have an exception to the 100 foot
8 provision?

9 A. That's right.

10 Q. If the District can't grant those, we're going
11 to have to come to Santa Fe 38 times, I guess, to get that
12 approved?

13 A. That's correct.

14 Q. Mechanically, when you're going back in to some
15 of these old wells over and over again, you naturally have
16 to come up the hole with the packer to get a good seal;
17 isn't that correct?

18 A. That's correct.

19 Q. And so unless we're able to go some sort of a
20 change in the orders and the provisions, you're going to
21 have no choice but to return to the OCD again?

22 A. That's correct.

23 Q. Now, let's talk about the last issue, the change
24 in the rules to base injection pressures on average
25 reservoir pressure, and I'd ask you to refer to Slide 33.

1 A. Slide 33 up at the top is the actual wording
2 from the injection orders. I believe it's the same
3 wording for the Vacuum Grayburg-San Andres Unit and
4 Central Vacuum Unit, but "...shall be further authorized
5 to inject CO2 and produced gases at a maximum surface
6 pressure of 350 psi above the current maximum surface
7 injection pressure for water, provided, however, that the
8 CO2 injection pressure does not exceed 1,850 psi."

9 And we have noticed that as our CO2 projects
10 have matured, we are processing more of recycled gas. And
11 so, on -- I guess on the average for the entire field, the
12 density of our injection is going down.

13 And in order to maintain -- to keep all -- or
14 both leases, the two leases whole on the gas that comes
15 from -- that comes into the plant that is sent back out to
16 the field, the proportions of purchased CO2, which is 100
17 percent CO2 and the recycled CO2, can be different.

18 And currently, with the Central Vacuum Unit
19 sending the more -- it's the more mature unit, it's
20 sending more gas to our recycle facility, so it's getting
21 a larger share of recycled gas than it is receiving of
22 purchased CO2.

23 So it's -- we're injecting a lower density CO2
24 into the Central Vacuum Unit which is causing us some
25 operational pressures of a reduction in our bottomhole

1 pressure.

2 Q. About how much approximately?

3 A. Approximately 400 psi.

4 Q. Let's go to Slide 34, what is this?

5 A. Slide 34 is a recent gas analysis of this sample
6 at the tailgate of our recycled plant, and this shows the
7 composition of gas as it is right before it enters our CO2
8 injection system.

9 And there you can see that we are at 87 percent
10 CO2, about 2 percent nitrogen, and then about 11 percent
11 remaining as hydrocarbon gas going from methane to up to
12 hexane.

13 Q. And this is the gas that you're recycling?

14 A. That is a typical composition of our recycled
15 gas.

16 Q. Is 87 about the worst case scenario?

17 A. That's about the lowest we've seen.

18 Q. Let's go to Slide 35.

19 A. Okay, Slide 35 is just some computer simulations
20 we did using type phase that calculates, based on the gas
21 composition in the surface pressure, what the bottomhole
22 pressure will be.

23 And on the far left is where we have a pure CO2
24 stream 100 percent, and surface pressure of 1,850, which
25 is our maximum allowed injection pressures. Down at

1 bottom hole, which the datum is 4,550 feet, that would be
2 about mid perf, the bottom hole pressure is 3,596.

3 Q. This is what you were anticipating at the time
4 the original order was entered; is that correct?

5 A. That is correct.

6 Q. All right. Let's go now to the other columns --
7 And that's why you have 100 percent CO2?

8 A. Right. On the far right column, we're showing
9 87 percent CO2, and the surface pressure of 1,850 psi, and
10 the bottomhole pressure is 3,200 psi. So we've had about
11 a 400 psi reduction in our bottomhole pressure just
12 because of our -- the reduction and the density of our
13 injected where we're still -- we're still at 1,850 at the
14 surface, but our bottomhole pressure is reduced by 400
15 psi.

16 And in the middle, we did this simulation to --
17 where we started out with still using the 87 percent CO2
18 mixture starting out with a bottomhole pressure of 3,600
19 psi to calculate what surface pressure would be required
20 to have 3,600 psi at bottomhole, and it calculated to be
21 2,200 psi.

22 Q. Okay. So if you went to that approximately
23 2,200 psi at the surface, you would still have the
24 bottomhole pressure that you were originally approved for
25 when you were injecting 100 percent CO2?

1 A. That's correct. We would be maintaining the
2 same bottomhole pressure as we were initially permitted
3 for.

4 Q. Okay. Now, let's go to the last slide, Slide
5 36.

6 A. Okay, the last slide in tabular form at the top,
7 these are just -- takes a lot of the clutter out of that
8 last slide, but -- you know. But at 1,850 at the surface
9 at 100 percent CO2, our bottomhole pressure is 3,596. And
10 at 1,850 psi and 87 percent CO2, our bottomhole pressure
11 is 3,200 psi. But if we raise our pressure to 2,200 psi
12 at an 87 percent CO2 string, we would achieve 3,600 psi at
13 bottom hole.

14 Q. So we've got what we originally had -- or the
15 operator thought he had, the middle column is where we are
16 and what we're recommending to go back to what the
17 original recommendation or approval was?

18 A. Right.

19 Q. Okay. What do you recommend?

20 A. Well, I recommend that what we really need since
21 the density of the fluid is going to be changing over
22 time, ideally, that we would need to get -- we would want
23 to have our maximum injection pressure based on the bottom
24 hole and not at the surface.

25 What we really want to do is maintain 3,600 psi

1 at bottom hole. And we understand that, you know,
2 enforcing a bottomhole pressure is difficult, so our
3 proposal would be to request -- you know, that our orders
4 be written so that our maximum bottomhole injection
5 pressure is 3,600 psi, but also say that that is a -- that
6 equates to 2,200 psi at the surface. And that would be,
7 you know -- the net effect would be increasing our maximum
8 limit at the surface by 350 psi.

9 Q. All right. Your recommendations are as to
10 packer setting depths?

11 A. Recommendation on the packer setting depths is
12 to allow us to set our packers as close to the uppermost
13 perf as possible, as long as -- but staying within the
14 unitized interval.

15 Q. And the recommendation as to the injection
16 pressure?

17 A. The recommendation for the injection pressure
18 will be to change the orders from a maximum surface
19 injection pressure of 1,850 psi on C02 to a maximum
20 bottomhole injection pressure of 3,600 psi on C02.

21 Q. In your opinion, will the approval of this
22 application and the implementation of the proposed
23 amendments to the original injection orders be in the best
24 interest of conservation and the prevention of waste and
25 the protection of correlative rights?

1 A. Yes.

2 Q. Without these amendments, will substantial waste
3 of hydrocarbons occur in these two units?

4 A. Yes.

5 Q. Will your recommendation result in not only
6 efficiently for Chevron, but an easier system for the OCD
7 to regulate and monitor?

8 A. Yes.

9 Q. Were Slides 28 through 36 prepared by you?

10 A. Or that I've reviewed them.

11 Q. Can you testify as to their accuracy?

12 A. Correct.

13 MR. CARR: I move the admission of Slides 28
14 through 36.

15 HEARING EXAMINER: Slides 28 through 36 will be
16 admitted. Mr. Warnell, did you have questions?

17 MR. WARNELL: Yeah, I do. I think if I heard
18 Mr. Carlson right, he said something about your
19 recommendations to make OCD's life easier? And that kind
20 of caught my attention.

21 MR. CARR: Out of character for me.

22 MR. WARNELL: I'm not sure how much easier our
23 life would be if we were to assign bottomhole pressures
24 rather than surface pressures. Because -- I'm -- Why do
25 we have surface pressures to start with? They're easy for

1 the field inspector to go out there and eye all and -- How
2 would he go out there and eyeball your bottomhole
3 pressure?

4 THE WITNESS: He would have to extrapolate from
5 the surface to calculate a bottomhole pressure.

6 MR. WARNELL: Now, most people, if they've got
7 an order that says 1,850 psi surface pressure, and for
8 whatever reason they decide they need to increase it by
9 350 psi or whatever and go to 2,200, then they
10 historically would go out and do a step rate test and
11 apply administratively for a pressure increase. We
12 couldn't do that in this case?

13 THE WITNESS: We can't -- I don't believe we're
14 able to do step rate tests with CO2. I don't know if we
15 have that capacity.

16 MR. WARNELL: I'm not sure we'd have to do the
17 step rate test with CO2, but what we'd be looking -- what
18 I would be interested in is -- because I do most of the
19 pressure increase orders, is some assurance that that
20 increased pressure at the surface, or increase pressure at
21 bottom hole, is not going to fracture the formation or
22 anything like that.

23 THE WITNESS: Right.

24 MR. WARNELL: Or break it down.

25 THE WITNESS: I don't know -- I don't really

1 have the -- any exact numbers, but I do know -- I know
2 that every -- We have a form that step rate tests on every
3 well out in the field, and I don't know if we have the
4 data collected.

5 But at the -- the decision was made to commit
6 CO2 injection, we did reduce our water injection pressure,
7 and I want to say that it reduced it from roughly 1,900
8 psi to 1,500 psi.

9 And the primary reason for doing that was to
10 reduce our CO2 requirements. We are operating our CO2
11 project well below frac pressure, but to what degree, I
12 don't know. But we have operated the field under water
13 flooding at a higher pressure before.

14 MR. WARNELL: Okay. Thank you.

15 HEARING EXAMINER: What you're saying is that
16 because you're injecting less dense gas than what you
17 originally contemplated, that the pressure, injection
18 pressure, equates to a lesser bottom hole?

19 THE WITNESS: Lower bottomhole pressure, yeah.

20 HEARING EXAMINER: That's what I thought you
21 were saying.

22 THE WITNESS: Right.

23 HEARING EXAMINER: Is there any possibility or
24 probability that that would change so that your bottomhole
25 pressure would go back up if we authorized a certain

1 increase in the surface pressure?

2 THE WITNESS: If we were able to -- I'm not
3 really sure how to answer that. Our desire is to maintain
4 3,600 psi of bottomhole pressure, and if we're at a point
5 -- if we're in the situation where we were not purchasing
6 any CO2 fieldwide, then, you know, the entire field would
7 be getting at 87 percent --

8 HEARING EXAMINER: Of course, what you would
9 intend to do in that situation would be to ~~reissue~~ ^{reduce} surface
10 pressure back so you'd still get your 3,600 bottom hole.

11 THE WITNESS: Right.

12 HEARING EXAMINER: However, from a regulatory
13 standpoint, if we're going to use a certain level as the
14 criterion, then the question rises to -- because our
15 objective is to be sure that fracture pressure is not
16 exceeded. So -- I just raised that issue, I don't really
17 expect you to have an answer to it at this point.

18 THE WITNESS: Well, the reason we -- there is a
19 precedent set for the injection orders being based on a
20 bottomhole pressure. That's what ConocoPhillips does in
21 their East Vacuum Grayburg-San Andres Unit. How that's
22 being enforced, I'm not aware of, but there have been
23 orders written in that regard.

24 HEARING EXAMINER: Okay. That's all my
25 questions.

1 MR. CARR: That concludes my examination of
2 Mr. Brown. With your permission, I'd like to call
3 Mr. Ingram back for some very brief testimony on that last
4 point.

5 HEARING EXAMINER: Okay.

6 MR. CARR: And I have marked two plots that are
7 the same, and Mr. Ingram will refer to that.

8 REDIRECT EXAMINATION

9 BY MR. CARR:

10 Q. Mr. Ingram, you've been present and heard the
11 testimony concerning the request for a change in the way
12 injection pressures are calculated in the field?

13 A. Yes, I have.

14 Q. And is the method that Chevron is proposing
15 similar to what has been authorized for other operators in
16 the area?

17 A. Yes. I'm a linear thinker, and the chronology
18 here is, when we recognized that we were in effect
19 reducing our bottomhole injection pressure as we injected
20 this contaminated gas stream, and that was causing us
21 operational problems, loss of injectivity, particularly
22 the Central Vacuum Unit, we wanted to address that.

23 And our first proposal, our first application to
24 the OCD, was to increase our surface injection pressure.
25 But then as we prepared for that hearing and did further

1 investigation, we noticed that ConocoPhillips, our direct
2 offset operator in the East Vacuum Grayburg-San Andres
3 Unit, in fact made reference to a maximum bottomhole
4 injection pressure. And we thought, well then that was
5 the way to proceed to address this gas density.

6 When we did come here three weeks ago and met
7 with the OCD, and in particular, Mr. Fesmire, he raised
8 the question of how would we administer that.

9 So that's actually the reason that this last
10 slide is prepared the way it is. We're proposing, so that
11 we can adjust for this reduced gas density, we've stayed
12 with the proposal for a maximum bottomhole injection
13 pressure of 3,600 psi, but to allow an alternative way to
14 more easily administer it that equates to a surface
15 pressure at 87 percent CO₂, equates to a surface pressure
16 of 2,200 psi.

17 Now, I believe you raised the question about
18 well, what if our gas density changes, and in the future,
19 you know, if you permitted based on 2,200, you know, we
20 could in theory then inject 100 percent CO₂ and surpass
21 that 3,600 psi bottomhole pressure.

22 And I can tell you that, for a couple of
23 reasons, you know, that that will never happen. One, the
24 cost to create a 100 percent CO₂ gas string is -- well,
25 our plan is not configured to do that. We would have to

1 install a multiple million dollar hydrocarbon gas
2 stripping operation to accomplish that, and that's not in
3 the plan.

4 And it's also not in our plan to inject at any
5 higher pressure than we need to, because that, in effect,
6 you take horsepower to create that pressure and you use
7 more CO₂. And it's not our desire to inject at any higher
8 pressure than absolutely necessary, it's only to adjust
9 for this loss of injectivity due to the reduced density in
10 our CO₂ string.

11 In fact, our current surface injection pressure
12 capabilities are limited to somewhere around 1,900 or
13 1,950 psi. So even if this were permitted at 2,200 today,
14 we couldn't do it. But we thought while we're here, and
15 since we are permitted at 1,850 on 100 percent CO₂, which
16 equates to 3,600 at bottomhole pressure, let's try to
17 amend the verbiage to allow us to maintain that bottom
18 hole pressure with a contaminated gas stream.

19 Q. What's the impact of the current situation on
20 your ability to inject in the Central Vacuum?

21 A. It's really impeding the injectivity.
22 Mr. Simpson, as our operations supervisor, has raised that
23 issue with us over and over.

24 Because we're sending a more pure gas stream
25 back to the Vacuum Grayburg-San Andres Unit than we are

1 the Central Vacuum Unit, and that's to maintain an equity
2 in the NGLs associated with that stream, but it's really
3 reducing the injectivity in the Central Vacuum Unit.

4 Q. What about exceeding the fracture of gradient
5 for pressures in the reservoir itself?

6 A. The display that was handed out that is now
7 labeled Exhibit 3, what that is, is we have on a number of
8 wells in the history of this field gone through step rate
9 tests and received permits for higher pressures on water.

10 And what are shown there are all of those that
11 are at 1,900 psi or greater. So you can see that there is
12 pretty good aerial distribution across the two units of
13 step rate tests on water approved in the range of 1,900 --
14 I believe all the way up to 2,500 psi.

15 So based on that sampling of the data, I don't
16 feel that approving a CO2 injection pressure at 2,200 psi
17 is going to exceed our frac pressures anywhere within the
18 unit.

19 MR. CARR: May it please the Examiners, I have
20 one remaining thing, and that is my notice affidavit as
21 Exhibit 2.

22 What I did was, I notified some 30 operators. I
23 went around both units and I notified the surface owners
24 and the offset operators in every one of those sections,
25 and I have identified them. And so this is the notice.

1 And I'd like at this time to move the admission
2 of Exhibits 2 and 3.

3 HEARING EXAMINER: Okay, both Exhibits 2 and 3
4 are admitted.

5 MR. CARR: And that concludes our presentation
6 of this case.

7 HEARING EXAMINER: Very good. If there is
8 nothing further, then Cases Nos. 14401 and 14402 will be
9 taken under advisement, and this docket will stand
10 adjourned.

11 (Whereupon, the proceedings concluded.)

12
13
14
15
16
17
18
19
20
21
22
23
24
25

I do hereby certify that the foregoing is
a complete and correct report of the proceedings in
the Examination Hearing of Case No. 14401-14402
heard by me on 12-3-09
David K. Brooks
Examiner
Oil Conservation Division

1 STATE OF NEW MEXICO)
) SS.
2 COUNTY OF BERNALILLO)

3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

REPORTER'S CERTIFICATE

I, PEGGY A. SEDILLO, Certified Court Reporter of the firm Paul Baca Professional Court Reporters do hereby certify that the foregoing transcript is a complete and accurate record of said proceedings as the same were recorded by me or under my supervision.

Dated at Albuquerque, New Mexico this 10th day of December, 2009.


PEGGY A. SEDILLO, CCR NO. 88
License Expires 12/31/09