

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

ORIGINAL

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION DIVISION FOR
THE PURPOSE OF CONSIDERING:

CASE NO. 14421

APPLICATION OF CONOCOPHILLIPS
COMPANY FOR AMENDMENT OF DIVISION
ORDER NO. R-2403, AS AMENDED, TO
INCREASE THE AUTHORIZATION INJECTION
PRESSURE IN ITS MCA UNIT AREA,
LEA COUNTY, NEW MEXICO.

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

RECEIVED OGD
2010 APR 12 PM 4:05

April 1, 2010
Santa Fe, New Mexico

BEFORE: WILLIAM B. JONES: Hearing Examiner
DAVID BROOKS: Legal Adviser

This matter came for hearing before the New Mexico
Oil Conservation Division, William B. Jones, Hearing
Examiner, on April 1, 2010, at the New Mexico Energy,
Minerals and Natural Resources Department, 1220 South St.
Francis Drive, Room 102, Santa Fe, New Mexico.

REPORTED BY: Peggy A. Sedillo, NM CCR No. 88
Paul Baca Court Reporters
500 Fourth Street, NW, Suite 105
Albuquerque, NM 87102

E X H I B I T S

Page

APPLICANT'S WITNESS:

Grant Butkus
Direct Examination by Mr. Carr 3

COURT REPORTER'S CERTIFICATE 17

APPLICANT'S EXHIBITS:

Exhibits A - D 10

A P P E A R A N C E S

FOR THE APPLICANT: WILLIAM F. CARR, ESQ.
Holland and Hart
110 North Guadalupe, Suite 1
Santa Fe, NM 87504

1 HEARING EXAMINER: Let's call the Case 14421,
2 Application of ConocoPhillips Company for Amendment of
3 Division Order No. R2403, as Amended, to Increased the
4 Authorized Injection Pressure in its MCA Unit Area, Lea
5 County, New Mexico. Call for appearances.

6 MR. CARR: May it please the Examiners, my name
7 is William F. Carr with the Santa Fe office of Holland and
8 Hart. We represent ConocoPhillips in this matter. And I
9 have one witness.

10 HEARING EXAMINER: Okay. Let the record show
11 this case was heard a month ago but not taken under
12 advisement, it was continued to this date.

13 MR. CARR: And as you'll recall, at the hearing
14 there was a statement presented to Conoco from the Bureau
15 of Land Management, and the case was continued to enable
16 Conoco to talk to the BLM. And we're here to report to
17 you today on that meeting.

18 HEARING EXAMINER: Any other appearances? Okay.
19 Proceed.

20 GRANT BUTKUS,
21 the witness herein, after first being duly sworn
22 upon his oath, was examined and testified as follows:

23 DIRECT EXAMINATION

24 BY MR. CARR:

25 Q. Would you state your name for the record,

1 please?

2 A. Grant Butkus.

3 Q. Mr. Butkus, where do you reside?

4 A. In Houston, Texas.

5 Q. And by whom are you employed?

6 A. ConocoPhillips.

7 Q. Are you the reservoir engineer who testified at
8 the original Oil Conservation Division case on this
9 application?

10 A. I am.

11 Q. And were the Examiners at that time Examiners
12 Brooks and Jones?

13 A. They were.

14 Q. Were your qualifications as an expert in
15 reservoir engineering accepted and made a matter of record
16 at that time?

17 A. Yes.

18 Q. Since that time, have you contacted the Bureau
19 of Land Management concerning a statement that was offered
20 on their behalf at that hearing?

21 A. I have, yes.

22 Q. Have you prepared additional exhibits that
23 respond to BLM's concerns?

24 A. I have.

25 Q. And are you prepared to review this work with

1 the Examiners?

2 A. Yes.

3 MR. CARR: Are the witness's qualifications
4 acceptable?

5 HEARING EXAMINER: They are.

6 Q. Mr. Butkus, let's go to what has been marked
7 ConocoPhillips Exhibit A, and would you identify that and
8 summarize the concerns of the Bureau of Land Management?

9 A. ConocoPhillips Exhibit A is the statement that
10 was submitted to the OCD by the BLM before our last
11 hearing. And the concerns of the BLM are really twofold.

12 It was that they had not had the chance to
13 analyze the step-rate tests that we presented into
14 evidence. And then the second one was that they had some
15 issues with possible casing integrity problems in older
16 wells that were completed open hole and stimulated with
17 nitroglycerin.

18 Q. Have you reviewed your application with
19 representatives of the Bureau of Land Management?

20 A. I have spoken with Roger Hall -- he's an
21 engineer out of the Carlsbad office, I believe --
22 regarding the step-rate test and the potential for cement
23 integrity issues.

24 Q. Where does the issue concerning the step-rate
25 test stand at this time?

1 A. The data from the step-rate test was given to
2 the BLM, and they analyzed it and they agreed with our
3 findings that at the pressures that we were attempting to
4 have the Division Order amended to, there's no possibility
5 of new fractures being initiated in the formation.

6 Q. We actually requested a statement from the BLM,
7 did we not?

8 A. That is correct.

9 Q. And we were unable to get from them a letter
10 that is either signed or on letterhead; isn't that right?

11 A. That is also correct.

12 Q. Let's talk about the issue concerning the
13 adequacy of the cement in MCA unit injection wells. Could
14 you just review the status of that issue for the
15 Examiners?

16 A. I spoke with the BLM concerning that. The main
17 point that was made was that the injection wells that
18 we're attempting to add in the unit from this point
19 forward are wells that were drilled in the last couple of
20 years. So they're cased to depth and then cemented to
21 surface.

22 So there's very limited possibility of there
23 being the behind-pipe channeling that they're worried
24 about, unlike in older wells where the completion methods
25 aren't as -- don't address that possible problem as well.

1 Q. Would you refer to what has been marked
2 ConocoPhillips Exhibits B and C and explain first what
3 those are and then review for the Examiners what these
4 exhibits show.

5 A. So the BLM had suggested possible radioactive
6 tracer surveys on injection wells. And while this is not
7 per se an injection radioactive tracer survey, these are
8 radioactive tracer surveys that were done in new wells
9 that we converted to injection during the initial
10 completion.

11 So essentially what we've done, is during
12 different stages of the fracturing process, we've added
13 radioactive tracers to the fluid and then gone back
14 through, and it's showing where that fluid is actually
15 ending up.

16 So we are attempting to revise the Order to have
17 a surface pressure of 2,150. And most of the initial
18 stimulations go up to a pressure in excess of 4,000
19 pounds.

20 And so, if you look at the MCA 404, what you're
21 seeing is, different colors represent different points in
22 which the radioactive isotopes were added to the fluids.
23 And so you can see where, I guess the perforations, those
24 fluids are actually ending up.

25 The second tract from the left is a depth of

1 investigation, and this is really what we would look at if
2 we were looking to see if there were any behind-pipe
3 channeling through a micro annulus.

4 As you can see, it moves from left to right,
5 from zero to 25 inches. And this is really just telling
6 you where in the formation we're actually seeing that
7 radioactive tracer when we go back in and log.

8 And so, as you can see on the 404, they vary in
9 depth from about three or four inches to about 20, 22
10 inches. What you would see if you had behind-pipe
11 channeling is actually a flat line of one or two colors
12 that was about three inches away from the site of the well
13 bore. And this would be the actual radioactive tracers in
14 that micro annulus between the cement and the rock.

15 Q. And so what you're looking at are the blue lines
16 in the column on the left; is that right?

17 A. Yeah, that's correct. It's this column right
18 here, the second tract.

19 Q. Okay.

20 A. And so, the MCA 65 is similar. You can see that
21 we've actually completed a fracture to a smaller zone in
22 this one. And the differences that we're -- these were
23 run in an attempt to optimize how we were perforating and
24 fracturing.

25 But as you can see on this one, as well on that

1 second tract, that you're not seeing any flow behind
2 cement. So we're not creating any micro annulus at a
3 surface pressure in excess of 4,000 pounds.

4 Q. Now, ConocoPhillips isn't requesting an increase
5 in pressure in any of the existing injection wells.

6 A. That is correct.

7 Q. And as to all new injection wells, will they be
8 completed in a manner consistent as what you've shown for
9 the MCA 404 and 465 wells?

10 A. That is also correct.

11 Q. In your opinion, will all water injected in the
12 MCA unit at surface injection pressures of 2,150 psi stay
13 within the injection area?

14 A. Yes.

15 Q. In your opinion, will granting this application
16 otherwise be in the best interest of conservation and the
17 prevention of waste and the protection of correlative
18 rights?

19 A. Yes.

20 Q. Is Exhibit D a proposed Order in this case that
21 would grant this application?

22 A. It is, yes.

23 Q. And it also summarizes the testimony that has
24 been presented here today?

25 A. That is correct.

1 Q. Were Exhibit A through D either prepared by you
2 or have you reviewed them and can you testify as to their
3 accuracy?

4 A. Yes.

5 MR. CARR: At this time, we would move into
6 evidence Conoco Exhibits A through D.

7 HEARING EXAMINER: Exhibits A through D will be
8 admitted.

9 MR. CARR: That concludes my direct of
10 Mr. Butkus.

11 HEARING EXAMINER: I was going to ask you about
12 the injection withdrawal ratio on your unit.

13 THE WITNESS: Okay.

14 HEARING EXAMINER: Is it similar to a pressure
15 maintenance, is it a one to one, or is it -- are you
16 losing some fluid out of zone?

17 THE WITNESS: Right now, we've gone back and P
18 and A'ed a number of the injection wells because we're
19 redeveloping the unit on a new spacing that we think will
20 be able to process the reservoir a lot faster.

21 So we're not injecting enough to keep up with
22 the fluid that we have coming out of the ground. But if
23 you look at a pattern-by-pattern basis in the areas where
24 we are injecting an adequate amount of fluid, it's
25 efficient enough.

1 HEARING EXAMINER: Okay. Well, is this unit
2 going to compete with floods from the -- or what's your
3 schedule for doing these conversions of the patterns?

4 THE WITNESS: Oh, for doing the conversions?

5 HEARING EXAMINER: Yes.

6 THE WITNESS: So, we're scheduled to do -- we
7 have 12 that we've permitted that are at the 775 pounds.
8 We have another at 13 that we're waiting on the conclusion
9 of this hearing before we permit them. So that's 25 that
10 we would do this year.

11 And then beyond that, it depends on the schedule
12 of drilling, but we should be able to finish the
13 redevelopment of the field over the next two or three
14 years. And that would include the drilling of new
15 injectors, and then conversion of those two injectors.

16 HEARING EXAMINER: So, two to three years. And
17 your managers are okay with it? Have you already sold the
18 project to them or --

19 THE WITNESS: Yeah. The hurdle we have now is
20 selling the individual pieces to partners and working out
21 cost issues and timing on that.

22 HEARING EXAMINER: Okay.

23 THE WITNESS: And we've been moving forward with
24 this whole project for this redevelopment. For the last
25 two years we've drilled 53 wells from the unit.

1 HEARING EXAMINER: I didn't know Schlumberger
2 did these tracer surveys. Was this actual Schlumberger --
3 do they own the --

4 THE WITNESS: I'm not sure who --

5 HEARING EXAMINER: Or they just ran the log
6 afterwards?

7 THE WITNESS: I believe that in these wells,
8 Schlumberger completed them for us, but the company that
9 actually comes out and does the tracers is called
10 Protechniques.

11 HEARING EXAMINER: Protechniques, yeah. Did
12 Schlumberger or yourself -- or Dowell, I guess, run any
13 kind of frac modeling on these completions, do you have a
14 model you use?

15 THE WITNESS: We have a completion engineer
16 in-house that models all of the fracs or the -- if we
17 change substantially from the standard fracture that we
18 put in a reservoir, then we go back and remodel it. And
19 these two were actually a series of four or five tracer
20 surveys that we were using to verify our modeling in that
21 area.

22 HEARING EXAMINER: Okay.

23 THE WITNESS: So we presented the two that would
24 be converted to injection wells.

25 HEARING EXAMINER: Okay. The model that he

1 uses, is that Dowell's model, or do you guys have your
2 own --

3 THE WITNESS: I believe that he used a
4 third-party software. I do not know whose software it is
5 that he uses.

6 HEARING EXAMINER: Do you think that you ran
7 enough step-rate tests to be representative of the whole
8 unit for justifying a pressure increase for the whole
9 unit?

10 THE WITNESS: I think that the step-rate tests
11 that we've run represent the variability in the new wells
12 and in the area. Obviously, over time, we'll continue to
13 run diagnostic tests on our wells in order to develop more
14 data.

15 But I think for the question that we're trying
16 to answer now, between those and just looking at the ISIPs
17 on the initial fracs, I think we have enough data to
18 confirm the assumptions.

19 HEARING EXAMINER: Okay. That well that's taken
20 your C02, do you remember which well it is?

21 THE WITNESS: It's the 380.

22 HEARING EXAMINER: No. 380?

23 THE WITNESS: Yeah. I believe I told you it was
24 the 338 last time, but I went back and double checked and
25 it's the 380.

1 HEARING EXAMINER: Is that going to be the same
2 well for a long time, or are you going to vary it around?

3 THE WITNESS: In the past there was a failed
4 attempt to flood the unit with CO2. And so it's
5 contaminated a lot of the gas that we can't take to sales.
6 So we just use that well to dispose of hydrocarbon gas
7 that's been contaminated with CO2.

8 HEARING EXAMINER: So you break out a little bit
9 of the gas and you reinject it and you sell some of it?

10 THE WITNESS: We reinject all of the gas coming
11 from the contaminated areas. We do have one battery where
12 we go to sales because the CO2 contamination is not high
13 enough to preclude us from doing that.

14 Right now we're looking at installing membrane
15 units in order to separate the hydrocarbon stream and the
16 CO2 stream. And then we'll be using the CO2 stream.

17 The original CO2 tests in the area, the flood,
18 was done in the upper zones, which we don't believe there
19 is -- from that that there is the possibility of actually
20 flooding that across the field.

21 There's some formations that perform very well,
22 and there's some formations that perform very poorly. But
23 we're also looking at going into the San Andres ninth,
24 which is a residual oil zone that has a -- that we believe
25 has better properties for possible CO2 flooding.

1 So we're using that stream and recycling it for
2 a -- potentially for a CO2 TROZ recovery pilot in the
3 future.

4 HEARING EXAMINER: Okay.

5 THE WITNESS: But the membrane units would also
6 generate a sales stream of gas for us.

7 HEARING EXAMINER: Okay. That would be pretty
8 expensive, I guess, those membranes. Is that the Ryan
9 Holmes process you're talking about?

10 THE WITNESS: I'm not very familiar with it.
11 It's a project that we're working through our facilities
12 group.

13 HEARING EXAMINER: Okay.

14 THE WITNESS: So we're just at the very
15 beginning of that project.

16 HEARING EXAMINER: Okay. Well, I guess a couple
17 comments. The packer setting depth has gotten to be a big
18 issue with us and our district office in Hobbs. That's
19 something that I actually spoke to one of your people,
20 Donald Williams, last few days about that one.

21 THE WITNESS: Okay.

22 HEARING EXAMINER: And so that's a big issue. I
23 didn't talk to BLM about this, obviously, but on another
24 issue, I asked them to contact the attorneys of any cases
25 that go through the attorneys, any cases, and they said

1 oh, they're surprised at the communication pattern. So
2 they might do that, hopefully.

3 MR. CARR: We'd appreciate that.

4 HEARING EXAMINER: Okay.

5 MR. BROOKS: I have no questions.

6 HEARING EXAMINER: Okay. Thank you very much.

7 MR. CARR: Mr. Examiner that concludes our
8 presentation.

9 HEARING EXAMINER: Okay. Thank you, Mr. Carr.
10 We'll take Case No. 14421 under advisement.

11 MR. CARR: And I will send the proposed Order in
12 Word format so Mr. Ezeanyiam doesn't have to call and...

13 HEARING EXAMINER: Okay.

14 (Whereupon, the proceedings concluded.)

15

16

17

18

19

20

21

22

23

24

25

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. _____
heard by me on _____


_____, Examiner
Oil Conservation Division

1 STATE OF NEW MEXICO)
) ss.
2 COUNTY OF BERNALILLO)
3
4

5 REPORTER'S CERTIFICATE
6

7 I, PEGGY A. SEDILLO, Certified Court
8 Reporter of the firm Paul Baca Professional
9 Court Reporters do hereby certify that the
10 foregoing transcript is a complete and accurate
11 record of said proceedings as the same were
12 recorded by me or under my supervision.

13 Dated at Albuquerque, New Mexico this
14 9th day of April, 2010.
15
16
17
18

19 
20 PEGGY A. SEDILLO, CCR NO. 88
License Expires 12/31/10
21
22
23
24
25