

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED  
BY THE OIL CONSERVATION DIVISION FOR  
THE PURPOSE OF CONSIDERING:

APPLICATION OF CHESAPEAKE EXPLORATION, CASE NO. 14477  
LLC, DOING BUSINESS THROUGH ITS AGENT  
CHESAPEAKE OPERATING, INC., FOR STATUTORY  
UNITIZATION OF THE CHAMBERS STRAWN UNIT  
AREA, LEA COUNTY, NEW MEXICO

and

APPLICATION OF CHESAPEAKE EXPLORATION, CASE NO. 14478  
LLC, DOING BUSINESS THROUGH ITS AGENT  
CHESAPEAKE OPERATING, INC., FOR APPROVAL OF  
A WATERFLOOD PROJECT AND QUALIFICATION OF THE  
PROJECT AREA OF THE CHAMBERS STRAWN UNIT FOR THE  
RECOVERED OIL TAX RATE PURSUANT TO THE ENHANCED  
OIL RECOVERY ACT, LEA COUNTY, NEW MEXICO

REPORTER'S TRANSCRIPT OF PROCEEDINGS  
EXAMINER HEARING

BEFORE: WILLIAM V. JONES, Presiding Examiner  
DAVID K. BROOKS, Legal Examiner

May 27, 2010

Santa Fe, New Mexico

This matter came on for hearing before the  
New Mexico Oil Conservation Division, WILLIAM V. JONES,  
Presiding Examiner, and DAVID K. BROOKS, Legal Examiner,  
on Thursday, April 27, 2010, at the New Mexico Energy,  
Minerals and Natural Resources Department, 1220 South St.  
Francis Drive, Room 102, Santa Fe, New Mexico.

REPORTED BY: Jacqueline R. Lujan, CCR #91  
Paul Baca Professional Court Reporters  
500 Fourth Street, N.W., Suite 105

RECEIVED OOD  
2010 JUN - 8 P 3:21

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

A P P E A R A N C E S

FOR THE APPLICANT:

OCEAN MUNDS-DRY, ESQ.  
HOLLAND & HART  
110 North Guadalupe, Suite 1  
Santa Fe, New Mexico 87501  
(505)988-4421

ALSO PRESENT:

Ronald Miles

WITNESSES: PAGE

Terry Frohnapfel:

Direct examination by Ms. Munds-Dry	4
Examination by Examiner Jones	12
Examination by Examiner Brooks	15

Chima Nzewunwah:

Direct examination by Ms. Munds-Dry	18
Examination by Examiner Jones	26

Everett Bradley:

Direct examination by Ms. Munds-Dry	31
Examination by Examiner Jones	51

INDEX PAGE

EXHIBITS 1 THROUGH 10 WERE ADMITTED	12
EXHIBITS 11 AND 12 WERE ADMITTED	26
EXHIBITS 13 THROUGH 28 WERE ADMITTED (No Exhibit 21.)	51

REPORTER'S CERTIFICATE	59
------------------------	----

1 EXAMINER JONES: Okay. The next case on  
2 the docket is -- let's combine these two cases for  
3 purposes of hearing -- Case 14477, application of  
4 Chesapeake Exploration, LLC, doing business through its  
5 agent, Chesapeake Operating Incorporated, for statutory  
6 unitization of the Chambers Strawn Unit Area, Lea County,  
7 New Mexico, and Case Number 14478, application of  
8 Chesapeake Exploration, LLC, doing business as Chesapeake  
9 Operating Incorporated, for approval of a waterflood  
10 project and qualification of the project area of the  
11 Chambers Strawn Unit for the Recovered Oil Tax Rate  
12 pursuant to the Enhanced Oil Recovery Act, Lea County,  
13 New Mexico. Call for appearances in both cases.

14 MS. MUNDS-DRY: Good morning, Mr.  
15 Examiner. Ocean Munds-Dry, with the lawfirm of Holland &  
16 Hart, here representing Chesapeake Operating,  
17 Incorporated, this morning. And I have three witnesses.

18 EXAMINER JONES: Any other appearances?

19 Will all the witnesses stand and state your  
20 names first?

21 MR. BRADLEY: Everett Bradley.

22 MR. FROHNAPFEL: Terry Frohnafel.

23 MR. NZEWUNWAH: Chima Nzewunwah.

24 EXAMINER JONES: Will the court reporter  
25 please swear the witnesses?

1 (Three witnesses were sworn.)

2 MS. MUNDS-DRY: With that, I'd like to  
3 call Mr. Frohnappel.

4 May I proceed, Mr. Hearing Examiner?

5 EXAMINER JONES: Please do.

6 TERRY FROHNAPFEL

7 Having been first duly sworn, testified as follows:

8 DIRECT EXAMINATION

9 BY MS. MUNDS-DRY:

10 Q. Would you please state your full name for the  
11 record?

12 A. Terrance Alexander Frohnappel.

13 Q. By whom are you employed?

14 A. Chesapeake Energy Corporation.

15 Q. What is your position with Chesapeake?

16 A. Senior landman.

17 Q. Have you previously testified before the  
18 Division, and were your credentials made a matter of  
19 record?

20 A. Yes.

21 Q. Are you the land person who's responsible for  
22 the unitization of the Chambers Strawn Unit area?

23 A. Yes.

24 Q. Are you familiar with the applications filed  
25 in both Case Number 14477 and Case Number 14478?

1 A. Yes.

2 Q. Are you familiar with the status of the lands  
3 involved in the proposed Chambers Strawn Unit area?

4 A. Yes.

5 MS. MUNDS-DRY: Mr. Hearing Examiner, we  
6 tender Mr. Frohnafel as an expert in petroleum land  
7 matters.

8 EXAMINER JONES: So qualified.

9 Q. Would you briefly state what Chesapeake  
10 Operating seeks in this case?

11 A. Statutory unitization of the proposed Chambers  
12 Strawn Unit area, a 480-acre area; approval of the  
13 waterflood project in the unit area; and qualification of  
14 the project for incentive tax rate authorized by the New  
15 Mexico Enhanced Oil Recovery Act.

16 Q. When was the Northeast Shoe Bar Strawn Pool  
17 created?

18 A. The Northeast Shoe Bar Strawn Pool was  
19 established by Order Number R-107-66 on March 1st, 1997.

20 Q. And what are the lands comprised of in the  
21 proposed unit?

22 A. They're comprised of wells that have reached  
23 an advanced state of depletion.

24 Q. Are they fee lands?

25 A. Yes.

1 Q. Turn to what's been marked as Chesapeake  
2 Exhibit 1 and explain to the Examiners what it is and  
3 what it shows.

4 A. It's the same as Exhibit A in the Unit  
5 Agreement. It shows the proposed unit boundary, and it's  
6 approximately one mile west of Lovington, New Mexico, and  
7 shows all the Strawn mound wells in the area.

8 Q. I believe you said the character of the lands  
9 in the unit area is 100 percent fee?

10 A. Yes.

11 Q. Okay.. And what is Exhibit Number 2?

12 A. It is the standard form modeled after the  
13 state unit form for the Unit Agreement. It provides for  
14 water flooding and just sets out the basis for  
15 participation of each of the owners of the unitized  
16 substances.

17 Q. Thank you. Please turn to Chesapeake Exhibit  
18 Number 3 and identify and review this for the Examiners.

19 A. That shows the list of participation in the  
20 unit area by tract. It's also the same as Exhibit B in  
21 the Unit Agreement.

22 Q. Is the basis for participation in the unit set  
23 out in the Unit Agreement?

24 A. Yes, Exhibit C to the Unit Agreement. And  
25 Chesapeake will call an engineer witness to explain the

1 formula.

2 MS. MUNDS-DRY: Mr. Hearing Examiner, that  
3 Exhibit C is the last page to the Unit Agreement which  
4 has been marked as Exhibit Number 2, in case you would  
5 like to reference that.

6 Q. (By Ms. Munds-Dry) Would you please identify  
7 Exhibit Number 4 and explain this for the Examiners?

8 A. It's a redesignation of well names of the  
9 unit.

10 Q. And it lists all three of the wells in the  
11 unit?

12 A. Correct.

13 Q. And what is Exhibit Number 5?

14 A. It's the Unit Operating Agreement. It  
15 contains just many standard provisions. It outlines the  
16 supervision and management of the unit and defines the  
17 rights and duties of all of the working interest owners.

18 Q. What is Exhibit Number 6?

19 A. The list of the working interest owners in the  
20 unit area.

21 Q. And Exhibit Number 7?

22 A. A list of the royalty and overriding royalty  
23 interest owners or non-costbearing interest owners.

24 Q. So the first page is the royalty owners, and  
25 the second page is the overriding royalty interest

1 owners?

2 A. Right.

3 Q. And what is Exhibit Number 8? While you're  
4 using this, if you'll summarize your efforts to obtain  
5 working interest owners and non-costbearing interest  
6 owners' approval of the unit and waterflood project.

7 A. Okay. I'll do that first. By the use of  
8 mailouts and just following up with phone calls and  
9 emails and trying to get them to join, approve the Unit  
10 Agreement, Unit Operating Agreement.

11 And then Exhibit 8 is -- it's the --  
12 summarizes our efforts to obtain working interest owner  
13 and royalty interest owner approval in the proposed unit  
14 waterflood, and overriding royalty owners also.

15 We sent out -- the first contact was on March  
16 29th. We sent out a working interest owners meeting to  
17 just the working interest owners, of course. And the  
18 meeting was held on April 15th at the Chesapeake offices.

19 Q. This is the first letter, then, that you sent  
20 out, this March 29th letter for the meeting?

21 A. Correct. And then the meeting was on April  
22 15th.

23 The second letter was sent to all the interest  
24 owners. That was April 19th. And the working interest  
25 owners got the Unit Agreement, Unit Operating Agreement,

1 ratification forms, election ballots and feasibility  
2 study. And the royalty owners and the overriding royalty  
3 owners just got the Unit Agreement and the ratification  
4 form.

5 Q. I believe a copy of that April 19th letter was  
6 also included in Exhibit Number 8?

7 A. Yes.

8 Q. Both to the royalty and working interest  
9 owners?

10 A. Yes.

11 Q. Okay. If you'll turn to Exhibit Number 9 and  
12 explain what this packet of information is for the  
13 Examiners.

14 A. Okay. It's the ratification summary sheet.  
15 It shows a tally of trying to obtain 75 percent of the  
16 working interest owners and the royalty owners and the  
17 overriding royalty owners. Also, it's a copy of all the  
18 ratifications. The cover sheet shows how many of them --  
19 if it's highlighted, it shows how many of them responded  
20 as a positive approval.

21 Q. So the first page is the summary, and the next  
22 page gives you the highlight -- or the next sort of  
23 packet in Exhibit 9 shows you the packet with the  
24 highlighted persons, as you were indicating?

25 A. Yes.

1 Q. Okay. You said also that the signed  
2 ratifications are also --

3 A. They're attached.

4 Q. They're also attached. What percentage of the  
5 working interest ownership is presently committed to this  
6 unit?

7 A. 75.6 percent.

8 Q. What percentage of the non-costbearing  
9 interest ownership is presently committed?

10 A. 100 percent.

11 Q. Do you believe that you have done all that you  
12 can reasonably do to obtain voluntary commitment to this  
13 unit?

14 A. Yes.

15 Q. Have you made a good-faith effort to secure  
16 voluntary unitization of all owners, both working and  
17 royalty, in the area affected by this application?

18 A. Yes.

19 Q. Will Chesapeake call additional witnesses to  
20 review the technical portions of this case?

21 A. Yes.

22 Q. Finally, what is Exhibit Number 10?

23 A. Those are affidavits confirming that the  
24 notice of applications have been provided in accordance  
25 with the rules of the Oil Conservation Division.

1 Q. I believe it gives the list of parties that  
2 were notified and the green cards and a copy of the  
3 letters that were sent to those parties and the affidavit  
4 of publication in the newspaper, in the Lovington paper?

5 A. Yes.

6 Q. Okay. Now, to whom was notice provided for  
7 the statutory unitization portion of this application?

8 A. All working interest owners and  
9 non-costbearing interest owners in the unit.

10 Q. And for the C-108 for the waterflood project,  
11 who was notified of that part of the application?

12 A. All leasehold operators within a half mile of  
13 these two proposed injection wells, which there were none  
14 of. So we notified all the offset lessees, and then if  
15 there wasn't any offset lessees, we notified all the  
16 offset mineral owners.

17 Q. Did we also notify the surface owners for each  
18 injection well?

19 A. Yes, we did.

20 Q. Were Exhibits 1 through 10 either prepared by  
21 you or compiled under your direct supervision?

22 A. Yes.

23 MS. MUNDS-DRY: With that, Mr. Hearing  
24 Examiner, we move the admission into evidence of  
25 Chesapeake Exhibits Number 1 through 10.

1 EXAMINER JONES: Exhibits 1 through 10  
2 will be admitted.

3 (Exhibits 1 through 10 were admitted.)

4 MS. MUNDS-DRY: That concludes my direct  
5 examination of Mr. Frohnafel.

6 EXAMINATION

7 BY EXAMINER JONES:

8 Q. Do you remember who the surface owner is for  
9 each of the two well sites for the two injection wells?

10 A. I think one was somebody named Runnels is one  
11 of them. We've got on the list --

12 MS. MUNDS-DRY: I think there was quite a  
13 list, because it's close to Lovington, Mr. Hearing  
14 Examiner. I think there's quite a few.

15 THE WITNESS: There's a lot of surface  
16 owners inside the unit. But right where the wells are, I  
17 think one of them was Chambers. And the other one, the  
18 last name is Runnels. And that's the same as the names  
19 of the wells. They also own minerals, too, so they're  
20 notified anyway.

21 EXAMINER JONES: Okay. I was glad to see  
22 you go down the list of operator, lessee, either  
23 non-lease tract, if there was any.

24 Q. (By Examiner Jones) I guess I'm a little bit  
25 confused. 75 percent of the working interest signed up,

1 but 100 percent of the -- you didn't say royalty  
2 interest. You said non-costbearing?

3 A. Um-hum. We just added the overrides. We  
4 blended them in with the royalty owners.

5 Q. So the working interest people that didn't  
6 sign so far, are they in here somewhere? You probably  
7 went over those.

8 A. They're on the list for the working interest  
9 owners. It's on that page that she was showing you a  
10 while ago. If they're not highlighted, they haven't  
11 responded yet.

12 MS. MUNDS-DRY: Mr. Jones, I think if you  
13 look in Exhibit Number 9 in the first packet past the  
14 summary sheet, it shows you -- the easy way to figure it  
15 out is they've highlighted who has joined thus far.

16 EXAMINER JONES: Okay.

17 Q. (By Examiner Jones) It looks like Conoco has  
18 not, and Northport --

19 A. Conoco had the most. It had about 18 percent.  
20 And they've just been real slow. They've turned their  
21 ballot in saying they wanted to participate, but they  
22 didn't give me the ratification page yet. It took  
23 another signature. It was going to take some time. So I  
24 didn't count them yet.

25 But if I did, that put us up there at 90-plus,

1 93 percent, something like that, if we had them. They're  
2 definitely wanting to participate, but they've been slow  
3 to respond on everything.

4 Q. Okay.

5 A. Then there was a couple of overrides that  
6 didn't respond, so we can't really count their -- there's  
7 no way to count -- they don't really have a vote number.  
8 But we got 20 out of 22 of non-costbearing. But all of  
9 the royalty owners signed up. That's how we came up with  
10 100 percent.

11 EXAMINER JONES: And as far as the outline  
12 of this proposed statutory unit, it's on Exhibit 1; is  
13 that correct?

14 MS. MUNDS-DRY: That is correct.

15 Q. (By Examiner Jones) So it's kind of a subset  
16 of the Northeast Shoe Bar pool, it looks like. I mean,  
17 the pool looks like it extends a little bit. I pulled it  
18 off, so I know it extends a little bit south of this.  
19 But it's 80-acre spacing, one well per 80 acres. It was  
20 a Chesapeake 2007 application, so were you involved in  
21 that for the special pool rules?

22 A. I don't think I was. If they were just trying  
23 to get some spacing, I wasn't.

24 Q. Yeah. It was an 80-acre Strawn.

25 A. Which well was it?

1           Q.     It was for the whole pool. The discovery  
2 well. I don't remember exactly which one it was, but it  
3 looks like the wells are drilled on 80-acre spacing here.  
4 The spacing units are not outlined within this. I can  
5 pull them up from these wells. But you don't have them  
6 here anywhere, do you, inside this?

7           A.     No.

8                   MS. MUNDS-DRY: No, I don't think we have  
9 a map that shows the spacing unit outline.

10                   EXAMINER JONES: Of each of the existing  
11 wells. But it looks like some tracts will not have been  
12 drilled yet, so -- I can never think of good land  
13 questions to ask. I'll turn it over to David

14                   EXAMINER BROOKS: It doesn't sound like  
15 there are many to ask in this case.

16                                   EXAMINATION

17 BY EXAMINER BROOKS:

18           Q.     But you said more than 75 percent of the  
19 working interest is committed?

20           A.     Right.

21           Q.     And 100 percent of the non-costbearing  
22 interest is committed?

23           A.     Correct.

24           Q.     So there are a lot of people to whom you gave  
25 notice that you didn't get return receipts from. Are

1 these offset owners, or are they area of review owners?

2 A. No. Anybody we didn't get a notice back from  
3 is inside the unit, maybe like a working interest owner  
4 that hasn't responded to the ratification notice.

5 MS. MUNDS-DRY: I think, Mr. Brooks, I  
6 think it is also for the C-108 portion.

7 EXAMINER BROOKS: That's what I was  
8 asking.

9 THE WITNESS: We don't keep track of any  
10 of their -- I mean they don't really -- there's nothing  
11 for them to respond off of. It's just like the notice  
12 that the hearing is going to take place, and they own an  
13 interest within a half mile.

14 Q. (By Examiner Brooks) So there aren't any  
15 owners within the unit that you do not have valid  
16 addresses for?

17 A. That we don't have --

18 Q. That you don't have addresses for? You've  
19 located all the owners within the unit?

20 A. Yes.

21 EXAMINER BROOKS: And what Ms. Munds-Dry  
22 was saying, it was confirming what I was trying to ask.  
23 And that is: The people for whom you have not gotten  
24 return receipts are people who own interests within the  
25 area of review, but not necessarily within the unit?

1 MS. MUNDS-DRY: And, Mr. Brooks, because I  
2 know you're particularly interested in this, we included  
3 the names of those parties who we didn't have addresses  
4 for in the legal publication, as well.

5 EXAMINER BROOKS: Okay. Do you have any  
6 kind of chart or diagram or anything that shows how you  
7 figured out what tracts were included within the area of  
8 review notice?

9 MS. MUNDS-DRY: I think we'll have a  
10 witness later that will have the C-108, and it will show  
11 you the area of review maps.

12 EXAMINER BROOKS: And the way I understand  
13 those things is that you draw the area of review circle,  
14 and then you have to draw the various tracts that are  
15 within it and show how they are configured. Of course, I  
16 always like to see identification of the owners that have  
17 been noticed by the tracts which they own so we can see  
18 that everything has been complied with.

19 MS. MUNDS-DRY: I'm trying to recall if we  
20 have something like that. I think we just have that for  
21 the working interest owners and royalty owners on the  
22 exhibits here that show their tract numbers. I'm not  
23 sure we did that for the C-108.

24 THE WITNESS: They don't ask for that in  
25 the application. They don't ask for it all itemized out

1 like that, but that's how we did it. We did it by tract.  
2 If there was an offset operator, that's the only person  
3 that you have to notify for that tract.

4 EXAMINER BROOKS: I would assume you do  
5 furnish copies of your notes that demonstrate that, if we  
6 requested that. I'll leave that up to the Examiner.  
7 That's probably what I would request.

8 EXAMINER JONES: That's always what I  
9 request, also.

10 EXAMINER BROOKS: That's all I have.

11 EXAMINER JONES: Thank you very much, Mr.  
12 Frohnapfel.

13 MS. MUNDS-DRY: Thank you. Then I'd like  
14 to call Mr. Nzewunwah.

15 CHIMA NZEWUNWAH

16 Having been first duly sworn, testified as follows:

17 DIRECT EXAMINATION

18 BY MS. MUNDS-DRY:

19 Q. Would you please state your full name for the  
20 record?

21 A. My name is Chima Nzewunwah.

22 Q. And by whom are you employed?

23 A. Chesapeake Energy.

24 Q. What is your current position with Chesapeake?

25 A. I'm a geologist.

1 Q. Have you previously testified before the  
2 Division?

3 A. No, I haven't.

4 Q. Would you please review your education for the  
5 Examiners?

6 A. I started my college education back in  
7 Nigeria. I obtained Bachelor's degree in Geology and  
8 Mining from Southeast Missouri State University and  
9 obtained my Master's in Geosciences, and also a minor in  
10 Environmental Sciences. Then I moved to the University  
11 of Texas, El Paso, and got my doctorate degree there.

12 Q. Would you summarize your work experience for  
13 the Examiners?

14 A. Upon graduating, I worked for the Bayelsa  
15 State Ministry of Environment as an intern for a year,  
16 doing field geology. Then while I was in Missouri, I  
17 worked on my Master's. I worked for the USGS, through  
18 the USGS EDMAP Program, doing a geological study for the  
19 Missouri Valley. And the product of that study is public  
20 record, so everyone can go and check it out.

21 Then I also taught various classes as an  
22 instructor in the University of Texas in El Paso and in  
23 the El Paso Community College. And also I worked for  
24 Selman & Associates, a six-month internship doing  
25 wellsite geology. Now I'm working for Chesapeake as a

1 geologist.

2 Q. And how long have you been with Chesapeake?

3 A. About three years now.

4 Q. Are you familiar with the applications that  
5 have been filed in this case?

6 A. Yes, I am.

7 Q. Are you familiar with the geology in this  
8 portion of the Northeast Shoe Bar Strawn pool?

9 A. Yes.

10 Q. And are you prepared to share the results of  
11 your work with the Examiner?

12 A. Yes, I am.

13 MS. MUNDS-DRY: Mr. Hearing Examiner, we  
14 would tender Mr. Nzewunwah as an expert in petroleum  
15 geology.

16 EXAMINER JONES: Okay. Would you please  
17 spell your last name?

18 THE WITNESS: N-z-e-w-u-n-w-a-h.

19 EXAMINER JONES: Thank you. Does UTEP  
20 still -- I know you were a Ph.D. student at UTEP; is that  
21 correct?

22 THE WITNESS: Yes.

23 EXAMINER JONES: Do they still send their  
24 students to the Silver City area for field geology?

25 THE WITNESS: Not just Silver City. They

1 go to different areas, spend a lot little time in Silver  
2 City and spend a little time in the Indios.

3 EXAMINER JONES: Did you concentrate on  
4 hard rock or soft rock or --

5 THE WITNESS: Hard and soft rock.

6 EXAMINER JONES: Then you're prepared for  
7 this business then?

8 THE WITNESS: Yes, I am.

9 EXAMINER JONES: Okay. It appears Mr. --

10 THE WITNESS: Nzewunwah.

11 EXAMINER JONES: -- Nzewunwah is qualified  
12 as an expert in petroleum geology.

13 MS. MUNDS-DRY: Thank you.

14 Q. (By Ms. Munds-Dry) Would you please turn to  
15 what's been marked as Exhibit Number 11 -- it should be  
16 that first map there -- and identify and review this for  
17 the Examiners?

18 A. This is a composite exhibit showing a type  
19 log, a structure map and the isopach map and hydrocarbon  
20 pore volume map.

21 Q. If you would first turn to the type log and  
22 review this for the Examiners.

23 A. First of all, the type log location is shown  
24 down at the southeast corner of the isopach map. That is  
25 the Runnels 8-1 Well. This log shows our unit of

1 interest, which is the Strawn mound carbonate, and the  
2 top of this carbonate is labeled here with the blue.

3 What I've got here is -- within this unit  
4 here, I've highlighted the zones that have been typically  
5 completed, even though the entire unit is of interest to  
6 us.

7 Q. What is the porosity cutoff that you used  
8 here?

9 A. I used a porosity cutoff of greater than 5  
10 percent.

11 Q. If you'll turn next on this composite exhibit  
12 to your structure map.

13 A. The structure map is made on top of the Strawn  
14 carbonate, which is labeled S-T-R-N-M-D-L. And this  
15 structure map shows the original depth of this area on  
16 that surface. And looking at this, at the structure map,  
17 we have an east/southeast downward dip, dip in structure  
18 on that surface.

19 Q. And looking at the two, the log and the  
20 structure map so far, do you believe this portion of the  
21 reservoir which you propose to be unitized is reasonably  
22 defined by development?

23 A. Yes.

24 Q. If you'll then turn to the middle map here,  
25 the hydrocarbon pore volume map, and review this for the

1 Examiners.

2 A. Before I speak on this one, the hydrocarbon  
3 pore volume was after making the isopach map. The  
4 isopach map was made using log cutoffs of gamma ray and  
5 porosity and also geophysical data to identify this  
6 reservoir. And when we relate this to the structure map  
7 and also the calculations I've made on it, I'm increasing  
8 water saturation to the southeast, so I'm getting a water  
9 lag in this reservoir.

10 So that made me go ahead to generate the  
11 hydrocarbon pore volume map to show how that hydrocarbon  
12 pore volume changes within this reservoir.

13 Q. When compared to the unit boundary, does your  
14 mapping here show that the entire unitized area should  
15 contribute to the reserves for the unit?

16 A. Yes. It should contribute by varying degrees,  
17 based on our water saturation and hydrocarbon pore  
18 volume.

19 Q. That's why, as you were saying, you created  
20 the hydrocarbon pore volume map?

21 A. Right.

22 Q. Is there anything else on here that you wish  
23 to discuss before we turn to the next map?

24 A. No. That's it.

25 Q. Okay. Let's turn then to what's been marked

1 as Chesapeake Exhibit Number 12 and review this for the  
2 Examiners. What is this map?

3 A. This is a structure cross-section showing the  
4 structural trend on the wells. This cross-section goes  
5 from the northwest down to the southeast, the Chambers  
6 being the northernmost well. If you look at the  
7 cross-section, the structure map was made on the top of  
8 the Strawn carbonate. If you look at this structure  
9 cross-section, you'll see a general down-dipping pattern  
10 in this mound.

11 And if you also look at -- first of all, I  
12 think I need to explain these columns here. The first  
13 column here in black is the gamma ray, and the  
14 resistivity is in the middle track, and the porosity is  
15 in the right-most track. What I've highlighted here is  
16 every interval of zone that has got greater than 5  
17 percent porosity and less than 45 API units, which  
18 clearly defines carbonates.

19 Q. Is that what you've highlighted in yellow?

20 A. That's what I've highlighted in yellow.

21 Q. I believe, also, the key on your cross-section  
22 here shows the perforations for each of the wells?

23 A. Yes. The black is perforations and the red is  
24 producing intervals.

25 Q. Now, does this show the continuity, then,

1 between -- the continuity in this reservoir between these  
2 wells?

3 A. Yes. There is continuity.

4 Q. Based on your review of these maps and any  
5 other information you've reviewed on the geology in this  
6 pool, what are your geological conclusions for this  
7 reservoir?

8 A. Based on all the geophysical and geological  
9 studies, I will recommend that -- I think this is a  
10 reservoir that has very good capability as a second  
11 recovery potential, given the fact that we've got  
12 continuity, we've defined this mound, and everything has  
13 been taken into account to ensure that the work done here  
14 is good.

15 Q. So you think there will be good flood  
16 potential here?

17 A. There will be very good flood potential.

18 Q. Can the portion of the pool that is included  
19 in the proposed unit area be efficiently and effectively  
20 operated under the unit plan of development?

21 A. Yes.

22 Q. Were Chesapeake Exhibits 11 and 12 either  
23 prepared by you or compiled under your direct  
24 supervision?

25 A. They're compiled by me.

1 MS. MUNDS-DRY: Mr. Hearing Examiner, we'd  
2 move the admission into evidence of Exhibits 11 and 12.

3 EXAMINER JONES: Exhibits 11 and 12 will  
4 be admitted.

5 (Exhibits 11 and 12 were admitted.)

6 MS. MUNDS-DRY: That concludes my direct  
7 examination.

8 EXAMINER JONES: Okay.

9 EXAMINATION

10 BY EXAMINER JONES:

11 Q. Do you know much about the history of this  
12 little mound and how it was discovered? Was it  
13 discovered on some geophysics or seismic surveys?

14 A. I believe I know a lot of it, yeah. I've been  
15 told the history. I did not start the initial work on  
16 it, but I know what the history is.

17 Q. Was it a seismic anomaly that -- was it 3D  
18 seismic?

19 A. Yes, it was 3D seismic that helped identify  
20 this area.

21 Q. Did you use that survey to help on your  
22 drawing of your boundaries of this?

23 A. Yes. The seismic helped constrain, in  
24 addition to the well logs, constrain the boundaries of  
25 this.

1 Q. Do you still have access through your company  
2 archives?

3 A. Yes.

4 Q. Because it looks like you don't have much  
5 control. You just have those three wells.

6 A. Yes, we've got those three wells. But the  
7 seismic played a big role in this.

8 Q. Did you have any core data?

9 A. There's core data on the Runnels. That's the  
10 well to the southeast.

11 Q. Did they core the main -- cross the interval  
12 over the whole core?

13 A. Yes. And it does show very good core and --

14 Q. Log core?

15 A. Yes.

16 Q. So you have a cross-plot somewhere of the core  
17 porosity versus log porosity? You don't need it for  
18 this, but --

19 A. No. It does exist.

20 Q. Okay. Before I forget, the top and bottom of  
21 your unitized interval, it will be in your Unit  
22 Agreement, I know. But is it on this type log? I want  
23 to make sure we have on the record where -- that you  
24 agree with it and everything.

25 A. Yeah. The vertical limits of the unitized --

1 the unit to be -- the portion to be unitized is a hundred  
2 feet above the Strawn carbonate and a hundred feet below  
3 the Strawn carbonate. And this -- from the type log  
4 here, this is between -- this is about 11,442 feet and  
5 11,738 feet measured depth.

6 Q. These are all vertical wells?

7 A. (Witness nods head.)

8 Q. This Strawn, it seems like it can vary so  
9 quickly within a short period, with a short lateral  
10 distance, from a natural producer to a dry hole out here.  
11 Do you think you've kind of got that down from the  
12 seismic that you know the lateral limits of the Strawn?

13 What I'm saying is, I remember drilling a well  
14 right south of Lovington, and it was right next to a  
15 producer and it was a dry hole. So it can happen out  
16 there, it seems.

17 A. Yes. We have that seismically and log-wise  
18 defined. And also, when it states that this mound is an  
19 isolated mound on its own, and there is not any -- I'd  
20 say that the seismic and the well log we've got and all  
21 the process we did with it, it was able to identify  
22 porosity. And also with the cross-plots, we think the  
23 permeability has been very well defined.

24 Q. So that seismic can see that porosity interval  
25 at 11,000 feet through all the salt and everything?

1 A. Well, I don't recall seeing salt in this area.

2 Q. What I mean is -- okay. There's no salt?

3 A. Well, there's --

4 Q. Way up high?

5 A. Way up high there's salt. But down there, we  
6 don't get that salt influence. And using inversion, you  
7 can relate porosity to seismic attributes.

8 Q. Do you have a sonic log on any of these wells?

9 A. Yes.

10 Q. So they were able to tie it in?

11 A. Yes.

12 Q. The water lag is to the east, is that correct,  
13 or southeast?

14 A. On this mound, it's to the southeast.

15 Q. Is that from production history of this well  
16 to the southeast, or is that from --

17 A. Petrophysical studies. And also, if you look  
18 at the Runnels, it's got a high water cut, high water  
19 production. So that kind of ties it in with the  
20 petrophysical studies.

21 Q. You can actually see it in your resistivity?

22 A. Yes. If you look at the cross-section, you  
23 will see -- coming from the north down to the southeast,  
24 you will see a gradual decrease in resistivity, and  
25 that -- it's very visible there.

1 Q. So does that mean that there's gas, Strawn  
2 gas, to the northwest, or is there any gas cap? Do you  
3 see any indications of crossover or anything?

4 A. The log attributes are pretty much the same  
5 from the Chambers down to the Runnels, so I would not say  
6 that there's gas.

7 Q. Do you see that the best part of the Strawn to  
8 be water flooded is the upper part of this clean  
9 limestone?

10 A. It's algal mound.

11 Q. Algal mound?

12 A. The entire package has got porosity. And  
13 also -- even though we still have water down -- high  
14 water down to the southeast, I still believe there is  
15 still sufficient hydrocarbon within the waterway areas  
16 that we could produce that carbon flow.

17 Q. Does this look like any other Strawn mound  
18 that you've seen around this area? Did you look at any  
19 of the others maybe operated by other people?

20 A. I have not looked at other people's  
21 operations. And this is the one mound that I have  
22 actually really, really studied in terms of geology and  
23 geophysics. And I don't know if the other operators have  
24 got geophysical data to theirs, and I cannot really tie  
25 my work into their production. I cannot speak for the

1 other mounds.

2 EXAMINER JONES: I'm all out of questions.  
3 Everybody is probably glad. I'll turn it over to David.

4 EXAMINER BROOKS: I don't think I have any  
5 questions.

6 EXAMINER JONES: We probably forgot to ask  
7 some things.

8 EXAMINER BROOKS: Probably.

9 EXAMINER JONES: Thank you very much.

10 THE WITNESS: Thank you.

11 MS. MUNDS-DRY: With that, we'd like to  
12 call our next witness, Mr. Bradley.

13 EXAMINER JONES: Mr. Bradley, you can take  
14 your coat off, if you want.

15 THE WITNESS: It's fine. Thank you.

16 EVERETT BRADLEY

17 Having been first duly sworn, testified as follows:

18 DIRECT EXAMINATION

19 BY MS. MUNDS-DRY:

20 Q. Okay. Would you please state your full name  
21 for the record?

22 A. Everett Bradley.

23 Q. By whom are you employed?

24 A. Chesapeake Energy Company.

25 Q. And how are you employed with Chesapeake?

1           A.     I'm a senior reservoir engineer.

2           Q.     Have you previously testified before the  
3 Division, and were your credentials made a matter of  
4 record?

5           A.     Yes, I have. Yes, they were.

6           Q.     Are you familiar with the applications filed  
7 in these cases?

8           A.     Yes, ma'am.

9           Q.     Have you made an engineering study of the area  
10 that is involved in this case?

11          A.     Yes, I have.

12                   MS. MUNDS-DRY: Mr. Hearing Examiner, are  
13 Mr. Bradley's qualifications acceptable?

14                   EXAMINER JONES: They are.

15          Q.     (By Ms. Munds-Dry) Are you familiar with the  
16 New Mexico Statutory Unitization Act?

17          A.     Yes, ma'am.

18          Q.     And have you prepared exhibits for  
19 presentation in this case?

20          A.     Yes, ma'am.

21          Q.     Let's turn to what's been marked as Chesapeake  
22 Exhibit Number 13. If you'll review this for the  
23 Examiners.

24          A.     This is an orientation map. It shows the  
25 wells that are marked as the Shoe Bar north field.

1 Within that field it shows an outline of the particular  
2 mound that we would like to unitize, and it shows the  
3 three wells that are in there.

4 And in this mound, the first well to be  
5 drilled was the Chambers Number 1 -- I'm sorry --  
6 Chambers 7 Number 1, which was November of '96. And that  
7 was the first well that was also drilled in the area  
8 known as the Shoe Bar north field. In the broader  
9 grouping of mounds, there were other earlier mounds  
10 drilled, but not in this particular designation.

11 And it also shows the relationship of this  
12 mound to Lovington, New Mexico, and it's about 1.5 miles  
13 to the southwest.

14 Q. Great. If you'll turn to Exhibit Number 14  
15 and review this document for the Examiners.

16 A. This is the hydrocarbon pore volume isopach  
17 map. It shows the unit outline in red, and it shows the  
18 ownership tracts which have been outlined interiorly in  
19 blue, and they have been numbered 1 through 7.

20 And each of the wells in this mound are shown,  
21 and their designation is indicated in the green circle  
22 around the Alston. It indicates that we intend to  
23 maintain that as our producing well.

24 And the triangle -- the blue triangles around  
25 the other two wells indicate that we intend to convert

1 those into injection service.

2 Q. Will this development be accomplished in a  
3 single phase?

4 A. Yes, it will.

5 Q. If you'll turn then, Mr. Bradley, to Exhibit  
6 Number 15 and review the basis for the participation  
7 formula that Chesapeake is proposing.

8 A. This is the unitization formula, and this  
9 table is filled in with each tract's value for each of  
10 those various percentages. And the three primary areas,  
11 the three major areas that we're going to utilize is  
12 remaining primary, future secondary, and the wellbores  
13 necessary to recover the secondary reserves. And the  
14 primary will be reflected by present rate and remaining  
15 primary reserves.

16 We gave a weight of 40 percent to the rates,  
17 60 percent to the reserve. We feel that the reserve is  
18 more reflective of the value of the primary. It's also  
19 projected over from a larger data field.

20 The future secondary is 75 percent, and it's  
21 reflected by the estimated ultimate primary recovery by  
22 tract, and 60 percent by the original oil in place. We  
23 gave a higher weight to the original oil in place because  
24 there are many factors that can impact a primary  
25 performance, data completion, interference completion

1 techniques, mechanical problems. And we also believe  
2 that this reflects the ability of the tract to contribute  
3 to secondary that might not be seen in the primary.

4 And lastly, we used 10 percent for the  
5 wellbores. And at this depth, well costs are well in  
6 excess of \$2 million. So the existence of usable  
7 wellbores is a very important consideration, so we've  
8 used 10 percent to honor that contribution.

9 Q. Thank you. In your opinion, does this formula  
10 allocate production to the separately-owned tracts in the  
11 proposed unit on a fair, reasonable and equitable basis?

12 A. Yes. It's fair to everyone.

13 Q. Will unitization and adoption of the proposed  
14 unitized methods of operation benefit working interest  
15 owners and royalty owners in the area affected by this  
16 application?

17 A. Yes. It will give them additional recoveries.

18 Q. Have you prepared a well performance curve for  
19 each of the wells in the unit?

20 A. Yes, I have.

21 Q. Let's turn to -- and if you'd like to do these  
22 together, Mr. Bradley, you tell me -- Exhibits 16, 17 and  
23 18.

24 A. All right. 16, that's the Chambers Number 1,  
25 the first well drilled in the field. This shows the

1 historic production. It also shows a projection of the  
2 remaining oil, gas and water. And the reserve, and this  
3 is as of 4/1/2010, the reserve was 29.7 thousand barrels,  
4 and 58.3 MMcf.

5 And this also shows the ultimate recovery  
6 under primary operations for this well, which is 529,950  
7 barrels, 1,853,355 mcf. So this curve also shows the  
8 last three -- I'm sorry -- the first three months of  
9 2010.

10 That production shown there was averaged for  
11 those three months, and that's the rate that you see used  
12 in the table under "rate." The reserve is the number you  
13 see in the table under "reserve," and then the ultimate  
14 is from this curve under "ultimate."

15 And Exhibit 17 is a similar display for the  
16 Alston 8-1, and it shows reserves at 4,150 barrels,  
17 16,087 mcf. The ultimate here is 157,324 -- I'm sorry,  
18 24 barrels, and 541,504 mcf. And, again, we used the  
19 first three months of 2010 as an average rate which came  
20 from this curve.

21 Q. And Exhibit 18?

22 A. And 18 is a similar curve for the Runnels 8-1.  
23 It shows that the reserve is 34.2 thousand barrels, 124.7  
24 MMcf and an ultimate recovery of 89.3 thousand barrels,  
25 531.9 MMcf.

1           The curve, if you look at those last three  
2 months of this well's production, which are the first  
3 three months of 2010, January and February had a lot of  
4 down time. This well was off more than it was on. And  
5 then in the third month, when we got the well back on and  
6 lined out, there was a surge of production, which is also  
7 not representative of this well's normal performance.

8           So rather than use the actual numbers on this  
9 well, I took the projected values for those first three  
10 months of 2010 and used that as the average.

11          Q.     Having discussed the components of rate and  
12 reserve used in the unitization determination, will you  
13 now discuss the development of the original oil in place  
14 component?

15          A.     Yes.

16          Q.     We may have to skip around here a little bit,  
17 Mr. Bradley, and I apologize for that. But referring  
18 back to the structure map, if you'll talk about the  
19 original oil in place calculations that we did.

20          A.     If I might, to keep in order --

21          Q.     If you would like to go to that, sure.

22          A.     All this is just a summary of the three curves  
23 that you've already seen. So it shows you what the  
24 entire mound has done under primary operation, and it  
25 shows the reserve of 34,000 barrels, the ultimate -- oh,

1 I'm looking at the wrong one.

2 Q. Is that Exhibit 19 that you were referring to?

3 A. Yes, Exhibit 19. I'm sorry.

4 Q. 68,000 barrels remain. The ultimate is 776.5  
5 MMBOE. And the significance of this is that the primary  
6 is in excess of 90 percent depleted.

7 Q. Thank you. I didn't mean to get you out of  
8 order there.

9 Then if we could talk about your original oil  
10 in place calculations. And I don't know -- do you want  
11 to refer to your hydrocarbon pore volume isopach?

12 A. It does relate back to Chima's exhibit and my  
13 Exhibit 14. And as Chima pointed out, the dip indicates  
14 a systematic change in saturation with, naturally, the  
15 water saturation increasing as you go downdip. In a  
16 reservoir of this type, I would normally use a VH isopach  
17 and use average values.

18 But in this case, I don't think that would be  
19 fair and equitable. So we relied upon the hydrocarbon  
20 pore volume map to calculate the oil in place for each  
21 tract, and that calculation is what you see in the table  
22 for the TPF factors.

23 Q. Okay. I'd like to skip ahead, Mr. Bradley, to  
24 Exhibit Number 25, which is your waterflood performance  
25 curve. If you'll review this exhibit for the Examiners.

1           A.     All right. This exhibit shows the total mound  
2 historic performance. It shows that we -- it doesn't  
3 show, but I will tell you that we intend to begin  
4 injection in the last quarter of 2010, probably December.  
5 And this shows a response, a collapse of the GOR, a  
6 response in the oil, followed at a later date with some  
7 water breakthrough and increasing water production and  
8 water cuts.

9                     It shows that the primary -- remaining primary  
10 would be 68,000 if we did nothing, and that the  
11 incremental secondary we anticipate on this curve is  
12 572,000 barrels. And so I'll leave it at that.

13           Q.     Okay. Now, if we could go back in order, what  
14 is Exhibit Number 20? I think it's your table here of  
15 well reservoir data.

16           A.     I didn't know we included that. This exhibit  
17 is taken from our report, our engineering report. It  
18 just shows some of the pertinent data that was used to  
19 develop some of the maps. It also shows some data we got  
20 from drillstem tests.

21                     I think, perhaps most significant there is  
22 that the first well drilled encountered a pressure of  
23 4,200 pounds. And then as we drilled the next well  
24 sometime later, it encountered 3,400 pounds or 3,500  
25 pounds.

1           Also for essentially the equivalent thickness,  
2   it came in at a lower rate. So we had lower rate, lower  
3   pressure, indicating that we had conformance in the  
4   reservoir.

5           Then it also indicates that as you go down to  
6   the Runnels, the water saturation, which is shown in the  
7   third grouping down, moves up to 33 percent, and I  
8   believe that's the significance.

9           I also mention here that we do have  
10   permeability indication of around 8 millidarcies.

11          Q.    If you'll please turn to what's been marked as  
12   Chesapeake Exhibit Number 22.

13          A.    Yes.

14          Q.    What is this packet of information?

15          A.    This is our C-108 application for  
16   authorization to inject into our two proposed injection  
17   wells.

18          Q.    Did you prepare this C-108?

19          A.    I prepared this, or it was prepared under my  
20   direct supervision.

21          Q.    Let's go through some of the high points in  
22   the application. Is this the expansion of an existing  
23   project?

24          A.    No, ma'am, it is not. This is the creation of  
25   a new project.

1 Q. How many wells are included in this  
2 application?

3 A. Two injection wells, the Chambers and the  
4 Runnels.

5 Q. And what is the plan for stimulating the  
6 injection wells?

7 A. We will just acidize these wells. I believe  
8 the volume was 5,000 gallons of 15 percent acid, HCl  
9 acid.

10 Q. Is that discussed on pages 34 and 35 of the  
11 Form C-108?

12 A. Yes, I believe that is correct.

13 Q. Have you attached appropriate logging and test  
14 data on each injector, or has that data already been  
15 filed with the Division?

16 A. All the logs have been filed with the Division  
17 when they were drilled.

18 Q. Has an injection well data sheet been included  
19 with the C-108s for each proposed injection well?

20 A. Yes. Each well has a table that details its  
21 initial construction and any work since then. There's  
22 also a table -- we'll, I'll leave that for future  
23 questions.

24 Q. Thank you for not getting ahead of me.

25 A. We don't want to do that.

1 Q. Does Chesapeake seek authority to commit  
2 additional wells to injection at orthodox and unorthodox  
3 locations through the Division's traditional  
4 administrative procedures?

5 A. Yes.

6 Q. If you could turn then to what -- I'm sorry,  
7 these pages are not numbered. We intended to do that.  
8 But on this Exhibit Number 22, if you could leaf to what  
9 should be pages 11, 12 and 13.

10 A. Yes. These are the maps. Each of our  
11 proposed wells shows a half-mile circle, an area of  
12 review, and a two-mile circle that identifies all of the  
13 wells in that two-mile area. We have one of those for  
14 the Chambers 7-1, another one for the Runnels 8-1, and  
15 then a third map that just zooms in on the half-mile area  
16 just for clarity.

17 Q. Does this exhibit contain all the information  
18 required by the OCD for each of the wells in an area of  
19 review which penetrate the injection interval?

20 A. Yes.

21 Q. Are there plugged and abandoned wells within  
22 either of the areas of review?

23 A. No, there are not.

24 Q. Have you reviewed the data available on the  
25 wells within the areas of review for this waterflood

1 project, and have you satisfied yourself that there is no  
2 remedial work required on any of these wells to enable  
3 Chesapeake to safely operate this project?

4 A. That's correct.

5 Q. What about any fresh water zones?

6 A. All fresh water zones are protected.

7 Q. What injection volumes has Chesapeake proposed  
8 for this waterflood?

9 A. We propose 1,800 barrels of water per day per  
10 well.

11 Q. What is the source of the injection water?

12 A. Our injection water will come from the Strawn  
13 formation, from wells that Chesapeake operates not in  
14 this unit but in this area, and also from Wolfcamp wells  
15 that Chesapeake operates.

16 We have included water analyses from each of  
17 those sources, which of course includes Strawn. We've  
18 done compatibility measurements both by analysis and by  
19 blending and observations in various concentrations and  
20 temperatures. These waters are compatible. There should  
21 be no adverse consequences.

22 Q. And will Chesapeake be using any fresh water?

23 A. No. We have no fresh water in this project.

24 Q. If we can just briefly review what's been  
25 marked as Exhibit Number 23.

1           A.       23 shows the area where the supply wells will  
2 be located. Our make-up water will be coming from  
3 Section 11. And this is one likely route of around six  
4 to seven miles that will bring that water over to the  
5 proposed Chambers unit.

6           Q.       So that just gives you a visual of --

7           A.       It's just for convenience, to kind of show you  
8 where the water is coming from and where it's going.

9                   EXAMINER JONES: Thanks for doing that.

10          Q.       Will the system be open or closed?

11          A.       It's a closed system.

12          Q.       What injection pressure is Chesapeake  
13 proposing?

14          A.       For the Chambers, we propose 2,275 psi; and  
15 for the Runnels, which is a little deeper, we propose  
16 2,290 psi.

17          Q.       Will a surface injection pressure to 0.2  
18 pounds per foot of depth to the top of the injection  
19 interval be satisfactory?

20          A.       Yes. These calculations are based upon .2 psi  
21 per foot of depth to the top of the perforation.

22          Q.       If a higher pressure is needed, Chesapeake  
23 will justify the higher pressure with an OCD-inspected  
24 separate test?

25          A.       Yes, ma'am.

1 Q. How will Chesapeake monitor these wells to  
2 ensure the integrity of the wellbores?

3 A. The tubing casing annulus will be filled with  
4 an inert fluid. We'll put a pressure gauge on that  
5 annulus so we can see any change in pressure, increase or  
6 decrease. We'll also have a pressure gauge on the  
7 injection tubing so we can ensure that that pressure  
8 doesn't exceed the authorized pressure limit.

9 Q. Are there any fresh water zones in the area?

10 A. There are. The Ogallala is present. We  
11 surveyed the OCD site for location and depth, and we  
12 found depth of water in this general area from 51 feet to  
13 160 feet.

14 Q. Is any injection proposed in that formation?

15 A. No injection at all is proposed in that area,  
16 and that area is protected by multiple casing cement  
17 sheaths.

18 Q. In your opinion, will the proposed injection  
19 in these wells pose a threat to any underground source of  
20 drinking water?

21 A. No. The injection will be isolated from all  
22 sources of drinking water.

23 Q. Are there fresh water wells within one mile of  
24 any of the proposed injection wells?

25 A. Yes, there are. In the application we also

1 identify and list those.

2 Q. Did you sample those fresh water wells?

3 A. We sampled wells near the injection well and  
4 analyzed that water, and that analysis is included in  
5 this packet of data.

6 Q. Are the wells in the project area properly  
7 completed and cased so as to prevent any secondary  
8 recovery operations from damaging any fresh water in the  
9 area?

10 A. Yes, they are.

11 Q. Has appropriate geological data been attached  
12 per the requirements for a Form C-108?

13 A. Yes, it is. It is in Section 8. It's from  
14 our geologist, and it identifies the geologic  
15 description.

16 Q. Does it also give information on the zones  
17 above and below the Strawn?

18 A. It does. He's examined that area and states  
19 in this application that there are no faults or fissures  
20 that might communicate from 11,000 feet up to the  
21 drinking water at roughly 100 feet.

22 Q. Has Chesapeake examined the available geologic  
23 and engineering data on this reservoir? And as a result  
24 of that examination, have you found any evidence of open  
25 faults or other hydrologic connections between an

1 injection interval and any underground source of drinking  
2 water?

3 A. We have examined that question, and no faults  
4 or fissures or connections have been established or been  
5 determined.

6 Q. Okay. Let's turn to the portion of our  
7 application under the Enhanced Oil Recovery Act  
8 qualification. What is Exhibit Number 24?

9 A. It's a letter from Chesapeake requesting the  
10 Enhanced Oil Recovery Project qualification for recovery  
11 of oil tax rate for this unit.

12 Q. Does this application for Enhanced Oil  
13 Recovery Project qualification for the recovered oil tax  
14 rate for the unit area meet all the requirements of the  
15 Division rules?

16 A. Yes. The application is complete and provides  
17 all data required by the rules.

18 Q. And I believe, Mr. Bradley, that in addition  
19 to the letter, you've attached certain exhibits, in  
20 compliance with that rule as well; is that correct?

21 A. Yes, we have.

22 Q. Okay. Without unitized management operation  
23 and further development of the unit area, will these  
24 reserves be wasted?

25 A. Yes, ma'am, they will be wasted.

1 Q. If you'll refer to Chesapeake's Exhibit Number  
2 26 and review the estimated additional capital costs to  
3 be incurred in this project. I think it's a separate  
4 exhibit.

5 EXAMINER BROOKS: It does appear there's a  
6 cost summary at the top of 26.

7 Q. Do you have that there?

8 A. It's in the report. It's probably on the  
9 table somewhere, but it's easier for me to find it.

10 Yes. The cost, there's the cost to convert  
11 the Chambers 8-1 and the Runnels 7-1, and that's \$175,000  
12 each. Then there's the cost to check and do a cleanup  
13 acid job on the proposed producer, which is the Alston,  
14 and that cost is 75,000. Injection facilities are  
15 estimated at 325,000, and the water supply system,  
16 500,000, for a total cost of 1,250,000.

17 Q. How much additional production does Chesapeake  
18 expect to obtain from this project expansion?

19 A. We believe that the incremental oil production  
20 will be 572,000 barrels and 580,000 mcf.

21 Q. What about the royalty burden?

22 A. The royalty burden is approximately 20  
23 percent, I believe.

24 Q. Of the royalty burden in the working interest  
25 owners, what is their estimated additional production

1 from this project?

2 A. The burden was 25 percent. And that nets down  
3 recoveries, incremental recoveries, of 429,000 barrels of  
4 oil, 435,000 mcf net to the working interests.

5 Q. What is the total value of this additional  
6 production?

7 A. The value, based on \$75 per barrel of oil and  
8 \$4 per mcf, the net value for the working interest owners  
9 is \$33.9 million.

10 Q. Is unitized management operation and further  
11 development of that portion of the pool which is the  
12 subject of this application reasonably necessary to  
13 effectively carry on secondary recovery operations?

14 A. Yes. Unitization is necessary.

15 Q. Will unitized methods of operation prevent  
16 waste of oil and result in a reasonable probability of  
17 the increased recovery of substantially more oil from the  
18 unitized portion of the pool than otherwise would be  
19 recovered?

20 A. Yes.

21 Q. If you'd identify what has been marked as  
22 Chesapeake Exhibit Number 27.

23 A. It's an engineering and geologic feasibility  
24 study for the formation of this unit.

25 Q. Does it contain some of the same exhibits

1 we've been discussing today?

2 A. It contains the exhibits that you've seen  
3 today, additional data, and a narrative discussion of the  
4 geologic and engineering issues that led us to recommend  
5 the formation of this unit.

6 Q. Mr. Bradley, I believe you referred to  
7 different forms of this document. But what is Exhibit  
8 Number 28? I think that's your last document there.

9 A. This is a hydrocarbon pore volume map. It is  
10 similar to the exhibits that have already been presented,  
11 and it is also contained within the report.

12 Q. Will approval of this application and the  
13 implementation of the proposed waterflood project be in  
14 the best interest of conservation, the prevention of  
15 waste and the protection of correlative rights?

16 A. Yes. Without unitized operations, significant  
17 reserves will be wasted. We believe that the unitization  
18 formula treats everyone fairly and equitably.

19 Q. How soon does Chesapeake anticipate commencing  
20 enhanced recovery operations in this unit?

21 A. We anticipate starting work in the fourth  
22 quarter of 2010 and have gravity injection going into the  
23 ground probably in December of 2010.

24 Q. Were Exhibits 13 through 28 either prepared by  
25 you or compiled under your direct supervision?

1           A.     Yes, they were.

2                   MS. MUNDS-DRY:  Mr. Hearing Examiner, we  
3     move the admission of Exhibits 13 through 28 into  
4     evidence.

5                   EXAMINER JONES:  Exhibits 13 through 28  
6     will be admitted.

7                   (Exhibits 13 through 28 were admitted.)

8                   MS. MUNDS-DRY:  That concludes my direct  
9     examination of Mr. Bradley.

10                  EXAMINER JONES:  Thank you.  Mr. Bradley,  
11     thank you very much.

12                                   EXAMINATION

13     BY EXAMINER JONES:

14                  Q.     The API is 43.  The gas in this Strawn, is it  
15     sour?  It's probably sweet.

16                  A.     It is.  We don't have any problem with H2S at  
17     this time.

18                  Q.     Pretty much no other inerts?

19                  A.     No, I don't believe there are any.

20                  Q.     The water quality of the Strawn water, is  
21     it -- you're not anticipating any problems with any kind  
22     of iron or corrosion or scale?

23                  A.     Well, we don't anticipate -- I guess we  
24     anticipate some scaling.  It seems like you can't get  
25     away from it.  But nothing that we're not used to dealing

1 with, nothing that won't clean up with a 10, 15 percent  
2 acid.

3 Q. So it looks like a three-well waterflood, two  
4 of them peripherally injecting; is that correct?

5 A. Yes.

6 Q. And what do you think about the -- now that  
7 it's 90 percent completed, is there a secondary gas cap  
8 on top?

9 A. I don't believe so. When we looked at those  
10 three performance curves, I didn't discuss it, but the --  
11 we don't see a higher gas production at the highest  
12 producing well. In fact, the lower well actually  
13 produces a little more gas today than the top well  
14 produces today. So I don't think we have formed a  
15 secondary gas cap.

16 And in the report, I have estimated the  
17 percent of gas saturation at depletion, were we to go to  
18 depletion, and it calculated to be about 22 percent.  
19 It's fairly low gas saturation even at a depleted stage,  
20 which is why there's so much oil left as a target.

21 Q. So of these two injection wells, aren't you  
22 expecting the Chambers to take more water?

23 A. I do expect the Chambers to take somewhat more  
24 water, and initially perhaps not, because both wells are  
25 at low pressures. But I think we will build a bank and

1 hit boundaries in that south well first. And the well in  
2 the north, the Chambers, has so much more volume to fill  
3 up. I think it will take a higher rate for a longer  
4 period of time, but we may not see that on day one.

5 Q. What kind of reservoir pressure do you think  
6 you have out there right now? Just a guess. You're the  
7 best one to do a guess.

8 A. If I were guessing, you know, maybe 8- or 900  
9 pounds.

10 Q. Okay.

11 A. We could have taken, you know, a fluid level  
12 when that well was down for so long, but I didn't do it.  
13 The operations folks didn't do it. By the time I  
14 realized the wells were down, they were back on, so we  
15 missed that.

16 Q. That's all right. Did Conoco dispute your  
17 formula? Did they show up at the meeting?

18 A. They did not come to the working interest  
19 owners meeting. We did have a conference call at their  
20 request. They had five participants, two land and three  
21 from various geological disciplines. We discussed a  
22 number of things. But one thing that they had no dispute  
23 with and was not discussed was the formula for the TPF.

24 Q. TPF?

25 A. Tract participation formula.

1 Q. I don't know how you guys make any money at 25  
2 percent burdens. That's a lot. It's terrible.

3 A. It is a lot. And one of the reasons this  
4 works is because we don't have to drill anything. But if  
5 you had to drill wells and bet that the waterflood worked  
6 and pay a 25 percent burden, it would be a  
7 head-scratcher.

8 Q. I don't ever remember burdens being that bad.

9 A. And they weren't.

10 Q. I guess they kind of got out of hand in the  
11 last 10 years.

12 A. When prices get high, you start giving away  
13 bigger burdens.

14 Q. The trouble is, it's a trap that happens.  
15 When prices drop back down, you're trapped and you can't  
16 afford to do anything.

17 A. You can be. But sometimes you just have to  
18 tell people, "We can't drill it. Somebody else might,  
19 but we can't." Then sometimes they say, "Well, okay."

20 Q. So you don't anticipate drilling more wells  
21 here?

22 A. I don't anticipate. We will monitor this for  
23 performance, and we have certain expectations. If it  
24 seems that we're exceeding our expectations, there's  
25 going to be a reason for that, and possibly the volume.

1 You know, there's more porosity or there's more  
2 something, in which case we would look at should we drill  
3 more wells? Would we get a better sweep, or would we  
4 simply get an increased value because of the time value?

5 We could shorten the life. I doubt that will  
6 happen in such a small reservoir, but it's a possibility.

7 Q. But you're trying to get fillup as fast as  
8 possible so you can get your best return?

9 A. Yes. We want the best return on the  
10 investment, and we want verification that this is going  
11 to work.

12 Q. Do you still agree with the 80-acre spacing?  
13 Maybe one well per 80? Maybe that was kind of a land  
14 issue, combined with the outline of this project. As a  
15 reservoir engineer, do you --

16 A. What I see not in this particular mound, but  
17 in other mounds, is that within a mound, there is good  
18 continuity. And as demonstrated here, you can quickly  
19 effect pressures at a good distance. And so that would  
20 lead me to lean toward 80 acres or more. Certainly it  
21 doesn't seem, from looking at this, that you would have  
22 to go to 40s.

23 Q. You said 8 millidarcies?

24 A. Yes.

25 Q. Kind of a pretty flat Dykstra-Parsons or

1 whatever they used to call it?

2 A. The Dykstra-Parsons for permeability variation  
3 in this reservoir is in the report, and I believe it is  
4 .67.

5 Q. I forgot. Does that mean extreme variation,  
6 or is that --

7 A. I'm sorry. It's .83. And normally out in  
8 West Texas we see numbers between maybe 7 to 9.

9 Q. Okay.

10 A. So this is kind of in the middle, and this is  
11 from an actual core in this mound. We'd like it to be  
12 flatter, but it's -- I think by opening up all the pay in  
13 both injectors, we can sweep everything that we can reach  
14 into that low pressure take point.

15 Q. As long as you pull your production well down  
16 as much as you can, keep it completed correctly.

17 A. Yes. And these mounds, which are encased by a  
18 lime mud, even when you make a mistake and allow a higher  
19 pressure to develop, you lengthen the life, but I don't  
20 think you sweep things out of the reservoir.

21 EXAMINER JONES: Okay. Well, good luck on  
22 your project.

23 David, do you have questions?

24 EXAMINER BROOKS: No questions.

25 EXAMINER JONES: Thanks a lot.

1                   MR. MILES: Hello, my name is Ronald  
2 Miles. I'm a mineral owner in Section 17, more  
3 specifically, the Barry Hobbs Well. Can you give me some  
4 information on how this will affect that location?

5                   EXAMINER JONES: In Section 17?

6                   MR. MILES: Yes, sir.

7                   MR. BRADLEY: In my opinion, based on the  
8 performance, based primarily upon the geologic  
9 interpretation, we believe that this mound is encased by  
10 lime mud. We don't see -- even though there are some  
11 fairly nearby producing wells, we don't see interference  
12 between the wells in this mound and those.

13                   And given the low performance of this well  
14 down to the south, we don't think it's -- our well down  
15 to the south, the Runnels well -- we don't believe that  
16 it's pulling in from a larger reservoir area than we have  
17 had mapped here. So I think those are the two reasons.  
18 We think it's encased.

19                   Our primary reason for thinking that is  
20 geophysical data and our history with that data. And  
21 secondarily, it's the performance of this mound and of  
22 this well in particular.

23                   MR. MILES: So your waterflood project  
24 might not increase production on this other well?

25                   MR. BRADLEY: My thought is that it won't.

1 My thought is that the lime mud will seal these two  
2 wells.

3 MR. MILES: Will it cut back on the  
4 production?

5 MR. BRADLEY: I don't think it will affect  
6 it at all. If something were to cause it to cut back, I  
7 would expect that to be interference of production  
8 between our well and that well. Since we haven't seen  
9 that for this many years, I don't think we will see it  
10 again, indicating that we isolated it. It's not that  
11 it's so far away, but it's got the mud in between.

12 MR. MILES: Thank you.

13 EXAMINER JONES: Thank you folks very  
14 much. You were very professional in your presentation  
15 and very well organized. Thank you very much.

16 MS. MUNDS-DRY: We aim to please, Mr.  
17 Jones.

18 EXAMINER JONES: Does that --

19 MS. MUNDS-DRY: That concludes our case.  
20 We ask that this matter be taken under advisement.

21 EXAMINER JONES: With that, we'll take  
22 both cases under advisement. The hearing is concluded.

23 \* \* \*

24 I do hereby certify that the foregoing is  
25 a complete record of the proceedings in  
the Examiner hearing of Case No. \_\_\_\_\_  
heard by me on \_\_\_\_\_


REPORTER'S CERTIFICATE

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

I, JACQUELINE R. LUJAN, New Mexico CCR #91, DO  
HEREBY CERTIFY that on May 27, 2010, proceedings in the  
above captioned case were taken before me and that I did  
report in stenographic shorthand the proceedings set  
forth herein, and the foregoing pages are a true and  
correct transcription to the best of my ability.

I FURTHER CERTIFY that I am neither employed by  
nor related to nor contracted with any of the parties or  
attorneys in this case and that I have no interest  
whatsoever in the final disposition of this case in any  
court.

WITNESS MY HAND this 7th day of June, 2010.

  
Jacqueline R. Lujan, CCR #91  
Expires: 12/31/2010