

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

ORIGINAL

IN THE MATTER OF THE HEARING CALLED  
BY THE OIL CONSERVATION DIVISION FOR  
THE PURPOSE OF CONSIDERING:

CASE NO. 14550

APPLICATION OF OGX RESOURCES, LLC  
FOR APPROVAL OF AN OIL SPACING AND  
PRORATION UNIT AND COMPULSORY POOLING,  
EDDY COUNTY, NEW MEXICO

\*\*\*\*\*  
REPORTER'S TRANSCRIPT OF PROCEEDINGS  
EXAMINER HEARING  
\*\*\*\*\*

BEFORE: MR. TERRY WARNELL, Technical Examiner  
MR. DAVID K. BROOKS, Legal Examiner

September 30, 2010

Santa Fe, New Mexico

This matter came on for hearing before the New  
Mexico Oil Conservation Division, TERRY WARNELL,  
Technical Examiner and DAVID K. BROOKS, Legal Examiner,  
on Thursday, September 30, 2010, at the New Mexico  
Energy, Minerals and Natural Resources Department, 1220  
South St. Francis Drive, Room 102, Santa Fe, New Mexico.

REPORTED BY: Jeannine K. Sims, RPR, NM CCR #12  
Paul Baca Court Reporters  
500 Fourth Street, NW, Suite 105  
Albuquerque, New Mexico 87102

A P P E A R A N C E S

FOR THE APPLICANT:

Mr. James Bruce  
 ATTORNEY AT LAW  
 369 Montezuma No. 213  
 Santa Fe, New Mexico 87501  
 505-982-2043  
 jamesbruc@aol.com

WITNESSES:	PAGE
Garland H. Lang III	
Direct Examination by Mr. Bruce	3
Examination by Examiner Brooks	9
EXHIBITS 1 THROUGH 6 WERE ADMITTED	9
William Hardie	
Direct Examination by Mr. Bruce	10
Examination by Examiner Brooks	17
Examination by Examiner Warnell	18
EXHIBITS 7 THROUGH 9 WERE ADMITTED	17
REPORTER'S CERTIFICATE	20

1 HEARING OFFICER BROOKS: Well, no one else  
2 had appeared on Case 14548 yet. We do have one other  
3 case, so at this time we will call case 14550,  
4 Application of OGX Resources, LLC for approval of an oil  
5 spacing and proration unit and compulsory pooling, Eddy  
6 County, New Mexico. Call for appearances.

7 MR. BRUCE: Mr. Examiner, Jim Bruce  
8 representing the applicant. I have two witnesses.

9 MR. CARR: May it please the examiner,  
10 William F. Carr with the Santa Fe office of Holland and  
11 Hart, LLP. We represent Nearburg Producing Company in  
12 this matter and I have no witnesses.

13 HEARING OFFICER BROOKS: Very good.  
14 Witnesses will need to be sworn.

15 (Two witness were sworn.)

16 HEARING OFFICER BROOKS: State your name,  
17 please.

18 MR. LANG: Garland H. Lang the Third.

19 MR. HARDIE: William Hardie.

20 HEARING OFFICER BROOKS: Okay.

21 \* \* \*

22 E X A M I N A T I O N

23 BY MR. BRUCE:

24 Q. Will you state your name for the record.

25 A. Garland H. Lang the Third.

1 Q. Where do you reside?

2 A. In Garland, Texas.

3 Q. Who do you work for and in what capacity?

4 A. OGX Resources, LLC. I'm the land manager.

5 Q. Have you previously testified before the  
6 Division?

7 A. I have.

8 Q. And were your credentials as an expert  
9 petroleum landman accepted as a matter of record?

10 A. They were.

11 Q. Are you familiar with the land matters  
12 involved in this case?

13 A. I am.

14 Q. And does your area of responsibility in OGX  
15 include in the portion of Eddy County?

16 A. It does.

17 MR. BRUCE: Mr. Examiner, I tender Mr. Lang  
18 as an expert petroleum landman.

19 HEARING OFFICER BROOKS: So qualified.

20 Q. (BY MR. BRUCE) Mr. Lang, could you identify  
21 Exhibit 1 for the Examiner and identify the well that OGX  
22 plans on drilling.

23 A. It's just a land plat showing Section 25 of  
24 24 South 28 East in Eddy County, New Mexico. And it's  
25 the yellow color is our proposed proration unit for our

1 well, which is the Mongo 25 Fed Com No. 2H.

2 Q. And what is the well unit for the well?

3 A. Be the south half of the north half of  
4 Section 25 of Township 24 South, Range 28 East, Eddy  
5 County, New Mexico.

6 Q. And looking at Page 2 of the exhibit what is  
7 the surface footage and determinates of the proposal?

8 A. Well, the surface location is 374 feet from  
9 the east line and 1980 feet from the north line. And the  
10 bottom hole location is 1980 from the north line and 350  
11 from the west line.

12 Q. What is the primary target of this well?

13 A. It's the Avalon shale in the Bone Spring.

14 Q. And that has been developed as -- in this  
15 area as oil pools, correct?

16 A. Yes.

17 Q. What parties do you seek to force pool in  
18 this case?

19 A. Chesapeake Permian, LP, and RKC, Inc.

20 Q. And what are Exhibits 2A and 2B?

21 A. These are letters that we sent both parties  
22 proposing the well.

23 Q. Had you had previous contacts before these  
24 proposal letters went out?

25 A. No.

1 Q. Okay. Have you talked with these parties  
2 since then?

3 A. I have.

4 Q. Have you had both telephone discussions and  
5 e-mails with them?

6 A. With Chesapeake I've had telephone  
7 conversations. With R -- I mean fax and telephone and  
8 e-mail. With RKC it's just been telephone.

9 Q. What is the current status of your  
10 negotiations?

11 A. Well, Chesapeake has signed a letter and an  
12 AFE to drill the well, but they haven't signed an  
13 operating agreement; they are now reviewing that  
14 operating agreement.

15 Q. Okay.

16 A. And RKC has not made a decision and they  
17 have not been sent an operating agreement because they  
18 haven't decided whether they are going to participate or  
19 do some other type of procedure.

20 Q. If either of these parties subsequently  
21 voluntarily joins in the well, will you notify the  
22 Division?

23 A. Yes.

24 Q. And what interests do they own in the well  
25 unit?

1           A.   Well, in the well unit they own the  
2 southeast of the northwest and the southwest of the  
3 northeast under a federal lease, RKC owns 25 percent of  
4 that lease and Chesapeake owns 75 percent of that lease.  
5 So in the well unit, RKC would have an 8th working  
6 interest and Chesapeake would have a 37-and-a-half  
7 percent working interest.

8           Q.   In your opinion have you made a good faith  
9 effort to obtain the voluntary joinder of these parties  
10 in the well unit?

11          A.   Yes, we have.

12          Q.   And if they go non-consent do you ask that  
13 the maximum 200 percent --

14          A.   Yes.

15          Q.   -- risk charge be assessed?

16          A.   Yes.

17          Q.   What overhead rates do you request,  
18 Mr. Lang?

19          A.   60 -- \$6500 for the drilling and \$650 for  
20 the monthly operating.

21          Q.   And are these overhead rates equivalent to  
22 those charged by other operators in this area for wells  
23 of this type?

24          A.   They were.

25          Q.   What is Exhibit 3?

1 A. It's a copy of our AFE to drill the well.

2 Q. What is the estimated costs?

3 A. Completed is \$4,066,158.

4 Q. And is this well cost equivalent to the  
5 costs of other Bone Spring wells drilled in this area?

6 A. It is.

7 MR. BRUCE: Mr. Examiner, Exhibit 4 is  
8 simply my affidavit of notice to the parties being pooled  
9 and they both received actual notice.

10 Q. (BY MR. BRUCE) Mr. Lang, does Exhibit 5  
11 reflect offset operators or working interest owners to a  
12 proposed non-standard unit?

13 A. It does.

14 MR. BRUCE: And Mr. Examiner, Exhibit 6 is  
15 my affidavit of notice to the offsets and again everyone  
16 received actual notice.

17 Q. (BY MR. BRUCE) Mr. Lang, in your opinion is  
18 the granting of this application in the interests of  
19 conservation and the prevention of waste?

20 A. Yes.

21 Q. And were Exhibits 1 through 6 either  
22 prepared by you or compiled in your business records?

23 A. They were.

24 MR. BRUCE: Mr. Examiner, I move the  
25 admission of Exhibits 1 through 6.



1 HEARING OFFICER BROOKS: Exhibits 1 through  
2 6 are admitted.

3 MR. BRUCE: I have no further questions of  
4 the witness.

5 \* \* \*

6 E X A M I N A T I O N

7 BY HEARING OFFICER BROOKS:

8 Q. Okay. You gave me the coordinates for the  
9 surface location and bottom hole location. Where is the  
10 penetration point?

11 A. The penetration point of the -- the  
12 penetration point will be 854 feet from the east line and  
13 1980 feet from the north line of the --

14 Q. Okay. And we have got actual notice to both  
15 of the pooled parties?

16 MR. BRUCE: Yes.

17 HEARING OFFICER BROOKS: Okay. Now, then in  
18 looking at the application in this, in some of your  
19 horizontal compulsory poolings you have asked for a  
20 40-acre unit at the well site. Did you do that in this  
21 case?

22 MR. BRUCE: No, I didn't.

23 HEARING OFFICER BROOKS: Okay. So the only  
24 unit being asked for is the 120-acre unit in the Bone  
25 Spring?

1 MR. BRUCE: That is correct. 160 acres.

2 Okay.

3 HEARING OFFICER BROOKS: Okay. I believe

4 that's all I have. Mr. Warnell?

5 MR. WARNELL: No questions.

6 HEARING OFFICER BROOKS: Very good. Witness

7 may step down.

8 \* \* \*

9 E X A M I N A T I O N

10 BY MR. BRUCE:

11 Q. Would you please state your full name and  
12 city of residence for the record.

13 A. My name is William Hardie and I live in  
14 Midland, Texas.

15 Q. Who do you work for and in what capacity?

16 A. I'm the exploration manager for OGX  
17 Resources.

18 Q. And by profession are you a geologist?

19 A. I am.

20 Q. Have you previously testified before the  
21 division as a petroleum geologist?

22 A. I have.

23 Q. And were your credentials as an expert  
24 accepted as a matter of record?

25 A. They were.

1           Q.   And are you familiar with the geology  
2 involved in this application?

3           A.   I am.

4           MR. BRUCE:  Mr. Examiner, I tender  
5 Mr. Hardie as an expert petroleum geologist.

6           HEARING OFFICER BROOKS:  So qualified.

7           Q.   (BY MR. BRUCE) Mr. Hardie, would you look at  
8 your Exhibit 7 and discuss the primary zone of interest  
9 in this well.

10          A.   Exhibit 7 is a cross-section that runs east/  
11 west through the proposed well location.  On this you'll  
12 see the offset well logs shown with a blue grid and then  
13 the proposed location is shown with a little pipe of red  
14 color.  The target in this case is what we call the  
15 Avalon shale which is the upper most member of the Bone  
16 Spring formation.

17               Most operators define the Avalon shale as  
18 everything between the Basil Brushy Canyon and first Bone  
19 Spring sand.  The unit is about 900 feet thick on average  
20 across all of southeast New Mexico.  The only difference  
21 across the Permian basin in this unit is the amount of  
22 shale present.  And the amount of shale is critical to  
23 this play because it is after all a shale play and it's  
24 drilled horizontally.

25               The color codes on the Avalon shale, the

1 brown represents -- represents the shale formation and  
2 the blue represents the inner-bedded limestone  
3 formations. We believe that it's necessary to have both  
4 shale and limestone. The limestone creates a certain  
5 brittleness that is critical to being able to fracture  
6 stimulate this interval. The shales are organic rich,  
7 they are essentially not a true shale but in fact they  
8 are organic rich silt stones with a pretty significant  
9 silica content. And it's from these intervals that we  
10 produce the oil and gas.

11 Q. What is Exhibit 8, Mr. Hardie?

12 A. Exhibit 8 are -- actually consists of two  
13 geological maps. Each of those maps also shows the  
14 location of the -- of the cross-section depicted in  
15 Exhibit 7. The map on the left is a color-filled contour  
16 map of the net Avalon shale so that it represents  
17 within that 900-foot interval that portion of the  
18 interval that is composed of shale.

19 The criteria that I used to map and count  
20 the amount of shale was a gamma ray API unit cutoff at a  
21 hundred units and that's a pretty severe cutoff. The  
22 reason for that cutoff being so high is that organic rich  
23 shales tend to have a much higher gamma ray reading than  
24 non-organic rich fields.

25 So my goal was to identify that shale

1 component which is organically rich, which is the primary  
2 target for this play. The average thickness of the net  
3 shale across this part of Eddie County ranges from over  
4 500 feet thick in the thickest portions to just under 100  
5 feet thick in some of the thinner portions.

6 As you can see, in the upper part of the map  
7 in Section 25 that is colored yellow, you see the  
8 proposed location, Mongo 25 Fed Com No. 2H running in an  
9 east/west direction. The anticipated thickness of shale  
10 that we will encounter is anywhere between 350 feet and  
11 approximately 200 feet, which is a pretty typical  
12 thickness for most of the wells that have been drilled in  
13 this play.

14 I've also depicted on this map the other  
15 Avalon shale activity so that the proposed Avalon shale  
16 wells and the ones that are currently drilled are shown  
17 in green. The solid green well bores are the ones that  
18 have already been drilled and the dotted well bores are  
19 the ones that have been proposed as of last week as far  
20 as we know.

21 So as you can see, this area is experiencing  
22 quite a bit of development for this horizon. This well  
23 represents to date the northernmost attempt to drill an  
24 Avalon shale well; most of other activity is well south  
25 of here. The map on the right is a structure map on the

1 base of the Avalon shale.

2 And also shown on this map are the green  
3 Avalon shale tests and proposed wells. Structural  
4 contours here are on a 25-foot contour interval.  
5 Structural dip in this area is about a hundred feet per  
6 mile to the east, there are no significant structural  
7 components to this play. This map is generated primarily  
8 to determine the angle of the well bore as we pass  
9 through the formation.

10 We anticipate that at the western side of  
11 the section for the proposed well that we will gain a  
12 hundred feet in elevation across the formation as we  
13 drill east/west across the section. So the proposed  
14 well, the toe of the proposed horizontal well is a  
15 hundred feet high to the beginning of the curve.

16 Q. Mr. Hardie, before you move off this map,  
17 looking at 25 South 29 East in Section 16 it looks like  
18 that Section has eight wells permitted on it. Could you  
19 comment on that?

20 A. That section I think the operator is Devon  
21 Energy. And they are proposing to drill Avalon shale  
22 wells on an 80-acre space, which would essentially put  
23 eight well bores per section. And this is based on  
24 reservoir engineering studies that we have done and I'm  
25 sure that they have done as well that indicate the

1 typical horizontal well only drains approximately 65  
2 acres. So it looks like Devon is going to test this  
3 concept. They have already drilled two to three of those  
4 well bores and still have a rig running out there even as  
5 we speak.

6 Q. Mr. Hardie, from this geology do you  
7 anticipate each quarter/quarter section within the  
8 non-standard well unit to contribute to production?

9 A. I do.

10 Q. And will the horizontal drilling and the  
11 non-standard unit enhance the economics of drilling this  
12 well?

13 A. It will.

14 Q. What is Exhibit 9?

15 A. Exhibit 9 is the drilling permit that has  
16 been filed with the State of New Mexico.

17 Q. Actually this was filed with the BLM.

18 A. BLM. I'm sorry.

19 Q. And does this contain the directional  
20 drilling plan for the well?

21 A. It does. And that is about five pages into  
22 it. It includes a plan that has been constructed by  
23 Pathfinder.

24 Q. And could you discuss in general terms the  
25 drilling of the well and the -- et cetera.

1           A.   Typically we drill -- we drill a vertical  
2 well bore to a depth approximately 500 feet above our  
3 anticipated end of the curve. We will typically log that  
4 vertical portion of the well bore with open hole logs,  
5 and then run back in the hole with directional tools and  
6 begin building our curve. The curve is built in such a  
7 way that the distance between the vertical well bore and  
8 the entry point for the horizontal is approximately 500  
9 feet of horizontal distance. The end of the curve in  
10 this case is going to be at an approximate depth of 7,000  
11 feet and the end of the lateral will be at a TVD, a total  
12 vertical depth of approximately 6900 feet. These --  
13 these numbers are subject to change as we drill the  
14 vertical well and we start getting formation tops that  
15 may cause us to alter the plan as we're drilling and  
16 recognize that there's a difference between our predicted  
17 tops and what we're actually experiencing.

18           Q.   In your opinion is the granting of this  
19 application in the interests of conservation and  
20 prevention of waste?

21           A.   It is.

22           Q.   And were Exhibits 7 and 8 prepared by you?

23           A.   They were.

24           Q.   And is Exhibit 9 compiled from company  
25 business records?



1           A.    It is.

2                   MR. BRUCE:  Mr. Examiner, I move the  
3 admission of Exhibits 7, 8 and 9.

4                   HEARING OFFICER BROOKS:  7, 8 and 9 are  
5 admitted.

6                   MR. BRUCE:  I have no further questions of  
7 the witness.

8                                   \*   \*   \*

9                                   E X A M I N A T I O N

10          BY HEARING OFFICER BROOKS:

11               Q.    You said in your testimony that -- well, you  
12 said this was shale play and was drilled -- normally  
13 drilled horizontally.  Do you consider that horizontal  
14 drill as a reasonable way to develop this 160-acre unit?

15               A.    Mr. Examiner, it's probably the only way to  
16 develop it because vertical completions in this shale  
17 interval are not commercial.  That's been tried on a  
18 number of occasions and has yet to result in a  
19 commercially-producing well.

20               Q.    And is this -- it looks like looking at the  
21 map of the existing wells and proposed wells that most  
22 people are doing the one-mile length.  Is that an  
23 accurate characterization?

24               A.    In this area one mile of lateral is the  
25 standard.  There are places in New Mexico where due to

1 the unusual shape of sections that wells have been  
2 drilled a mile-and-a-half in length.

3 Q. Yeah. The four quarter section -- four  
4 quarter quarter sections will be included in this unit do  
5 you consider all four quarter quarter sections would  
6 contribute to production?

7 A. Absolutely.

8 HEARING OFFICER BROOKS: Okay. I believe  
9 that's all my questions. Mr. Warnell?

10 \* \* \*

11 E X A M I N A T I O N

12 BY MR. WARNELL:

13 Q. Yeah. Mr. Hardie, you said you begin by  
14 drilling vertical well and then log it. On the vertical  
15 well will that go all the way through the Avalon shale  
16 down to the first Bone Spring sand or --

17 A. It will not. We have sufficient control in  
18 this area to avoid doing that. That is an additional  
19 cost that we can avoid in this case. So we'll stop 500  
20 feet above our target and log the well and then -- and  
21 then go in with directional tools.

22 Q. So once you drill then when you make your  
23 radius, make your turn and drill your lateral, there will  
24 be no logging?

25 A. There will be gamma ray logs available.

1 Those are measured while drilling. And those are also  
2 critical to the process in that if there are unexpected  
3 changes in formation tops as we drill the curve we can  
4 adjust for that.

5 Q. So you'll have gamma ray MWD and that's it  
6 for the lateral?

7 A. That is correct.

8 Q. How about completing? I'm kind of curious  
9 about the completing. Will this be a stage frac or --

10 A. It will be. The frac technology in this  
11 play is evolving and it's currently kind of the most  
12 common type of frac is approximately ten stages, and  
13 those stages will involve the pumping of approximately 2  
14 million pounds of sand and approximately 75,000 barrels  
15 of water in that process. We refer to this frac  
16 technology as hybrid because it does involve both the  
17 slick water type of frac and it involves gel fluids as  
18 well.

19 MR. WARNELL: All right. I have no other  
20 questions. Thank you.

21 HEARING OFFICER BROOKS: Okay. Thank you.  
22 If there's nothing further then Case No. 14550 will be  
23 taken under advisement.

24 I do hereby certify that the foregoing is  
25 a complete record of the proceedings in  
the Examiner hearing of Case No. 14550  
heard by me on 9-30-2010

*David K. Baca*

Oil Conservation Division

**PAUL BACA PROFESSIONAL COURT REPORTERS**

7235dc37-2bbc-4b05-9fa0-41d483122480

1 THE STATE OF NEW MEXICO :  
2 COUNTY OF BERNALILLO :

3

4 BE IT KNOWN that the foregoing transcript of  
5 proceedings was taken by me; that I was then and there a  
6 Certified Court Reporter and Notary Public in and for the  
7 County of Bernalillo, State of New Mexico, and by virtue  
8 thereof, authorized to administer an oath; that the  
9 witness before testifying was duly sworn by me; that the  
10 foregoing 19 pages contain a true and accurate transcript  
11 of the proceedings, all to the best of my skill and  
12 ability.

13

14 I FURTHER CERTIFY that I am neither employed by  
15 nor related to nor contracted with (unless excepted by  
16 the Rules) any of the parties or attorneys in this case,  
17 and that I have no interest whatsoever in the final  
18 disposition of this case in any court.

19

20

21

22

23

24

25

26

27

28

29

30


31

32

33

34

35



JEANNINE K. SIMS, CSR, RPR  
NM Certified Court Reporter #12  
License expires: 12/31/10  
Paul Baca Court Reporters  
500 Fourth Street, NW, Suite 105  
Albuquerque, New Mexico 87102