

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION COMMISSION

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION COMMISSION FOR
THE PURPOSE OF CONSIDERING:

REOPENED APPLICATION OF WILLIAMS Case No. 14521
PRODUCTION CO., LLC, FOR APPROVAL OF
A CLOSED-LOOP SYSTEM FOR THE ROSA SALTWATER
DISPOSAL WELL NO. 2 AND FOR IN-PLACE BURIAL
OF DRILLING WASTES AT ANOTHER WELL LOCATION,
RIO ARRIBA COUNTY, NEW MEXICO

DE NOVO APPLICATION OF CIMAREX ENERGY Case No. 14418
COMPANY FOR A NONSTANDARD OIL SPACING AND
PRORATION UNIT AND COMPULSORY POOLING,
EDDY COUNTY, NEW MEXICO

REOPENED APPLICATION OF CIMAREX ENERGY Case No. 14480
COMPANY FOR A NONSTANDARD OIL SPACING AND
PRORATION UNIT AND COMPULSORY POOLING,
EDDY COUNTY, NEW MEXICO

APPLICATION OF AGUA SUCIA, LLC, TO Case No. 14411
REINSTATE DIVISION ADMINISTRATIVE ORDER
SWD-559 FOR A SALTWATER DISPOSAL WELL,
LEA COUNTY, NEW MEXICO

Case No. 10693; Case No. 11724; Case No. 11954; Case No.
11987; and Case No. 13048: Dismissed

Case No. 12276 and Case No. 12277, continued to
December 9, 2010

REPORTER'S TRANSCRIPT OF PROCEEDINGS
COMMISSIONER HEARING

BEFORE: MARK E. FESMIRE, Chairman
JAMI BAILEY, Commissioner
WILLIAM C. OLSON, Commissioner

November 4, 2010
Santa Fe, New Mexico

RECEIVED OGD
NOV 18 A 8:22

1 This matter came on for hearing before the New
2 Mexico Oil Conservation Commission, MARK E. FESMIRE,
3 Chairman, on Thursday, November 4, 2010, at the New
4 Mexico Energy, Minerals and Natural Resources Department,
5 1220 South Saint Francis Drive, Room 102, Santa Fe, New
6 Mexico.

7
8
9 REPORTED BY: Jacqueline R. Lujan, CCR #91
10 Paul Baca Professional Court Reporters
11 500 Fourth Street, N.W., Suite 105
12 Albuquerque, NM 87103 505-843-9241

13
14
15
16
17
18
19
20
21
22
23
24
25
A P P E A R A N C E S

FOR THE OIL CONSERVATION COMMISSION:

MARK SMITH
ASSISTANT GENERAL COUNSEL
1220 South St. Francis Drive
Santa Fe, New Mexico 87504

FOR THE APPLICANT CIMAREX ENERGY CO.:

HINKLE, HENSLEY, SHANOR & MARTIN, LLP
GARY W. LARSON, ESQ.
P.O. Box 2068
Santa Fe, New Mexico 87504-2068

FOR LYNX PETROLEUM CONSULTANTS:

HOLLAND & HART, LLP
OCEAN MUNDS-DRY, ESQ.
P.O. Box 2208
Santa Fe, New Mexico 87504

FOR THE APPLICANT AGUA SUCIA, LLC:

JAMES BRUCE, ATTORNEY AT LAW
P.O. Box 1056
Santa Fe, New Mexico 87504

FOR ARMSTRONG ENERGY CORPORATION:

HOLLAND & HART, LLP
WILLIAM F. CARR, ESQ.
P.O. Box 2208
Santa Fe, New Mexico 87504

1 ALSO PRESENT:

2 Florene Davidson

3 CIMAREX WITNESSES: CASE 14481 PAGE

4

5 Mark Compton:

6 Direct examination by Mr. Larson 9
 7 Cross-examination by Ms. Munds-Dry 23
 8 Examination by Commissioner Bailey 26
 Examination by Chairman Fesmire 27
 Redirect examination by Mr. Larson 29

9 Lee Catalano:

10 Direct examination by Mr. Larson 29
 Cross-examination by Ms. Munds-Dry 37
 11 Examination by Commissioner Bailey 40
 Examination by Chairman Fesmire 41
 12 Recross-examination by Ms. Munds-Dry 44
 Further examination by Chairman Fesmire 45

13

Michael Swain:

14 Direct examination by Mr. Larson 46
 15 Cross-examination by Ms. Munds-Dry 57
 Examination by Commissioner Bailey 61
 16 Examination by Chairman Fesmire 62
 Redirect examination by Mr. Larson 64

17

CIMAREX WITNESSES: CASE 14480 PAGE

18

19 Mark Compton:

20 Direct examination by Mr. Larson 67
 Examination by Commissioner Bailey 74
 21 Examination by Chairman Fesmire 77
 Redirect examination by Mr. Larson 82
 22 Cross-examination by Ms. Munds-Dry 83
 Further redirect examination by Mr. Larson 84

23

Lee Catalano:

24 Direct examination by Mr. Larson 84
 25 Examination by Chairman Fesmire 88

1	Michael Swain:	
2	Direct examination by Mr. Larson	90
	Examination by Chairman Fesmire	95
3		
4	LYNX PETROLEUM WITNESSES: CASES 14481, 14480	PAGE
5		
6	Larry Scott:	
7	Direct examination by Ms. Munds-Dry	98
8	Cross-examination by Mr. Larson	
	on Exhibit 9	116
9	Examination by Commissioner Bailey	
	on Exhibit 9	117
10	Examination by Chairman Fesmire	
	on Exhibit 9	117
11	Continued direct examination by	
	Ms. Munds-Dry	122
12	Cross-examination by Mr. Larson	137
	Examination by Commissioner Bailey	146
13	Examination by Commissioner Olson	147
	Examination by Chairman Fesmire	149
14	AGUA SUCIA WITNESSES: CASE 14411	PAGE
15		
16	Ben Stone:	
17	Direct Examination by Mr. Bruce	172
18	Cross-examination by Mr. Carr	206
	Examination by Commissioner Bailey	228
19	Examination by Commissioner Olson	232
	Examination by Chairman Fesmire	234
20	Redirect Examination by Mr. Bruce	239
	Recross-examination by Mr. Carr	240
21	Further Redirect Examination by Mr. Bruce	246
22	Robert Lee:	
23	Direct Examination by Mr. Bruce	247
	Cross-examination by Mr. Carr	272
24	Examination by Commissioner Bailey	279
	Examination by Commissioner Olson	280
25	Examination by Chairman Fesmire	281

		PAGE
1	EXHIBITS ADMITTED	
2		
3	CIMAREX EXHIBITS 1 through 7	23
3	CIMAREX EXHIBITS 8 through 11	37
4	CIMAREX EXHIBITS 12 through 18	57
4		
5	CIMAREX EXHIBITS 1 through 7	74
5	CIMAREX EXHIBITS 8 through 11	87
6	CIMAREX EXHIBITS 12 through 14	94
6		
7	LYNX EXHIBITS 1 and 2	134
7	LYNX EXHIBITS 9 and 10	136
8		
8	AGUA SUCIA EXHIBITS 1 through 9 and 18	206
9	AGUA SUCIA EXHIBITS 10 through 16, 16A and 17	272
9		
10	REPORTER'S CERTIFICATE	285
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 both your cabinet and Florene's.

2 Okay. At this time we will call the next case
3 on the docket. It is the application of Agua Sucia, LLC,
4 to reinstate Division Administrative Order SWD-559 for a
5 saltwater disposal well in Lea County, New Mexico. It's
6 Case Number 14411. Are there attorneys present?

7 MR. BRUCE: Yes, Mr. Chairman.

8 CHAIRMAN FESMIRE: Mr. Bruce, would you
9 state your appearance, please?

10 MR. BRUCE: Jim Bruce, of Santa Fe,
11 representing the applicant. I have two witnesses.

12 MR. CARR: May it please the Commission?
13 William F. Carr, with the Santa Fe office of Holland &
14 Hart, LLP. We represent Armstrong Energy Corporation in
15 this matter in opposition to the application, and I have
16 three witnesses.

17 CHAIRMAN FESMIRE: Okay. Mr. Bruce, do
18 you have an opening statement?

19 MR. BRUCE: Yes, sir

20 CHAIRMAN FESMIRE: Would you like to make
21 it now?

22 MR. BRUCE: Yes.

23 May it please the Commission? We're here
24 today concerning Government E Well No. 1, located in the
25 southwest corner of the southwest quarter of Section 25,

1 19 South, 34 East.

2 In 1994 or '95, Division Administrative Order
3 SWD-559 authorized injection into the Bone Spring
4 formation in that well as to depths from 9,716 to 10,240
5 feet. Injection operations were conducted from that time
6 until January 2008.

7 At that time a failure was discovered in the
8 well and operations ceased. There has been no injection
9 into the well since January of '08, almost three years.

10 The operator at that time, Louray Oil Company,
11 attempted to repair it but was unsuccessful. In March to
12 April 2009, Agua Sucia repaired the well at a cost of
13 over \$400,000. However, since injection had not occurred
14 for over a year, injection had already lapsed, and
15 reauthorization had to be obtained. Armstrong Energy
16 objected, and the Division denied authority to recommence
17 injection.

18 One thing that is striking about the
19 Division's order denying this application is that it
20 completely ignored the repair work done to the well in
21 2009.

22 Now, one thing Agua Sucia does not deny is
23 that before it took over operations, there was a problem
24 with the well. My witnesses will admit to it.
25 Mr. Carr's witnesses will testify to it. However, that

1 problem was discovered, injection ceased, and the problem
2 was corrected.

3 Our witnesses will show today that the well is
4 ready to inject into without any harm to offsets. In
5 fact, Buddy Hill, the Hobbs district supervisor, has
6 stated that the well is ready to inject into.

7 And to prove that, Agua Sucia is ready to do
8 at its own expense any tests that the Commission desires
9 which are reasonably necessary to prove that the well is
10 mechanically sound, such as radioactive surveys in
11 combination with temperature surveys, so that the
12 possibility of any channeling or any other type of
13 problem with the well can be verified or, I should say,
14 proven in the negative. This will satisfy everyone that
15 injection can occur without problem.

16 It's Agua Sucia's position that the current
17 wellbore integrity is the only issue before you today.
18 From Armstrong you will hear a lot about what occurred
19 before January 2008, when injection ceased. Again, Agua
20 Sucia does not deny that there were problems before it
21 took over operations of the well. There were well
22 integrity problems.

23 But three things: Those problems were the
24 responsibility of the prior operator, Louray; those
25 problems have been fixed; and if Armstrong has any issues

1 with Louray, that's not a Division matter. That's a
2 District Court action.

3 There are other items which Armstrong brought
4 up in the first hearing. They claim, well, there's been
5 oil sales from the tank battery onsite. Yes, there have
6 been. Because the current situation, and it's been
7 ongoing for a year or more, is that water is brought --
8 trucked onsite and put in the tank batteries. It's not
9 injected.

10 But Agua Sucia gets skim oil off those tank
11 batteries, and then the water is shipped off site to an
12 adjoining Chesapeake waterflood. There has been no
13 injection there's no production from this well. There's
14 no injection from this well. And everything Agua Sucia
15 has done is legal. They have complied with the
16 Division's regulations.

17 And even though we claim that the current
18 wellbore integrity is the sole issue, Armstrong has
19 before and it will today state that substantial volumes
20 of water were injected into the Government E No. 1 before
21 2008, which harmed their wellbore.

22 Again we're not sure of what occurred, but
23 that's really not the problem today. We just want
24 authority to inject going forward, and we will show that
25 injection can be done without harm to offsets.

1 They might also state that, well, a lot of
2 water has been injected into the Bone Spring formation by
3 the Government E No. 1, which was a producing well
4 originally, injections that exceeded the volume of fluids
5 that were extracted.

6 Mr. Lee, our engineer, will testify that that
7 is not uncommon in a Bone Spring well, and he will give
8 examples of other Bone Spring injectors where that has
9 occurred.

10 In short, Armstrong's position is based on
11 what happened before 2008, which is, we believe,
12 irrelevant, because those problems have been fixed.

13 Number two, they can merely speculate about
14 what may occur if injection authority is reinstated.
15 However, the exhibits and the testimony will show that
16 the wellbore is sound and this application should be
17 approved. Thank you.

18 CHAIRMAN FESMIRE: Mr. Carr, would you
19 like to wait or --

20 MR. CARR: I think I'll open now.

21 Mr. Bruce accurately summarized the history of
22 the well. But you have parties before you today that
23 stand before you in very different roles.

24 I represent Armstrong Energy Corporation. And
25 I also have with me Jerry Guy, of Guy Oil & Gas, and they

1 own the minerals under the acreage in which injection has
2 occurred and, if the application is granted, will occur
3 again. Agua Sucia comes before you asking for
4 authorization to resume injection, and they have only a
5 wellbore assignment and an expired permit.

6 While Mr. Bruce would like to characterize
7 what our case is going to be, perhaps I should tell you
8 why we're objecting. We're objecting for the very
9 reasons the Division denied the application in the first
10 instance. They've already put in the well 10 times the
11 volume that was produced out of that well, and we can see
12 direct communication between everything they have done in
13 the past in that well and what happens in our offsetting
14 producing wells.

15 But while they would like to ignore the past,
16 just because you pass the hat around between various
17 operators, it doesn't change the fact that they left
18 behind a situation where they have a wellbore that isn't
19 cased -- the casing isn't cemented behind the Queen, the
20 San Andres and the Delaware; that they have pressured
21 those up; that there has been evidence of direct
22 communication between them.

23 They didn't put cement behind the casing.
24 They put a liner in and in cemented it, so you can't put
25 cement behind the casing. And we can produce water until

1 the cows come home, but we have to produce it out of the
2 Queen, we have to produce it out of the San Andres, and
3 we have to produce it out of the Delaware, because the
4 way this well has been "repaired."

5 And we believe that when we come to you, the
6 issue isn't the integrity of a wellbore liner that you
7 can get from the surface to the Bone Spring. The issue
8 is whether or not you're going to be authorizing and
9 condoning the waste of oil and gas.

10 We also think there are other provisions of
11 the Oil and Gas Act that come into play here. You're
12 charged with duty to prevent crude oil or natural gas or
13 water from escaping from the strata in which it is found
14 into another strata. We have that here.

15 You are also directed to prevent the drowning
16 by water of any stratum or part thereof capable of
17 producing oil or gas or both, and we have that here. And
18 to have merely re-established that you can put water at
19 the surface and get it to the Bone Spring doesn't address
20 the question of what's going on in the formation and what
21 this injection in the future will do to the offsetting
22 property owners.

23 And while they would like to say, "Well, we're
24 going to look at the past, and we passed the hat; we're
25 new people; now you only look at the wellbore," if you do

1 that, you will violate the law.

2 CHAIRMAN FESMIRE: Mr. Bruce, would you
3 ask your witnesses to stand and be sworn, please?

4 (Two witnesses were sworn.)

5 CHAIRMAN FESMIRE: Mr. Bruce, who's your
6 first witness?

7 MR. BRUCE: Ben Stone.

8 BEN STONE

9 Having been first duly sworn, testified as follows:

10 DIRECT EXAMINATION

11 BY MR. BRUCE:

12 Q. Would you please state your full name for the
13 record?

14 A. Ben Stone.

15 Q. And where do you reside?

16 A. Como, Texas.

17 Q. What is your occupation?

18 A. My wife and I currently own and operate SOS
19 Consulting. We assist with regulatory processing. My
20 wife is an oil and gas revenue accountant, and I do some
21 database work.

22 Q. What is your relationship to Agua Sucia?

23 A. They contacted me in April of '09 to
24 reinstate -- I thought to simply reinstate an expired
25 saltwater disposal permit.

1 Q. And you're still employed by Agua Sucia?

2 A. I am.

3 Q. And have you worked with them on other
4 regulatory matters involved with their operations in the
5 state?

6 A. I have.

7 Q. Have you previously testified before the
8 Commission?

9 A. No, I haven't.

10 Q. Would you summarize your educational and
11 employment background?

12 A. My formal education is actually in graphic
13 arts. But when I figured out I wasn't going to make a
14 million dollars in graphic arts, I went into the oil
15 patch and started wire lining in 1977. I've been in wire
16 lining for approximately 15 years.

17 I eventually became a senior engineer for at
18 least two different companies. I've run operations on
19 something over 5,000 wells. I've got well over 15,000
20 hours' downhole experience.

21 Beyond that, after things slowed down in the
22 service industry, I went to work for the Oil Conservation
23 Division in 1992 as a petroleum engineer and specialist.
24 I processed several hundred administrative applications,
25 including saltwater disposal applications, in that

1 position. And in the last few years there, I became
2 involved in their data management efforts, including the
3 implementation of the risk-based data management system.

4 Q. You mentioned you worked for a couple of
5 companies. Which companies did you work for?

6 A. I started -- wire line, I started off with
7 Cardinal Surveys, went to Geo Source wire line. I went
8 from there to Armadillo Wire Line. I was the district
9 supervisor for that shop in Hobbs. I went from there
10 back to Cardinal Surveys and managed their injection
11 department to manipulate and pull together logging data
12 into presentations.

13 And from there I wrapped up my career in wire
14 line with NM McKolla for about three years.

15 Q. As part of your work in the private sector,
16 did you become familiarized with radioactive tracer
17 surveys?

18 A. Absolutely. My specialty was production
19 logging, so I was intimately familiar with operations
20 involving radioactive surveys and various tracers,
21 various isotopes.

22 Q. Are you familiar with the matters involved
23 with this application to reinstate the injection
24 authority for Agua Sucia?

25 A. Yes, sir.

1 MR. BRUCE: Mr. Chairman, I tender
2 Mr. Stone as an expert in Oil Conservation Division
3 regulatory affairs.

4 MR. CARR: No objection.

5 CHAIRMAN FESMIRE: He'll be so admitted.

6 Q. (By Mr. Bruce) Mr. Stone, before we get into
7 your exhibits, just confirm for me, Agua Sucia does not
8 dispute that before January 2008, there were problem with
9 the Government E Number 1 well?

10 A. That's correct.

11 Q. And that was at a time when the well was
12 operated by Louray Oil Company?

13 A. Yes, sir.

14 Q. In your opinion, have those problems been
15 identified?

16 A. They have been identified and, I believe,
17 repaired.

18 Q. Will you talk about what has been done to
19 correct the situation with the wellbore?

20 A. Sure. Do you want me to go into --

21 Q. First of all, Exhibit 1 is submitted as an
22 exhibit. That's simply the order from the Hearing
23 Examiner; is it not?

24 A. Yes, sir.

25 Q. And what is Exhibit 2?

1 A. That's the C-108 application that I submitted
2 on behalf of Agua Sucia to reinstate the saltwater
3 disposal operation.

4 Q. Could you go through that briefly for the
5 Commission and discuss its contents? It's already
6 getting late today. Could you hit the highlights?

7 A. Sure. It's pretty standard. This iteration
8 is, I believe, the complete application, including a
9 cover letter to the Director of the Division, just
10 explaining what Agua Sucia sought by reinstating this
11 application.

12 I also pointed out in that letter my phone
13 conversation with Buddy Hill, district supervisor for OCD
14 in Hobbs, where he stated that we had lots of issues with
15 the previous operator, Louray, and that the well is
16 technically sound and ready for injection.

17 After that is the C-108 form, with various
18 pertinent data filled in, maps of the location, area of
19 review, the updated wellbore schematics and tabulation of
20 wells in the area of review, plugged and abandoned
21 schematics as applicable, and a narrative description of
22 the repair attempts that were made on the well.

23 Q. First of all, with respect to Government E
24 Number 1, with the data you have, has the well been
25 properly repaired such that it will prevent the movement

1 of fluid between zones?

2 A. I believe it has. They installed 5,700 feet
3 of new four-inch liner. And it's been cemented top to
4 bottom, which isolated all the bad sections of pipe that
5 were identified in the well.

6 Q. And with respect to any of the abandoned
7 wellbores, have they been properly plugged and abandoned?

8 A. As far as I can tell, yes.

9 Q. This is a partial disposal; correct?

10 A. Yes.

11 Q. What are the approximate volumes of disposal
12 in this well?

13 A. I'm sorry, Mr. Bruce. I'm not sure what the
14 actual volumes are.

15 Q. Will the applicant comply with the .2 psi per
16 foot --

17 A. Absolutely.

18 Q. -- pressure limitation?

19 A. Yes, sir.

20 Q. What type of water is being injected into the
21 well?

22 A. Generally, area of production, Bone Spring,
23 Delaware production.

24 Q. About halfway through this, there's a C-108
25 supporting data, kind of a narrative of what was done

1 with the well?

2 A. Yes, sir.

3 Q. Could you go through that briefly?

4 A. I wrote up this narrative based on the field
5 notes made by Louis Edgett during his first repair
6 attempt, and that started on January 22nd, 2008. And it
7 describes just their rigging up on the well, going in,
8 trying to clean the hole out, and using a plug and packer
9 to locate and identify the bad sections of pipe and
10 isolate those.

11 They set a bridge plug and a cement retainer
12 above that interval and pumped 760 sacks of cement
13 between the eight and five-eighths intermediate spring
14 and the five-and-a-half casings to try and cover that
15 interval, including across the Queen section.

16 Q. Then there was the subsequent repair attempt;
17 correct?

18 A. Yes, sir. On the following page, it's labeled
19 as the final repair, March to April 2009. And that
20 describes the work that was performed by Mr. Al Perry,
21 who was a consultant that they hired to install the
22 four-inch liner, get it cemented and finish up that
23 repair job. They ultimately concluded that with a
24 mechanical integrity test.

25 Q. Was that test satisfactory?

1 A. Yes. That was in April of '09.

2 Q. Approximately how much money was spent on this
3 repair attempt, this subsequent repair attempt?

4 A. About \$432,000.

5 Q. Are copies of those invoices submitted as
6 Exhibit 4?

7 A. Yes, sir.

8 Q. It was after this March to April repair that
9 the supervisor of the Hobbs District Office stated to you
10 that the well was properly repaired and ready for
11 injection?

12 A. Yes, sir. That was the result of a phone
13 conversation I had with him about a month afterwards. So
14 I would say that was on May 19th, 2009, about a month
15 after the repair.

16 Q. One final thing on this. You have water
17 analyses. Do you foresee any problems between the
18 injection water and the formation water in this zone?

19 A. No, sir. They're all very high in chlorides.
20 TDS is typically over 100,000 parts per million, so the
21 waters are apparently compatible.

22 Q. Your next exhibit, Exhibit 3, is a sundry
23 notice. Did you take care of filing that?

24 A. Yes, sir.

25 Q. And why was that filed?

1 A. Well, it just never had been done by the
2 previous operator or Agua Sucia. And Mr. Carr pointed
3 out to me that it had never been filed. And after
4 further consultation with my client, we finally just
5 filed the sundry in preparing for these proceedings, went
6 ahead and tried to make sure we had everything covered.

7 Q. The next exhibit is Exhibit 5, which is an
8 invoice. Why was that made an exhibit? The February
9 '08 -- the one-page exhibit.

10 MR. BRUCE: Mr. Chairman, in going through
11 my exhibits yesterday, I realize it's a one-page exhibit,
12 an invoice. I thought I marked all the exhibits, but
13 that is Exhibit 5. I don't know if it's marked in your
14 package.

15 CHAIRMAN FESMIRE: It is.

16 MR. BRUCE: Invoice from --

17 THE WITNESS: Triple N Services.

18 MR. BRUCE: That should be marked Exhibit
19 5.

20 CHAIRMAN FESMIRE: Mine is.

21 MR. BRUCE: Maybe I just missed mine. I
22 wanted to make sure they were properly marked.

23 Q. (By Mr. Bruce) Mr. Stone, you testified in
24 the first hearing in this matter?

25 A. Yes, sir.

1 Q. And you sat through Armstrong's testimony?

2 A. Yes, sir.

3 Q. Did they ask questions of Agua Sucia's
4 witnesses if there was any evidence of what was done on
5 the February '08 completion -- or repair attempts?

6 A. They did. They pointed out that since the
7 follow-up sundry had not been submitted, perhaps the work
8 may not have been done or at least properly reported.

9 At the time, what we had available on the
10 first repair attempt from Mr. Edgett's field notes that I
11 paraphrased into the first repair attempt and what we've
12 been able to come up with is the Triple N data activity
13 field ticket. And the description of services there
14 describes, including the volumes, matching up with what
15 Mr. Edgett provided, substantiates everything that he had
16 said had occurred on the repair.

17 Q. So this is simply submitted to show that
18 repair work was attempted in February of '08 --

19 A. Yes.

20 Q. -- by Louray.

21 A. Yes.

22 Q. Mr. Stone, let's move on to your Exhibit 6,
23 which is marked "Sample SWD well configuration."

24 A. Yes, sir.

25 Q. Could you identify this exhibit and discuss

1 its contents for the Commissioners?

2 A. Again, in preparation for these proceedings
3 today, I wanted to take a look at typical saltwater
4 disposal well configurations that are routinely approved
5 by the Oil Conservation Division. So I got on OCD
6 online. I looked through three or four dozen records,
7 and obviously there's different criteria to different
8 wells and such in the area of review.

9 I didn't filter -- use anything more than just
10 looking at some zones and, in particular, the amount of
11 cement isolation above the injection zone.

12 So if you all have that exhibit there, the
13 first example is OCD Permit 572, issued in 1994. It
14 shows the injection interval to be 650 feet long, and
15 that's illustrated in the blue shading on the small
16 wellbore diagram. And the isolation, the cement
17 isolation behind the pipe and above that zone is
18 approximately 374 feet. That's indicated by the pink
19 shading.

20 Example Number 2 is OCD Permit SWD 896, issued
21 in 2003. The injection interval is 1,225 feet long. The
22 cement isolation -- I think the injection interval is 675
23 feet, again illustrated by the blue and pink shading.

24 Example Number 3, OCD Permit SWD 1237, issued
25 8/2010. The injection interval is 1,769 feet in length,

1 isolated by 519 feet of cement above that interval.

2 Example Number 4, SWD 1232, issued 7/30/2010.
3 The injection interval is over 2,000 feet long, and it's
4 isolated by 1,670 feet of cement. And I just made a note
5 here that it's difficult sometimes to show on a complex
6 wellbore everything in the small confines of an 8 1/2 by
7 14-inch paper, so the scaling gets off somewhere.

8 But it was interesting to note that the blue
9 shading represents the injection interval, and that's
10 2,130 feet long. And above that, about an inch of pink
11 shading represents the 1,670 feet of cement isolation
12 behind it.

13 So sometimes just looking at how a wellbore is
14 illustrated, you really need to look at depths and see
15 exactly what we're looking at. I just wanted to point
16 that out.

17 On Example Number 5, SWD 1203, issued
18 1/27/10, the injection interval is 1,275 feet, isolated
19 by 650 feet of cement.

20 Finally, Example Number 6, OCD Permit SWD 754,
21 issued 8/30/1999, 1,152 feet, injection interval,
22 isolated by 485 feet.

23 Again, these were selected randomly.
24 Obviously, there were some wellbores in there, some
25 saltwater disposal wells that have been permitted that

1 are fully cemented top to bottom, all three strings, and
2 they're well constructed. But these are typical of
3 things that have routinely been approved throughout the
4 years by OCD.

5 The next page I have labeled as "Illustration
6 Number 1," called the "Generic SWD Configuration." If
7 you look at that, we've got again shaded by blue, 500
8 feet of perforations. Above that, well isolated by the
9 pink, we've got 5,700 feet of cement.

10 So I would propose that if myself and Mr. Carr
11 and the Commissioners decided to form a saltwater
12 disposal company tomorrow, we'd be rather excited to find
13 this as a candidate well. This is something that would
14 appear to be well suited for disposal purposes.

15 If you take a look at this configuration and
16 then turn the page to Illustration 2, all I changed
17 between those two illustrations is the insertion of the
18 four-inch liner which we installed in this well, that's
19 then fully cemented. So that's where our cement
20 isolation comes from.

21 The original production string is isolated by
22 over 2,000 feet of cement coming up and identified by a
23 temperature survey with a top of 7,700 feet. So we've
24 got over 2,000 feet of cement isolation above our
25 injection zone outside the original production casing

1 which was damaged, but repaired by the four-inch liner,
2 which is fully cemented 5,700 feet long.

3 So again, in effect, what we have is our
4 construction illustrated on Illustration Number 1 as far
5 as the injection interval and confining the cement sheath
6 above that.

7 Q. Does this show that the Government E is --
8 that the configuration of Government E is at least as
9 good as these other examples you used?

10 A. Looking at the other examples, it appears to
11 far exceed what has been routinely approved.

12 Q. Let's skip forward to Exhibit 9, which is the
13 plot you have in front of you. Please identify that for
14 the Commissioner.

15 A. This is a radial bond log that Agua Sucia had
16 run in July of this year. And in again preparing and
17 trying to identify other tools or methods whereby we
18 might be able to demonstrate to the Commission that our
19 well is appropriately repaired, our engineer, Robert Lee,
20 suggested that we go ahead and run a bond log to see
21 exactly what we've done behind the liner and anywhere
22 else that we can identify behind the pipe.

23 So this is a recently run bond log that shows
24 good bond throughout. We've got several copies around
25 the room, but I don't know how best to run through this

1 particular exhibit without people getting lost quickly.

2 Q. With the Commission's permission, if there is
3 something you'd like to point out, could you flip to that
4 particular page or that fold, and make sure you identify
5 it for Mr. Carr? And if you need to point out something
6 for the Commissioners, could you do that?

7 A. I could do that.

8 CHAIRMAN FESMIRE: May I clarify
9 something? The four-and-a-half inch -- or the four-inch
10 flush joint liner and the five-and-a-half inch old
11 casing, the cement bond log that we're looking at here is
12 a cement bond on the liner; right?

13 THE WITNESS: It is.

14 CHAIRMAN FESMIRE: And the liner is
15 cemented back to tie back to the next string on?

16 THE WITNESS: Yes, sir.

17 CHAIRMAN FESMIRE: But the string that
18 it's inside, it's the five-and-a-half?

19 THE WITNESS: Yes, sir.

20 CHAIRMAN FESMIRE: That's where we have
21 the cement problem, isn't it?

22 THE WITNESS: Right.

23 CHAIRMAN FESMIRE: Would this cement bond
24 log show that cement interval?

25 THE WITNESS: Actually, in many cases, it

1 does. That's why it's difficult to just pick a depth and
2 say, for instance, because it's something that you need
3 to kind of look at typically coming from bottom, coming
4 up the hole. I would say just quickly that this is
5 difficult to do.

6 MR. BRUCE: Mr. Chairman, if it's
7 permissible for the witness to approach the
8 Commissioners' table to point out certain items,
9 certainly Mr. Carr could go there and see what he's look
10 at, or Mr. Carr's witness.

11 CHAIRMAN FESMIRE: Mr. Carr, would you be
12 adverse to that?

13 MR. CARR: No, if we can come up.

14 CHAIRMAN FESMIRE: Why don't we relax the
15 rules for a few minutes and let him show us the cement
16 bond log, and Mr. Carr and his witness.

17 THE WITNESS: Just quickly, so you'll have
18 some references to what we're looking at, cement bond
19 logs have changed quite dramatically over the years, but
20 it's still the same fundamental type log. It's a sonic
21 log that's conducted where a ping is sent out and
22 received. So that ping travels through whatever fluid is
23 in the wellbore, travels through the casing, cement
24 sheath, and depending on the amplitude it's returned for
25 travel time, et cetera, we can determine lots of things.

1 So we've got several different curves here.
2 But I'd point out that historically, bond logs, since
3 they've been run for the last 50, 60 years, this dark
4 line here, this line right here, this is the amplitude.
5 And we, for years, have relied on that and often label
6 this track as the bond index.

7 So if we were coming this direction in this
8 track, we would have a bond index of zero coming to one.
9 So any place that this line falls close to here would
10 indicate -- and again, this is very basic, without
11 getting into some of the other curves and other data and
12 information we have available here. But this would
13 indicate good bond..

14 As a matter of fact, most logging companies or
15 anyone would profess to you that a bond index of .8 or
16 greater means that in these two chart divisions, we would
17 have good bond. So just quickly, just running through
18 here, this shows pretty good bond all the way through
19 here.

20 What we have from the radial bond log, we have
21 eight receivers or microphones that are picking up that
22 signal that's returned. They're arranged in 45-degree
23 increments around. So you've got eight receivers
24 distributed around that tool.

25 So what we have here, these colored lines, are

1 individually represented for those eight receivers there.
2 So we actually are looking at getting that picture back.
3 This is then electronically turned back into what -- this
4 final track here is called a cement map. If you would,
5 imagine this is a 360-degree picture of that casing from
6 the inside, unfolded. So this is everything outside that
7 pipe, unfolded.

8 So this extremely boring black section here,
9 we've got this bond coming through here. It appears that
10 all through our four-inch casing -- four-inch liner, we
11 have very, very good bond. And please stop me if I need
12 to clarify anything else.

13 Now, there are some instances through here,
14 for instance right here, where this apparently -- you
15 would say -- well typically, if this is all we have is
16 the old bond log from 30 or 40 years ago, you'd say,
17 "Well, there's a section of bad bond right there."

18 Q. (By Mr. Bruce) What depths are you talking
19 about?

20 A. This particular one is 8,420 feet. But just
21 as an example, some of these -- what we can do then is
22 look at these other eight curves and see that same thing.
23 We're still -- by these eight curves, we're still
24 measuring in that amplitude, same direction, same
25 configuration here, that we're showing good bond. So

1 there's something else affecting that stop receiver on
2 the tool that's indicating something else is going on.

3 Then we have to come over to the VDL, variable
4 density portion, and see what else is happening here.
5 And what we can tell is undoubtedly, since we've got good
6 bond indicated by our eight radial distribution
7 receivers, that we perhaps have very fast formation here,
8 something very tight, 1 or 2 percent porosity, something
9 like that.

10 Imagine, if you will, a pipe or a glass even,
11 that if you were to take that empty glass and hit it with
12 your finger, if you could ring it. We actually refer to
13 ringing pipe on a bond log, just sending out that pulse
14 that we're detecting. So if you ring that empty glass,
15 you get a ring. This is the type of thing we look for.

16 If you put your fingers around that glass and
17 try it, you'll dampen it. You change the amplitude that
18 you're measuring. You change the travel time. So these
19 are the things that we're looking at, that we're able to
20 identify and interpret into some kind of bond log.

21 I would point out coming up the hole that our
22 temperature survey, they look very good and clean all the
23 way up to about 7,700 feet. I would point out that this
24 is where the original temperature survey, when it was
25 only the five-and-a-half inch pipe that was cemented in

1 the hole, that's where it would show the top of the
2 cement. This is where we start seeing some pretty junky
3 stuff, some sparse contaminated cement and other things
4 that have fallen in there.

5 We never cemented this. We never squeezed
6 this through the years or whatever. What we determined
7 was that, in fact, the first repair attempt that we did
8 not at the time have good data on, as it turns out,
9 pumped down the eight and five-eighths and
10 five-and-a-half. We actually did move that cement. That
11 volume actually did pump down the hole here and stack up.

12 Because we immediately get back in -- before
13 that repair job and before the liner, this would have all
14 been blank. This line here would have been ringing over
15 here. We would have seen the color green because again,
16 with that ticking noise that would emanate from the tool,
17 you'd actually see that color range. So you can tell
18 when you're in free pipe, where there's nothing bonding
19 behind that pipe.

20 As we come up here and we get through some of
21 the junk is where that transition takes place from where
22 the old cement job was, the new cement being pumped down
23 through the top, globbing up down here, but finally
24 accumulating and starting to stack, and we start
25 re-establishing bond again.

1 It is kind of spotty. And you can see on this
2 map, by these colored areas, we've got spots, but we do
3 have excellent bond all the way up through here. We've
4 got some spotty transition areas.

5 We see the new cement job that we pumped from
6 the first repair coming in here. There's still some
7 spots, but nothing that we're going to move fluid
8 through. These little spots here, if you can imagine
9 again it's a 360-degree picture. We've just got a little
10 void sitting there on the side of the pipe, so we still
11 don't have anything whereby we can transfer fluid up or
12 channel behind that pipe.

13 Coming up here to the original zone that we
14 did identify before we had some bad pipe, we can see
15 things get very colorful and very spotty. This is
16 getting up in that interval from 4,800, 4,700 feet or so
17 down to 5,300 feet. Generally, that interval where we
18 identified there was a plug and packer, that we did have
19 some bad product, rotten casing in there. And that's
20 what they were attempting to repair.

21 But what's interesting here is that we are
22 actually starting to see bond. So we've got good bond
23 around our four-inch out to the five-and-a-half inch
24 pipe. So as we send that ping out, we've got something
25 now to conduct and transfer that sound wave energy

1 through the pipe, through the cement, back, and be
2 received.

3 And the reason we can tell that is on some of
4 these here, if we look on this VDL, and -- if you all
5 would like to know what the VDL is, I can describe that
6 also. Quickly, it's just a stretched-out picture of the
7 oscilloscope wave form that's being returned from the
8 tool.

9 But what we see on here, we see these little
10 tick marks that come in every so often, about 40 feet or
11 so through here, those don't line up with our four-inch
12 inside.

13 The only way we could see those would be
14 colors on the outside. The only way we would be able to
15 see those colors on the outside is to have good cement
16 there to send that ping through and conduct that sonic
17 energy through and have it returned and be able to
18 identify something on the outside of that pipe.

19 CHAIRMAN FESMIRE: What does that tell us
20 about the cement outside the five-and-a-half?

21 THE WITNESS: We don't know a lot about
22 the cement outside the five-and-a-half.

23 CHAIRMAN FESMIRE: We've got a real
24 good -- this shows us that we've got a good bond between
25 the liner and the casing and the hole?

1 THE WITNESS: Right.

2 CHAIRMAN FESMIRE: But the problem appears
3 to be, doesn't it, that it's the cement job outside of
4 that --

5 THE WITNESS: Yes, sir.

6 CHAIRMAN FESMIRE: -- five-and-a-half?

7 THE WITNESS: Again, Mr. Chairman, we've
8 established that we had a good 2,000 feet plus isolation
9 when the well was originally cemented. We had our issue
10 here when the casing rotted out in that interval,
11 apparently across that Queen interval, but we sealed that
12 off with the liner.

13 So again, from the Bone Spring up, we've got
14 good cement isolation behind the five-and-a-half. We've
15 never demonstrated otherwise, that we don't have good
16 cement isolation behind that five-and-a-half pipe
17 originally.

18 CHAIRMAN FESMIRE: So your testimony is
19 that this log, where it's got good cement between the
20 liner and the five-and-a-half, also shows good cement
21 between the five-and-a-half and the formation; right? Is
22 that what you're telling us that 2,000 feet of good
23 cement down there is?

24 THE WITNESS: No, sir, we don't see that
25 so much. We don't see that so much.

1 Again, down here inside the pipe, we can
2 see -- again, we can see through because of that good
3 cement sheath between the four inch and the
4 five-and-a-half, we can see some things happening. We
5 are still transmitting that sound out.

6 If there was nothing there, we wouldn't get
7 that return signal. We're getting that, so we know we
8 made contact through the cement to be able the return
9 that signal. So we know that we've got cement down
10 there. We know we
11 had --

12 CHAIRMAN FESMIRE: You know you've got
13 cement between the five-and-a-half and the formation?

14 THE WITNESS: Just from the original
15 temperature survey and identifying the cement type.

16 CHAIRMAN FESMIRE: So what this log is
17 telling us is that we've got good cement between the
18 liner and the five-and-a-half; right?

19 THE WITNESS: Right. And we can see the
20 five-and-a-half also has some kind of bond behind it. We
21 can't put a qualitative analysis on that. We can simply
22 see that we've got enough bond with the pipe strings
23 there that we're actually sending that signal out and
24 getting a return. But we can't put a qualitative
25 analysis on that. We can only see that we're making that

1 contact. But again --

2 CHAIRMAN FESMIRE: To you, that's not a
3 good bond between the five-and-a-half and the formation?
4 That doesn't represent a good bond between the
5 five-and-a-half and the formation?

6 THE WITNESS: We don't know.

7 But again, that's not what we're logging for,
8 being inside that pipe. You calibrate your tools for
9 what pipe you're in. We only had the virtue of being
10 able to see that we had made contact. We have the
11 original temperature survey showing that we had a cement
12 sheath up behind there from the original cement job, but
13 there was never a bond log run to identify what bond we
14 might have had originally.

15 CHAIRMAN FESMIRE: I haven't heard
16 Armstrong's testimony. But if I understand the documents
17 that were filed, the question is whether or not we have
18 sufficient bond between the five-and-a-half to keep the
19 injection fluids from channeling up into their pay zone?

20 THE WITNESS: Yes, sir.

21 CHAIRMAN FESMIRE: Does this tell us that?

22 THE WITNESS: No, sir. That's never been
23 questioned on wells that the OCD routinely permits.
24 Seldom is an applicant requested to submit a bond log as
25 evidence that their cement sheath is good.

1 Typically, if you cement the pipe, you're
2 assuming you've got a well-designed cement job, which
3 most of them now are, obviously. You assume you've got
4 that. You run a temperature survey.

5 Frequently, we only calculate that cement top.
6 But certainly the OCD very seldom -- unless there's some
7 other circumstance that would cause them to request that
8 information --

9 CHAIRMAN FESMIRE: Like an offset operator
10 complaining of a flow in there on the pay zone?

11 THE WITNESS: Right. Or maybe even the
12 OCD reviewer looking at it and having a question about
13 the same thing. But again, its interesting to note that
14 we see this transition at 7,700 feet.

15 CHAIRMAN FESMIRE: Which is --

16 THE WITNESS: The original transition
17 temperature survey indicated that the original
18 five-and-a-half cement job was out here, and we see this
19 transition right in that area.

20 So at least from this log, again looking
21 through two strings of pipe and that cement, we're seeing
22 that we've got some connection through there. So we were
23 actually quite impressed with the results of the log.

24 Bond logging in a nutshell.

25 Q. (By Mr. Bruce) Mr. Stone, a couple more

1 items. We have Exhibit 7, which I think is an inspection
2 log. Could you discuss that for the Examiner?

3 A. It was brought up at the original hearing,
4 during the testimony of Mr. Edgett, that he had conducted
5 a casing inspection log, another type of log that is an
6 electromagnetic log, that offers some evidence of the
7 condition of the pipe. And so we can see pitting and
8 scaling. And certainly if there's a hole that's corroded
9 through the pipe or whatever, we can see some of those.

10 Mr. Warnell, the Examiner for that hearing,
11 pointed out that we were not able to offer that log as an
12 exhibit. This is the only copy we have. This is the log
13 that Mr. Edgett was referring to.

14 It's a somewhat unremarkable log, even across
15 the interval in question. Across the Queen, it just
16 looks very typical of old casing with some scaling and
17 pitting and buildup, but no significant hole is
18 indicated. And even the logging company makes that note
19 on their log, that there's no evidence of -- there's no
20 apparent holes.

21 Q. Mr. Stone, you're testifying about something,
22 a log. When did you get a copy of that?

23 A. I got this the day before yesterday, as a
24 matter of fact, two houses down, in the rain.

25 MR. BRUCE: Mr. Chairman, this is one late

1 exhibit. That was something that was referenced in the
2 prior order. Mr. Stone received it Tuesday, and I've
3 given to it Mr. Carr. I've marked it Agua Sucia Exhibit
4 18. Mr. Carr can have his objections. And there is not
5 a copy in your file because we didn't get it. I didn't
6 receive it until yesterday.

7 CHAIRMAN FESMIRE: Mr. Carr, would you
8 like to take a minute to look at it?

9 MR. CARR: I don't think we have an
10 objection. It's a 2001 log that shows the condition of
11 the well in 2001.

12 MR. BRUCE: It was referenced in the prior
13 order that it wasn't available. And Mr. Stone obtained
14 the single copy of the log Tuesday and --

15 CHAIRMAN FESMIRE: I don't think Mr. Carr
16 is going to object.

17 MR. CARR: I don't object.

18 MR. BRUCE: Unfortunately, there's only
19 one copy. I marked that 18, Agua Sucia Exhibit 18,
20 Mr. Chairman.

21 Q. (By Mr. Bruce) Mr. Stone, there's something
22 marked Exhibit 7, which is -- what is that?

23 A. Exhibit 7 or 18?

24 Q. Exhibit 7. I'm sorry.

25 A. This is a well inspection history report

1 generated out of the risk-based data management system.

2 Q. How did you obtain that?

3 A. I called the Hobbs office, and they were able
4 to provide this for me.

5 Q. What does that reflect?

6 A. It's a history of all the inspections
7 conducted by OCD on the Government E1, and it -- this
8 particular report indicates that 73 inspections were
9 conducted between February 1996 and January 2010.

10 Q. Is it routine for the Division to conduct well
11 inspections?

12 A. Absolutely.

13 Q. Is that a lot of inspections for one well?

14 A. It's quite a large number of inspections.
15 It's not completely surprising, the attention that this
16 well garnered. But certainly they were paying close
17 attention to this well for a number of years.

18 Q. Were there any violations?

19 A. No violations -- actually, there is one
20 violation in here, but it's not related to the well. It
21 is related to the pit at the time. I'm sorry. I
22 don't -- I believe that was in April of '09. It says
23 that the workover pit was open, liner bad, et cetera, et
24 cetera. So it was -- the only violation was related to
25 the pit and not directly to the well or any operations.

1 Q. I've marked Exhibits 8A through 8E, which are
2 a number of assignments. Again, Mr. Stone, you sat
3 through the first hearing; correct?

4 A. Yes, sir.

5 Q. And Armstrong Energy or Mr. Armstrong himself
6 testified about the chain of title to this well?

7 A. Yes, sir.

8 Q. And are those exhibits merely submitted to
9 show a chain of title into Agua Sucia, Dennis
10 Schoenhofer's principal or Agua Sucia regarding an
11 interest in the wellbore?

12 A. That's correct.

13 Q. And Agua Sucia only owns an interest in the
14 wellbore; correct?

15 A. Yes, sir.

16 Q. To the best of your knowledge, it doesn't own
17 any oil and gas working interest?

18 A. That's correct.

19 Q. And its rights are limited solely to the right
20 to inject into that wellbore as to certain depths?

21 A. Yes, sir.

22 Q. The original owner of those rights was
23 Armstrong Energy; was it not?

24 A. I believe so.

25 Q. Has there been any injection into the

1 Government E Well No. 1 since January '08?

2 A. No, sir.

3 Q. There is activity at that well site; is there
4 not?

5 A. They do routinely take water in. It's trucked
6 into the site -- it's a large facility -- main tanks to
7 accommodate incoming waters and separating out and such.
8 So yes, they take water in, skim oil, move water over to
9 a waterflood. So yeah, there are daily operations going
10 on.

11 Q. That complies with Division regulations; does
12 it not?

13 A. I believe so.

14 Q. One final matter. Is there a way -- is there
15 a method through various surveys to verify the integrity
16 of the Government E1 wellbore?

17 A. Yes, sir. My recommendation and many others
18 would suggest running a radioactive tracer in combination
19 with temperature. This would identify not only the exit
20 of the fluid from the wellbore, but the tracer material
21 as it travels outside the pipe to a depth of about 18
22 inches or so, and locate that radioactive material and
23 watch it behind the pipe, behind the cement.

24 To answer the Chairman's question, we could
25 identify fluid movement using that method, anything that

1 traveled up immediately outside the wellbore. You add to
2 that the combination of a temperature survey, and any
3 time that you pump a fluid into a wellbore, you're going
4 to retard the geothermal gradient of that well. In other
5 words, you have whatever your ambient temperature is at
6 the --

7 CHAIRMAN FESMIRE: You could have just
8 said, "cool it down."

9 THE WITNESS: Geothermal is an important
10 thing that we've got to look at. So we're going to cool
11 down that temperature, but you don't always cool it down.
12 If you ou pump acid sometimes in a shallow well, you'll
13 heat it up.

14 Nonetheless, if you would imagine that
15 anything you do, any fluid movement that you do, anything
16 you inject in, anything that moves up behind that pipe is
17 going to retard that temperature back up, the geothermal
18 gradient.

19 Whatever volume you have, for instance, a
20 channel skirting up the outside of the pipe, you haven't
21 moved a lot of volume of water. So it initially retards
22 that temperature, but it recovers quickly.

23 Wherever that fluid is being injected, you can
24 do some type of qualitative analysis in that you've got a
25 body, a reservoir fluid, if you will, sitting out there,

1 and it takes a long, long time for that to decay out and
2 recover its original geothermal gradient.

3 So wherever our water is going -- and this is
4 a commonly-used tool, it has been for decades -- you can
5 identify by decaying that out. And sometimes you decay
6 that out for 24 or 48 hours, and you can see those
7 volumes of fluid, those bodies of fluid that have been
8 left behind in the reservoir.

9 So it's a valuable tool, and it's essential
10 that it's run in combination. We made an offer to run
11 that, and that offer certainly stands. We would be happy
12 to -- we'd be pleased to be able to inject in the well
13 and be able to conduct that test to demonstrate that we
14 have integrity around the well.

15 Q. Would the results of those tests show pretty
16 quickly whether or not the wellbore has mechanical
17 integrity?

18 A. Absolutely. It's a real-time situation. When
19 you inject into it, generally the channel -- you'll see
20 it turn that corner in a matter of seconds. You can
21 actually watch it over one minute, two minutes, five
22 minutes or ten minutes, and you can actually -- depending
23 on the severity of the channel, you can determine the
24 height, back that up with the temperature of decay curves
25 that you run, and you can put some sort of qualitative

1 analysis on how you've impacted that and where your fluid
2 loss is.

3 Q. If the tests show there was movement of fluid,
4 Agua Sucia would have to shut it down; would it not?

5 A. Absolutely.

6 Q. But if it shows the other way, shows that the
7 mechanical integrity of the wellbore is sound, then it
8 should be allowed to inject?

9 A. I believe so.

10 Q. Mr. Stone, were Exhibits 1 through 9 and 18
11 prepared by you and under your supervision or compiled
12 from company business records?

13 A. Yes, sir.

14 Q. In your opinion, is the granting of this
15 application in the interest of conservation and the
16 prevention of waste?

17 A. Yes, sir.

18 MR. BRUCE: Mr. Chairman I tender the
19 admission of Exhibits 1 through 9 and 18.

20 MR. CARR: No objection.

21 CHAIRMAN FESMIRE: Exhibits 1 through 9
22 and 18 are admitted into the record.

23 (Agua Sucia Exhibits 1 through 9 and 18 were admitted.)

24 MR. BRUCE: I pass the witness.

25 CHAIRMAN FESMIRE: Mr. Carr?

1 MR. CARR: Thank you, Mr. Chairman.

2 CROSS-EXAMINATION

3 BY MR. CARR:

4 Q. Mr. Stone, when were you originally hired to
5 work on this well?

6 A. April of 2009.

7 Q. At the time you were hired, were you aware
8 that the injection authority had already lapsed?

9 A. Yes. They hired me to reinstate that
10 authority.

11 Q. Were you aware at that time that there had
12 been remedial work taken on the well?

13 A. Yes, sir.

14 Q. You were not involved at the time or advising
15 anyone on the kind of remedial activity to undertake?

16 A. No, sir.

17 Q. You were originally employed by who?

18 A. I was originally employed by Louray.

19 Q. At the time you were employed, did you have
20 any understanding about the ownership of the wellbore?
21 Did you understand that Louray only owned the wellbore,
22 not the minerals?

23 A. Yes, sir.

24 Q. And you were aware that there were the
25 limitations under the assignment that Mr. Bruce reviewed?

1 A. Yes, sir.

2 Q. You prepared the C-108 applications as they
3 relate to this well?

4 A. Yes, sir.

5 Q. You prepared an initial one for Louray?

6 A. Yes, sir.

7 Q. What information did have you at your disposal
8 when you prepared that?

9 A. The original one?

10 Q. Yes, sir.

11 A. I had certainly what's available online
12 through OCD online and whatever information I collected
13 from Mr. Edgett, whatever depths, perforations, cement
14 volumes, et cetera.

15 Q. Did you also receive information from Mr. Al
16 Perry?

17 A. Not directly, no, sir.

18 Q. Were you aware of the prior problems with the
19 well at the time you started to prepare the C-108?

20 A. No, sir.

21 Q. When you started working on this, did you
22 discover evidence of problems with the well?

23 A. Certainly as I prepared the narratives about
24 the repair attempts, it became quite obvious, yeah, that
25 they had serious concerns, serious damage to the pipe for

1 several hundred feet, whatever that was.

2 Q. Were you able to see damage to the casing?

3 A. Able to see it?

4 Q. Um-hum. Were you aware of it as you worked
5 through this problem initially?

6 A. I was aware of it by virtue of their actually
7 using the plug and packer method to identify that section
8 of pipe.

9 Q. Do you have an opinion on the status of the
10 wellbore prior to the time it was shut in in 2008?

11 A. Prior to the time that it was shut in, nothing
12 occurred to me.

13 Q. In your opinion, was the casing sound? Was
14 the wellbore sound at that time?

15 A. I don't recall without having looked at the
16 mechanical integrity test dates that were conducted.

17 Q. Are you saying you don't know?

18 A. I don't know.

19 Q. Is it your testimony that the wellbore is
20 sound now?

21 A. Yes, sir.

22 Q. Do you have an opinion on what caused the
23 waterflows in the offsetting properties, in the
24 offsetting wells?

25 A. I believe that initially -- I believe we've

1 got some waterflow through the Queen. I believe we've
2 got some impact from the offsetting waterflood unit. And
3 I think at whatever point that our casing and apparently
4 the tubing in the Government E1 did fail, that apparently
5 we did inject water directly into the Queens.

6 I would say it was a combination effect of the
7 offsetting waterflood and our well and whatever natural
8 waterflow we have in the Queen through that interval.

9 Q. You testified today that the wellbore today,
10 in your opinion, is sound and ready to use for injection?

11 A. Yes, sir.

12 Q. Did you look beyond the wellbore itself for
13 causes of waterfloods in offsetting wells?

14 A. Most of that research was done by our
15 engineer, Mr. Lee. I did identify on an old BLM -- and I
16 don't recall if it was the sundry or the attachment to
17 the APD -- that they ran into drilling an offset well in
18 the area. If you recall that form I'm talking about, it
19 has a section for significant oil zones, significant
20 water zones.

21 The significant water zones on that particular
22 form are usually filled in one out of 10 times. I found
23 a well with those exact intervals approximately across
24 the Queen where in drilling that well, they took the time
25 to indicate significant water zones had been reached at

1 those depths. So I believe there was some natural
2 waterflow across that interval.

3 Q. At the Examiner Hearing, you testified that
4 you didn't do any in-depth analysis from a geological
5 perspective or otherwise; is that true?

6 A. That's true.

7 Q. So are you here today testifying about the
8 integrity of the formation outside the wellbore?

9 A. No, sir. I'm just telling you about the form
10 where I saw that the significant water zone had been
11 reached --

12 Q. You're not here saying that you have examined
13 beyond the wellbore to determine whether injected waters
14 stay in that well?

15 A. No, sir.

16 Q. If I look at the C-108 that's included as your
17 Exhibit 2, is this the same C-108 that was presented at
18 the Examiner Hearing?

19 A. Yes, sir.

20 Q. And this is the schematic that didn't have the
21 cement shown behind the liner; is that right?

22 A. Right.

23 Q. Would it be better to go ahead and move back
24 to the new data that you prepared, Tab 3, the sundry
25 notice and attachments, to take a look at that wellbore?

1 A. Sure.

2 Q. Would that be more accurate? Does that show
3 the current cement in the well?

4 A. Well, let me locate that.

5 Q. It's the last page on Exhibit 3. Not the
6 last --

7 A. Yes, sir.

8 Q. -- the second page in Exhibit 3.

9 Does this more accurately show the current
10 configuration of the well?

11 A. It does. I added the damaged interval,
12 identified that on the schematic. And I simply put in
13 some -- that purplish-color shading, indicating at the
14 time, before we had the bond log or did any serious
15 calculations, not knowing exactly what happened to the
16 760 sacks of cement that was pumped on the first repair
17 attempt. So I just used that purple shading to indicate
18 that we know -- we obviously got some cement pumped down
19 there. I just didn't put a solid top and bottom on it,
20 not knowing. And I did this prior to -- or about the
21 same time that we ran the cement bond log.

22 Q. Originally you indicated in the original
23 hearing that you thought the cement was from the surface
24 to 4,168 because there were perforations there. Do you
25 recall that?

1 A. Yes, sir. Not perforations there. I thought
2 that's where the hole and the problems --

3 Q. Are you changing that testimony today?

4 CHAIRMAN FESMIRE: You mean perforations
5 in the sense that there's a hole there?

6 MR. CARR: There's a hole there and that
7 the cement went into the hole, instead of going on down
8 the casing.

9 A. Corroded pipe sections there, not perforations
10 shot through the pipe.

11 Q. (By Mr. Carr) Are you changing that testimony
12 today?

13 A. I'm -- at the time, I thought that perhaps
14 that would flow down to -- back into the pipe and settle
15 out on the bridge plug that they had set. So I thought
16 somewhere in that depth would probably be what we were
17 looking at.

18 Q. I want to understand what you believe the
19 configuration of the cement to be in this well. If I go
20 back to the first repair attempt, I have understood your
21 testimony to be in the past that you thought you had good
22 cement outside the casing to a depth of 4,168; is that
23 true?

24 A. Yes, sir.

25 Q. That you also, in the second repair attempt,

1 had good cement from the total depth up to about 7,700
2 feet; is that correct?

3 A. Yes, sir.

4 Q. And that you had put a liner in the well, and
5 you have a good cement bond behind the liner?

6 A. Yes, sir.

7 Q. My question is, from 4,168 to 7,700, can you
8 tell me you have a good cement job between the
9 five-and-a-half casing and the formation?

10 A. Since we've obtained -- since we've run the
11 cement bond log and obtained that information, I was
12 pleasantly surprised how good the bond --

13 Q. I don't want to know if you're pleasantly
14 surprised how good it was. The question is, do you have
15 an effective cement bond on the casing from the surface
16 all the way to total depth?

17 A. I believe we do.

18 Q. So inserting the liner and pumping cement
19 behind that was unnecessary, in your opinion?

20 A. I don't believe that's correct.

21 Q. Why was it necessary if you had a good cement
22 bond behind the casing?

23 A. We were still leaking. When they pumped into
24 it, Mr. Carr, they still had some fluid loss. I believe
25 they could pressure up to a couple thousand, 2,500 psi,

1 and they would lose about a half a barrel a minute.

2 Q. Where were you losing that; do you know?

3 A. It's somewhere across those intervals. I
4 couldn't tell you for sure.

5 Q. Across what intervals?

6 A. I don't know for sure what intervals. I
7 assume where the casing was damaged.

8 Q. Could that have been in the Queen?

9 A. Absolutely.

10 Q. San Andres?

11 A. Absolutely.

12 Q. Delaware?

13 A. I don't know that our damaged pipe got down to
14 the Delaware, but wherever a half a barrel a minute could
15 leak off to.

16 Q. And if it leaked off there, would it be your
17 opinion that it would stay in the Queen if it was in the
18 Queen?

19 A. I would assume so.

20 Q. It wouldn't move to the San Andres?

21 A. Again, it's got to have some sort of conduit
22 to move to make that transition.

23 Q. If there are exhibits that show pressure and
24 fluid responses over this broad interval, you would say
25 it wasn't anything to do with the wellbore?

1 A. Since our -- I'm sorry.

2 Q. I'm talking about the vertical movement
3 outside the casing.

4 A. Since the repair job? Pressure data since the
5 repair job?

6 Q. Since the repair job.

7 A. I'm sorry. Could you ask that again?

8 Q. Are you saying that the way the well is
9 configured today and the cement you have in the well
10 today, that you cannot have vertical movement outside the
11 wellbore between the Queen and San Andres?

12 A. I can't say that.

13 Q. Okay. If there are questions about the
14 integrity outside the casing from 4,168 down to 7,700, by
15 putting a liner in the well and cementing it, are you
16 able to go back and pump additional cement behind that
17 casing?

18 A. Only outside the five-and-a-half.

19 Q. Could you go through the liner and through the
20 casing to get out there to add additional cement, or does
21 the placement of that liner make that extremely
22 difficult, if not impossible?

23 A. You can certainly shoot perforations to
24 squeeze --

25 Q. And you'd be willing to do that or recommend

1 that if that needs to be done?

2 A. If that needed to be done, we would certainly
3 consider whatever seems appropriate if additional repairs
4 were need.

5 Q. If I look at the new sundry notice to bring
6 things up to date, that is dated about two weeks ago,
7 September 23rd; is that correct?

8 A. I believe that's more than two weeks ago.

9 Q. Let's just say September 23rd.

10 A. Yes, sir.

11 Q. It's been recently done?

12 A. Yes, sir.

13 Q. You've been working on the well since April of
14 when?

15 A. '09.

16 Q. And this is when you decided to do that? Was
17 it in preparation for today's hearing?

18 A. That was certainly part of the consideration.
19 But it was also going back through and making sure that
20 we had done everything that was prudent to do. And that
21 was something that we identified that had been overlooked
22 on several occasions, and I insisted that we get that
23 filed.

24 Q. In your written summary, there is the
25 statement that a length of bad casing was located between

1 5,332 and 4,168?

2 A. Yes, sir.

3 Q. Does that still exist behind the cemented
4 liner?

5 A. The casing was damaged, cement was pumped, and
6 a liner was installed.

7 Q. So you have that damaged casing, cement and a
8 liner over it?

9 A. And that casing is still damaged.

10 Q. And that is where potentially fluid moved into
11 the formation?

12 A. At the time that we apparently had a tubing
13 leak also in the well, yes, sir.

14 Q. When you say the wellbore is sound, what
15 you're telling me is that I can put water in the surface
16 and get it to the Bone Spring; is that correct?

17 A. Yes, sir.

18 Q. We have a whole bunch of statements in this.
19 And even though we don't want to talk about anything that
20 the prior operator did, these are all statements for work
21 on the well that were paid by the prior operator; isn't
22 that true?

23 A. Yes, sir.

24 Q. They spent a lot of money on the well. You
25 testified to that; is that right?

1 A. Yes, sir.

2 Q. You were not employed at the time this work
3 was done; correct?

4 A. Correct.

5 Q. It's the prior operator who did this before
6 you were on the scene?

7 A. Yes, sir.

8 Q. Was there an approved C-103 for the work done
9 that was done on that well?

10 A. Not to my knowledge.

11 Q. There was no OCD authorization to do it; is
12 that correct?

13 A. Correct.

14 Q. In fact, there was a C-103 that was denied by
15 the OCD on February 6, 2008; correct?

16 A. Yes, sir.

17 Q. Yet the work was done after the OCD denied
18 authority to do this very work?

19 A. Yes, sir.

20 Q. Wouldn't you think, if you were advising
21 somebody today, that if they went out and worked on the
22 well after the C-103 had been denied, they were taking
23 some risks spending that money?

24 A. Absolutely.

25 Q. Again, your Exhibit Number 7 from Triple N is

1 just a summary of the work that was done without an
2 approved C-103?

3 A. Exhibit Number 7?

4 Q. I'm sorry. Exhibit Number 5.

5 A. Yes, sir. I believe that's correct.

6 Q. I want to go to Exhibit 6. This is your new
7 exhibit, with a number of sample well configurations?

8 A. Yes, sir.

9 Q. I think you stated that these were typical
10 saltwater applications that were routinely approved; is
11 that right?

12 A. Yes, sir.

13 Q. I think when you look at these -- and then at
14 the end, you compared it to this well. You stated that
15 the current well application exceeds what is routinely
16 approved by the OCD in other circumstances?

17 A. Yes, sir.

18 Q. You administered the underground injection
19 program for the OCD for a number of years; did you not?

20 A. Yes, sir.

21 Q. In that time, you processed hundreds of
22 saltwater disposal applications?

23 A. Yes.

24 Q. Did you process some of these that are
25 included in Exhibit 6?

1 A. Undoubtedly in the time frame 1994, they could
2 possibly have been mine.

3 Q. But that wasn't the basis for selecting them;
4 is that fair to say?

5 A. That's correct.

6 Q. You're familiar with each of these examples
7 that you presented here today?

8 A. Only to the extent of reviewing the wellbore
9 diagrams and seeing that it illustrated what I was trying
10 to present.

11 Q. Were you trying to show that saltwater
12 disposal wells were approved where there was no cement
13 behind the casing at certain intervals?

14 A. Certainly we have limited amounts of isolation
15 in lots of the injection zones.

16 Q. Were all of these six examples for new
17 injection well applications?

18 A. I'm not sure.

19 Q. Are you aware of any of these wells that had
20 been previously used to inject fluids into a reservoir?

21 A. I'm sorry, Mr. Carr. I didn't review that. I
22 just went through -- went to the wellbore diagram, saw
23 that it met what I was looking for.

24 Q. I have the applications here. Would you just
25 accept that none of these are wells in which there had

1 been previously fluids injected into the reservoir, or
2 would you like to look at them?

3 A. No. That's fine.

4 Q. You accept that?

5 A. They were selected completely at random.

6 Q. If you don't know that, you don't know whether
7 or not any of these were applications for disposal, I
8 assume, in the formations in which prior injection had
9 substantially exceeded the withdrawal from those wells;
10 correct?

11 A. That's correct.

12 Q. Were there objections to any of these
13 applications?

14 A. Again, I didn't go into any in-depth of
15 reviewing the applications.

16 Q. You can take them. But would you accept that
17 there were no objections at the time any of these were
18 approved?

19 A. Sure.

20 Q. Had the work already been done on any of these
21 pursuant to a C-103 or one that had not been approved, or
22 do you know that?

23 A. I don't know that.

24 Q. When you were approving hundreds of
25 applications, you got objections from operators from time

1 to time; did you not?

2 A. Yes, sir.

3 Q. When that happened, you went back to the
4 applicant; did you not?

5 A. Yes, sir.

6 Q. You looked to them to prove that the injection
7 could be safely accomplished?

8 A. Yes, sir.

9 Q. When you approved an application for
10 injection, you approved them because you were also
11 concerned about preventing waste of oil and gas; were you
12 not?

13 A. Yes, sir.

14 Q. You were also concerned about correlative
15 rights, that they weren't impaired?

16 A. Yes, sir.

17 Q. You were also looking at these to be sure that
18 oil, gas and water stayed in the zones into which they
19 were injected?

20 A. Yes, sir.

21 Q. To do that, didn't you have to look at more
22 than just the integrity of the wellbore in a single
23 mechanical integrity test?

24 A. We would just look at the area of review, the
25 wellbores in that area of review that penetrated the

1 proposed injection interval, any plugged wells that were
2 in that AOR, to see that they were properly plugged. I'm
3 not sure if that answers your question or not.

4 Q. If the application before you was an
5 application that required notice to offset operators, and
6 one of them objected, saying, "You're going to water out
7 my well," didn't you make that applicant prove it would
8 not?

9 A. If that's the case and there was no settling
10 between the parties at that point, it was sent to
11 hearing.

12 Q. And the applicant had to prove they could
13 safely inject? Isn't that just the normal process?

14 A. Yes.

15 Q. If you had an operation over in the vacuum
16 area where you knew there were waterflows or had evidence
17 of it, you looked beyond the wellbore, didn't you?

18 A. Sure.

19 Q. Here, you just made a cursory review of the
20 geology outside the wellbore that's not an area that
21 you're testifying to?

22 A. I looked at the area of review wells and the
23 plugged wells, and there was only one wellbore in that
24 area of review that penetrated the injection interval.

25 Q. But you did have an objection in this case?

1 A. Yes, sir.

2 Q. To approve a well where there was an
3 objection, the same things were going on in the
4 formation, you would look for more than just a bond log;
5 would you not? That only tells you about the wellbore.

6 A. Would you repeat the question, please?

7 Q. If you have an objection -- an application to
8 which there was an objection about something happening in
9 the reservoir, you would expect the applicant to produce
10 more than just a bond log that told you only about the
11 wellbore itself?

12 A. I would like for them to be able to run a
13 radioactive tracer survey and present some pressure bond
14 tests in other offsetting wells.

15 Q. You recommended the radioactive tracer survey;
16 did you not?

17 A. Yes.

18 Q. Do you recall I asked you if you could run
19 that, and if there was a problem in the formation, that
20 you might run a tracer and never see it?

21 A. Yes, sir. That's why you run the temperature
22 in combination --

23 Q. And that was your testimony?

24 A. Yes, sir.

25 Q. If we go to Exhibit 7, the well inspection

1 history --

2 A. Yes, sir.

3 Q. -- we have a lot of inspections out here, I
4 guess, that you testified to?

5 A. Yes, sir.

6 Q. In the letter that you sent transmitting the
7 C-108, Mr. Hill stated that, "We had a lot of problems
8 with the prior operator. Maybe that's why they were
9 inspecting."

10 Do you think that that's why it could be?

11 A. Yes, sir.

12 Q. Mr. Hill said the well was technically sound
13 and ready for injection. That again would just be a
14 statement consistent that an MIT test was passed?

15 A. Yes, sir.

16 Q. If we go to the well inspection history, page
17 4, the item for November 20, 2006 -- can you find that?
18 It's the fourth or fifth one down.

19 A. Yes, sir.

20 Q. It says, "Gauge showing 1,990 pounds. Will
21 check again later"?

22 A. Yes.

23 Q. Do you know, was that above the authorized
24 injection pressure for this well?

25 A. I believe the injection pressure was slightly

1 below that. It's 1,900, I believe.

2 Q. This is evidence that they even injected over
3 the authorized pressure?

4 A. Possibly.

5 Q. And finally, on October 22nd -- maybe that was
6 the one that was two weeks ago -- you got an assignment
7 of the Government E1 well into Agua Sucia; isn't that
8 right? That was the new title document you testified
9 about, the assignment into Agua Sucia?

10 A. Yes.

11 Q. And that was just done two weeks ago; is that
12 right?

13 A. The assignment to Agua Sucia?

14 Q. Yes. I thought your title data showed that
15 that was dated October 22nd, 2010.

16 A. Yes, sir.

17 Q. Who owned the well before then?

18 A. Before?

19 Q. Before August 22nd, 2010. Mr. Schoenhofer?

20 A. Yes.

21 Q. So the well had been in Agua Sucia, assigned
22 on that date?

23 A. Right.

24 MR. CARR: That's all I have. Thank you.

25 CHAIRMAN FESMIRE: Why don't we take a

1 10-minute break before we begin with the Commission's
2 questions and reconvene at 3:30?

3 (A recess was taken.)

4 CHAIRMAN FESMIRE: Let's go back on the
5 record. Again, we are in the regularly scheduled
6 Thursday, November 4th, 2010, meeting of the New Mexico
7 Oil Conservation Commission. The record should reflect
8 that all three Commissioners are present. We've just
9 returned from break. We are about to begin with the
10 Commission questioning of Mr. Stone.

11 Commissioner Bailey?

12

13

14

EXAMINATION

15 BY COMMISSIONER BAILEY:

16 Q. Mr. Stone, you said you were not here to
17 discuss geology. Will there be a witness for discussion
18 of geology?

19 A. I think Mr. Lee could better address technical
20 geological questions.

21 Q. Okay. The old log that you brought in today,
22 I assume you had a chance to review it, to analyze it, to
23 determine whether or not you see any repeat sections or
24 possible fractures indicated through the zones in
25 question here, the Queen and the Bone Spring and

1 intervening ones?

2 A. Are you referring to the casing inspection
3 log?

4 Q. Is that the log that you brought in that you
5 said you received two days ago?

6 A. Yes, ma'am. That particular log wouldn't
7 identify those types of things. It's simply an
8 electromagnetic tool to run inside the casing that picks
9 up pitting, scaling, general condition of the steel and
10 the pipe. And I have reviewed it, but I have not
11 analyzed it, just running through there.

12 The wire line company made the statement that
13 there are no holes apparent, so there was no in-depth
14 analysis of it. It just generally looks like old casing,
15 very typical of what you see in any old well.

16 Q. I did not realize that it was not part of the
17 original sweep of the logs that would have been run.
18 However, would the pipe thickness show up on this log
19 that was run -- what's the date -- 2001?

20 A. I'm not sure how pipe thickness is identified
21 on there. I think it shows more of an internal scale of
22 the inside of the pipe.

23 Q. So it would not show if there were any
24 corrosion holes or anything along that line? Is that
25 what you're saying?

1 A. It does identify that.

2 Q. But you do not see any?

3 A. That's correct, nor did the company that ran
4 it.

5 Q. So there are none present?

6 A. Right.

7 Q. Okay. There was mention of a nearby
8 waterflood.

9 A. Yes, ma'am.

10 Q. What zones are they flooding?

11 A. I believe that's the Queen interval also.

12 Q. Is it?

13 A. Yes, ma'am.

14 Q. If water was escaping or was -- had found
15 fractures or any other type of conduit between the nearby
16 waterflood and the Armstrong wells, could that explain
17 some of the watering out of his production?

18 A. Absolutely. That is what we believe, is that
19 at least the initial breakthrough waterflow was created
20 by that offset waterflood. The Queen is the interval
21 producing out of, and that's the zone that they are
22 injecting into.

23 Q. How close is that waterflood that we haven't
24 had a lot of information about?

25 A. It's outside, just a half mile radius.

1 Q. It is within the area of review?

2 A. Just outside the area of review.

3 Q. Okay. So it's just a half mile --

4 A. There may be one well that's actually -- I'm
5 sorry. There may be one well of the waterflood that's
6 actually in the area of review. Give me just a moment.

7 No. It's just outside the area of review map
8 to the south and west of the red AOR circle. There's the
9 blue well symbol with a line through it. That's the
10 nearest Mescalero Ridge water injection well.

11 Q. Would it be real easy to jump to the
12 assumption that since the flood is in the Queen and the
13 problem with the Armstrong wells are in the Queen, that
14 we should look at that potential problem?

15 A. We have looked at that, and we believe that
16 certainly that is a contributing factor to the waterflow
17 that the Armstrong is experiencing.

18 Q. And Merit Energy is the unit operator there?

19 A. They were. I'm not sure if they still are.

20 Q. Did you look at the frac jobs or acidizing
21 that was done on this well when it was in production to
22 see how heavy some of those procedures were for opening
23 up the formation?

24 A. I did not.

25 Q. The areas where the cement is shown to be bad

1 through the Queen were probably bad when the well was
2 drilled; is that right?

3 A. On our well, the Government E1, there was no
4 cement across that interval. And that's very typical of
5 a completion. You cement the lower portion of your
6 production string and bring that up to whatever height
7 the engineering staff would determine.

8 So frequently you're going to have a void of
9 cement up behind that production string. And frequently
10 even the intermediate string, you'll have that void above
11 that. So it was nothing unusual that that void was
12 there.

13 COMMISSIONER BAILEY: Those are all the
14 questions I have.

15 CHAIRMAN FESMIRE: Commissioner Olson?

16 COMMISSIONER OLSON: I think Commissioner
17 Bailey asked some of the questions I had on the
18 waterflood issue.

19 EXAMINATION

20 BY COMMISSIONER OLSON:

21 Q. I guess coming, Mr. Stone, to your
22 recommending that something we might look at is other
23 tests before operation of the well, is that a like
24 radioactive tracer?

25 A. Yes, sir. But again, to conduct that test,

1 you obviously have to inject into the well to be able to
2 perform that test. But we think that that is essential
3 to come to any kind of conclusion of what that fluid is
4 actually doing.

5 We contend that the fluid -- that the well is
6 correctly repaired and that we would have injection
7 directly into the Bone Spring without any issue. So we
8 have to inject into the well to make that determination
9 and run those types of tests.

10 Q. How long would you need to inject in the well
11 to run those tests?

12 A. Mr. Olson, they can run what's called a
13 pump-in tracer, where you can actually get out there with
14 a pump truck, load water and pump in and do it in a few
15 hours' time. That is okay, except obviously as long as
16 this well has not been injecting, we're going to need to
17 charge some things up.

18 So in other words, what you may see if there
19 is anything going on, that behavior -- that fluid flow
20 may change. The dynamics of that may change as we start
21 to fill that reservoir pressure back up. I would say
22 certainly we can do a pump-in tracer in a one-day
23 few-hour situation.

24 To be more conclusive about it, you want to
25 run it after some period of injection and then repeat

1 that maybe in a month. And if that's good, six months,
2 and then maybe go on an annual basis to continually check
3 and make sure that everything is being confined to the
4 zone.

5 Q. If it's not confined to the zone, does that
6 give you some liability for impacting their production
7 for Armstrong?

8 A. If it did impact their production. But
9 frequently you'll see water -- if you inject water at a
10 zone, it's not normally a situation where you're
11 impacting something.

12 It's just -- you can identify -- you may pump
13 it up to another sand string or whatever and put some
14 water away and identify that you have a poor cement
15 sheath or whatever.

16 So certainly Agua Sucia would understand at
17 that point that there would need to be either additional
18 remedial actions or make a decision on what they want to
19 do.

20 Q. What are the closest wells of Armstrong's to
21 the Agua Sucia well?

22 A. The main well is their Superior Number 6, and
23 it's located just 370 feet to the north.

24 COMMISSIONER OLSON: That's all the
25 questions I have.

1 CHAIRMAN FESMIRE: Okay.

2 EXAMINATION

3 BY CHAIRMAN FESMIRE:

4 Q. Mr. Stone, just to make sure I understood what
5 you were trying to show us with that log, you've got a
6 four-inch flush joint liner hung in a five-and-a-half at
7 3,843; right?

8 A. Yes, sir.

9 Q. And the five-and-a-half is from 3,843 to
10 9,597?

11 A. The five-and-a-half is from surface.

12 Q. You're right. The four-inch flush joint is
13 from 3,843 to 9,597, and the five-and-a-half is from
14 surface to TD -- essentially TD 10,277?

15 A. Yes, sir.

16 Q. And we've got a cement -- not a cement bond
17 log, but a thermal temperature survey that shows the top
18 of the original cement on a five-and-a-half at 7,700
19 feet; right?

20 A. Yes, sir.

21 Q. And you're comfortable with the bond between
22 the liner and the cement and the five-and-a-half, and the
23 five-and-a-half in the hole up to the 7,700 feet? That
24 was the pure black section on that log?

25 A. Yes, sir.

1 Q. And your contention is that that is a
2 reflection of the good bond through both the annulus
3 between the four-inch flush joint and the
4 five-and-a-half, and the five-and-a-half and the seven
5 and seven-eighths hole; right?

6 A. Again, you're seeing -- primarily you're
7 seeing that sheath outside -- it's between the four-inch
8 and the five-and-a-half. You're seeing the obvious
9 evidence that you've got bond.

10 You've got some insulation, something between
11 to carry that sonic signal out to the next layer, the
12 five-and-a-half and the cement sheath.

13 But my point of that is there's no reason to
14 suspect anything is wrong with the original cement job on
15 that five-and-a-half anyway. And whatever qualitative
16 issues there may be I think are trumped by the sheer
17 height of that isolation.

18 Q. You've got nearly 2,000 foot of --

19 A. Right.

20 Q. But you're not telling us from the log that
21 that is a good bond?

22 A. We can't tell that that's a good bond. We
23 just know there is bond.

24 Q. So it could potentially be -- it could
25 potentially have a water channel in there? We can't say

1 that for sure from the bond log we ran?

2 A. We can't say that for sure. But again, that's
3 why cement jobs are designed to elevate that height.

4 So again, where you've got 100 feet, maybe
5 you'll get through it. At 200 feet, you reduce those
6 chances. At 500 feet, 2,000 feet, you reduce those
7 chances tremendously that you're ever going to squeeze
8 anything up through that cement.

9 Q. From the 7,700 foot up to the casing sheath at
10 eight and five-eighths at 4,089, there is no cement
11 behind the five-and-a-half; right?

12 A. No. We believe that cement -- because we can
13 see -- again, because we have bond between the four-inch
14 and the five-and-a-half, we can see through there, based
15 on the variable density, the squiggly-line portion. We
16 can see other color rings because there is some bonding
17 between those strings.

18 Q. But the original temperature log that was run
19 when the well was drilled showed that top at 7,700 feet?

20 A. Right.

21 Q. Have you done any volumetric calculations to
22 see how high the cement should have come?

23 A. On that original --

24 Q. On the original cement job.

25 A. No, sir, I didn't do that.

1 Q. But your theory is that there is bond above
2 the 7,700 foot that the temperature log showed?

3 A. From the first repair attempt, the 760 sacks
4 that they pumped between the eight and five-eighths and
5 the five-and-a-half --

6 Q. They pumped that from the surface --

7 A. Yes.

8 Q. -- down?

9 A. Right.

10 Q. Okay. They would have had to displace the
11 fluid in that annulus somewhere. Where did it go?

12 A. I assume that that would go into whatever
13 porosity was available through that interval. You're not
14 talking a huge volume of water. But certainly cement is
15 going to displace water and push it away, so --

16 Q. So you got some bond from that repair attempt?

17 A. Yes, sir.

18 Q. Has this well ever been frac'd?

19 A. I don't know that.

20 Q. And it was initially a lower Bone Spring
21 producing well?

22 A. I believe it was a Bone Spring producer. I'm
23 not sure. I believe it was.

24 Q. Now, Armstrong has a point. You've injected
25 or the predecessors to your client have injected four

1 times the volume that they removed from the well?

2 A. Yes, sir.

3 Q. Where did that water go?

4 A. I would prefer to defer that to our engineer,
5 as he is prepared to testify to the volumetrics.

6 Q. Just neglecting for a minute the
7 compressibility of the oil and the gas that were
8 produced, if the formation were truly holding that fluid,
9 your pressures would be significantly higher than the
10 original bottomhole pressure, wouldn't they?

11 A. Yes, sir.

12 Q. We don't see that indication on this well, do
13 we?

14 A. Right. I think, again, Mr. Lee could better
15 answer those questions.

16 CHAIRMAN FESMIRE: I'll talk to Mr. Lee
17 about that. I have no further questions.

18 Mr. Bruce, any redirect?

19 MR. BRUCE: Just a couple.

20 REDIRECT EXAMINATION

21 BY MR. BRUCE:

22 Q. Mr. Stone, Mr. Carr asked you about payment of
23 the 2009 invoices. Those were paid for by Agua Sucia;
24 were they not?

25 A. Yes, sir.

1 Q. And Mr. Carr mentioned a recent assignment
2 from Dennis Schoenhofer to Agua Sucia. What's the
3 relationship between Mr. Schoenhofer and Agua Sucia?

4 A. He is a principal of Agua Sucia.

5 Q. And again, getting to this, Mr. Carr asked
6 about some sort of conduit which would allow injected
7 saltwater to come up to the Queen or wherever.

8 Again, your tracer and temperature surveys
9 would show whether there was a conduit?

10 A. Yes, sir.

11 Q. And in answer to Commissioner Olson's
12 questions, there could be a quick test done which would
13 show something immediately; right?

14 A. Yes.

15 Q. But you would like to inject into the
16 formation for at least a short period to conduct a more
17 thorough evaluation? Is that what you're saying?

18 A. Right. I think it would be more conclusive.

19 Q. And if there was a conduit or something showed
20 up that there was a conduit, Agua Sucia would have to
21 shut the well in?

22 A. Yes, sir.

23 Q. And cease injection until it was further
24 repaired?

25 A. Yes, sir.

1 Q. And between the work that was done and the
2 these tracer surveys that you mentioned, you believe that
3 Agua Sucia can show that it can safely inject into this
4 well?

5 A. I believe they can.

6 MR. BRUCE: That's all I have,
7 Mr. Chairman.

8 CHAIRMAN FESMIRE: Mr. Carr, anything on
9 that?

10 MR. CARR: Just a follow up.

11 RE-CROSS-EXAMINATION

12 BY MR. CARR:

13 Q. Mr. Stone, in his opening statement, Mr. Bruce
14 made a big deal about Agua Sucia not being Louray. We
15 talk about Louray doing all this work without an approved
16 C-103?

17 A. Yes, sir.

18 Q. And you just told me that Agua Sucia paid for
19 that.

20 A. Dennis Schoenhofer paid for it.

21 Q. So Mr. Schoenhofer was involved back at that
22 time?

23 A. He was backing Louray.

24 Q. So although we have a new operator and we've
25 assigned the well in the last few weeks, we have the same

1 people involved way back?

2 A. Well, again --

3 Q. Well, Mr. Schoenhofer paid the bills in 2008;
4 right?

5 A. Yes, sir.

6 Q. And he's involved --

7 MR. BRUCE: I'm objecting, Mr. Examiner.
8 He's mischaracterizing the evidence. I was talking 2009
9 versus 2008. Lets be clear about who paid for --

10 Q. (By Mr. Carr) You only paid for the work in
11 2009? Is that what you said?

12 A. Correct.

13 CHAIRMAN FESMIRE: "You," being?

14 MR. BRUCE: Agua Sucia.

15 CHAIRMAN FESMIRE: But Louray paid for the
16 work in 2008, and that was Mr. Schoenhofer?

17 MR. BRUCE: No, no. That was Mr. Edgett.

18 CHAIRMAN FESMIRE: Was he being backed by
19 Mr. Schoenhofer?

20 THE WITNESS: Not at that time. Not to my
21 knowledge. I believe Mr. Schoenhofer came in when the
22 final repair job was done, and the expenses exceeded the
23 wherewithal of Louray to keep up with. And at that point
24 is where that relationship started.

25 CHAIRMAN FESMIRE: So what is the

1 relationship between Louray and Schoenhofer at any given
2 point in time?

3 THE WITNESS: He backed them at that
4 point. And at some point, Mr. Schoenhofer felt like he
5 was far enough into it that perhaps he needed to own the
6 operation, rather than being a silent backer of such an
7 operation.

8 CHAIRMAN FESMIRE: So when did
9 Mr. Schoenhofer start putting money into Louray; do you
10 know?

11 THE WITNESS: I believe with that second
12 repair job in 2009, March/April 2009.

13 CHAIRMAN FESMIRE: Mr. Carr?

14 Q. (By Mr. Carr) After Mr. Schoenhofer started
15 putting money in, he had an operating agreement, and
16 Mr. Edgett was designated the agent for the company; did
17 he not?

18 A. Yes, sir.

19 Q. And he continued operating the property for
20 Mr. Schoenhofer; did he not?

21 A. That's my understanding.

22 Q. You indicated, in response to Mr. Bruce's
23 question, that there might be a quick test that would
24 show everything?

25 A. Yes, sir.

1 Q. As I understand your testimony, if you run a
2 tracer into this well and they found an area of less
3 resistance or flooding off into the Delaware, you might
4 never see that. Isn't that what you said?

5 A. I'm sorry, Mr. Carr. If I can expound on
6 that --

7 Q. I want to ask you what your testimony was. I
8 want to ask you -- you can expound to Mr. Bruce.

9 Did you not testify that if you run a tracer
10 in the well, you might never see it?

11 A. In response to the question about it showing
12 up in another well.

13 Q. Would you go to Exhibit Number 17, which is
14 the transcript of the prior hearing, and please turn to
15 page 171? On Line 9 I asked you the question,
16 "Mr. Stone, if we were to run a tracer -- a radioactive
17 tracer to try and chase the migration of a large volume
18 of fluid through a fracture system, do you have any idea
19 how long that would take?"

20 What was your answer? Would you read it,
21 please?

22 A. "It's hard to say. Just based on Mr. Stubbs'
23 testimony, we think that that may be occurring rapidly,
24 say in a week's time, so you could watch it."

25 Q. Go on.

1 A. "You actually have to monitor it for an
2 extended period of time, maybe give it a couple of days
3 prior to 24-hour monitoring of the wellbore that you
4 suspect it may be communicating over to so you can see
5 some sort of detection. Again, you've got your half life
6 working against you, and also dilution of your material.
7 So it's a -- it's a long-term, around-the-clock
8 situation. But again, using the MCA project just as an
9 example, we can detect after six weeks the introduction
10 of radioactive material to the offset wellbores."

11 Q. Question, "But it might take longer than
12 that?" Answer?

13 A. "You may never see it."

14 Q. Thank you.

15 A. From one well to another.

16 Q. So while we're waiting and may never see it,
17 you get to inject?

18 A. From one well to another.

19 Q. That's where you'd expect to see it; correct?
20 Where else are you going to see it?

21 MR. BRUCE: I ask that Mr. Stone be
22 allowed to answer the question.

23 CHAIRMAN FESMIRE: Why don't you go ahead
24 and complete your answer?

25 A. We're confusing methods. The quick test I'm

1 talking about is pumping into the well, introducing your
2 radioactive isotope into that well and watching it exit
3 and perhaps channel up and around. This is immediate.
4 It's real time.

5 The context that we were just discussing here
6 was in response to Mr. Stubbs talking about the immediate
7 response they had from our wellbore to their wellbore.
8 So we were describing a situation of, for example, the
9 MCA pilot project, where you introduce a radioactive
10 material, different method, similar study.

11 But this is long term, actually traveling
12 great distances from one wellbore to another. This is
13 long term. You may never see it show up over there.
14 It's two different tests, two different situations.

15 Q. If I understand, the short-term test is around
16 that wellbore. It's not measured far out into the
17 formation?

18 A. Yes, sir.

19 MR. CARR: Thank you.

20 CHAIRMAN FESMIRE: Mr. Bruce, anything on
21 that?

22 FURTHER REDIRECT EXAMINATION

23 BY MR. BRUCE:

24 Q. Once again, Mr. Stubbs was talking about if
25 water is injected and it's going out of the zone, it's

1 going to be over at his well immediately?

2 A. Right.

3 Q. If that occurred, once again, Agua Sucia would
4 have to shut down?

5 A. Yes, sir.

6 CHAIRMAN FESMIRE: Thank you very much,
7 Mr. Stone.

8 Mr. Bruce, would you like to call your next
9 witness?

10 MR. BRUCE: Yes. I call Mr. Lee to the
11 stand.

12

13

14

ROBERT LEE

15 Having been first duly sworn, testified as follows:

16

DIRECT EXAMINATION

17 BY MR. BRUCE:

18 Q. Please state your name for the record.

19 A. Robert Lee.

20 Q. And where do you reside?

21 A. Midland, Texas.

22 Q. What is your occupation?

23 A. I'm a petroleum engineering consultant.

24 Q. Have you been retained by Agua Sucia with
25 respect to this application?

1 A. I have been.

2 Q. Have you previously testified before the
3 Commission?

4 A. I have not.

5 Q. Would you summarize your educational and
6 employment background for the Commissioners?

7 A. Sure. I went to school at Rolla, Missouri,
8 between 1975 and 1979. I worked for Tenneco Oil out of
9 San Antonio until 1989, and then I went to work for HEYCO
10 Oil & Gas in Roswell, New Mexico, for about 10 years.
11 Then I moved to Midland and became a consultant in
12 Midland, Texas.

13 Q. With respect to your consulting business, have
14 you testified previously or prepared materials for
15 clients regarding saltwater disposal wells or other
16 injection wells, such as for waterfloods or pressure
17 maintenance?

18 A. Yes.

19 Q. Are you familiar with the engineering matters
20 related to this application?

21 A. Yes.

22 MR. BRUCE: Mr. Chairman, I tender Mr. Lee
23 as an expert petroleum engineer.

24 MR. CARR: No objection.

25 CHAIRMAN FESMIRE: Mr. Lee, are you

1 licensed professional engineer in New Mexico?

2 THE WITNESS: No, sir. I'm licensed in
3 Texas. I was in New Mexico, and it lapsed several years
4 ago.

5 CHAIRMAN FESMIRE: You know the Governor
6 needs \$180. If you're going to be working on New Mexico
7 projects --

8 THE WITNESS: Let me give that to you
9 right now, if you think that will help.

10 CHAIRMAN FESMIRE: Let's wait until after
11 the meeting.

12 MR. CARR: I object.

13 CHAIRMAN FESMIRE: The point is, we try to
14 encourage people working in New Mexico be registered in
15 New Mexico.

16 THE WITNESS: Yes, sir.

17 CHAIRMAN FESMIRE: So we'd appreciate it
18 if -- it costs \$180 a year. I just had to renew mine.

19 THE WITNESS: Uh-huh.

20 CHAIRMAN FESMIRE: It's a great bargain,
21 compared to what you pay in Texas.

22 THE WITNESS: Right. It's 200 there.

23 CHAIRMAN FESMIRE: Plus the tax.

24 THE WITNESS: Yes

25 CHAIRMAN FESMIRE: He'll be so accepted,

1 in spite of being a Texas-registered engineer.

2 Q. (By Mr. Bruce) Mr. Lee, to start off with, do
3 you believe the Government wellbore is mechanically sound
4 and can be injected into?

5 A. Yes, sir.

6 Q. Have you reviewed the data in the C-108, and
7 do you agree with Mr. Stone's analysis of that data?

8 A. Yes, sir.

9 Q. Now, you testified at the original hearing in
10 this matter?

11 A. Yes, sir.

12 Q. And so you heard the testimony from Armstrong
13 regarding where the well -- what happened before 2008 and
14 where the water came from, et cetera?

15 A. That's correct.

16 Q. Have you prepared a series of exhibits to show
17 what you think happened during that time frame?

18 A. Yes.

19 Q. Would you identify your Exhibit 10 for the
20 Commissioners and briefly describe what that shows?

21 A. Yes, sir. Exhibit 10 is a production decline
22 curve of the original Government E Bone Spring well. It
23 shows down in the lower left-hand corner that it has
24 produced 181,000 barrels of oil, over in the right-hand
25 corner, half a bcf of gas. There's a little box up there

1 on the curve saying it's produced 121,000 barrels of
2 water. It was shut in back in 1993, at the time it was
3 converted to injection.

4 Q. Will that form the basis for your later
5 testimony regarding the reservoir voidage, et cetera?

6 A. Yes, sir.

7 Q. What is Exhibit 11?

8 A. Exhibit 11 is a plot of the Government E
9 injection volumes, showing that it starts injection in 10
10 of '94. The scale for water injection volume is shown on
11 the left-hand side, and those are in thousands of barrels
12 a month. So where you see 10, that's 10,000 barrels a
13 month, up to the next logarithmic scale, that would be
14 100,000 barrels a month. So when they started injection,
15 it was about 20,000 barrels a month.

16 Across the top, I noted where they had issues,
17 tubing leaks, problems with the well. And they ran MITs
18 that were satisfactory, the last one being in 9 of '05.

19 The period in 2001, where the well is shut in,
20 is a time frame of -- between operators. The original
21 well was converted by a company called Subsurface. And a
22 man name Lowell Deckert was the operator, and he sold the
23 well. He shut it in in 2000 and sold the well to Louray,
24 and he commenced injection in 2002.

25 Q. So that period where there was no water that

1 was injected, it wasn't due to any mechanical reason. It
2 was just a change-of-operator situation?

3 A. That's correct. And also, on the box on the
4 curve in the lower right-hand corner, cumulative
5 injection to date, almost 3.2 million barrels of water.

6 Q. Now, what is Exhibit 12? It's several
7 exhibits stapled together.

8 A. Exhibit 12, the front sheet is a plot of all
9 the Armstrong wells in Section 25.

10 Q. Are these Queen producers?

11 A. Yes. On this curve, I'm showing oil, gas and
12 water production. Oil is green, gas is red, and water is
13 blue. I've got some of the same notes of what was going
14 on in the life of the Government E1, showing when it was
15 converted, various MITs, things of that nature.

16 Q. And as you noted on your exhibit, about the
17 time the Government -- the Government E1 was shut in in
18 early 2008; correct?

19 A. Yes.

20 Q. Or stopped injecting, I should say?

21 A. That's correct.

22 Q. And the water production on the first page of
23 Exhibit 12 shows that it decreases?

24 A. That's correct.

25 Q. Now, it later goes back up, the water

1 production.

2 A. That's correct.

3 Q. Could you comment on that?

4 A. Yes. Kind of in the middle of 2009, the water
5 takes a jump from about 3,000 barrels a month up to about
6 5,000 barrels a month.

7 When I was looking around at why that may
8 occur, we found the offset injection of Well Number 15 in
9 the offset flood, which is in unit letter A of Section
10 35. It had been a producer for a while -- and we're
11 going to get to that exhibit in a minute. I kind of
12 jumped ahead on the story.

13 It was a producer, and then in 1998, it was
14 converted. It had been shut in right at the beginning of
15 2008. And it's the closest injection well to the
16 Armstrong lease. And in mid-2009, it comes back on
17 injection for about 8,000 barrels a month. And I thought
18 that kind of would explain where the water came from.

19 In the last hearing, there was testimony given
20 that the Well Number 5, the Armstrong Superior Well
21 Number 5, had been shut in, but brought back on
22 production.

23 And that's why we attached the individual
24 production curves for the Armstrong wells in Section 25.
25 Because if you look through those, the water jump in kind

1 of mid-2009 occurred on Wells Number 2, Number 3 and
2 Number 4. And Number 5 did have a jump in water
3 production, but it was in 2010.

4 And those three wells that showed the
5 increased water production are three of the further west
6 wells offsetting the -- it used to be Merit. It's
7 operated by Linn now, Queen flood called the Mescalero
8 Ridge Unit.

9 Q. Linn is L-i-n-n?

10 A. Yes.

11 Q. Another thing on this -- we'll get to the
12 Merit info in a minute. The other thing, looking at the
13 oil production, at the same time the water production
14 goes up, there's no increase in oil production, is there?

15 A. I don't see it on this curve, no, sir.

16 Q. Does that indicate to you that the water is
17 not coming from the Government E well?

18 A. It can't come from the Government E. The
19 Government E was shut in at this point in time.

20 The other thing is, on the water production,
21 there was, in 2001, a pretty significant jump in water
22 production from about a little over 10,000 barrels a
23 month up to almost 30-, dropping down to about 25,000 a
24 month there in the year 2001. But that's also the year
25 that the Government E well was shut in.

1 And once again, I think that the water that
2 was impacting this lease early on was coming from the
3 Queen waterflood. Later on -- I mean there's no doubt
4 they -- Mr. Carr and Mr. Stubbs presented testimony
5 that --

6 CHAIRMAN FESMIRE: Mr. Bruce, may I ask a
7 real quick question?

8 MR. BRUCE: Sure.

9 CHAIRMAN FESMIRE: If it was coming from
10 the Queen waterflood, wouldn't we expect to see some sort
11 of response in the oil?

12 THE WITNESS: Not necessarily. Well,
13 okay. If I look at the 15 well --

14 Q. (By Mr. Bruce) Let's stop for a second.
15 Let's identify for the Commissioners info regarding the
16 Mescalero Unit injection. Is that reflected in Exhibit
17 13?

18 A. Yes.

19 Q. So maybe the Commissioners should have
20 Exhibits 12 and 13 in front of them.

21 A. That may be handy.

22 Q. Could you then respond to the Chairman's
23 question?

24 A. Yes, sir.

25 Exhibit 13 is a plot of the injection wells in

1 Section 35. You can see there's a pretty big jump in
2 injection in 2008. And if you just flip that page, the
3 Mescalero Unit Number 15 is kind of the culprit there.
4 It comes on injection in mid-2008. And you can see that
5 it's putting away almost 28,000 barrels a month for a few
6 months, and then it drops down to 10-, 15,000 barrels a
7 month and kind of injects on through there.

8 Like I say, it shuts in in 2008 and then picks
9 back up again in 2009.

10 Q. Again, early 2008 is when the Government E
11 stopped injecting?

12 A. That's correct.

13 Q. And then right around 2009, you see an
14 increase in water production from the Armstrong wells?

15 A. Yes, an increase in produced water there.

16 Q. Produced water?

17 A. Yes. So by the time that they convert this
18 well in 2008, you know -- and there may be work orders
19 involved. But you do see bumps in the oil production.

20 But if you're just injecting water and it's
21 not -- you should get some increase with the flood front
22 moving through to your producing wells.

23 But if you're not getting containment and
24 support from offsetting injections while we make our
25 patterns five spots, because that way, I get pressure

1 support from all directions, you may not see as much of
2 an oil bank or much of an oil increase, increase in oil
3 production, as you may expect.

4 CHAIRMAN FESMIRE: What probability ratio
5 are you looking at in that flood; do you know?

6 THE WITNESS: I don't know. I didn't look
7 at the viscosities. No, I did not.

8 CHAIRMAN FESMIRE: Even if you've got an
9 adverse mobility ratio, you should see some sort of
10 response in the oil production if you get a water
11 response into the pay zone; right?

12 THE WITNESS: You should. If I look at my
13 curve, my oil curve for, say, '93 through '96 --

14 MR. BRUCE: On what exhibit?

15 THE WITNESS: I'm sorry, on Exhibit 12.
16 That's about a 15 percent decline in those first three
17 years. There's a breakover in production, where it kind
18 of -- there's a flattening in production in '97. There's
19 a water increase in early '96. So maybe instead of
20 really a response, maybe I'm getting a flattening in
21 their oil production.

22 CHAIRMAN FESMIRE: So you're saying the
23 jump in production during 2002 is that response that
24 we're looking for?

25 THE WITNESS: I don't have enough

1 information on the operations of the wells and what was
2 going on on the lease. I don't have the well files or
3 anything to see -- well tests to see what was going on on
4 that lease, so I don't know what happened. Maybe it was
5 acidized wells and the fallout response from that.

6 CHAIRMAN FESMIRE: But at the end of 2004,
7 your water production doubled, and there was no change in
8 the oil response.

9 THE WITNESS: That's correct.

10 CHAIRMAN FESMIRE: Wouldn't that indicate
11 that the water is coming from a zone other than the pay
12 zone?

13 THE WITNESS: If I'm having injection into
14 35A in the Well Number 15, I'm not going to necessarily
15 expect to flood the whole section of 25. I may have --

16 CHAIRMAN FESMIRE: But if you get a better
17 response, you have some sort of sweep.

18 THE WITNESS: Maybe I had a breakthrough.
19 I don't know. I'm sitting here going, "What could create
20 that?"

21 And I could have a situation where I had water
22 come up to the first wells, and I'm seeing this
23 flattening. I get a little bit of incremental oil out of
24 it, and then here comes the water. The production curves
25 don't really indicate that, though.

1 The production curves I'm seeing, as far as
2 the reported data sees various jumps in production, jumps
3 in water production, water production drops, and it
4 behaves very erratically on the production curves. So in
5 this situation, I'm going to say I can't definitively
6 explain why I'm not seeing an oil response.

7 In other situations, if I have an offset
8 flood, once I get to my first wells, the water hits that,
9 that's the pressure you're seeing. Probably my
10 waterflood front doesn't go past the first wells to
11 impact the rest of the lease. But I'm not seeing that on
12 the data here. I'm not sure what's going on here.

13 CHAIRMAN FESMIRE: Mr. Bruce, I apologize.
14 I just wanted to ask that while we were there.

15 THE WITNESS: Good question.

16 Q. (By Mr. Bruce) But again, if you compare
17 Exhibits 12 and 13, the first page of each, Mr. Lee,
18 somewhere around, say, '99, the Armstrong wells did see
19 an increase in production?

20 A. That's correct. And I can't explain why.

21 Q. If you look at Exhibit 13, there was increased
22 injection starting in late '98 into the Mescalero
23 offsets?

24 A. Prior to that, yes, sir. It's going to take a
25 while to fill up the volume there from the Number 15

1 because it was still a producing well and had just been
2 converted there in '98. So maybe it took a while to get
3 there, yeah. That's what I'm seeing. That's why I'm
4 saying that.

5 Q. It's certainly a reasonable inference that the
6 increase in water production in the Armstrong wells is
7 coming from off lease?

8 A. That was our contention. But towards the end
9 of it, we know that there's a problem. And you know, we
10 know we have a good MIT at 9/05. And shortly after that,
11 looking at Exhibit Number 11, the water injection in the
12 Government E takes a pretty dramatic increase.

13 So if I was to look at what point in time this
14 tubing casing failure may have occurred, I would kind of
15 point to that in 2006. And it was shortly after that
16 that these wells in Section 25, looking at the total
17 curve, start going from 7,000, 7,500 barrels a month up
18 to nearly 9,000 barrels a month.

19 Q. Do you could have anything further on those
20 exhibits?

21 A. I don't think so.

22 Q. What is Exhibit 14?

23 A. Exhibit 14 is a table, the tabular production
24 data for the Superior wells for 2010.

25 Q. Why is this included in your exhibit package?

1 A. It was just to also -- we also looked just to
2 make sure that when I pulled data out of IHS, that I'm
3 not picking up anything erroneous. This is what's
4 actually reported to the State. And it confirmed the
5 numbers that we see on our production curve on Exhibit
6 12.

7 Q. What is Exhibit 15?

8 A. Exhibit 15 is a compilation of the Mescalero
9 Ridge Unit. And what I was trying to resolve here or
10 figure out is, you know, if I want to say that I've got
11 water going off lease, I had better have excess injection
12 where I say it's coming from.

13 So here I'm showing the lease history. You
14 can see the oil production, water production, water
15 injection, in purple. And if I look here, the total
16 historical oil cum. right now is almost 2.8 million
17 barrels, and water production is almost 9.4 million
18 barrels. The cumulative water injection is almost 19
19 million barrels. And I estimated reservoir voidage on
20 the Queen, oil of 1.22. That 2.771 million barrels
21 translates to 3.381 million barrels of reservoir volume.

22 So I added my reservoir volume oil, my water
23 production, and got about 12.7 million reservoir barrels
24 taken out of the formation. So the injection was almost
25 5.8 million barrels greater than the production.

1 Q. You don't think that's unusual in an injection
2 situation, do you?

3 A. No. We see that. Water is not contained by
4 the lease lines, and it moves to the point of least
5 resistance.

6 Q. What is Exhibit 16?

7 A. Exhibit 16 is the same type of presentation,
8 but I included everything -- all the Queen production
9 from Section 25, once again seeing how the total system
10 injection/withdrawal ratios may look.

11 And here my oil numbers go up. I got almost
12 3.6 million barrels of oil and 4.4 million reservoir
13 barrels. Water production was 10.4 million barrels. So
14 my estimated reservoir voidage was about 15 million
15 barrels, and injection is still about 15.6 -- I mean
16 18.6. So the injection is about 3.7 million barrels
17 greater than the production.

18 CHAIRMAN FESMIRE: Mr. Lee, can I take
19 another --

20 THE WITNESS: Sure.

21 CHAIRMAN FESMIRE: -- divergence here?

22 Since 2003, your water injected and water
23 produced curves have basically been tracking, so they are
24 operating this waterflood above the bubble point. That
25 doesn't look like a reservoir that's got some sort of

1 external influence that isn't pictured on this curve,
2 does it?

3 THE WITNESS: An external -- no, I don't
4 think there's an external influence. I think it's almost
5 a --

6 CHAIRMAN FESMIRE: But this doesn't
7 include the Government E injection, does it, this curve?

8 THE WITNESS: No, it does not.

9 CHAIRMAN FESMIRE: But this just includes
10 the unit injection; correct?

11 THE WITNESS: That's correct.

12 CHAIRMAN FESMIRE: Yet the unit injection
13 and the water produced are essentially tracking like
14 railroad tracks here. That doesn't look to me like a
15 flood that's got some sort of external inflow into it.

16 THE WITNESS: Right. They were just
17 basically putting away their produced water.

18 CHAIRMAN FESMIRE: There's no make-up
19 water going into it either from the surface or the --

20 THE WITNESS: There has been make-up water
21 going into this. I don't know if there is now or not.

22 If you look back when the flood kind of
23 started in 1974, you can see that they were injecting
24 quite a bit more water than they were producing.

25 That's one of the things that was brought up

1 at the last hearing, is that they were using fresh water.
2 And there's a difference in chlorides from the Mescalero
3 Ridge Unit. And we have stuff later on where we see low
4 chloride produced water in wells down in Section 36,
5 indicating once again that the injection water was going
6 off lease and impacting wells in Section 36.

7 CHAIRMAN FESMIRE: I apologize, Mr. Bruce.
8 Go ahead.

9 Q. (By Mr. Bruce) Mr. Lee, although you don't
10 have -- we didn't submit an exhibit, did you check other
11 Bone Spring saltwater disposal wells with respect to
12 voidage of the reservoir when they produced, as opposed
13 to the injection into the reservoir when they were
14 converted to injection?

15 A. Yes, sir.

16 Q. What did you find?

17 A. I found that it's not uncommon for Bone Spring
18 injection wells to have sometimes significantly higher
19 injection to withdrawal ratios than -- more injection
20 than was pulled out of the reservoir.

21 Another thing that I found when I was looking
22 into this, knowing that was becoming an issue, because I
23 seen it before, so it wasn't a particularly alarming
24 thing. But the Government E well was producing out of
25 the Lee Bone Spring field at a depth of about 9,700 feet,

1 and it's located there in Section 25.

2 But if you move to the south, there's probably
3 about seven or eight other Bone Spring wells producing
4 out of the Lee Bone Spring field. And I didn't get a log
5 and build a cross-section, but the completion depths are
6 comparable, around 9,600 to 9,700 feet. So it looks like
7 it's all part of the same reservoir.

8 When you look at the production from those
9 wells, I calculated that there was nearly 2.2 million
10 barrels of -- reservoir barrels taken out of the system
11 in oil and water, and my Government E is tied in to that
12 same reservoir. That's another place where I could see
13 water going into the zone.

14 When you include the other wells, it drives
15 that -- instead of 10 to 1, it drives it down to about
16 one-and-a-half to one.

17 Q. In your experience, is it unusual to see
18 ratios like that, injection to reservoir voidage?

19 A. No. I don't know. I've wrestled on this a
20 lot, you know. It's like, "Why is that? I've got this
21 liquid-filled system, take the barrels out, put the
22 barrels in." There's an extra leprechaun somewhere in
23 the picture.

24 But I think what happens is that it's not
25 necessarily always a liquid-filled reservoir. Sometimes

1 when we drill these, there's some free gas in the
2 reservoir. Whenever you go out and drill a well and you
3 perforate it and it's a wet well and you produce it back,
4 it's not uncommon to see gas come back with that. You
5 have some fizz in the water and you smell gas. I think
6 that these reservoirs have some free gas component in it
7 that will compress. And like I said --

8 CHAIRMAN FESMIRE: At 9,700 feet?

9 THE WITNESS: Um-hum, possibly. It
10 depends on what the makeup of the water is, the makeup of
11 hydrocarbon is. And I didn't do a PBT analysis or
12 anything like that.

13 But just looking at the initial GOR, and
14 assuming a reservoir pressure at a .4 gradient, it looked
15 like, in the Government E Number 1, that there may have
16 been some free gas in the reservoir when it was initially
17 drilled, based on the GOR that I saw.

18 Now, am I reading the chart wrong? I'm not
19 going to say there was free gas. I'm saying that my
20 standing correlations indicated that there may have been.
21 Like I said, that's not something I brought to testify
22 to. But I think that there's free gas in these
23 reservoirs, and that's why you're able to inject more
24 than was taken out sometimes.

25 Plus, the Bone Spring is a huge, massive

1 reservoir. And there's lots of places where the water
2 could go, I mean, because it's so thick.

3 MR. BRUCE: Just a couple of things
4 briefly.

5 If I may approach the witness?

6 CHAIRMAN FESMIRE: You may, sir.

7 MR. BRUCE: I think, Mr. Chairman, I
8 marked two exhibits 16A. The one that I just handed
9 Mr. Lee is from Cardinal Laboratories. I marked that 16,
10 and I think it probably should be 16A.

11 CHAIRMAN FESMIRE: Are these the exhibits
12 that --

13 MR. BRUCE: -- that were filed late.

14 CHAIRMAN FESMIRE: Okay. Does the court
15 reporter have a copy?

16 MR. BRUCE: I submitted six copies to the
17 Commission. If not, Mr. Lee can hand his exhibits to the
18 court reporter.

19 CHAIRMAN FESMIRE: Let's make sure she's
20 got an exhibit here. It's marked "Cardinal
21 Laboratories." I hand delivered them to the Division
22 yesterday.

23 MR. SMITH: I have these. Do you want me
24 to give these to her?

25 CHAIRMAN FESMIRE: Let's make sure she's

1 got one that's labeled 16A.

2 MR. BRUCE: What I marked as 16 should be
3 16A, is what I'm saying. I already had Mr. Lee testify
4 as to Exhibit 16.

5 MR. SMITH: Why don't you go ahead and
6 mark it?

7 Q. (By Mr. Bruce) What is Exhibit 16A,
8 Mr. Lee?

9 A. This is a water analysis done by Cardinal
10 Laboratories, a water analysis on the Armstrong 6,
11 Government E Number 1, Mescalero Ridge water, and a well
12 call the Sarah Sue Number 3, which is located in Section
13 36, unit letter D.

14 Q. If you turn to page 2 -- why did you submit
15 this exhibit?

16 A. If I look at the -- looking at the water
17 characteristics, I look at the sodium up there in the
18 first column, the Na, and I see that the Mescalero Ridge
19 Unit has a sodium content of about 48,000. The Sarah
20 Sue, which is a Queen producer, has sodium of about
21 37,000, whereas the Armstrong 6 and Government 1 had 55-
22 to 60,000 parts per million or milligrams per liter
23 sodium.

24 And when you look at the chloride content, you
25 see a similar thing. The Mescalero Unit had 98,000 parts

1 per million, and Sarah Sue, 76,000 parts per million.

2 So that was indicating to me that there was
3 Mescalero Ridge water impacting the Sarah Sue Number 3
4 well, which is in unit letter D of Section 36, outside
5 the unit.

6 Q. It's just showing that the water -- in your
7 opinion, water from the Merit waterflood was migrating
8 off lease?

9 A. That's correct. This well is just a little
10 bit closer than the Superior Number 5.

11 Q. Then finally, Exhibit 17, which is a
12 stapled-together invoice from Triple N, how did you get
13 that exhibit?

14 A. I called Jim Newman to see if he remembered
15 anything about this well. He was with Triple N at the
16 time the work was done. He's with Basic now, and he was
17 able to dig this out of his file and send it to us.

18 Q. This relates to the work that was done by
19 Louray back in February of 2008?

20 A. Yes, sir, the original first attempt squeeze
21 job that was done.

22 Q. And you were at the prior hearing when
23 Armstrong questioned Agua Sucia's witnesses about
24 evidence of work done at that time?

25 A. Right.

1 Q. So what is the purpose of this exhibit?

2 A. This does demonstrate that the work was done.
3 It wasn't something just that -- Louis Edgett noted it
4 was actually from the company that did the work with the
5 volumes and pressures and rates that they pumped the
6 cement away at.

7 Q. Just a couple of things from the prior order.
8 One of the findings in the prior order was that
9 something -- it was actually Finding 11(N), about
10 something is allowing direct communications between the
11 Bone Spring, Delaware, San Andres, and Queen formations
12 in this area. Do you agree with that finding?

13 A. No.

14 Q. Why is that?

15 A. It seems like the water impacting the
16 Armstrong lease was either coming from initially the
17 Merit flood and later on, certainly from the Government E
18 Number 1.

19 I have not seen anything from a geological
20 standpoint that would indicate there's fractures from
21 9,700 feet up to 5,000 feet out here, or a fault. I do
22 have a log on the well. There's no repeat sections,
23 nothing that indicates a fault from the injection zones
24 that they are putting water away in.

25 Not only was it the zone that they produced

1 out of, but they added an additional zone in that well
2 whenever Subsurface turned it into a water disposal well.
3 But between that interval and the Delaware, there's
4 hundreds of feet of Bone Spring carbonate with 2 percent
5 neutron porosity. It just looks very, very tight, very
6 dense. I don't believe that this water is going to be
7 migrating through that, through any vertical permeability
8 that may exist there.

9 Q. In other words, again -- and you've testified
10 about this before, Mr. Lee -- there could have been --
11 during the period of time before January 2008, when
12 Louray operated the well, there could have been injection
13 water going into the Queen?

14 A. Yes.

15 Q. But there wasn't any water coming from the
16 Bone Spring up to the Queen? Is that your opinion?

17 A. Certainly I do not believe through the
18 formation, and probably not even through the injection.
19 The only way it would do that is if they ever shut down
20 the injection, the Bone Spring may come out and back flow
21 up to the Queen. I can see that being a situation.

22 As long as I'm putting water down the well,
23 it's not going to come out of the Bone Spring. The
24 injection water is going to hold it back, and it's going
25 to go out the Queen or go down to the Bone Spring,

1 wherever the path of least resistance is.

2 Q. In your opinion, is the granting of this
3 application in the interest of conservation and the
4 prevention of waste?

5 A. Yes, it is.

6 Q. Were Exhibits 10 through 16 prepared by you?

7 A. Yes, sir.

8 Q. And was exhibit -- where did you get Exhibit
9 16A, the water analysis?

10 A. 16A, I had asked Mr. Stone to contact
11 Mr. Edgett to see if he had any water analyses on the
12 Sarah Sue well -- it shows the operator on that well --
13 and he did.

14 Q. And you personally obtained Exhibit 17, the
15 Triple N information?

16 A. That's correct.

17 MR. BRUCE: Mr. Chairman, I move the
18 admission of Exhibits 10 through 15, 16, 16A and 17.

19 CHAIRMAN FESMIRE: Any objection?

20 MR. CARR: No objection.

21 CHAIRMAN FESMIRE: The record will reflect
22 that Exhibits 10 through 15, 16, 16A and 17 are admitted.
23 (Agua Sucia Exhibits 10 through 16, 16A and 17 were
24 admitted.)

25 MR. BRUCE: And I pass the witness.

1 CHAIRMAN FESMIRE: Mr. Carr?

2 CROSS-EXAMINATION

3 BY MR. CARR:

4 Q. Mr. Lee, just a few questions. Let's go to
5 Exhibit 10.

6 A. Sure.

7 Q. This is just a production history on the
8 Government E well before it was converted to a disposal
9 well; is that correct?

10 A. That's correct.

11 Q. We have 181,000 barrels of oil and 121,000
12 barrels of water taken out of that well?

13 A. Yes, sir.

14 Q. That totals approximately 310,000 barrels?

15 A. We have --

16 Q. 302,000?

17 A. Well, yes, based on what you see. But because
18 I've got gas, I've got to put the gas pump back in the
19 solution. That's why --

20 Q. That's the total volume of oil and water taken
21 out of the well?

22 A. That's correct. That equivalates to about
23 400,000 reservoir barrels taken out. Yes, sir.

24 Q. Now, go to Exhibit Number 11. Doesn't that
25 show the cumulative injection into that well?

1 A. 3.2 million barrels.

2 Q. So you put 3.2 million in, and you've taken
3 302,000 out?

4 A. Yes, sir.

5 Q. Where did that go?

6 A. The --

7 Q. Was it in the Bone Spring?

8 A. Yes.

9 Q. Didn't you also have some going into the
10 Queen?

11 A. Yes. I think --

12 Q. Do you know how much went in any of these
13 places?

14 A. You know, if I -- it would take some figuring.
15 I'm going to say before 2006, I think those volumes were
16 going into the Bone Spring.

17 Q. And you think the wellbore integrity was
18 established in 2006?

19 A. Yes. And the reason I say that is in '95, we
20 had an MIT that was good. So the train wreck occurred
21 some time after that. Looking at that injection curve,
22 just with those volumes going up, something changed. And
23 so that would be a point that I'd point to and say,
24 "Maybe it happened then."

25 After that, I think some of the water is going

1 down into the Bone Spring. Maybe some is going into the
2 Queen. We know some is definitely going to the Queen,
3 because that's what you showed us last time.

4 Q. If we look at your Exhibit Number 12, the
5 integrity of the well, I believe you just testified that
6 you believe it was sound through when?

7 A. 9 of '05.

8 Q. Anything beyond that?

9 A. Previous to that, I think the well had
10 integrity because my MIT was good.

11 Q. When you saw that the Government E was shut in
12 in early '08, you would agree you do see a drop in the
13 water production?

14 A. That's correct.

15 Q. That was before the time there was any
16 potential increase in wells in the Mescalero Ridge; is
17 that not true?

18 A. Well, the Number 15 was shut in at --

19 Q. Are you telling me that this decline that you
20 see on the water production has nothing to do with
21 Government E?

22 A. Oh, no. It does. I think it's a combination
23 of things.

24 Q. So when there was water coming out of the
25 Government E into the Queen, that would be causing some

1 of this water to be shown produced in 2006, '7 and '8;
2 right?

3 A. Yes, because --

4 Q. And you also had a fairly steady bit of
5 production of water back from '2, '3, '4, right along;
6 did you not?

7 A. Right along before that or --

8 Q. Yes. Uh-huh.

9 A. Yes.

10 Q. Do you think that none of that was from the
11 Government E well?

12 A. I'm not sure where it was coming from, but I'm
13 going to say it wasn't from the Government E. It appears
14 that we had mechanical integrity.

15 Q. So there would be no influence on that water
16 curve from the Government E?

17 A. Based on the data that I've looked at so far,
18 I would say yes.

19 Q. We had that new log that you produced today --
20 I don't know what you call it -- inspection log. That
21 was in 2001. That also showed the integrity of the well
22 in 2001?

23 A. Yes.

24 Q. When you stopped injecting in the Government E
25 during 2001, we also see a decline in the water during

1 that period; do we not?

2 A. You saw an increase.

3 Q. You don't see in the year 2001, from January
4 to December, a decline in the water production?

5 A. I see a tremendous increase from like October
6 of 2000 to the first part of 2001.

7 Q. What about to the end of 2001? What does the
8 water do in that 12-month period?

9 A. It drops off.

10 Q. It drops. But we have wellbore integrity
11 then, too; do we not?

12 A. That's correct.

13 Q. So you're seeing all this water jumping
14 around, you see all the oil production fairly constant,
15 but you think it's not coming from an outside source? Is
16 that your testimony?

17 A. That is correct. And I guess one reason I
18 think that is, when I look at my Exhibit 13, I look at
19 the offset injection in 35, that water injection also
20 started dropping in mid-2000. It takes a little while
21 for a response to kind of get there. So by the time 2001
22 rolls around, I severely cut back my Section 35 injection
23 volumes also.

24 Q. I believe you testified that you think the
25 wellbore is sound today, so you have integrity today?

1 A. Yes, sir, after all the work was done.

2 Q. And we had integrity through, I guess, about
3 2006?

4 A. That's my guess, yes, sir.

5 Q. And so what we have today, we're going to see
6 something comparable to what we had prior to 2006,
7 because we have a sound Government E both times?

8 A. You want to see something comparable --

9 Q. The wellbore was sound from 2006 until today?

10 A. Yes, sir.

11 Q. So we're back to where we were then?

12 A. Not necessarily.

13 Q. All this --

14 A. The reason not necessarily is because I know
15 we've put water into the Queen. So there was water that
16 went out that's out in that reservoir right now that's
17 going to need to be produced. I don't know how much that
18 is, but I know that there was water that went into the
19 Queen. So that's something that's different now.

20 Q. But you're telling me that the way the water
21 curve jumped around prior to 2006 has nothing to do with
22 the Government E, and the wellbore was sound at that
23 time?

24 A. Based on the data I see, yes, sir.

25 Q. And then when the wellbore developed problems,

1 we don't see a change in the curve. But that didn't have
2 anything to do with the Government E; right?

3 A. No. The water production went up. It went
4 from like 7,000 to almost 9,000 barrels a month.

5 Q. And the volumes you're seeing was injected out
6 of the Government E?

7 A. No. I'm saying that would be the volumes that
8 would injected out of the Government E that passed
9 through the reservoir that came out the producing wells.
10 There could be -- because the reservoir is somewhat --

11 Q. There could be a lot more water there?

12 A. There could be water left in the zone, yes,
13 sir.

14 Q. And if I was trying to produce in that zone,
15 I'd have to deal with that water now; would I not?

16 A. Yes.

17 Q. And that's been put in by a prior operator, so
18 you wouldn't have any responsibility for that? Is that
19 true of your testimony?

20 A. I wouldn't have any responsibility for the
21 water that's in the formation?

22 Q. That it's okay. We have a new operator today,
23 and the water is there?

24 MR. BRUCE: I would object insofar as that
25 calls for a legal conclusion.

1 MR. CARR: I think the answer is obvious.
2 That concludes my examination.

3 CHAIRMAN FESMIRE: I'll sustain the
4 objection.

5 Commissioner Bailey?

6 EXAMINATION

7 BY COMMISSIONER BAILEY:

8 Q. Look at Exhibit 12 for the year 2009. We see
9 water production take a significant jump during 2009?

10 A. Yes.

11 Q. The Government E is shut in?

12 A. Yes.

13 Q. So that jump in water production cannot be
14 attributed to the injection well?

15 A. No.

16 Q. Do you have an explanation of why that
17 production would have jumped?

18 A. My research showed that the Well Number 15,
19 which is in unit letter A of 35, just offset the
20 Armstrong unit --

21 MR. BRUCE: Is that a Merit well?

22 THE WITNESS: Yes, it was Merit at the
23 time. It's Linn Energy now.

24 In this curve, it's shown in Exhibit 13, the
25 second curve back. It starts injecting kind of in the

1 middle of 2009.

2 So seeing an increase in water, seeing my
3 offset injection well come back on line, I looked at that
4 and said it seemed to be logical to think that that may
5 be where the water was coming from.

6 COMMISSIONER BAILEY: That's all.

7 CHAIRMAN FESMIRE: Commissioner Olson?

8 EXAMINATION

9 BY COMMISSIONER OLSON:

10 Q. Just a follow up on that. How far away is
11 the -- I guess the Number 15 from Armstrong wells?

12 A. I'm just going to guess here, because I'm
13 looking at a map here.

14 I'd like to also say that that Sarah Sue well
15 that we saw was about maybe 1,000 feet from the Number
16 15. And the Armstrong well, the closest well, would be
17 the Number 5. It's maybe 11-, 12-, 1,300 feet, maybe, so
18 somewhat comparable. Their well is a little further away
19 than the Sarah Sue well. It's a location away,
20 basically, cattycorner.

21 COMMISSIONER OLSON: That's all I have.

22 EXAMINATION

23 BY CHAIRMAN FESMIRE:

24 Q. Along those same lines there, we see
25 essentially, in the short term, a doubling of the water

1 production due to an injector in the pay zone coming on
2 line, and no increase in oil production. This looks like
3 it continues down the decline curve.

4 A. You know, based on what I'm showing, I would
5 say you're probably right. I wish I had -- and I don't
6 know how it would look, frankly. There's been --
7 injection was going on on the Mescalero Ridge Unit since
8 1974, I think.

9 If I was to look at the rest of the whole
10 Armstrong curve back to 1974, I don't know if I would
11 have seen an increase in there or not. Frankly, I wasn't
12 really looking at it that hard from that perspective. I
13 was looking at it more up here, within the last, you
14 know, 10, 12 years of the life of it.

15 Q. Okay. I think, from this curve, from what
16 happened in 2008, we can definitively say that the
17 Government E was affecting it. But it looks like there
18 are other things affecting the Armstrong wells also,
19 aren't there?

20 A. I would agree, yes.

21 CHAIRMAN FESMIRE: I have no further
22 questions.

23 Mr. Bruce, anything to follow up on?

24 MR. BRUCE: No.

25 CHAIRMAN FESMIRE: Mr. Lee, thank you very

1 much.

2 THE WITNESS: Thank you.

3 CHAIRMAN FESMIRE: Mr. Bruce, do you have
4 another witness?

5 MR. BRUCE: I rest my case.

6 CHAIRMAN FESMIRE: Mr. Carr, do you have a
7 witness?

8 MR. CARR: I know you'll be glad to hear I
9 have several.

10 CHAIRMAN FESMIRE: You understand that we
11 may not get to them all today?

12 What is the pleasure of the Commission?
13 Seriously.

14 MR. BRUCE: Mr. Chairman, could I
15 interrupt? Could my witnesses be excused? Because they
16 need to change their flights right away. If they could
17 be excused from the room temporarily --

18 CHAIRMAN FESMIRE: As long as you don't
19 think you need them.

20 MR. BRUCE: We will do whatever the
21 Commission pleases.

22 MR. CARR: What is your pleasure? We've
23 got a while.

24 CHAIRMAN FESMIRE: If I remember
25 correctly, it says two hours or something.

1 Commissioner Bailey?

2 COMMISSIONER BAILEY: I brought food.

3 MR. CARR: It may not take that long.

4 CHAIRMAN FESMIRE: Commissioner Olson?

5 COMMISSIONER BAILEY: I brought food to
6 share.

7 MR. CARR: Can we take about a five-minute
8 recess?

9 CHAIRMAN FESMIRE: Okay. Why don't we do
10 that?

11 (A recess was taken.)

12 CHAIRMAN FESMIRE: At this point, after
13 discussion with counsel and recognizing the time, we are
14 going to go ahead and continue this case until the
15 December 7th meeting -- or December 9th, I'm sorry. And
16 we will reconvene in this room on December 9th at 9:00
17 a.m. We'll see you all there.

18 (The hearing was adjourned at 5:00 p.m.)

19

20

21

22

23

24

25


REPORTER'S CERTIFICATE

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I, JACQUELINE R. LUJAN, New Mexico CCR #91, DO
HEREBY CERTIFY that on November 4, 2010, proceedings in
the above captioned case were taken before me and that I
did report in stenographic shorthand the proceedings set
forth herein, and the foregoing pages are a true and
correct transcription to the best of my ability.

I FURTHER CERTIFY that I am neither employed by
nor related to nor contracted with any of the parties or
attorneys in this case and that I have no interest
whatsoever in the final disposition of this case in any
court.

WITNESS MY HAND this 17th day of November,
2010.


Jacqueline R. Lujan, CCR #91
Expires: 12/31/2010