

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION DIVISION FOR
THE PURPOSE OF CONSIDERING:

APPLICATION OF ENSTOR GRAMA RIDGE STORAGE AND TRANSPORTATION, LLC, FOR
THE ESTABLISHMENT OF PRESSURE LIMITATION
FOR INJECTION WELLS IN THE GRAMA RIDGE
STORAGE AREA, LEA COUNTY, NEW MEXICO

CASE NO. 14518

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: WILLIAM V. JONES, Technical Examiner
MARK E. FESMIRE, Legal Examiner

July 22, 2010

Santa Fe, New Mexico

2010 AUG 5 P 11:42
RECEIVED OGD

This matter came on for hearing before the
New Mexico Oil Conservation Division, WILLIAM V. JONES,
Technical Examiner, and MARK E. FESMIRE, Legal Examiner,
on Thursday, July 22, 2010, at the New Mexico Energy,
Minerals and Natural Resources Department, 1220 South
St. Francis Drive, Room 102, Santa Fe, New Mexico.

REPORTED BY: Jacqueline R. Lujan, CCR #91
Paul Baca Professional Court Reporters
500 Fourth Street, N.W., Suite 105
Albuquerque, NM 87103 505-843-9241

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A P P E A R A N C E S

FOR THE APPLICANT:

WILLIAM F. CARR, ESQ.
 HOLLAND & HART, LLP
 110 North Guadalupe, Suite 1
 Santa Fe, New Mexico 87501
 (505) 988-4421

WITNESSES: PAGE

Darryl Gee:
 Direct examination by Mr. Carr 10
 Examination by Examiner Jones 19

Vicki Devine:
 Direct examination by Mr. Carr 27
 Examination by Examiner Jones 36

John Wells:
 Direct examination by Mr. Carr 38
 Examination by Examiner Jones 49
 Examination by Examiner Fesmire 58

Also present:

Tom Barron

INDEX PAGE

EXHIBITS 1, 2, AND 3 WERE ADMITTED 19
 SUMMARIES, STRUCURE MAPS, AND EXHIBIT 10
 WERE ADMITTED 36
 EXHIBITS 5 THROUGH 9 WERE ADMITTED 49
 REPORTER'S CERTIFICATE 63

1 EXAMINER JONES: Okay. Let's call Case
2 Number 14518, application of Enstor Grama Ridge Storage
3 and Transportation, LLC, for the establishment of
4 pressure limitations for injection wells in the Grama
5 Ridge Storage Area, in Lea County, New Mexico. Call for
6 appearances.

7 MR. CARR: May it please the Examiner? My
8 name is William F. Carr, with the Santa Fe office of
9 Holland & Hart, LLP. We represent Enstor Grama Ridge
10 Storage and Transportation, LLC, in this matter, and I
11 have three, perhaps four, witnesses.

12 EXAMINER JONES: Any other appearances?
13 Will the witnesses all please stand and state your names?
14 And will the court reporter please swear the witnesses?

15 MR. GEE: Darryl Gee, G-e-e.

16 MS. DEVINE: Vicki Devine, D-e-v-i-n-e.

17 MR. BARRON: Tom Barron, B-a-r-r-o-n.

18 MR. WELLS: John Wells.

19 (Four witnesses were sworn.)

20 MR. CARR: May it please the Examiner? I
21 need to make an opening statement in this case. We are
22 actually here for the second part of a matter that was
23 presented to the Division on July 23rd, 2009. And we
24 presented the first part of the case to Examiners Warnell
25 and Ezeanyim. With your permission, I'd like to provide

1 some background, so that I can -- I'm going to try and
2 put in context what we plan to present here this morning.

3 We're talking about the Grama Ridge Morrow
4 Storage Unit. It was approved initially in 1973, and it
5 operates under what is really an unusual regulatory
6 scheme. Here we have one gas storage project, but it's
7 operated pursuant to two separate regulatory plans.

8 The first exhibit in our packet is a plat. If
9 you would look at this, this is actually the area of
10 review map from the case we presented a year ago. And,
11 basically, what it shows is that we have a six-section
12 storage project located in Lea County, New Mexico. Three
13 of those sections, Sections 33, 34, and 3, are state and
14 fee lands. And they are operated as part of a storage
15 project pursuant to the unit agreement for the operation
16 of the Grama Ridge Morrow Unit area. So those three
17 sections are operated pursuant to a unit agreement.

18 All of these, you need to keep in mind, were
19 approved prior to the C-108 process that we are familiar
20 with today. And when the case was originally presented
21 back in 1973 to the Division, the witnesses advised at
22 that time that they intended to go forward with the
23 project, and they intended to only report changes and
24 things like injection pressure to the land office. And
25 the OCD approved it, and that's what the prior operators

1 actually did. And that was the scheme that applied to
2 the state and fee portion of the unit.

3 Then we had Section 4, a federal tract, that
4 it became clear was not in the unit but in communication
5 with the unit. So the operator at that time, Llano, went
6 to the BLM to propose expanding the unit to take that
7 tract, that section, in, that the BLM determined they did
8 not want to be part of a three-way agreement between the
9 operator, the State and the BLM. So they entered a
10 separate agreement.

11 That agreement is called "the agreement for
12 the subsurface storage of gas, Morrow Formation, Grama
13 Ridge Area, Lea County, New Mexico." So that's the
14 federal storage agreement. That agreement and the unit
15 agreement cross-reference each other, and the provisions
16 are compatible. But what we have is a six-section
17 storage project, three of them operated pursuant to a
18 unit agreement, and now three of those sections operated
19 under this agreement with the federal government. The
20 federal sections are Sections 4, 9, and 10.

21 And keep in mind, again, with the exception of
22 Section 9, which was the case we brought last year, in
23 which Section 4 was added and an injection well was
24 approved, and a 5,000 pound surface injection pressure
25 was approved. All of this occurred back before April

1 15th of 1981, and prior to the current C-108 process.

2 In 2005, Enstor acquired the Grama Ridge and
3 became operator of this storage project. And since that
4 time, they have undertaken a major effort to bring this
5 project into line with current regulations at a state and
6 federal level. And they have taken what was an outdated
7 and really difficult to administer administrative scheme,
8 and they have brought it into line with current
9 regulations. They have, in essence, as Mr. Fesmire
10 described it at one point, been trying to re-boot this
11 unit to bring it in line with current rules and
12 regulations.

13 Last year, as Enstor looked at adding an
14 additional injection well, they became concerned about
15 the nature of the prior approvals. They also were faced
16 with a situation where they needed to quickly go forward
17 and add Section 4 because of commitments with other
18 operators. So we met with you, Mr. Fesmire, and Ms.
19 Altomare.

20 At that time, we were seeking authorization to
21 add Section 9 to the Grama Ridge Unit, this federal
22 section. What we were seeking was the authority to
23 inject at 5,000 pounds in that well. The BLM brought the
24 federal tract in, and there are also some special rules
25 that we wanted also to apply to our activities in Section

1 9.

2 At that meeting the OCD agreed that we could
3 go to hearing in 2009 on the well in Section 9, and you
4 agreed that we could continue to operate the other wells
5 and inject at those current pressures. We agreed at our
6 meeting that, after we obtained approval for the well in
7 Section 9, we would come back and provide C-108 coverage
8 under current rules for the other wells and seek your
9 approval of the 5,000 pound surface injection pressure
10 for all of these wells.

11 In 2009, the BLM expanded the unit, and we
12 were able to negotiate with them a restated unit
13 agreement. We have been able to go to the Land Office,
14 and we have modernized all our agreements with the State
15 Land Office.

16 And last year, the Oil Conservation Division
17 entered Order Number R-13174. They approved the
18 injection in the well in Section 9. They approved the
19 5,000 pound surface injection pressure for that well and
20 expanded all rules that applied to the storage project to
21 Section 9. Order 13174 was entered in Case 14332, and I
22 would ask that you incorporate the record of that case
23 into this proceeding, because this really is an extension
24 of what was presented there. And all relevant unit
25 documents that go back over the years were admitted into

1 the record in that case.

2 You will also find, Mr. Jones, Order R-13174,
3 correctly, and in some detail, summarizes the history of
4 the unit and clarifies what I have just addressed here
5 today. But I think it's also important, as we start this
6 case, to remember that the evidence is going to show that
7 the project was approved, it was approved under rules
8 that were in place at that time, and it has been a
9 project going forward now for 35 years.

10 They haven't been operating without keeping
11 the OCD in the loop. They have come periodically to the
12 OCD with various matters. This order, in fact, will be
13 the 21st order since 1973, that in one way or another,
14 involves issues that relate to the Grama Ridge storage
15 project. And I hate to report to you that I participated
16 in the 1973 hearing, and I've been involved in every case
17 that resulted in each of these orders since that time

18 EXAMINER JONES: We're lucky to have you
19 here.

20 MR. CARR: I am not so sure I'm lucky to
21 be here. But it's important to know that this has not
22 been something that's been done outside of a relationship
23 with the OCD. Not only have there been all of these
24 hearings, but all the injection pressures and all the
25 volumes and everything they're required to report, they

1 have been reporting to you.

2 So today, this will be what we hope will be
3 the final step in an effort to bring this project in line
4 with every regulatory requirement, state and federal.
5 And we're asking you to re-approve for the injection
6 wells so we can continue to inject at the 5,000 p.s.i.
7 surface injection pressure. And we are also going to
8 request that you authorize us to add additional wells to
9 the project through an administrative procedure without
10 coming back to hearing.

11 Today we're going to initially call three
12 witnesses. Darryl Gee, the director of regulatory
13 matters for Enstor, will give you a brief history of the
14 project and confirm that we have given appropriate notice
15 of today's hearing.

16 Vicki Devine, our geologist who has assisted
17 in the preparation of the C-108 applications, is going to
18 review her study of the geology, in particular, the
19 Morrow Formation in the area surrounding this project.
20 And John Wells, our engineering witness, is going to
21 present the C-108 applications and address the pressure
22 issue. We also have Thomas F. Barrons with us. He's a
23 drilling engineer, in case you have questions that fall
24 within his area of expertise.

25 With that, I would like to call Darryl Gee.

1 EXAMINER JONES: For the record, we'll
2 incorporate the record of Case 14332 into this case.

3 DARRYL GEE

4 Having been first duly sworn, testified as follows:

5 DIRECT EXAMINATION

6 BY MR. CARR:

7 Q. Would you state your name for the record,
8 please?

9 A. Yes. It is Darryl Wayne Gee.

10 Q. Where do you reside?

11 A. Houston, Texas.

12 Q. By whom are you employed?

13 A. Enstor Operating Company, LLC, in Houston,
14 Texas.

15 Q. What is your current position with Enstor?

16 A. I am director of regulatory affairs and land
17 management for Enstor.

18 Q. Could you explain to Mr. Jones who Enstor is?

19 A. Enstor is a company that owns and operates gas
20 storage facilities throughout the United States. It is a
21 subsidiary of Iberdrola Renewables. Iberdrola Renewables
22 is, of course, one of the largest wind developers in the
23 nation. And, of course, both companies are owned by
24 Iberdrola, a Spanish utility company.

25 Q. Are you registered to do business in the State

1 of New Mexico?

2 A. Enstor Grama Ridge Storage and Transportation,
3 LLC, is registered to do business in New Mexico.

4 Q. And you have owned and operated the Grama
5 Ridge Storage Unit since 2005?

6 A. Yes.

7 Q. Have you previously testified before the Oil
8 Conservation Division and had your credentials as an
9 expert in land matters accepted and made a matter of
10 record?

11 A. Yes. That was a year ago tomorrow.

12 Q. And you were our land witness at that time?

13 A. That's correct.

14 Q. Have you ever testified before Mr. Jones?

15 A. No, I have not.

16 Q. Could you review for the Examiner your
17 educational background and work experience?

18 A. Sure. In 1985, I received a bachelor of
19 applied arts and sciences degree with a double major in
20 petroleum technology and petroleum land management, and
21 post-graduate studies in business administration. In
22 1987, I began my career as a self-employed landman.

23 I ended up having and owning my own brokerage
24 firm in Houston, Texas, for a number of years, until
25 1991, when I left the brokerage firm. Then I started and

1 began work as a land manager for Western Gas Resources
2 there in Houston, Texas.

3 From that point, until 2001 -- or 1999 --
4 excuse me -- I was with Aquila Energy in Houston. And
5 then in 2002, I left Aquila and became an employee of
6 Enstor Operating Company in Houston.

7 Q. Are you familiar with the application filed in
8 this case on behalf of Enstor Grama Ridge?

9 A. Yes.

10 Q. Are you familiar with Enstor's operation of
11 the Grama Ridge storage project area?

12 A. Very much so.

13 Q. Are you familiar with the status of the lands
14 in the area that are the subject of today's application?

15 A. I am.

16 MR. CARR: May it please the Examiner? We
17 tender Mr. Gee as an expert landman.

18 EXAMINER JONES: Mr. Gee is qualified as
19 an expert in land matters.

20 1987 was a tough year.

21 THE WITNESS: Yes, it was.

22 EXAMINER JONES: You hit the ground
23 running and survived in a tough time.

24 THE WITNESS: By the skin of my teeth.

25 EXAMINER JONES: I think I remember Aquila

1 from the '90s. I understand the storage business is very
2 much in demand right now.

3 THE WITNESS: It has been. And,
4 hopefully, it will continue to be.

5 Q. (By Mr. Carr) Could you please briefly
6 summarize what it is Enstor seeks with this application?

7 A. Yes. Enstor seeks authorization approving for
8 a surface injection pressure limit of 5,000 p.s.i.g. at
9 the existing Grama Ridge storage injection wells.

10 Q. These are previously approved injection wells?

11 A. That's correct.

12 Q. So what we're really doing is seeking a
13 re-approval at the 5,000 pound injection pressure?

14 A. That's correct.

15 Q. And I think what we ought to do at this time,
16 if you could, why don't you take out Exhibit Number 1 and
17 review the information on this exhibit for the Examiner?

18 A. Exhibit Number 1 is a land plat depicting the
19 six-section Grama Ridge Morrow storage unit in Lea
20 County, New Mexico. It's comprised of Sections 34, 33,
21 Section 4, Section 3, Section 9, and Section 10.

22 Q. Can you point out the wells that are the
23 subject of today's hearing?

24 A. Sure. You will have four wells. You'll have
25 one in Section 33. It's about in the middle of that

1 particular section. The other is in Section Number 34.
2 That's going to be in the southwest quarter section of
3 34.

4 Q. That's your Number 2 well?

5 A. That's correct. And right in the dead heart
6 of Section 4 is another one of our wells.

7 Q. The Number 4 well?

8 A. That's correct. And the Number 3 is in
9 Section 3.

10 Q. That's in the northwest quarter of 3?

11 A. Correct.

12 Q. The well in Section 33, the Number 3 well, are
13 you going to use that well for injection?

14 A. We propose to use that well for a monitor
15 well, to monitor pressures in the reservoir.

16 Q. But to be sure we have touched every
17 regulatory stone, you've also included a C-108
18 application for that well?

19 A. Correct.

20 Q. If we go down to Section 9, in the northeast
21 quarter of Section 9, there's also an injection well.
22 Was that approved a year ago?

23 A. Yes.

24 Q. That's the well we were dealing with BTA
25 trying to acquire?

1 A. Right. It's the Grama Ridge Federal 8817 JVP
2 Number 1 well.

3 Q. Those are all the wells that we're operating
4 in this storage unit?

5 A. Correct.

6 Q. Is Enstor also seeking a procedure whereby you
7 could add additional injection wells to this unit area
8 through an administrative process without coming to
9 hearing?

10 A. That's correct. Yes.

11 Q. If we look at the map, the federal lands are
12 which of these sections?

13 A. Federal lands are going to be Section 4, 9,
14 and 10.

15 Q. And the remainder of those are state fee
16 lands?

17 A. State and fee lands, yes.

18 Q. Let's go to Exhibit 2. Would you identify
19 that for the Examiner, please, and very briefly summarize
20 what this shows?

21 A. Exhibit Number 2 is the long and storied
22 history of the Grama Ridge storage facility and its
23 regulatory proceedings that have taken place since the
24 beginning of time. I believe, again, 1973 was the first
25 proceeding.

1 Q. Basically, this shows the approval of the
2 original unit and the addition of the various sections to
3 get to the current size of the unit?

4 A. That's correct.

5 Q. And indicates when the injection wells were
6 approved?

7 A. That's correct.

8 Q. Then the third page is similar information on
9 the federal lands in the unit?

10 A. That's correct.

11 Q. All injection wells were approved at the
12 state. This federal agreement just is the addition of
13 the lands and the operation of those?

14 A. (Witness nods head.)

15 Q. And then we have a section at the end that
16 relates to protection of the storage reservoir. These
17 orders actually related to the case a year ago, did they
18 not?

19 A. They did.

20 Q. At this point in time, all rules that protect
21 the integrity of this unit by OCD order applied to all of
22 the six sections in this particular storage project?

23 A. They do.

24 Q. And attached to this are certain OCD orders?

25 A. Yes.

1 Q. We have included only the OCD orders this
2 year, although all other agreements were included in the
3 record a year ago?

4 A. That's correct.

5 Q. Were you involved in last year's expansion of
6 the unit to include Section 9?

7 A. Yes, I was.

8 Q. And what were you able to negotiate with the
9 Bureau of Land Management?

10 A. We successfully negotiated an amended and
11 restated agreement with the BLM to include Section 9.

12 Q. And it's a current, modernized agreement that
13 governs all the federal lands of this acreage?

14 A. It does.

15 Q. Last year you were able to obtain OCD approval
16 for injection in the Number 9 well?

17 A. That's correct. We did.

18 Q. It was at that time that we agreed to return
19 and provide C-108s for the other wells in the area to
20 bring this project in line with current OCD regulations?

21 A. That's correct.

22 Q. Has notice of this application been provided
23 in accordance with the rules of the OCD?

24 A. It has.

25 Q. And to whom has notice been provided?

1 A. We have provided notice to all interest owners
2 within a mile of each one of the current injection
3 withdrawal wells that was parcipitated out of a
4 discussion with the OCD as far as guidance as far as the
5 notice.

6 Q. We met with Mr. Brooks to confirm the parties
7 with whom notice should be provided, and we enlarged the
8 notice area so we would pick up all offsets?

9 A. Yes.

10 Q. And those are the notice letters that have
11 been provided?

12 A. Yes.

13 Q. Is Exhibit 3 an affidavit confirming that
14 notice of today's hearing has been provided?

15 A. Yes.

16 Q. Have you had discussions or contacts from any
17 interest owner in response to this notice?

18 A. Only one, and that would be with the Bureau of
19 Land Management. And what happened then is that they had
20 some initial questions, and I answered those questions to
21 their satisfaction, and all have been resolved.

22 Q. And who did you visit with at the BLM?
23 Mr. Ingram?

24 A. Wesley Ingram.

25 Q. Will Enstor call technical witnesses to review

1 the geological and engineering portions of the
2 application?

3 A. Yes, we will.

4 Q. Were Exhibits 1 through 3 either prepared by
5 you or had you reviewed them and can you testify as to
6 their accuracy?

7 A. Yes.

8 Q. That concludes my examination of Mr. Gee, and
9 I would move the admission of Enstor Exhibits 1 through
10 3.

11 EXAMINER JONES: Exhibits 1, 2 and 3 will
12 be admitted.

13 (Exhibits 1, 2 and 3 were admitted.)

14 EXAMINATION

15 BY EXAMINER JONES:

16 Q. So you dealt with the Carlsbad office of the
17 BLM?

18 A. Yes.

19 Q. And the well in Number 10, which well is that?

20 A. We do not have an injection withdrawal well in
21 Section 10.

22 Q. Okay. But do you plan on putting a well
23 there?

24 A. At some point in time in the future, we may.

25 Q. You wanted an administrative procedure to do

1 it --

2 MR. CARR: So we could simply file the
3 C-108. And when we satisfy you in that regard, we could
4 expand the unit without coming back for a full hearing.

5 EXAMINER JONES: The notice that was
6 provided, did it cover the bases that that well might be
7 added in the future? In other words, it was a notice in
8 perpetuity?

9 MR. CARR: The notice that was provided
10 was to the owner of the surface of the land and each
11 owner within a half mile. And then we expanded that to
12 go to a mile, because that enabled us to pick up every
13 interest owner in the unit.

14 And if we filed a new C-108 application, we
15 would, again, have to provide notice at that time. So
16 this would not mean that there would be no additional
17 notice. It means we would just be within the four
18 corners of the C-108 application as it applied to that
19 one individual well.

20 EXAMINER JONES: Okay. I think I might be
21 asking for a draft order of this case --

22 MR. CARR: We can do that.

23 EXAMINER JONES: -- just to make sure I
24 don't mess it up.

25 MR. CARR: That means I get to mess it up.

1 EXAMINER JONES: That way I can blame him.

2 No, I wouldn't do that. Okay.

3 Q. (By Examiner Jones) So that was the meeting
4 with the feds. What about the state and fee people? Was
5 there any -- as far as what we're trying to do today, did
6 you meet with them for any reason?

7 A. Previously we had met in 2006 with the state
8 and entered into a new agreement, and you'll see this in
9 the record of the previous case that was had last year, a
10 new agreement with the state that allows us to do -- have
11 full use and enjoyment of the state-owned lands for use
12 of natural gas storage. So we already have all of that
13 in the process and it's done. We have not had any calls
14 or concerns from any of the smaller fee interest owners.

15 But everything else has been resolved with the
16 state and with the BLM, so no contest.

17 Q. So they're in agreement as to the depths of
18 the storage?

19 A. Yes.

20 Q. In the Morrow -- it will be in the Morrow.
21 I'm sure we'll talk about that.

22 A. These wells are existing wells that have been
23 drilled and completed and used for injection of natural
24 gas for years. And so we're not changing the interval.
25 All we are doing is for cleaning up the record, if you

1 will, the procedural record, because the project itself
2 predated the C-108 process.

3 EXAMINER JONES: Yes. And even the C-108
4 is a little old itself. The actual rules -- C-108 has
5 been there a long time, but the actual rules according to
6 notice is stated a little more clearly, I would say, in
7 the rules now as to what they say in the form, C-108
8 form.

9 MR. CARR: Also, you need to know that
10 when we started back in '73, this was simply a voluntary
11 unit agreement, and that was approved by the
12 Commissioner.

13 As we moved through time, questions really
14 came up whether or not this was a producing unit that
15 would hold the acreage, or was it more accurate to
16 describe what had been granted by the state as actually
17 being more in the nature of an easement. Yet you
18 couldn't just go to the easement side of the question,
19 because there might be some residual gas or some
20 enrichment.

21 So it was a very detailed negotiation with the
22 Land Office to come forward with a new unit agreement
23 that they recognize is also in the nature of an easement.
24 But we put that all together soon after Enstor took over,
25 and we got the Land Office part of it together.

1 We actually assumed that we were all right,
2 because it looked like they had proper OCD approval. It
3 was only when the well was being added in 9 that we
4 started going through and we didn't have the full C-108
5 review or the pressure approvals. We had the initial
6 pressure with a statement that we're going to increase
7 it, and we had reported it. But we're just trying to
8 finish an effort to be sure we correct every regulatory
9 stone on this project.

10 EXAMINER JONES: Pressure is pretty
11 important on a storage project.

12 Q. (By Examiner Jones) The requirements that
13 still exist for reporting to the state is that -- do they
14 still want you to report the pressures all the time to
15 them?

16 A. We do. We stay in constant contact, of
17 course, with the OCD as far as our monthly 131
18 submittals. But with the State Land Office, it's not
19 necessary that we report the pressures, but we report
20 volumes to them, and we compensate them based on volumes.

21 So we're constantly in communication with the
22 State Land Office and the Bureau of Land Management and
23 the small fee interests that we have. So we're always
24 communicating with those three.

25 Q. So the volumes, you're talking about the

1 volume of the reservoir or the volume that you put in and
2 withdraw?

3 A. Injection withdrawal.

4 Q. The volume of the actual reservoir, has it
5 been estimated and considered to be -- has it been
6 reported to the state? The State Land Office is the same
7 as the feds; is that correct? Or is that not pertinent
8 to this?

9 A. It will and it has been. And, again, I
10 believe you and I had a discussion a couple of weeks ago,
11 maybe a month ago, about volumetrics and what the federal
12 government has as far as what we've reported to the
13 federal government and what we should report to the OCD
14 as far as the new expansion capacity with the addition of
15 Section 9. And we are reporting that now, since we have
16 commenced injection into that new well in Section 9.

17 Q. This easement thing, I'm sure is -- maybe it's
18 cutting edge legal. I don't know. But something to
19 do -- maybe it's similar to the CF2 sequestration that
20 might happen sometime on other --

21 MR. CARR: I don't know if it's cutting
22 edge or safety net, because the unit is held by
23 production. And if --

24 EXAMINER JONES: It's a voluntary unit.

25 MR. CARR: And if there really is

1 production after 35 years of injection and withdrawal and
2 prepayments for any residue gas years and years ago that
3 might have been in the reservoir, you don't want the
4 thing to terminate. So if you structure it as also in
5 the nature of an easement, I think you protected the
6 unit, and I think that's what this was about. It
7 protected the project.

8 EXAMINER JONES: Okay. For example, I get
9 questions sometimes on the Rhodes gas storage project,
10 and that's being blown down; is that correct?

11 MR. CARR: I don't know.

12 EXAMINER JONES: This is what the legal
13 guys do. They're very careful about what they say. But
14 if it's being produced, would that go back to a lease
15 status?

16 MR. CARR: It could.

17 EXAMINER JONES: That would be some day in
18 the future?

19 THE WITNESS: Well, here in Grama Ridge,
20 all we are looking at doing is to continue to own and
21 operate this facility and put it in 21st century
22 regulatory regime, if you will, and with the potential
23 for additional expansion.

24 With the addition of Section 9, we have been
25 very pleased with some of the initial results with the

1 addition of the new well. We are looking at the
2 possibility of drilling additional wells. Of course, the
3 process there would involve having to go to both the BLM,
4 if it is on federal land, and also to the OCD for the
5 drilling of permits. And then if we inject or seek to
6 use the well for injection withdrawal, a C-108 will --
7 we'll go through that process.

8 Q. (By Examiner Jones) But that's not -- this
9 request to administratively expand, are you talking in
10 terms of additional perforations in existing wells, or
11 are you talking about the additional wells within these
12 six sections, or are you talking about expanding the six
13 sections?

14 A. No. We would only be talking about drilling
15 of new wells within the confines of the six sections
16 being the storage unit area. And it would not be for
17 going into the existing wells to perforate other
18 intervals that have not already been perforated, per se.
19 But it would be for new wells within the six sections of
20 the storage area.

21 Q. Okay. And it's fixed as far as the top and
22 bottom of the storage?

23 A. (Witness nods head.)

24 EXAMINER JONES: Okay. I better stop. I
25 don't have any more questions.

1 MR. CARR: I have no further questions of
2 this witness. We would call Vicki Devine.

3 VICKI DEVINE

4 Having been first duly sworn, testified as follows:

5 DIRECT EXAMINATION

6 BY MR. CARR:

7 Q. Would you state your name for the record,
8 please?

9 A. Vicki V. Devine.

10 Q. Ms. Devine, where do you reside?

11 A. Denver, Colorado.

12 Q. By whom are you employed?

13 A. I'm self-employed.

14 Q. What is your relationship with Enstor?

15 A. I'm the consulting geologist on the Grama
16 Ridge project.

17 Q. Have you previously testified before the Oil
18 Conservation Division?

19 A. I have, last year at that time.

20 Q. You have not testified before Mr. Jones?

21 A. I don't think so.

22 Q. Would you review for the Examiner your
23 educational background and your work experience?

24 A. Certainly. I received a bachelor of science
25 degree in geology from the University of Georgia, then a

1 master's degree in geology from the University of Texas,
2 then an MBA in finance from the University of Colorado in
3 Denver.

4 I started work in 1980 as an exploration
5 geologist with Tenneco Exploration and Production in
6 Denver. I stayed there six years, until 1986, when I
7 left as a senior geologist and began consulting.

8 Since that time, so for 24 years, I've been
9 consulting mostly in the Rockies. I worked most of the
10 basins in the Rockies. I have worked the Permian Basin
11 in Texas, the Delaware Basin in Texas and New Mexico,
12 some Coastal Louisiana and Southeastern Kansas in the
13 Cherokee Basin.

14 EXAMINER JONES: Southeastern Kansas has
15 Morrow sand, also?

16 THE WITNESS: Um-hum.

17 EXAMINER JONES: Or at least Southeastern
18 Colorado does.

19 THE WITNESS: Definitely. Yes

20 EXAMINER JONES: Tenneco, I'm not sure
21 anybody knows who owns some of the old Tenneco
22 properties.

23 THE WITNESS: They don't anymore, I can
24 tell you that. They sold the properties and the people.

25 EXAMINER JONES: By state?

1 THE WITNESS: Right. Or by basin,
2 actually.

3 EXAMINER JONES: By basin?

4 THE WITNESS: Um-hum. They did.

5 Q. (By Mr. Carr) Ms. Devine, are you familiar
6 with the application filed in this case?

7 A. I am.

8 Q. Have you made a geological study of the area
9 that is the study of this application?

10 A. I have.

11 Q. Are you prepared to share the results of your
12 work with Mr. Jones?

13 A. I'd be happy to.

14 MR. CARR: We tender Ms. Devine as an
15 expert witness in petroleum geology.

16 EXAMINER JONES: Ms. Devine is a qualified
17 expert in petroleum geology.

18 Q. (By Mr. Carr) Have you prepared exhibits for
19 presentation here today?

20 A. I have.

21 Q. Are they included in each of the C-108
22 applications that have been filed in this case?

23 A. They are.

24 Q. Have you also prepared a cross-section that is
25 not in the C-108?

1 A. Right. That's Exhibit 10, I believe.

2 MR. CARR: May it please the Examiner,
3 with both of our technical witnesses, we're going to look
4 at one C-108. There are four of them. Other than just
5 the depths and the wellbore diagrammatic sketches and the
6 data sheets and areas of review maps, they're virtually
7 the same, and the questions and issues are identical.

8 So with Ms. Devine and also with our
9 engineering witnesses, we're going to review one. If you
10 have any unique questions or concerns about any
11 individual well, we're prepared to respond to them. But
12 it would be very redundant to just march through all
13 four, because they're very similar.

14 EXAMINER JONES: Thank you.

15 Q. (By Mr. Carr) Ms. Devine, could you describe
16 the nature of the Morrow formation in this area?

17 A. Sure. I'll be referring to the structure map.
18 I believe it's on page 11 of Exhibits -- is it 5 through
19 8 or 4 through 7?

20 Q. I need to tell you that I can't count to four,
21 so it's 5 through 8. There is no Exhibit 4. It's my
22 mistake.

23 A. Okay -- and to the stratigraphic
24 cross-section, which is Exhibit 10.

25 Q. Let's go to the first C-108. That's Exhibit

1 Number 5.

2 A. Right.

3 Q. And first just generally describe the nature
4 of the Morrow formation.

5 A. The Pennsylvania Morrow formation in this area
6 of the Delaware Basin consists of two intervals. The
7 lower interval is the Morrow Clastics, which is a series
8 of interbedded sandstones and shales. It's overlaid by
9 the Morrow lime or limestone, which consists of
10 limestones and carbonate shales.

11 The gas in the Grama Ridge Unit is stored in
12 the lower Clastics interval, not in the limestone.

13 If you'll look at the cross-section now, which
14 is Exhibit 10, I'll summarize the stratigraphy and the
15 lithology of the Morrow in the Grama Ridge.

16 MR. CARR: It's the very last exhibit in
17 our package, Exhibit 10.

18 THE WITNESS: It should be the only
19 cross-section in there.

20 EXAMINER JONES: And each C-108, where --

21 MR. CARR: In each packet of exhibits
22 behind the C-108 is a cross-section, and there's one
23 cross-section.

24 THE WITNESS: It's the same cross-section.
25 I put all four wells on there.

1 EXAMINER JONES: Thank you.

2 Q. (By Mr. Carr) Does the cross-section have
3 each of the four wells that are the subject of today's
4 hearing?

5 A. It does. They're labeled at the top, the
6 Grama Ridge Morrow Unit 1, 2, 3, and 4.

7 Q. And the C-108 for the Number 1 well is Exhibit
8 5, and that's what we're looking at?

9 A. Correct.

10 Q. Let's go.

11 A. The cross-section is hung on the top of the
12 Morrow Clastics, which is the black line. That's the
13 horizontal line. The storage unit for New Mexico is
14 indicated in red on the left side of the gamma ray, so it
15 goes from the top of the Clastics interval through the
16 Morrow D.

17 The unit itself is divided into four
18 intervals, the A, B, C, and D. Those are colored in
19 blue, green, red and orange. Those tops are marked on
20 the cross-section. The wells -- I mean the logs that are
21 on the cross-section, the left-most wells, is a
22 normalized gamma ray. The second track in the middle is
23 the sonic porosity, and the right-most track is the
24 resistivity log.

25 You can see that on the cross-section the

1 sandstones are variable within the unit. They occur in
2 all three zones, depending on the well. The Number 3
3 well, which is the second well from the left, is the only
4 one that has sandstone in all three intervals, A, B, C
5 and D. We'll be injecting into the A, B and C, not the
6 D. The D in this area is shaley in type and was
7 nonproductive.

8 You can see when you look at the sands that do
9 exist, that they vary in thickness and they vary in
10 extent. And they also, within each stratigraphic unit,
11 they also vary in the stratigraphic position.

12 In general, the sandstones at Grama Ridge were
13 deposited during base level rise in valleys that were cut
14 into the marine Morrow shales during the previous
15 regressive phases. So the sea came in and filled in the
16 previous valleys. The flooding resulted in the
17 deposition of dip-oriented channel-filled sandstones,
18 along with strike-oriented deltaics, estuarine and
19 marginal marine sandstones.

20 Then you had erosion on top of that, so some
21 of the sands were taken away. The result of the
22 differing deposition and preservation in these multiple
23 environments resulted in discreet sandstones that are
24 about 10 to 30 feet thick. Where they're present,
25 they're discontinuous and generally less than one mile

1 wide. They vary widely in porosity and permeability, and
2 they're interbedded vertically and laterally with tight
3 shales.

4 If you'll now look at the structure map on
5 page 11.

6 Q. Okay. Would you review that?

7 A. Certainly. This structure map is contoured on
8 top of the Morrow A, which is the blue marker on your
9 cross-section. Similar maps on the B and C units look
10 very close to this, obviously, just a little bit deeper
11 and lower in elevation.

12 The reservoir is located on a structural nose,
13 a very strong structural nose, which plunges from
14 northeast to southwest. It's bounded on the west by a
15 normal fault, which is down thrown between 500 and 800
16 feet. The reservoir is bounded on the south and east by
17 a gas water contact.

18 In this case this is contoured on the top of
19 the Morrow A. The gas water contact is, I believe, minus
20 9,250. There should be a dash line on there which shows
21 that. And it's also bounded to the north by a pinchout
22 of the reservoir quality sands, so it's bounded all the
23 way around.

24 Q. What conclusions can you reach from your study
25 of the reservoir?

1 A. This Morrow reservoir does have sufficient
2 porosity and permeability to inject and withdraw natural
3 gas. And because of the bounding fault and the
4 structural position and the nature of the gas -- I mean
5 of the sands themselves, we have geologic containment in
6 the storage reservoir.

7 Q. We've been looking at the C-108 application
8 for the Number 1 well?

9 A. Correct.

10 Q. Would the same testimony and conclusions apply
11 to each of the four wells that are the subject of the
12 case?

13 A. Yes, sir, each one of them.

14 Q. Was the structure map and the geological
15 summary contained in each of the C-108s and the
16 cross-section that you have reviewed, were they all
17 prepared by you?

18 A. Yes.

19 MR. CARR: At this time we move the
20 admission of the geological summary and structure map.
21 Those are pages 9 through 11 of each C-108, and the
22 cross-section, which is our Exhibit 10. We move the
23 admission of those exhibits.

24 EXAMINER JONES: Okay. Pages 9 to 11 of
25 each C-108 and the cross-section -- and did I miss

1 something?

2 MR. CARR: Exhibit 10.

3 EXAMINER JONES: -- are admitted.

4 (Summary, Structure map, and Exhibit 10 were admitted.)

5 MR. CARR: That concludes my direct
6 examination of Ms. Devine.

7 EXAMINATION

8 BY EXAMINER JONES:

9 Q. Okay. Well, why wasn't Section 9 added years
10 ago?

11 A. I don't know. I would have wanted it in
12 there.

13 Q. Okay. So did you see any old maps that didn't
14 look like this?

15 A. I didn't see any old maps at all. I started
16 from scratch.

17 Q. Was that well -- how old is that well?

18 A. You know, I don't know.

19 Q. What I mean is, was it a producing well in the
20 Morrow, and did it affect the storage unit? Of course,
21 we're not here to talk about that anyway, so I better --
22 let's just go on.

23 MR. CARR: Because we don't know.

24 A. I can find out. I have it on my database.
25 I'd have to boot up my computer.

1 Q. That's fine. According to this map, it looks
2 like the only -- of course, it depends on, obviously,
3 the -- measuring the pressures, you know, offset this
4 versus on the storage field. But in Section 34, it looks
5 like that's the only one that you have to be kind of
6 careful about; is that correct? As far as maybe
7 influencing off of the storage. You've got good bounding
8 here, except like up to the northeast.

9 A. Yeah. The sands pinch out.

10 Q. Oh, they pinch? Okay.

11 A. Yes.

12 Q. Because this is a top structure map?

13 A. Right. It's not a sand map.

14 Q. Okay. Well, it looks like the wells that were
15 produced are being used for -- and nobody is punching any
16 more holes out there?

17 A. No.

18 Q. In the Atoka -- maybe not there, or nobody --
19 you guys control the rights to it or whatever.

20 Anyway, as far as the pressure goes,
21 geologically speaking, the reservoir looks pretty good to
22 you?

23 A. It looks good, and it's contained.

24 EXAMINER JONES: Okay. I better stop
25 there. I don't have anything further.

1 MR. CARR: That concludes our questions to
2 Ms. Devine. At this time I would call John Wells.

3 JOHN WELLS

4 Having been first duly sworn, testified as follows:

5 DIRECT EXAMINATION

6 BY MR. CARR:

7 Q. Would you state your name for the record,
8 please?

9 A. John Alan Wells.

10 Q. Mr. Wells, where do you reside?

11 A. In Sugar Land, Texas.

12 Q. By whom are you employed?

13 A. Wells, Chappell & Company, Incorporated.

14 Q. What is your relationship with Enstor?

15 A. I am consulting reservoir engineer on the gas
16 project.

17 Q. Have you previously testified before the OCD?

18 A. Yes.

19 Q. In fact, you testified as our engineering
20 witness a year ago?

21 A. That's right.

22 Q. Have you ever testified before Mr. Jones?

23 A. I don't believe.

24 Q. Could you review your educational background
25 and work experience?

1 A. In 1971, I earned a bachelor of science degree
2 in mathematics and chemistry, Delta State University,
3 Cleveland, Mississippi. In 1973, I earned a master of
4 science in physics, Mississippi State University,
5 Starkville, Mississippi.

6 Employment, 1974, I went to work as a research
7 scientist with Texaco in the Bellaire Laboratory in
8 Bellaire, Texas. In 1978, I went to work for Intercomp
9 Resource and Development Worldwide Consultants. And in
10 1984 a group of the Intercomp guys and myself formed our
11 own company, which today has evolved into Wells, Chappell
12 & Company, Sugar Land, Texas, providing all aspects of
13 reservoir engineering and with specialty on gas storage
14 and numerical simulation.

15 Q. Are you familiar with the application filed
16 today in this case?

17 A. I am.

18 Q. Are you familiar with Enstor's operation in
19 the Grama Ridge storage project?

20 A. I am.

21 Q. Have you conducted an engineering study of the
22 area that's the subject of this case?

23 A. I have.

24 Q. Did you actually prepare the C-102 application
25 in this case?

1 A. I did not actually prepare it, but I reviewed
2 it in some detail.

3 MR. CARR: We tender Mr. Wells as an
4 expert witness in reservoir engineering.

5 EXAMINER JONES: Mr. Wells is qualified as
6 an expert in reservoir engineering.

7 Q. (By Mr. Carr) Initially, I'd like to just
8 identify the exhibits we're going to present today. Are
9 Enstor Exhibits 5 through 8 the C-108 applications for
10 each of the wells that are the subject of today's
11 hearing?

12 A. That's correct.

13 Q. Then you have also prepared a plot that you're
14 going to review that will address the issues concerning
15 pressure?

16 A. That's right.

17 Q. As to each of the C-108 applications, do they
18 contain similar information?

19 A. They do, similar characteristics.

20 Q. There would be only obvious variations as to
21 things like the perforated interval of the area?

22 A. That's right.

23 Q. Do the applications contain all applications
24 required by the Form C-108?

25 A. Yes. To my knowledge, it does.

1 Q. Is this an expansion of an existing project?

2 A. No. It's a re-permit.

3 Q. If we go to -- I think we should work from
4 Exhibit 5, which is the C-108 on the Number 1 well. If
5 we go to page 5 in that exhibit, could you identify that,
6 please?

7 A. Yes. Page 5 is an orientation map,
8 essentially orienting the location of the injection well
9 or wells, the lease ownership in the area. It's a
10 depiction of all the wells within the two-mile radius, as
11 required by the C-108. And it shows the area of review
12 of the one-half mile radius and all the wells that
13 penetrate the Morrow within that half mile radius, shows
14 all the other wells in the area and identifies the offset
15 operators.

16 Q. Exhibit Number 5 actually has got ownership
17 information on it. And we have a similar map as Exhibit
18 6. We supplied two maps just because there's so much
19 information.

20 A. That's correct.

21 Q. Are there wells within any of the areas of
22 review that penetrate the injection zone?

23 A. None.

24 Q. And then I guess there are no plugged and
25 abandoned wells in the area?

1 A. No, no plugged and abandoned wells.

2 Q. Let's go to pages 3 and 4, and I would ask you
3 to just identify these, please. Are these the well data
4 sheets and schematics for each of the wells?

5 A. That's right.

6 Q. Basically, what do they show?

7 A. The well data sheets just provide information
8 on the type of materials used in the casing and the
9 tubing, the packer materials, type of packer, you know,
10 injection information, things like that.

11 Q. In fact, Enstor has put new tubing in all
12 these wells recently?

13 A. They have.

14 Q. What kind of tubing did they use?

15 A. Carbon steel tubing.

16 Q. In each of these wells, is the annulus filled
17 with an inert fluid and a pressure gauge attached to the
18 surface?

19 A. It is. The annulus is filled with KCL
20 inhibitor fluid.

21 Q. They're completed in a fashion that complies
22 with the federal underground injection program?

23 A. Yes.

24 Q. How large an interval in the Morrow formation
25 has Enstor perforated?

1 A. The perforations are run from approximately
2 12,826 feet to 13,025 feet. That's the unitized
3 interval.

4 Q. And the actual perforations in each of the
5 other wells are shown and the schematics included in each
6 of those C-108s?

7 A. They are.

8 Q. Are there any other productive formations
9 within a half mile of this reservoir?

10 A. No.

11 Q. What is the character of the gas that Enstor
12 injects in the subject wells?

13 A. We just inject pipeline gas, gas that comes
14 right off the pipeline and put it into storage for
15 customers.

16 Q. Could you explain to Mr. Jones the daily
17 injection rates that Enstor uses?

18 A. The daily injection rates that are utilized at
19 the storage are a function of the current pressure and
20 the desire of the customer to either put gas in or take
21 gas out on a given date.

22 And over time, if you look at the operation,
23 you'll see that a given well might inject as little as a
24 few million a day and maybe as high as 30 million a day,
25 30 million cubic feet a day.

1 Q. It's possible in the future you could even go
2 above that?

3 A. And in the future, you know, if we are
4 authorized to go to the higher pressure, I think that
5 certainly the greater injectivity rate would be
6 sustained.

7 Q. But because this is a storage project, it's
8 dependent on capacity of the reservoir, the pressure, and
9 demands of the customer?

10 A. Right.

11 Q. Will these be open or closed systems?

12 A. This is a closed system.

13 Q. Will you inject under pressure?

14 A. Yes.

15 Q. And you are injecting under pressure?

16 A. Yes, we are.

17 Q. What is the pressure that you're seeking
18 authorization for here today?

19 A. We're asking for 5,000 pounds flowing well
20 head.

21 Q. Let's go to the plot that you prepared. I'd
22 like you to identify this for Mr. Jones. Then let's
23 review the information on this exhibit.

24 A. Okay. Well, this chart was put together in
25 support of our request for the 5,000-pound pressure

1 permit, and I would suggest that there are two primary
2 things to consider here. One, being that the 5,000-pound
3 pressure request is still well below -- on the order of
4 1,600 pounds below the bottomhole discovery pressure at
5 the Grama Ridge Unit.

6 Beyond that, this chart right here, is the
7 actual historical material balance performance that has
8 been observed over the last 35 years in the field
9 operation. And what we see, the value of this chart is
10 that it is an industry-standard methodology for looking
11 at volumetric performance of any gas reservoir. And it's
12 useful in detecting containment of gas or the lack
13 thereof, and certainly that's something that is critical
14 in gas storage.

15 But if you look at this chart, what you see is
16 a linear and repeatable relationship between the pressure
17 applied on the reservoir and the volume of gas stored
18 within the pore space of the reservoir, and that linear
19 relationship is indicative of gas containment.

20 So it's straightforward to take a reservoir
21 like this, that's been operated predictably and
22 repeatedly for 35 years -- and I would point out that
23 that point up there, that's March 2009, that we've
24 operated all the way to that point. That's where we
25 currently operate.

1 Q. That's the highest pressure?

2 A. That's the high point. So all we're
3 suggesting is to extrapolate -- it's not much of a jump
4 to extrapolate to that next little increment, which would
5 give us about two more BCF of storage capacity if we
6 could get to this higher pressure operating level. That
7 adds a lot of value to the project, itself, adding more
8 capacity, and provides more space for the customers to
9 use.

10 Q. If we look at this exhibit, we've got a
11 maximum pressure target of 5,000 p.s.i.?

12 A. Um-hum.

13 Q. That's what we're seeking authorization for?

14 A. That's correct.

15 Q. If we move up that curve, we have another spot
16 that shows that even at that level, we are significantly
17 below the discovery point in the reservoir?

18 A. That's correct.

19 Q. When we look at this exhibit as a whole, we
20 can see that it confirms the containment of the injected
21 gas over a long period of time?

22 A. It confirms containment. And I would point
23 out, also, that the linear relationship means that the
24 operator can, with confidence, project at any pressure
25 what his inventory will be. That's a key element of

1 operating gas storage.

2 Q. At 5,000 pounds, this is, in fact, a
3 conservative pressure based on the information that we
4 know about this particular reservoir, is it not?

5 A. I would say it's conservative with respect to
6 the fact that most gas storage operations are carried out
7 at least at normal -- at original discovery pressure. So
8 even with the 5,000-pound permit request that's on the
9 table, we would still be well below. Like I said, on the
10 the order of 1,600 pounds per square inch below original
11 discovery pressure.

12 So, yes, very conservative and safe, no reason
13 to expect anything but continued containment of the gas
14 and predictable operations.

15 Q. Is it your testimony that at the requested
16 pressure, Enstor can safely inject and withdraw gas in
17 this reservoir and be confident that the gas is being
18 contained within the structure?

19 A. I see no reason that operations at this level
20 would not be safe, and containment is certainly predicted
21 by the material balance chart.

22 Q. In this area, the Morrow formation has been
23 substantially depleted, has it not?

24 A. It has.

25 Q. There are no other producing zones that would

1 be impacted by this injection?

2 A. Nothing else going on in the area.

3 Q. Are there any fresh water zones in the area?

4 A. There are. There is the Ogallala Aquifer,
5 which is encountered at a depth of about 50 feet or so.

6 Typically, it is found at a depth of 100 to 500 feet.

7 There's also the Capitan Aquifer encountered at 500 to
8 1,000 feet.

9 Q. Are there any fresh water wells within a mile
10 of the proposed injection wells?

11 A. The only one that I know of is the water
12 supply well that serves the Grama Ridge compression
13 station. It's completed in the Ogallala and encountered
14 water at about 62 feet.

15 Q. Is there a summary report of the analysis of
16 the water samples from that well included in the C-108
17 applications?

18 A. Yes.

19 Q. Is that at page 12 of each of the
20 applications?

21 A. Page 12.

22 Q. Have you examined the available geologic and
23 engineering data and, as a result of that examination,
24 have you found any evidence of open faults or other
25 hydrologic connections between any of the injection zones

1 or any source of drinking water?

2 A. I have not.

3 Q. In your opinion, will approval of this
4 application be in the best interest of conservation,
5 prevention of waste and protection of correlative rights?

6 A. Yes.

7 Q. Were Exhibits 5 through 9 either prepared by
8 you, or have you reviewed them and can testify as to
9 their accuracy?

10 A. Yes.

11 MR. CARR: May it please the Examiner? At
12 this time I move the admission into evidence of Enstor
13 Exhibits 5 through 9.

14 EXAMINER JONES: Exhibits 5 through 9 will
15 be admitted.

16 (Exhibits 5 through 9 will be admitted.)

17 MR. CARR: That concludes my direct
18 examination of Mr. Wells.

19 EXAMINATION

20 BY EXAMINER JONES:

21 Q. So your company, does it still run Intercomp,
22 or is that an old name?

23 A. Did you know Intercomp?

24 Q. I went to a few schools on -- little two-week
25 school?

1 A. You went to one of those schools? Beta 2, to
2 learn how to run Beta 2 and all that kind of --

3 Q. Yeah.

4 A. I was an instructor there. I may not have
5 been there when you came. But that was one of the things
6 that Intercomp did as an additional revenue source,
7 frankly, was to put on lots of training. At that time we
8 were -- all of our software was being used mainly by the
9 Saudis and Kuwaitis.

10 Q. It was state of the art.

11 A. So we had to make money in the states another
12 way by training people, because it wasn't accepted
13 readily here in the states.

14 Q. Do you still use a simulator with your -- is
15 this field set up on a simulation?

16 A. Yes. In fact, we made tremendous advances
17 since those days. Simulations these days are certainly
18 all three-dimensional -- you know, anything that you want
19 to put up on the screen and you can rotate it in three
20 dimensions and look up under the reservoir. You can
21 watch the pressure as a result of injecting gas. In a
22 well, you can see the pressure transients propagate out
23 away from the well in a color fashion and things like
24 that. It's very commonplace to do simulation these days.

25 (Examiner Fesmire entered the hearing.)

1 Q. Okay. I just remember -- in fact, I probably
2 don't remember even enough to ask you too many questions
3 on simulation except there was a way that the steps went
4 from one step to the next, was either --

5 A. Either fully implicit or explicit.

6 Q. I remember that.

7 A. That's amazing you still remember that after
8 all that time, because that was a very fine point, not
9 necessarily the major point trying to get across.

10 Q. Some people actually used it, I think. We're
11 talking about Texaco's Intercomp. I think it was run on
12 the main frame out of Bellaire that we could do it on
13 the -- I guess they call it the cloud nowadays. In the
14 old days it was a monitor, and you work through the --
15 I'm not sure if that's any difference in what we're doing
16 now.

17 A. The old raised floors had all the air
18 conditioning under them and all that. Remember? We've
19 come a long way since those days.

20 Q. I bet. The visualization was something that I
21 wish I could have seen more of. I know our geologists
22 about 10 years ago were actually visualizing -- over in
23 the Paradox Basin, they were visualizing the CF2
24 waterflood over there. That was carbonates, and they
25 could somehow look for new places to drill. But I should

1 ask you questions pertinent to what we're doing here.

2 Basically, the gauges -- is there gauges in
3 some of these wells, or are some used for monitor wells
4 or bottomhole permanent guages? How do they --

5 A. We don't have a permanent bottomhole gauge in
6 there. But if we're concerned about being able to
7 extrapolate the bottomhole using a gas gradient, if we're
8 concerned about standing liquid, we'll shoot fluid levels
9 to make sure that we do the proper extrapolation.

10 Occasionally, we will put -- like in the
11 recent well we drilled, of course we got bottomhole
12 there. We know what that pressure is directly.

13 Q. And they're pretty confident about what goes
14 in, I guess, because they're real careful about it being
15 pure methane or just a little bit of ethane going in and
16 no inerts; is that correct?

17 A. Yeah. Pretty much the customer gives you gas
18 off the pipeline and, you know, you pretty much have to
19 warrant that gas on a BTU basis that I'll return that
20 same gas to you. I am going to charge you a warehouse
21 fee, but I'm going to store your gas. I'm going to give
22 you back the same heating value, not the same BCF or
23 whatever. I'm going to give you the same heating value
24 back.

25 So then in the process of 35 years of taking

1 gas one day and delivering it the next, things can get
2 questionable. And if you look around the industry, gas
3 storage industry, not every reservoir operates like this
4 one.

5 This one is -- you know, it's not in a class
6 by itself, but it's what we call a volumetric reservoir.
7 It has a constant volume pore space, and that allows it
8 to operate predictably and repeatedly up and down this
9 linear trend line.

10 So the operator and the customer and the
11 owner, they all have confidence that if I know the
12 pressure, I essentially know how much gas I have in
13 storage. As opposed to them going over and checking with
14 gas accounting, who's been metering everything in and out
15 and doing the conversion between MCF and the calorific
16 value of the gas.

17 But it's all monitored, and that's what -- the
18 point I'm trying to make here is that we've been
19 operating routinely up and down this line all the way to
20 this March 2009 point. So what's at issue today is just
21 a request to expand that one little increment right above
22 that. That will give us extra capacity, as well as
23 deliverability and more value to the project.

24 Q. The 5,000, was it picked because, not only
25 it's a safe number, but is it something to do with the

1 agreement with the State Land Office or the BLM?

2 A. Not really. I think my colleagues will agree
3 with me here that the 5,000 really has to do with a
4 practical kind of mechanical limitation on the ratings on
5 our pipes and things like that.

6 Q. That initial discovery pressure, is that
7 pretty reliable? How many points were taken there? I
8 mean, are you pretty confident in that?

9 A. Yes, we are very confident in that. Because
10 you can look at the Morrow all around here and find
11 these -- you know, the Morrow is notorious for being
12 compartmentalized. So you can find this discovery
13 pressure at lots of places at this depth. It's not just
14 our compartment. You can see that same discovery
15 pressure lots of places.

16 Q. And so this kind of -- you've got, pretty
17 much, two reasons. It's a mechanical reason -- it's
18 about 2000 pounds below the discovery pressure, and for
19 the last 35 years, you've operated below this. But now
20 the volume in the reservoir is higher than it's been in a
21 long time; is that correct?

22 A. Over the last five years, we have ramped up in
23 capacity just because the demand for our service was
24 there. And like Darryl Gee was saying, if that demand is
25 there in the future, we would like to be able to utilize,

1 fully utilize the pore space in our unitized interval.

2 Q. You bet. When you produce back to deliver, I
3 guess most of these wells were fractured initially; is
4 that correct? So they got artificial placement of sand
5 inside the Clastics?

6 A. I'm not the one to speak to the completion of
7 the wells.

8 Q. I guess what I'm getting at is, if you produce
9 back too fast, sometimes on gas wells you can cough back
10 some sand.

11 A. Sure. Yeah.

12 Q. Could you see that on your model?

13 A. You can't really see that on a reservoir
14 model. But certainly that's a concern throughout the gas
15 storage industry is draw down. So that's why we do
16 back-pressure testing and look at maximum draw down that
17 we're going to allow on any given well, because we don't
18 want to compromise our completion, especially if we have
19 gravel packs and things like that. So that's a
20 consideration.

21 A lot of storage facilities even have density
22 monitors on their well heads, that if any sand starts
23 flying up, the alarm goes off and it will actually shut
24 in and things like that.

25 Q. As far as if you -- some of these times when

1 it produced down to lower volumes, did any condensate
2 come out? Do you have a condensate -- a yield of barrels
3 per million, they call it, versus cumulative curve on
4 this thing?

5 A. The original gravity of the gas -- I mean,
6 this reservoir here wasn't discovered with any kind of
7 little oil leg or anything associated with it. It's
8 pretty much a dry gas reservoir.

9 But I would guess that -- I think we have all
10 that information. But if you think about it -- I don't
11 have the number on the tip of my tongue -- but you're
12 looking at 10 or 12 billion cubic feet of gas here that
13 we cycle all the time. So whatever liquids are remnants
14 of any richer native gas that was here, it's long been
15 diluted, because we cycle so much pipeline gas in and
16 out.

17 Q. Okay. Does your model show you that you could
18 possibly add more wells, or does it pretty much show that
19 one or two wells can fill the whole reservoir? Because
20 Ms. Devine talked about some of those Morrow sands being
21 continuous and some not. I mean, some of them were there
22 and some of them weren't, so --

23 A. Right. Again, that goes back to the
24 confidence we have in reconciling the pore space that
25 Ms. Devine has mapped with the pressure and and inventory

1 relationship that the field has actually exhibited.

2 EXAMINER FESMIRE: Calculated volume.

3 A. Right. They reconcile together. So we expect
4 that this Morrow interval that we have is a constant
5 volume tank, and all we're going to do is go on up to a
6 little bit higher increment in pressure, but still below
7 the original gas in place pressure. And that would
8 enable us to add a little more value to the project, put
9 another couple of BCF that the customers can use. But we
10 don't expect any type of surprises as far as integrity of
11 the rock or compromising any seals or anything like that.

12 EXAMINER JONES: Okay. I don't have any
13 more questions.

14 What they're asking, Mark -- Mr. Carr could
15 summarize it a lot better.

16 On the completion of the last well -- or maybe
17 it was already completed years ago and it was just
18 converted to storage. What we were wondering about is on
19 the ISIP, if you look at the historic well records,
20 sometimes the theory is the ISIPs are similar to the
21 fracture pressure. Although, I know some of the EPA
22 people we work with say be careful about that.

23 But, theoretically, you would think it would
24 be similar. But I guess, you know -- anyway, did you
25 look at any of that?

1 THE WITNESS: This Morrow is
2 over-pressured with respect to normal hydrostatic anyway,
3 you know. So not being a geologist, I'm not sure that
4 I'd want to get into a technical discussion of what the
5 implications of that are.

6 But what I can say is that the pressure
7 gradient that we would be operating at here is, I think,
8 well below any kind of frac gradient that would be
9 attributed to the Morrow. It's got to be at least one
10 p.s.i. per foot, I would think.

11 EXAMINATION

12 BY EXAMINER FESMIRE:

13 Q. What I'm getting at is, you're not going to
14 inject above the fracture pressure, but that fracture
15 pressure is going to change with reservoir pressure. Has
16 the reservoir been frac'd? Do you have any idea what
17 that fracture pressure is at a given pressure?

18 A. I didn't come prepared to talk about the
19 completion and fracture history. Let me ask if there's
20 anybody who knows anything --

21 MR. BARRON: I know they have been frac'd,
22 but I can't tell you the ISIP. I don't have that
23 information with me. But it was a higher pressure than
24 what we're planning to store at, I know that. I don't
25 remember what it was.

1 EXAMINER FESMIRE: When you say "plan to
2 store," you mean the average reservoir pressure restoring
3 that? What about the pressure differential across the
4 sand face at injection? That's what I'm concerned about.
5 I'm making sure that stays below the fracture pressure at
6 whatever condition the reservoir is -- at whatever
7 pressure the reservoir is at.

8 MR. BARRON: Again, they were fractured at
9 low reservoir pressure. They did frac jobs on them.
10 And, again, those --

11 EXAMINER FESMIRE: Those ISIPs wouldn't
12 tell us anything?

13 MR. BARRON: ISIPs were less than the
14 storage pressure we're proposing here.

15 THE WITNESS: By the way, at this level of
16 pressure, the static head of gas will give you an extra,
17 you know, 1,300 pounds or so of pressure at the
18 bottomhole.

19 But when you start injecting into the well,
20 being 12,000 feet deep, at that pressure level the
21 friction will actually work against you there, and the
22 pressure you put on the bottomhole will be less than it
23 would be if the well was just shut in. That's the way
24 that's going to happen.

25 So as far as a delta P across the sand face

1 you're talking about, on injection these wells have --
2 you know, due to their high receptivity to gas, to
3 receiving gas without a large delta P, that the so-called
4 productivity or injectivity index assigned to an
5 individual well right here is very high. So we don't
6 experience much in the way of sand face or localized draw
7 down. We certainly don't see anything like non-darcie
8 type flow or anything like that.

9 But that goes to your question earlier. If
10 you were to infield drill within this fault block, then
11 you could partial out the overall targeted injection rate
12 or flow rate and bring it down on average to each well.
13 But these wells will produce and inject at will. They're
14 not -- we're not having to hammer these things in order
15 to get that gas in. So the permeability and the
16 receptivity of the wells is very good.

17 Q. (By Examiner Fesmire) So you're not concerned
18 with ever having to force the pressure to a fracture
19 gradient, whatever the condition of the reservoir is?

20 A. No.

21 EXAMINER JONES: Do you also do an nodal
22 analysis of the thing? You guys probably have those
23 models.

24 THE WITNESS: We have the models these
25 days that not only model the flow in the individual pores

1 down in the reservoir, but it simultaneously solves the
2 flow and pressure up the tubing string and into the
3 horizontal pipes and into the compressor, and it actually
4 models the compressor algorithm and goes out to the
5 pipeline where you have some boundary condition that sets
6 the delivery point right there. So that whole system is
7 modeled simultaneous.

8 EXAMINER JONES: So your nodal analysis
9 and your reservoir simulator are connected?

10 THE WITNESS: It's all what we call fully
11 coupled. So we've got a pipeline simulator and a finite
12 difference reservoir simulator all hooked together. It's
13 really nice.

14 EXAMINER JONES: I am not sure we can
15 hammer this anymore. It sounds like -- if Mr. Carr will
16 give us a draft order --

17 MR. CARR: I'll be happy to do that.

18 And Mr. Fesmire, what we're doing is 35 years
19 after this project initially began, we're finishing the
20 effort that you described a year and a half ago as
21 re-booting this project to bring it in line with all
22 current regulatory requirements. We've done that with
23 the BLM with a restated agreement. We had re-negotiated
24 agreements with the Land Office.

25 Last year the OCD approved injection in the

1 well in Section 9 at 5,000 p.s.i.g., and as you recall,
2 we agreed as part of that that we could continue to
3 operate, but we would come back with a C-108 on each of
4 the remaining four wells. So today we're wrapping it up.

5 As I noted earlier, this order will be the
6 21st order entered by the OCD involving issues in Grama
7 Ridge. And I also pointed out a very sad fact, that I've
8 been present for all 21.

9 EXAMINER FESMIRE: This is a great
10 project. I've always been enamored with it.

11 MR. CARR: I'd be happy to give you a
12 proposed order.

13 EXAMINER FESMIRE. It will save a lot of
14 work.

15 EXAMINER JONES: With that, we'll take
16 Case 14518 under advisement. We'll break until 1:00.

17 * * *

18
19
20
21
22
23
24
25

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. _____,
heard by me on _____.

_____, Examiner
Oil Conservation Division


REPORTER'S CERTIFICATE

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I, JACQUELINE R. LUJAN, New Mexico CCR #91, DO
HEREBY CERTIFY that on July 22, 2010, proceedings in the
above captioned case were taken before me and that I did
report in stenographic shorthand the proceedings set
forth herein, and the foregoing pages are a true and
correct transcription to the best of my ability.

I FURTHER CERTIFY that I am neither employed by
nor related to nor contracted with any of the parties or
attorneys in this case and that I have no interest
whatsoever in the final disposition of this case in any
court.

WITNESS MY HAND this 4th day of August, 2010.



Jacqueline R. Lujan, CCR #91
Expires: 12/31/2010