

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION DIVISION FOR
THE PURPOSE OF CONSIDERING:

APPLICATION OF BC OPERATING, INC., Case No. 14571
FOR AUTHORIZATION TO INJECT WATER FOR
LEASE PRESSURE MAINTENANCE OPERATIONS
AND DESIGNATION OF A PROJECT AREA,
LEA COUNTY, NEW MEXICO

REPORTER'S TRANSCRIPT OF PROCEEDINGS
EXAMINER HEARING

BEFORE: WILLIAM V. JONES, Technical Examiner
DAVID K. BROOKS, Legal Examiner

December 2, 2010
Santa Fe, New Mexico

2010 DEC 13 P 3:01
RECEIVED OGD

This matter came on for hearing before the
New Mexico Oil Conservation Division, WILLIAM V. JONES,
Technical Examiner, and DAVID K. BROOKS, Legal Examiner,
on Thursday, December 2, 2010, at the New Mexico Energy,
Minerals and Natural Resources Department, 1220 South St.
Francis Drive, Room 102, Santa Fe, New Mexico.

REPORTED BY: Jacqueline R. Lujan, CCR #91
Paul Baca Professional Court Reporters
500 Fourth Street, N.W., Suite 105
Albuquerque, NM 87103 505-843-9241

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A P P E A R A N C E S

FOR THE APPLICANT:

MONTGOMERY & ANDREWS
J. SCOTT HALL, ESQ.
325 Paseo de Peralta
Santa Fe, New Mexico 87501
(505)982-3873

WITNESSES: PAGE

Herbert Jason Wacker:	
Direct examination by Mr. Hall	3
Examination by Examiner Jones	15
Examination by Examiner Brooks	17
Further examination by Examiner Jones	19

INDEX PAGE

EXHIBITS 1 THROUGH 8 WERE ADMITTED 14

REPORTER'S CERTIFICATE 20

1 EXAMINER JONES: With that, we'll call
2 Case 14571, application of BC Operating, Incorporated,
3 for authorization to inject water for lease pressure
4 maintenance operations and designation of a project area
5 in Lea County, New Mexico.

6 Call for appearances.

7 MR. HALL: Mr. Examiners, Scott Hall,
8 Montgomery & Andrews Law Firm, Santa Fe, on behalf of the
9 applicant, BC Operating, with one witness this morning.

10 EXAMINER JONES: Any other appearances?
11 Will the witness please stand and state your
12 name? Will the court reporter please swear the witness?

13 MR. WACKER: My name is Herbert Jason
14 Wacker.

15 (One witness was sworn.)

16 HERBERT JASON WACKER
17 Having been first duly sworn, testified as follows:

18 DIRECT EXAMINATION

19 BY MR. HALL:

20 Q. For the record, please state your name.

21 A. Herbert Jason Wacker.

22 Q. Mr. Wacker, where do you live and where are
23 you employed?

24 A. I live in Midland, Texas. I'm employed by BC
25 Operating as its operations manager.

1 Q. Have you previously testified before the
2 Division Examiners and had your credentials as a
3 petroleum engineer established as a matter of record?

4 A. Yes.

5 Q. Are you familiar with the application and the
6 lands that are the subject of this application?

7 A. Yes.

8 MR. HALL: At this time, Mr. Examiner, we
9 offer Mr. Wacker as an expert petroleum engineer.

10 EXAMINER JONES: He's so qualified.

11 Q. (By Mr. Hall) If you would, Mr. Wacker,
12 please explain to the Examiner what BC seeks by this
13 application?

14 A. BC proposes to convert the Angell Number 3
15 well for use as a water injector in connection with
16 pressure maintenance operations in the San Andres
17 Formation. BC also proposes the designation of the east
18 half of the northeast quarter of Section 11, Township 17
19 South, Range 36 East, Lea County, New Mexico, as the
20 project area for pressure maintenance operations.

21 Q. And for the record, is the Angell Number 3
22 well located in Unit H of Section 11?

23 A. Yes.

24 Q. And has BC previously submitted a C-108
25 administrative application with the Division for

1 approval?

2 A. We have.

3 Q. Let's look at Exhibit 1. If you could tell
4 the Examiner what that demonstrates.

5 A. Exhibit 1 is a locator map that shows the two
6 wells within the project area. They're south of the City
7 of Lovington, New Mexico.

8 Q. And Exhibit 2?

9 A. Exhibit 2 is a form C-102 showing the location
10 of the Angell Number 3.

11 Q. And what is the source of the disposal fluids
12 you plan to inject into the well?

13 A. The fluid that we're going to use for pressure
14 maintenance operations is produced water from two
15 offsets, San Andres wells, our Angell Number 1 and Angell
16 Number 2.

17 Q. And your C-108 application specified injection
18 in the San Andres Formation?

19 A. Yes, it did.

20 Q. How did you select that interval?

21 A. We selected that interval by looking at the
22 correlative porosity interval in the Angell Number 1.

23 Q. And is Exhibit 3 a copy of your C-108
24 application previously submitted?

25 A. Yes, it is.

1 MR. HALL: Let's look at some of the
2 components of that.

3 If we could turn to the fifth page of that,
4 which we've tabbed for you, Mr. Examiner. We haven't
5 numbered that.

6 Q. (By Mr. Hall) Mr. Wacker, is that a copy of
7 the wellbore schematic for the Angell Number 3?

8 A. Yes.

9 Q. Could you discuss the casing and cement tubing
10 for the Examiners?

11 A. We said eight-and-five-eighths, 32-pound
12 casing at 1,974 feet. We cemented that casing with 700
13 sacks and did get circulation to the surface. On the
14 five-and-a-half, 15.5 pound production casing, that was
15 set at 5,640 feet and cemented with 350 sacks. We did
16 run a cement bond log and found the top of the cement to
17 be 2,970 feet.

18 Q. Are you proposing an open hole completion for
19 the well?

20 A. No.

21 Q. Will the liquids be injected under pressure?

22 A. Yes.

23 Q. Will the well head be equipped with a
24 back-pressure valve?

25 A. No.

1 Q. What materials will be used for the tubing?

2 A. We're going to use plastic-coated,
3 two-and-seven-eighths, J55 tubing.

4 Q. What are the average maximum daily injection
5 rates that you're proposing?

6 A. The average injection rate should be 400
7 barrels of water per day, and the maximum injection rate
8 is 500 barrels of water per day. And we looked at the
9 two wells that are producing in the San Andres on our
10 lease, and that's the amount of water that we had
11 available for this pressure maintenance project.

12 Q. Will BC Operating be operating this facility
13 as a closed system?

14 A. We will.

15 Q. All right. What are the anticipated average
16 maximum injection pressures for the well?

17 A. The average injection pressure is expected to
18 be 900 psi, and the maximum injection pressure is
19 expected to be 960 psi and not to exceed .2 psi per foot
20 to the top perforation.

21 Q. It's the standard fracture gradient?

22 A. Yes.

23 Q. Let's talk about the chemical analysis for the
24 injection fluids.

25 A. Basically, the chemical analysis is San Andres

1 produced water. We're just going to recycle that water
2 and inject it into the down-dip well.

3 Q. Would you briefly discuss for the Examiners
4 the geology of the San Andres Formation in this area?

5 A. The lithology consists of a tan/gray finely
6 crystallin dolomite and porosity ranges from pinpoint to
7 small vugs.

8 Q. How did you determine that? What's the source
9 of that information?

10 A. That was taken from the Roswell Geological
11 Society write-up on the Lovington San Andres field, which
12 is this area.

13 Q. And what's the gross vertical extent of the
14 injection interval within the San Andres?

15 A. The gross injection interval is 4,756 feet and
16 down to 6,150 feet. The San Andres is 1,400 feet thick
17 in this area.

18 Q. What geologic criteria were you looking for
19 when you selected this injection interval?

20 A. We looked at the porosity interval that we
21 completed in the Number 1 well. The Number 3 well is
22 down-dip, and we completed the same correlative interval
23 in the Number 3 to inject fluid into.

24 Q. How will the pressure maintenance project
25 work?

1 A. Basically, San Andres water produced from the
2 up-dip well will be returned to the reservoir by
3 injection into the down-dip Angell Number 3. This will
4 help reduce total reservoir voidage and improve oil
5 recovery from the up-dip well.

6 Q. And you anticipate that the project will
7 enable BC to recover incremental volumes of oil?

8 A. Yes.

9 Q. Have you indicated what lands you're
10 designating as the project area?

11 A. BC would like to designate the east half of
12 the northeast quarter of Section 11, Township 17 South,
13 Range 36 East, Lea County, New Mexico, as the project
14 area for pressure maintenance operations.

15 Q. Are these lands under a common lease held by
16 BC?

17 A. They are.

18 Q. Let's look at Exhibits 4 and 5, your structure
19 map and cross-sections, and if you would discuss those
20 for the Hearing Examiner, please.

21 A. Exhibit Number 4 is a structure map on the top
22 of the San Andres. It shows the project area outlined in
23 black, our Angell Number 1 well and the Angell Number 3
24 well, which is down-dip.

25 Q. And Exhibit 5?

1 A. Exhibit 5 is a cross-section between the
2 Angell Number 1 and the Angell Number 3. It shows the
3 top of the San Andres and the interval that we have
4 designated for pressure maintenance operations.

5 Q. Tell us briefly about the permeability and
6 porosity of the reservoir.

7 A. The permeability is estimated at 6
8 millidarcies, and the porosity is 10 percent in the pay
9 interval.

10 Q. Now, are you satisfied that injected fluids
11 will remain contained within the disposal intervals?

12 A. Yes.

13 Q. How did you make that determination?

14 A. The San Andres Formation in the area contains
15 a tight dolomite cap that's about 50 foot thick, and that
16 should be more than sufficient to contain the injected
17 fluids. And you can see that they're at the top of the
18 cross-section.

19 Q. Is the San Andres generally productive in this
20 area?

21 A. Yes.

22 Q. And for purposes of your hydrogeologic and
23 geologic analysis, what was the Area of Review?

24 A. The geologic Area of Review included an area
25 enclosed by a one-half mile radius from the proposed

1 injector.

2 Q. If we look at the last page of the C-108 and
3 also Exhibit Number 6, does that show us your AOR?

4 A. Yes.

5 Q. And is there currently any non-San Andres
6 production within the AOR above the injection interval?

7 A. No.

8 Q. How about below?

9 A. Yes. We have three wells that produce oil and
10 gas from the Paddock Formation at a depth of 6,200 feet,
11 and another well that produces from the Drinkard
12 Formation at 8,000 feet.

13 Q. All right. And again, if we look at the C-108
14 at page 8 and also at Exhibit 7, is this a list of all of
15 the wells within the Area of Review?

16 A. Yes.

17 Q. On the top page of Exhibit Number 7, you have
18 highlighted two wells. What does the highlighting
19 indicate?

20 A. The highlighting indicates that those wells do
21 not penetrate the injection interval.

22 Q. And under the top page, is this a compilation
23 of all the wellbore schematics for all of these wells?

24 A. Yes, it is.

25 Q. What is the data source for the well list and

1 wellbore schematics?

2 A. We used well file information obtained from
3 the OCD website and also some of our internal records for
4 the cement bond logs and those kind of things.

5 Q. From the data that you reviewed, were you
6 satisfied that you were adequately able to determine the
7 casing depths and the tops of the cement in each of the
8 wells?

9 A. Yes.

10 Q. Did you see any evidence of casing leaks in
11 any of the wells?

12 A. We did not.

13 Q. Are you satisfied that the conditions of the
14 wells within the Area of Review are such that none will
15 act as a conduit from fluids from the injection interval
16 to fresh water aquifers?

17 A. Yes.

18 Q. Could you identify the fresh water aquifers in
19 the Area of Review?

20 A. The fresh water aquifer in the area is the
21 Ogallala, and it occurs from 50 foot below the surface to
22 a depth of 200 feet.

23 Q. Are there any known sources of fresh water
24 below the injection interval?

25 A. No.

1 Q. Have you examined the available geologic and
2 engineering data for evidence of open faults or any other
3 hydrologic connection between the disposal zone and any
4 source of underground drinking water?

5 A. I have examined the geologic and engineering
6 data for evidence of open faults connecting the injection
7 interval to sources of underground drinking water and
8 have found none.

9 Q. Let's look at Exhibit 8. What does that show
10 us?

11 A. Exhibit 8 is a list of all of the fresh water
12 wells within one mile of our Angell Number 3. And I
13 found one active injector within one mile of our proposed
14 injection well, and I have attached a chemical analysis
15 of its produced water.

16 Q. Is the active one the one highlighted in blue?

17 A. Yes.

18 Q. And the C-108 contains the proof of notice and
19 affidavit of publication of the original administrative
20 application; is that right?

21 A. Yes.

22 Q. And do you foresee any need to request a
23 higher injection pressure from the Division in the
24 future?

25 A. Not at this time.

1 Q. In your opinion, can the project be operated
2 so injection fluids remain contained within the injection
3 formation?

4 A. Yes.

5 Q. In your opinion, will injection operations
6 pose any threat of impairment to correlative rights or
7 waste of hydrocarbon resources?

8 A. No.

9 Q. And can the project be operated so that public
10 health and safety and the environment will be protected?

11 A. Yes.

12 Q. Were Exhibits 1 through 8 prepared by you or
13 at your direction?

14 A. Yes.

15 Q. In your opinion, will granting BC's
16 application promote the interest of conservation and
17 result in the prevention of waste and the protection of
18 correlative rights?

19 A. Yes.

20 MR. HALL: That concludes our direct of
21 this witness. Mr. Examiner, we move the admission of
22 Exhibits 1 through 8.

23 EXAMINER JONES: Exhibits 1 through 8 will
24 be admitted.

25 (Exhibits 1 through 8 were admitted.)

EXAMINATION

1

2 BY EXAMINER JONES:

3 Q. That Lovington well field, is that pretty
4 close to here?

5 A. Yes. It's to the north. It's outside of the
6 Area of Review. It's out about a mile and a half to two
7 miles. And I did work with the City of Lovington Water
8 Department to locate some of their wells in the area and
9 actually went out to that location and visited with them
10 about the project. But we're actually outside that water
11 supply field for the City of Lovington, but it is very
12 close.

13 Q. Where does the water go for these two wells
14 right now?

15 A. Right now we haul that water to public
16 disposal.

17 EXAMINER JONES: Okay. And who did you
18 notice for this -- I probably heard that, and I just
19 spaced it out.

20 MR. HALL: It's in the C-108 application,
21 Mr. Jones. I'm sorry. I didn't tab that for you.

22 EXAMINER JONES: As far as who the
23 affected parties would be --

24 MR. HALL: Mr. Darr Angell, Chevron
25 Midcontinent and the State Land Office.

1 EXAMINER JONES: The surface owner was
2 Star Angell?

3 MR. HALL: Darr.

4 EXAMINER JONES: Darr? Okay.

5 Q. (By Examiner Jones) And the State Land
6 Office, are they the real surface owner? Mr. Angell is
7 the lessee?

8 A. Actually, I'm not sure. They may have --
9 there may be some surface in the area that is owned by
10 the State Land Office. But they came through on our list
11 to notify them, so we did notify them.

12 Q. This is a -- who does own those surrounding
13 leases, then? Like this well, if you draw a circle, over
14 to the west, it would be -- like the north?

15 A. The west is actually BC Operating. To the
16 east is Vanguard Petroleum and BC Operating, and to the
17 north is Chevron Midcontinent.

18 Q. Okay. So Chevron has that waterflood to the
19 north?

20 A. Yes. It's called the Lovington Paddock Unit.

21 Q. That's the one that's in the well field?

22 A. Yes.

23 Q. It's a real thick San Andres here, isn't it?
24 1,400 feet?

25 A. It's thick. I think the pay interval is

1 thinner on the cross-section. There's some porosity
2 intervals that are within that gross interval, but it is
3 1,400 feet thick.

4 Q. So that 6 millidarcy, is that a geometric -- I
5 mean a commonly used number for that area?

6 A. Yes. I actually got that information from the
7 Roswell Geologic Society. And then we also used our well
8 logs to evaluate the porosity in the area.

9 Q. Okay.

10 A. We don't have any core data or anything like
11 that.

12 Q. Are the logs on the website?

13 A. They are. And the cross-section also has a
14 smaller copy of the logs on it.

15 Q. What about the bond log? Is the bond log on
16 the website? Because I don't think -- sometimes on these
17 type of applications, if there is a bond log, we ask that
18 it be sent to -- a copy of it to Paul Kautz.

19 A. I can do that. No problem.

20 EXAMINER JONES: Thank you. I'll turn it
21 over to David.

22 EXAMINATION

23 BY EXAMINER BROOKS:

24 Q. BC Operating is 100 percent working interest
25 owner?

1 A. There are some partners in the well. Vanguard
2 Petroleum is a partner.

3 Q. They're common throughout this unit?

4 A. Yes, they are.

5 Q. Okay. Now, the surrounding areas, the rule
6 requires notification to operators or working interest
7 owners within one-half mile of any tract that's within
8 one-half mile.

9 The only person you notified is Chevron. You
10 said their ownership was to the north. They're operator
11 of the land to the north. So is that your testimony?

12 A. Yes.

13 Q. Now, is BC the operator of all the other
14 tracts within one-half mile of this well location?

15 A. I don't believe we are. I think the other
16 operator is Vanguard Petroleum, who is a partner of ours.

17 Q. Okay. Does anybody else have ownership
18 anywhere in this area, or is the ownership of the other
19 leases that BC has identical to the ownership of this
20 lease?

21 A. Yes. It's the same parties.

22 EXAMINER BROOKS: That's all I have.

23 EXAMINER JONES: Okay.

24

25

FURTHER EXAMINATION

1

2 BY EXAMINER JONES:

3

Q. But this is going to be -- you want it
4 classified as a pressure maintenance project?

5

A. Yes.

6

Q. That's kind of what we call it when it's --

7

A. Yeah, when it's only one well. And it's not
8 really a waterflood, so --

9

Q. But it might help the production of the
10 surrounding wells? Are those surrounding wells depleted?

11

A. No. But they are being depleted as their own
12 production. Our hope is to provide pressure support to
13 the up-dip Number 1.

14

Q. San Andres is a commonly water flooded
15 reservoir?

16

A. Yes.

17

Q. It's amenable to water flooding, also?

18

A. Yes.

19

EXAMINER JONES: I have no other
20 questions.

21

MR. HALL: That concludes our case. We
22 request that the matter be taken under advisement.

23

EXAMINER JONES: Case Number 14571 Will be
24 taken under advisement.

25

I hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. _____
heard by me on _____


REPORTER'S CERTIFICATE

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I, JACQUELINE R. LUJAN, New Mexico CCR #91, DO
HEREBY CERTIFY that on December 2, 2010, proceedings in
the above captioned case were taken before me and that I
did report in stenographic shorthand the proceedings set
forth herein, and the foregoing pages are a true and
correct transcription to the best of my ability.

I FURTHER CERTIFY that I am neither employed by
nor related to nor contracted with any of the parties or
attorneys in this case and that I have no interest
whatsoever in the final disposition of this case in any
court.

WITNESS MY HAND this 14th day of December,
2010.



Jacqueline R. Lujan, CCR #91
Expires: 12/31/2010