

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)
APPLICATION OF GILLESPIE-CROW, INC., FOR)
UNIT EXPANSION, STATUTORY UNITIZATION)
AND QUALIFICATION OF THE EXPANDED UNIT)
AREA FOR THE RECOVERED OIL TAX RATE AND)
CERTIFICATION OF A POSITIVE PRODUCTION)
RESPONSE PURSUANT TO THE "NEW MEXICO)
ENHANCED OIL RECOVERY ACT", LEA COUNTY,)
NEW MEXICO)

CASE NO. 11,724

ORIGINAL

RECEIVED

JUN 12 1997

Oil Conservation Division

REPORTER'S TRANSCRIPT OF PROCEEDINGS (Volume I)

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

May 15th, 1997

Santa Fe, New Mexico

This matter (Volume I) came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, May 15th, 1997, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

STEVEN T. BRENNER, CCR
(505) 989-9317

I N D E X

May 15th, 1997
 Examiner Hearing
 CASE NO. 11,724 (Volume I)

	PAGE
EXHIBITS	3
APPEARANCES	5
OPENING STATEMENTS	
By Mr. Carr	7
By Mr. Bruce	9
ENSERCH WITNESS:	
<u>RALPH NELSON</u> (Geologist)	
Direct Examination by Mr. Hall	11
Cross-Examination by Mr. Carr	24
Redirect Examination by Mr. Hall	53
Examination by Examiner Catanach	54
APPLICANT'S WITNESSES:	
<u>MARK MLADENKA</u> (Engineer)	
Direct Examination by Mr. Bruce	59
Cross-Examination by Mr. Carr	93
Redirect Examination by Mr. Bruce	111
Examination by Examiner Catanach	114
<u>PAUL S. CONNOR</u> (President, Unit Source, Incorporated)	
Direct Examination by Mr. Bruce	118
Cross-Examination by Mr. Carr	123
Redirect Examination by Mr. Bruce	125
Examination by Examiner Catanach	125
REPORTER'S CERTIFICATE	127

* * *

E X H I B I T S (Volume I)

Applicant's/Enserch	Identified	Admitted
Exhibit 1 (GCI)	12	24
Exhibit 2 (GCI)	12	24
Exhibit 3A (Enserch)	13	24
Exhibit 3B (Enserch)	14	24
Exhibit 4A (Enserch)	14	24
Exhibit 4B (Enserch)	15	24
Exhibit 4C (Enserch)	15	24
Exhibit 4D (Enserch)	16	24
Exhibit 5A (Enserch)	17	24
Exhibit 5B (Enserch)	17	24
Exhibit 6 (GCI)	64	92
Exhibit 7A (GCI)	66	92
Exhibit 7B (GCI)	66	92
Exhibit 8A (GCI)	67	92
Exhibit 8B (GCI)	69	92
Exhibit 9 (GCI)	71	92
Exhibit 10 (GCI)	72	92
Exhibit 11 (GCI)	73, 75	92
Exhibit 12 (GCI)	74	92
Exhibit 13 (GCI)	75	92
Exhibit 14 (GCI)	76	92
Exhibit 15 (GCI)	77	92
Exhibit 16 (GCI)	77	92
Exhibit 17 (GCI)	81	92
Exhibit 18 (GCI)	89	92
Exhibit 19 (GCI)	120	123
Exhibit 20 (GCI)	120	123
Exhibit 21 (GCI)	120	123
Exhibit 22 (GCI)	121	123

(Continued...)

E X H I B I T S (Continued)

Applicant's/Enserch	Identified	Admitted
Exhibit 23 (GCI)	121	123
Exhibit 24 (GCI)	122	123
Exhibit 25 (GCI)	122	123
Exhibit 26 (GCI)	122	123
Exhibit 27 (GCI)	123	123

* * *

Yates/Hanley	Identified	Admitted
Exhibit 22	24	-

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

JAMES G. BRUCE, Attorney at Law
612 Old Santa Fe Trail, Suite B
Santa Fe, New Mexico 87501
P.O. Box 1056
Santa Fe, New Mexico 87504

FOR ENSERCH EXPLORATION, INC.:

MILLER, STRATVERT and TORGERSON, P.A.
150 Washington
Suite 300
Santa Fe, New Mexico 87501
By: J. SCOTT HALL

FOR HANLEY PETROLEUM, INC., YATES PETROLEUM
CORPORATION and DAVID PETROLEUM CORPORATION:

CAMPBELL, CARR, BERGE and SHERIDAN, P.A.
Suite 1 - 110 N. Guadalupe
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: WILLIAM F. CARR

FOR SNYDER RANCHES and LARRY SQUIRES:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

* * *

1 WHEREUPON, the following proceedings were had on
2 Thursday, May 15th, 1997, at 1:34 p.m.:

3 EXAMINER CATANACH: Okay, at this time we'll call
4 Case 11,724.

5 MR. CARROLL: Application of Gillespie-Crow,
6 Inc., for unit expansion, statutory unitization and
7 qualification of the expanded unit area for the recovered
8 oil tax rate and certification of a positive production
9 response pursuant to the "New Mexico Enhanced Oil Recovery
10 Act", Lea County, New Mexico.

11 EXAMINER CATANACH: Call for appearances in this
12 case.

13 MR. BRUCE: Jim Bruce representing the Applicant,
14 Mr. Examiner. I do have three witnesses in this case.

15 MR. HALL: Mr. Examiner, Scott Hall from Miller,
16 Stratvert, Torgerson law firm, Santa Fe, on behalf of
17 Enserch Exploration, presenting witnesses in conjunction
18 with Gillespie-Crow. I'll be presenting one witness this
19 afternoon.

20 EXAMINER CATANACH: Okay.

21 MR. CARR: May it please the Examiner, my name is
22 William F. Carr with the Santa Fe law firm Campbell, Carr,
23 Berge and Sheridan. In this matter we represent Hanley
24 Petroleum, Inc. and Yates Petroleum Corporation, and I have
25 three witnesses. I'd also like to enter an appearance in

1 the case for David Petroleum Corporation.

2 EXAMINER CATANACH: Additional appearances?

3 Okay, let's get all the witnesses to stand and be
4 sworn in at this time.

5 (Thereupon, the witnesses were sworn.)

6 EXAMINER CATANACH: I guess what we'll do in this
7 case, we're not -- I'm sure we're not going to finish it
8 this afternoon. We'll try and reach a point this afternoon
9 where we can stop and resume probably in the morning,
10 around 8:00 sometime.

11 Mr. Bruce?

12 MR. BRUCE: I defer to Mr. Hall. He's going to
13 present the first witness.

14 MR. CARR: I have an opening statement.

15 EXAMINER CATANACH: Okay, Mr. Carr?

16 MR. CARR: May it please the Examiner, Yates
17 Petroleum Corporation and Hanley Petroleum, Inc., are here
18 today because they believe their correlative rights are
19 being impaired by the way the West Lovington-Strawn Unit is
20 being operated.

21 We submit to you that parties to a statutory
22 unitization case and, I submit also, the Oil Conservation
23 Division, should be able to expect that when an Applicant
24 or an operator come before you, that they're acting in good
25 faith and that, in fact, what they're doing is proposing a

1 unit based on geology and not on surface ownership
2 conditions.

3 We submit to you that the original boundaries of
4 this unit were not based on an honest interpretation of
5 geological data but on surface ownership. And that's why
6 the reservoir was initially mapped so as it conveniently
7 made right-angle turns in a corner section.

8 Because of this geological interpretation,
9 Gillespie and the interest owners in the unit were able to
10 exclude from the negotiations that resulted in this unit
11 parties who are affected by unit operations. Yates was
12 excluded, Hanley was excluded, others were excluded.

13 But in the 1995 unitization hearing, Snyder
14 Ranches appeared. They advanced what some might
15 characterize as a *de facto* Application, but they proposed a
16 different unit vertical boundary, and they were right. And
17 you agreed and accepted their interpretation of the
18 geological data.

19 But because Yates and Hanley were not involved in
20 the original negotiations, they were not involved in the
21 original hearing. The horizontal boundaries of the unit
22 have never really been challenged, not until today. And
23 now we're here to review that part of this interpretation.

24 Whether or not they have a valid pressure-
25 maintenance project does not excuse this Division or the

1 operator of the unit from acting to protect the correlative
2 rights of other interest owners in the pool. And when
3 other interest owners believe their rights are being abused
4 and that the statutes are not being properly honored and
5 followed, they have a right to come to you and seek
6 protection, and that's why we're here.

7 And we're going to show you what they've done in
8 the past and in this case is wrong. We're going to show
9 you how this unit should be formed and how it should be
10 done right, and then we're going to ask you to act in a
11 fashion consistent with the statutory directive to this
12 agency. We're going to ask you to do what is reasonably
13 necessary to protect our correlative rights.

14 EXAMINER CATANACH: Mr. Bruce?

15 MR. BRUCE: Mr. Examiner, we're here today
16 because Charles Gillespie and Enserch instituted a highly
17 successful pressure-maintenance project. There's no
18 question about that.

19 Yates and Hanley have asserted a number of things
20 with their motions and everything else. Number one was
21 that these unit boundaries were originally designated to
22 benefit Charles Gillespie and Enserch at the expense of
23 their neighbors. The second witness today will testify
24 about that. Most of the offsetting acreage was owned by
25 Charles Gillespie or Enserch. There was no plot to exclude

1 the neighbors; they did what they thought was right at the
2 time.

3 They were slightly off -- and we will have our
4 first witness testify about that -- slightly off on the
5 geology. It happens. Why do you think the statutes and
6 the unit agreements provide for expansion? Sometimes
7 additional tracts need to be added.

8 Yates and Hanley will also get up and say that
9 they're being harmed. That's baloney. They've benefitted
10 from the pressure-maintenance project for over a year now.
11 The cost to the unit for the pressure-maintenance project
12 to date, for supporting the withdrawals by the Yates well,
13 the State "S" Well Number 1, and the Hanley well, have been
14 a million dollars. They didn't have to pay a penny for
15 that pressure maintenance.

16 Their wells have not declined in production.
17 What does that tell you? It tells you that they have been
18 receiving an unfair benefit from the unit.

19 Gillespie-Crow is here today requesting a
20 reasonable expansion of the unit's boundaries, adding
21 acreage proven reasonably productive. This complies with
22 the statute. Our testimony today will prove that
23 Gillespie-Crow's proposal is fair and reasonable and it
24 should be approved.

25 The only interest owners having their rights,

1 their correlative rights, adversely affected right now are
2 the interest owners in the unit, not Hanley, not Yates.
3 We'll prove that today.

4 Thank you.

5 MR. HALL: No opening statement.

6 We'll call Mr. Nelson at this time.

7 RALPH NELSON,

8 the witness herein, after having been first duly sworn upon
9 his oath, was examined and testified as follows:

10 DIRECT EXAMINATION

11 BY MR. HALL:

12 Q. For the record, would you please state your name?

13 A. Ralph Nelson.

14 Q. Mr. Nelson, would you give the Examiner a brief
15 summary of your background and qualifications?

16 A. I'm a geologist for Enserch Exploration. My
17 primary areas of responsibility are southeast New Mexico
18 and West Texas.

19 Q. And you're familiar with the West Lovington-
20 Strawn Unit?

21 A. I am.

22 Q. And you've previously testified before the
23 Examiner, the Division, and had your credentials made a
24 matter of record; is that correct?

25 A. Yes, I have.

1 Q. You're familiar with the lands that are the
2 subject of the expansion Application, are you not?

3 A. Yes.

4 MR. HALL: Mr. Examiner, at this time we'd tender
5 Mr. Nelson as a qualified expert geologist.

6 EXAMINER CATANACH: Any objection?

7 MR. CARR: No objection.

8 EXAMINER CATANACH: Mr. Nelson is so qualified.

9 Q. (By Mr. Hall) Mr. Nelson, briefly explain what
10 it is that Gillespie-Crow seeks by their Application.

11 A. Gillespie-Crow seeks the expansion of the unit
12 into two 80-acre tracts in Section 28 and 34, and
13 certification of a positive production response under the
14 Enhanced Oil Recovery Act.

15 Q. Now, is the expansion acreage identified on
16 Exhibits 1 and 2?

17 A. Yes, it is.

18 Q. Would you briefly those out to the Hearing
19 Examiner?

20 A. Exhibit 1 is the revised Exhibit A to the unit
21 agreement for the West Lovington-Strawn Unit, showing the
22 expanded area highlighted. The three tracts, the three new
23 tracts, Numbers 12, 13 and 14, are highlighted. The total
24 acreage of the expanded unit is 1618.95 acres.

25 Q. All right. Now, you've undertaken a study of the

1 geology of the West Lovington-Strawn Unit area, have you
2 not?

3 A. Yes, I have.

4 Q. Why don't you at this time give the Examiner a
5 brief overview, a refresher, if you will, of the geology of
6 the area?

7 A. As has been stated before, the West Lovington-
8 Strawn field is a Pennsylvanian-Strawn-age phylloid algal
9 mound. The maximum thickness is 129 net feet, with a known
10 oil column of 203 feet above the oil-water contact.

11 Q. Would you take Exhibit 3A before you and explain
12 what that exhibit is intended to reflect?

13 A. Exhibit 3A is a structure map on the top of the
14 Strawn limestone. It is a revised map, taking into account
15 the additional well control that we have received on wells
16 nearby and offsetting the unit.

17 Previous structure maps have shown just positive
18 structural nosings surroun- -- or in the vicinity of the
19 pool now, because the Gillespie State "D" well, located in
20 Section 1, there appears to be a closed structure just
21 south of the West Lovington-Strawn Unit Wells Number 7 and
22 5.

23 Q. All right, let's look at Exhibit 3B. That's your
24 isopach, is it not?

25 A. Yes, it is.

1 Q. If you'd explain to the Examiner what that
2 exhibit reflects.

3 A. Exhibit 3B is the Strawn lime net pay isopach
4 map, showing a thick in the northern part of Section 1,
5 with the highest value occurring in the West Lovington-
6 Strawn Unit Well Number 7 of 129 feet.

7 Also shown on this map are the lines of Section
8 A-A' through D-D'.

9 Q. And both Exhibits 3A and 3B show the expansion
10 acreage boundaries?

11 A. Yes, they do.

12 Q. All right, anything further with respect to those
13 two exhibits?

14 A. No.

15 Q. Let's look at your cross-sections, if you would,
16 please, sir, Exhibit 4A.

17 A. Cross-Section 4A to A' is an east-west cross-
18 section that runs from the Julia Culp well on the east side
19 to the Hamilton Number 3 well, which is West Lovington-
20 Strawn Unit Well Number 3.

21 The purpose of this section is to give -- show
22 how the Strawn reservoir pinches out to the east, not
23 present in the Julia Culp well, how the reservoir quality
24 is deteriorating rapidly in the State "S" well, and also to
25 point out the oil-water contact, as had been noted in the

1 Wiley Number 1 and the Hamilton Number 3, which are West
2 Lovington-Strawn Unit wells, the Wiley being Number 10,
3 Hamilton 3 being Number 3.

4 Q. All right, let's refer to Exhibit 4B now.
5 Explain that cross-section.

6 A. I have cross-section B-B' again, is another east-
7 west cross-section. In this cross-section on the west
8 side, the Amerind West State Well is present, again showing
9 how the reservoir is gone on the west side, and how rapidly
10 the reservoir does terminate to the west side.

11 Q. All right. Now let's take Exhibit 4C, please,
12 sir. Would you locate that cross-section for us on the
13 map, please?

14 A. Exhibit 4C, again, is an east-west cross-section.
15 The importance of this cross-section, it shows the relative
16 position of the Gillespie Snyder "EC" Com, establishing the
17 approximate southeast boundary of the reservoir. And again
18 on this cross-section is the Amerind West State well,
19 again, that is dry in the Strawn lime.

20 Q. Anything further with respect to 4C?

21 A. Well, 4C also shows the Speight Number 1, which
22 is West Lovington-Strawn Well Number 7, the thickest well
23 in the reservoir. That's also the gas injection point for
24 the project.

25 Q. All right, let's look at 4D quickly, please, sir.

1 A. 4D --

2 Q. What does 4D show?

3 A. 4D is a north-south cross-section that runs from
4 the Speight Number 1, which is West Lovington-Strawn Unit
5 Well Number 7, to the Hanley Number 1 Chandler well.

6 In this cross-section we show the reservoir
7 thinning to the north, the quality deteriorating to the
8 north, and the presence of the oil-water contact in the
9 Hamilton Number 3, the Wiley Number 1, the Klein Number 1
10 and the Chandler Number 1.

11 Q. Now, Mr. Nelson, of all the wells in the pool,
12 how many wells are in the pool total?

13 A. There are 14 wells in the pool.

14 Q. How many in the unit?

15 A. Eleven are in the unit. Two are being proposed
16 to be brought into the unit. There's one completed in the
17 Strawn but not included in the unit. That well is the
18 Gillespie-Snyder "EC" Com Number 1.

19 Q. Why isn't that well being proposed for inclusion?

20 A. That well is a very poor producer and has very
21 low permeability. It pumps about 40 barrels a day; it's on
22 a timer. It's on a timer because the well pumps off.

23 Because of the low perm and the thin net pay,
24 it's receiving very little benefit from the pressure-
25 maintenance project. Yates, et al., has objected to

1 including this well in the unit.

2 Q. All right. Now, can you explain to the Examiner
3 how acreage to be included in the unit was identified, for
4 the unit expansion, specifically?

5 A. Well, it was -- Acreage to be included was on the
6 basis of the hydrocarbon pore volume map --

7 Q. All right.

8 A. -- that being Exhibit 5A.

9 Q. All right, take that in front of you, please,
10 sir.

11 A. Exhibit 5A is a copy of the hydrocarbon pore
12 volume map submitted in Case Number 11,194 and 11,195 at
13 the original unitization hearing by Snyder Ranches.

14 Q. And who prepared Exhibit 5A in that case?

15 A. A geologist named -- I believe it was Mark
16 Clemenson with Platt, Sparks and Associates.

17 Q. And in that case did the Division accept Exhibit
18 5A as a starting point for allocating the --

19 A. Yes --

20 Q. -- pore volume?

21 A. -- they did.

22 Q. Let's look at Exhibit 5B now. What is that?

23 A. Exhibit 5B is a -- shows the new drilling of the
24 Hanley well and the Gillespie-Crow State "S" Number 1 well,
25 reflecting the same shape as the Snyder Ranches map in the

1 unit and just altered to reflect the new drilling.

2 Q. All right. So the only difference between BA and
3 5B is that you took into consideration new well control
4 data; is that --

5 A. That's correct.

6 Q. Now, for the distribution of hydrocarbon pore
7 volume as it's demonstrated on Exhibit 5B, was it confirmed
8 by the new well log data?

9 A. Can you repeat that, please?

10 Q. The distribution of pore volume as reflected on
11 Exhibit 5B, how was that distribution confirmed? Did you
12 use the new well control data to do that?

13 A. Yes, I did, strictly the new well control.

14 Q. Was the distribution dependent on seismic data at
15 all?

16 A. No, it was not.

17 Q. With respect to Exhibit 5A, was the Platt Sparks
18 map used by the Division in determining tract participation
19 for the unit in the 1995 hearing?

20 A. Yes, it was.

21 Q. And did Exhibit 5A, that map, define the
22 boundaries of the unit as they were known at that time?

23 A. Yes, it did.

24 Q. Would you briefly explain how you calculated
25 hydrocarbon pore volume?

1 A. The two new wells, we took the digital log data
2 from the wells, loaded it into the QLA2 log analysis
3 program.

4 Water saturations were calculated every half
5 foot, using the standard Permian Basin equation, water
6 saturation equals the square root of one over porosity
7 squared, times R_w divided by R_t .

8 Porosity values were derived from a crossplot of
9 the density and neutron curves. The HPV values were the
10 product of the crossplot porosity times one minus water
11 saturation times .5. These values were summed to yield the
12 hydrocarbon pore-foot value for each well.

13 Q. All right. And again, seismic was not used for
14 5B, correct?

15 A. No, it was not.

16 Q. And to your knowledge, did Platt Sparks use
17 seismic in the preparation of Exhibit 5A?

18 A. I don't believe it was, no.

19 Q. All right. And seismic data is incorporated in
20 what's shown on either 5A or 5B before the Examiner now; is
21 that correct?

22 A. Repeat that, please.

23 Q. Seismic information was not incorporated and is
24 not reflected anywhere on 5A or 5B?

25 A. That's correct.

1 Q. Now, at the time of the original unitization
2 hearing in 1995, did it appear that the unit boundaries had
3 been appropriately established at that time?

4 A. At the original hearing, we thought we had
5 included all of the productive reservoir in the unit. If
6 you look at the Snyder Ranches Exhibit 7, which is our
7 Exhibit 5A, even their geologic interpretation was similar,
8 and it essentially covered the entire reservoir.

9 Q. All right. Now, what's the geologic basis for
10 the expansion of the unit into the two 80-acre tracts that
11 Gillespie-Crow proposes?

12 A. The northeast boundary is defined by the Yates
13 Number 1 Chambers well in Section 27, which I understand is
14 tight and has no reservoir rock in it.

15 The west boundary is defined by the Amerind West
16 State, which you can see on cross-section 4C. It is tight,
17 and the well was dry in the Strawn.

18 The southern boundary is defined by the Gillespie
19 State "D" Well Number 8 in Lot 12 of Section 1. Based on
20 pressure data, the State "D" well is in the South Big Dog-
21 Strawn Pool and not in the unit reservoir.

22 On the southeast border, the Snyder "EC" Com well
23 defines that southeast edge in which it only had four feet
24 of pay, and that also can be seen on Exhibit 4C.

25 The eastern boundary is defined by the Bridge Oil

1 Julia Culp well, which was dry in the southeast and the
2 northeast of Section 34. You can see that on cross-section
3 4A.

4 And also on that cross-section 4A you can see the
5 reservoir pinches out between the State "S" well and the
6 Julia Culp well. Therefore we placed the zero porosity
7 line between the two wells.

8 Finally, the northern boundary of the reservoir
9 is defined by the Chandler Number 1, which, as on cross- --
10 Exhibit 4D, you can see the reservoir quality deteriorates,
11 and there is an oil-water contact in that well.

12 Q. All right, now, Exhibit 5B shows an oil-water
13 contact to the north. Is that contact at the same subsea
14 depth as shown by the Platt Sparks map, Exhibit 5A?

15 A. Yes, it is. The Chandler Number 1, however, was
16 tight across that same subsea depth, but the first porosity
17 encountered below calculates wet, confirming the presence
18 of the oil-water contact.

19 Q. And how do you know that the State "S" 1 well is
20 in the same reservoir from a geological standpoint?

21 A. Well, from subsurface correlations. The zone
22 occurs at the top of the Strawn interval, and from log
23 correlations it looks very similar.

24 Q. And how do you know the Chandler Number 1 is in
25 the same reservoir?

1 A. Well, that well was tight, held tight for six
2 months, and we didn't have any data on that till June of
3 1996. Again, the logs show the Chandler appears to be in
4 the same geologic interval, that being the top of the
5 Strawn. It has the same -- It has similar log
6 characteristics to the Number 1 Klein well, which is the
7 West Lovington-Strawn Unit Number 11 well, immediately to
8 the south.

9 Q. The operator that held those logs tight for so
10 long, was that Hanley?

11 A. Yes, it was.

12 Q. Mr. Nelson, in your opinion do you believe it is
13 appropriate to expand the unit into the 160 acres of
14 Section 34 and Section 28?

15 A. Yes.

16 Q. And why is that?

17 A. First, the two new wells drilled outside of the
18 unit essentially confirms the original geology. There is
19 very little reservoir outside the original unit boundaries.
20 The State "S" well moved the zero line less than a quarter
21 mile east, and the Chandler well moved it less than an
22 eighth of a mile north.

23 Q. In your opinion, Mr. Nelson, do Exhibits 3A, 3B
24 and 5B establish appropriate distribution of the
25 hydrocarbon pore volume and reservoir thickness

1 attributable to all the tracts within the present unit
2 boundaries and the proposed expansion tracts?

3 A. Yes.

4 Q. In allocating pore volume for purposes of
5 expansion into the two 80-acre tracts, did you utilize the
6 same methodology that was utilized in the original
7 unitization case?

8 A. I did.

9 Q. And was that methodology accepted by the Division
10 then?

11 A. Yes.

12 Q. In your opinion, Mr. Nelson, is granting this
13 Application in the interests of conservation, the
14 prevention of waste and the protection of correlative
15 rights?

16 A. Yes.

17 Q. Now, with the exception of Exhibit 5A, the Platt-
18 Sparks map, were Exhibits 1, 2, 3A through 5B prepared by
19 you or at your direction and control?

20 A. Yes, or I agree with their interpretation.

21 Q. Exhibits 1 and 2 were not prepared by you, but
22 you agree with their geographical description?

23 A. Correct.

24 Q. And in your view, Exhibit 5A -- that was the
25 Platt Sparks map -- it's your understanding that was

1 previously accepted and admitted into evidence?

2 A. Yes.

3 MR. HALL: We move the admission of Exhibits 1
4 through 5B, Mr. Examiner.

5 That concludes our direct.

6 EXAMINER CATANACH: Exhibits 1 through 5B will be
7 admitted as evidence.

8 Mr. Carr?

9 MR. CARR: I still object.

10 EXAMINER CATANACH: Okay.

11 CROSS-EXAMINATION

12 BY MR. CARR:

13 Q. Mr. Nelson, you've studied this reservoir for a
14 number of years, have you not?

15 A. Yes.

16 Q. Previously mapped it on various occasions, have
17 you not?

18 A. Yes.

19 Q. Back in 1994 you, in fact, prepared an isopach
20 map on the reservoir?

21 A. Yes.

22 Q. And I'd like to show that to you, and I've marked
23 it as Hanley/Yates Exhibit Number 22.

24 Now, as I look at the legend on this, Mr. Nelson,
25 it indicates that this, in fact, is your work?

1 A. In part, yes.

2 Q. Did you work with a geophysicist on this -- on
3 constructing this map? Is that who Mr. Scolman is, or is
4 he another geologist?

5 A. He's a geophysicist.

6 Q. And so in 1994 you were preparing an isopach of
7 this reservoir, and is it fair to say in this
8 interpretation geophysical information was integrated?

9 MR. HALL: I'm going to object to the form of the
10 question. Integrated into what?

11 Q. (By Mr. Carr) Did you --

12 MR. HALL: Vague question.

13 Q. (By Mr. Carr) You worked with a geophysicist,
14 correct?

15 A. Yes.

16 Q. And did the geophysicist help you prepare this
17 map?

18 A. There was some geophysical interpretation, which
19 helped form line these contours.

20 Q. And that's why his name's on this exhibit; isn't
21 that right?

22 A. That's correct.

23 Q. And it was with the use of the geophysical
24 information that you selected what then were believed to be
25 the reservoir boundaries; is that right?

1 A. That's correct.

2 Q. And so what we have is a map you helped prepare
3 in 1994 in which geophysical information was utilized,
4 correct?

5 A. In part, yes.

6 Q. Now, if we look at the map you've prepared today,
7 marked Exhibit 5B --

8 A. Yes.

9 Q. -- I believe it was your testimony that you
10 didn't integrate seismic information into this
11 interpretation; is that right?

12 A. That is correct.

13 Q. And so what we have here is a map prepared by
14 you, correct?

15 A. Yes.

16 Q. But you haven't integrated any seismic
17 information into this map?

18 A. That's correct.

19 Q. Can you tell me what data point you used to draw
20 your zero contour to the extreme northwest corner of
21 Section 33?

22 A. Again, as I believe I stated, I used the Platt
23 Sparks map as a starting point, as that map was accepted by
24 the OCD, and only changed that map to reflect the new well
25 control.

1 Q. So you aren't able to point to a data point you
2 used to pull that contour out that far; is that right?

3 A. Would you repeat that, please?

4 Q. You've looked at someone else's work. I'm asking
5 you if you as a geologist can tell me what data point shows
6 the zero contour line running through the extreme northwest
7 corner of Section 33.

8 A. Again, I did not change the map that Platt Sparks
9 had generated and presented in a previous hearing relative
10 to inside the unit.

11 Q. Do you know if Platt Sparks used or had access to
12 any seismic information on the reservoir?

13 A. They did.

14 Q. And so if they had access to seismic information
15 on the reservoir, do you know that the person who drew the
16 Platt Sparks map didn't use that information?

17 A. I know that because he testified --

18 Q. -- that he did not use seismic?

19 A. -- that he did not use the seismic.

20 Q. So what we have here is a situation, is, although
21 everyone -- You've reviewed seismic information on the
22 reservoir, correct?

23 A. I have reviewed interpretation.

24 Q. And yet what we have here is an interpretation
25 with no data point that justifies pulling the contour as

1 far northwest as it goes, right? There is not data point
2 you can give me?

3 A. There is no data point. Again, I'm using the map
4 that Platt Sparks had submitted and was accepted to the
5 OCD.

6 Q. I guess we've all forgotten the seismic
7 information; is that the testimony?

8 MR. HALL: I'll object to the question.

9 Q. (By Mr. Carr) I will -- I'll withdraw the
10 question and simply ask you if it is not my understanding
11 of your testimony that you cannot show me one data point
12 that would tie zero contour to the northwest corner of
13 Section 33; is that right?

14 A. There is no data point in the northwest quarter.

15 Q. Now, let's look at the northeast corner of your
16 unit. We have a zero contour that goes to the virtual
17 midpoint of Section 34 on the north boundary of that
18 section. Do you see where I'm talking about? It's at the
19 northeast corner of the unit.

20 A. Yes.

21 Q. Can you show me any data point that you used to
22 map to that -- pull the zero contour out that far?

23 A. Again, I'm using -- The Platt Sparks map is a
24 beginning point. The Yates Chambers well in 27 has no
25 wreath in it, as I understand. And a halfway point, I

1 guess, between West Lovington-Strawn Unit Well Number 8 and
2 the Chambers well is about where that zero point is.

3 Q. So you've kind of gone midway over an area of
4 slightly over a mile and just put your zero contour there?

5 A. Again, the zero is based on the Platt Sparks map.

6 Q. Now, this Platt Sparks map was offered in a case
7 for Snyder Ranches; isn't that right?

8 A. Yes.

9 Q. And when Snyder Ranches appeared in that case,
10 they weren't challenging the horizontal boundary of this
11 unit, were they?

12 A. I'm not sure what -- that I understand what you
13 mean by horizontal boundary.

14 Q. Did Snyder ask that one additional acre be added
15 to the unit on any side of this unit?

16 A. No, I don't believe so.

17 Q. They were challenging a vertical interval, were
18 they not?

19 A. I believe so, yes.

20 Q. And this map was then accepted by the Oil
21 Conservation Division, and their vertical interpretation
22 was accepted by the Division --

23 A. Yes.

24 Q. -- isn't that right?

25 You've reviewed the order that resulted in that

1 hearing, have you not?

2 A. I have in part, yes.

3 Q. Are you aware of anything where the Division has
4 accepted the outer boundary as having been established?

5 A. I'm not sure of that.

6 Q. Are you -- Was there any challenge to the outer
7 boundary at the time of that prior hearing?

8 A. I'm not sure.

9 Q. Now, you've drawn isopachs for numerous
10 reservoirs in your career as a geologist, have you not?

11 A. Yes.

12 Q. When you map reservoirs, is it unusual to have a
13 geological structure sort of fit comfortably within a
14 square like this one does, or is a kind of a typical result
15 when you go out and map?

16 MR. HALL: I'm going to object to the form of the
17 question; it's compound.

18 Q. (By Mr. Carr) Is this a typical geological
19 interpretation, in your opinion?

20 A. Yes.

21 Q. And is it common, when you map reservoirs, to
22 find a zero contour making right-angle turns in corner
23 sections? Is that a typical thing you find?

24 A. The acreage to the south is owned 100 percent by
25 Gillespie, the acreage to the east was owned a significant

1 part by Gillespie, the acreage to the west, a significant
2 part by Gillespie. This was our interpretation.

3 Q. You've talked about what was owned by Mr.
4 Gillespie. Did that have any role whatsoever in how you
5 mapped this reservoir?

6 A. No.

7 Q. Now, when you mapped the reservoir on the eastern
8 boundary, we have a zero line coming down right north-south
9 through the center of Section 34 at this time, and I'm
10 looking now -- I'm looking at the Platt Sparks map.

11 A. Repeat that again, please?

12 Q. If we look at the map, we -- the Platt Sparks
13 map, we find a zero contour running basically north-south
14 through the center of 34; do you agree with me on that?

15 A. Just east of the center, yes.

16 Q. If we look at your original map back in 1994, it
17 runs right down the center of Section 34; do you agree on
18 that?

19 A. Yes.

20 Q. And yet there is no well control point within 40
21 acres of that boundary any place on this entire duration;
22 isn't that right?

23 A. Repeat, please?

24 Q. Can you point to any data point within 40 acres
25 of that line that goes exactly on the unit boundary north-

1 south on your 1994 map?

2 A. I cannot.

3 Q. Now, if I look at your 1994 map and I look at the
4 unit boundary, does not the unit boundary, in essence,
5 include the entire reservoir?

6 A. I'm confused. I see the date on the map is 1995.

7 Q. All right, I'm sorry. It says revision date,
8 5-9-95, I think, on mine; is that --

9 A. And the date says 3-30-95.

10 Q. Okay, that's the same --

11 A. But we're --

12 Q. -- on that map?

13 A. Yes.

14 Q. And that shows the unit boundary as initially
15 adopted, correct?

16 A. Yes.

17 Q. And it includes the entire reservoir, does it
18 not, as you have mapped it?

19 A. As our interpretation, yes.

20 Q. Did you participate in that original hearing?

21 A. I did.

22 Q. And at that hearing Mr. Crow testified that they
23 thought the unit plan was fair and reasonable and
24 equitable. Do you remember that testimony?

25 A. Not for sure.

1 Q. Do you work with other units as a geologist?

2 A. Not typically.

3 Q. When you -- have you -- Do you have an opinion as
4 to whether or not including the entire reservoir within the
5 unit would be fair, reasonable and equitable?

6 MR. HALL: Mr. Examiner, I'm going to object. I
7 think that's far beyond the scope of this Application.
8 We're talking about two 80-acre tracts. If Mr. Carr wants
9 to confine his questioning to the inclusion acreage as
10 properly submitted, advertised and the notice in this case,
11 that's fine.

12 MR. CARR: May it please the Examiner, when an
13 applicant comes in and is redrawing or adding acreage to a
14 unit in which we own an interest, the applicant may not
15 deny to the Oil Conservation Division the right to have a
16 full presentation of all relevant evidence, and if they
17 have drawn the boundaries so as to again exclude interest
18 ownership they know it, because if not, what you've done is
19 tendered to an Applicant your ability and your authority to
20 protect the correlative rights of other interest owners in
21 the pool.

22 This is nothing more than an attempt to play
23 further games with the boundary of the unit, to now not
24 just exclude interest owners but to prevent testimony from
25 those interest owners which is relevant and will show you

1 what the reservoir really should look like.

2 EXAMINER CATANACH: I'm going to allow the
3 question.

4 THE WITNESS: Can you repeat the question,
5 please?

6 Q. (By Mr. Carr) I think we're making more of the
7 question than was intended. The boundary includes the unit
8 at the reservoir as mapped, correct?

9 A. Yes, on this map.

10 Q. On the 1994 map, or 1995 map?

11 A. 1995 map.

12 Q. Your map, my Exhibit 22?

13 A. Correct.

14 Q. And yet when we look at the way you're mapping
15 the reservoir in your Exhibit 5A and proposing to expand,
16 you've excluded some land within your zero contour. You're
17 not expanding your unit to take in all that acreage; isn't
18 -- I'm sorry 5B. So today we're mapping it so that the
19 reservoir actually extends beyond the unit boundary, based
20 on your interpretation, correct?

21 A. Please start over again.

22 Q. We have, on this exhibit the unit boundary and a
23 dark hatched line or a gray line, correct?

24 A. Yes.

25 Q. At this time -- And you've also put your

1 expansions tracts on the unit?

2 A. That's correct.

3 Q. And your zero line showing the limits of the
4 reservoir as mapped on this exhibit extends beyond the unit
5 as you're now proposing to expand it, correct?

6 A. Yes, it does.

7 Q. Now --

8 A. In part, however, this does reflect the Platt
9 Sparks map.

10 Q. But now you're here testifying as a geologist,
11 and I'm going to ask you to testify about what you know,
12 and not just what Platt Sparks wants presented, because we
13 don't have those people here to examine.

14 And even -- No matter what you base this map on,
15 this is your interpretation today, is it not, Mr. Nelson?

16 A. Again, as to the expansion of the Chandler well,
17 the State "S" well, the new control with the Snyder "EC"
18 Com well, yes, it is.

19 Q. Okay. If I look at this, there's hydrocarbon
20 pore volume in the northeast quarter of Section 34 that is
21 not being included in the unit; isn't that right?

22 A. That is correct. Again, with the Platt Sparks
23 map, as I've said, this was taken at the starting point,
24 because the OCD recognized the unit participations within
25 the unit. Not wanting to confuse that, we used the

1 contouring as Platt Sparks had done it and expanded it to
2 reflect the new well control.

3 Q. Now, is this map 5A with the green-shaded area --
4 Is this your work?

5 A. Map 5A --

6 Q. 5B.

7 A. 5B? Yes, it is.

8 Q. And is the zero line, as shown on this map, your
9 interpretation of the limits of the reservoir?

10 A. I thought that I've answered that. Again,
11 relative to the new wells, that is my new work.

12 Q. And so it is your testimony that what is shaded
13 in green is the reservoir as it now stands with hydrocarbon
14 pore volume in the acreage shaded in green; is that right?

15 A. Yes.

16 Q. And if we look at the northeast of Section 34, we
17 find a substantial amount of acreage shaded green, correct?

18 A. There is acreage shaded green. I'm not sure
19 that's substantial.

20 Q. Well, that acreage is, one, shaded green and,
21 two, outside the unit, is it not?

22 A. That's correct.

23 Q. And is it not true that Gillespie-Crow is now
24 proposing to drill a well 330 feet north of the track dated
25 -- dedicated to the State "S" Number 1 well?

1 A. Gillespie-Crow has sent out an AFE to drill that
2 well, which we are evaluating.

3 Q. And if that well is drilled and you're
4 evaluating, you've obviously concluded there is a potential
5 for making a Strawn producer there; isn't that right?

6 A. No, I said we're evaluating their proposal.

7 Q. Okay, you're sending out the AFE, but you haven't
8 decided whether or not that is a drillable location?

9 MR. HALL: Let me object to the characterization.
10 The AFE has gone out from Gillespie-Crow, not from Enserch.

11 THE WITNESS: As a working interest owner in that
12 acreage, we are evaluating the proposal. We do not --

13 Q. (By Mr. Carr) And this testimony -- If I
14 understand, to follow up on Mr. Hall's -- you're not
15 testifying for Gillespie-Crow. What we say here is
16 Enserch's interpretation, not Gillespie-Crow's?

17 A. This map is my interpretation as I have
18 restricted it.

19 Q. If that well is drilled, the well that has been
20 proposed in the northeast of Section 34, and if it is a
21 commercial Strawn well, will we again be trying to expand
22 this unit?

23 A. If it is a commercial well, and if it is
24 connected to the reservoir, yes.

25 Q. Now, you say if it is a well that is connected to

1 the reservoir. When I look at this map, the green is
2 interpretive -- it's your interpretation of the reservoir;
3 isn't that correct?

4 A. Again, in part, yes, sir, that is my
5 interpretation.

6 Q. And if you drill a well and you get a good well,
7 then you have hard data on what that tract can actually
8 produce; isn't that fair to say?

9 A. You have hard data as to whether it is connected
10 to the reservoir and what the -- you could calculate, then,
11 the hydrocarbon pore volume in that wellbore.

12 Q. And you'd know what you could produce off that
13 tract once you drilled a well, correct?

14 A. You could make a calculation of that. I think
15 that's more an engineering question than a geologic
16 question.

17 Q. Well, geology, the green-shaded area, is
18 interpretive, that's what I'm -- Do you agree with me on
19 that?

20 A. Yes.

21 Q. And that the well data, the actual or production
22 figures or whatever you -- other than maybe just the feet
23 of pay that you see in your -- that's an engineering
24 consideration. But that's hard data. I mean, you know --
25 under these conditions. Those are hard facts on one hand,

1 correct?

2 A. When we have drilled and logged the well, we will
3 have some hard data.

4 Q. And what we have in terms of just this pore-
5 volume map is interpretive; it has to be, correct?

6 A. Yes.

7 Q. All right. Now, when we go to the State "S"
8 Number 1, were you involved in the decision to drill that
9 well?

10 A. I was.

11 Q. Isn't it fair to say that you thought it was
12 going to be in a separate reservoir?

13 A. That is fair to say.

14 Q. And isn't it fair to say that you were not happy
15 when you discovered there were other people who had
16 interests in the well, other than just Gillespie and unit
17 owners? That was a surprise, wasn't it?

18 A. That was a surprise, that we did not have a
19 hundred percent interest in that well.

20 Q. When you drilled that well you had some hard
21 data, though, on what could -- on -- you had some -- you
22 had an additional data point from a geological point of
23 view, correct?

24 A. Yes, we had another log.

25 Q. And so there's value to having a well over there.

1 It gives you some hard information, correct?

2 A. It gives us more information, yes.

3 Q. You know how many feet you've -- pay -- or you've
4 got, and you can measure the formation in that wellbore,
5 correct?

6 A. Through wireline logs, yes.

7 Q. And so that's a hard fact that you don't have
8 when you're just interpreting the reservoir, say, off to
9 the northwest corner?

10 A. That's correct.

11 Q. And so there's value to having these additional
12 wellbores in the reservoir, correct?

13 A. In terms of giving hard data, in terms of
14 draining the reservoir, that's an engineering question.

15 Q. But you would agree that those aren't
16 interpretive, like it is just trying to sit down and from
17 well points analyzing, from points a mile apart, where the
18 reservoir actually pinches out? You've got --

19 A. Those are hard data points, yes.

20 Q. Okay. In your early work on the reservoir you
21 have used seismic information, have you not?

22 A. Not me personally. The company has, yes.

23 Q. And when you prepare your -- you start trying to
24 develop a structure map, do you consult your geophysicist
25 on that?

1 A. Yes.

2 Q. When you're doing an isopach, would you consult a
3 geophysicist on that?

4 A. Potentially, in part, yes.

5 Q. When you -- And admittedly, it's only one of
6 various kinds of information that you use, but is it
7 information that you would consider in trying to define the
8 limits of a reservoir?

9 A. What kind of information is that?

10 Q. Would you look at -- Would you consider 3-D
11 seismic if you were trying to determine how far out this
12 Strawn pod happened -- or reservoir happened to extend?

13 MR. HALL: Mr. Examiner, I'm going to object.
14 It's calling for speculations. It's not clear that the
15 question is directed to the Application before you. It
16 sounds like it's a completely speculative question about
17 his methodology for evaluating any reservoir anywhere. If
18 we could get back on track and focus on this Application, I
19 think we need to do that.

20 Q. (By Mr. Carr) Mr. Nelson, did you use seismic at
21 any level in mapping this reservoir at any time?

22 A. Early on, yes.

23 Q. Did you have any seismic data to analyze or
24 consider north of the northern boundary of this reservoir?

25 A. No 3-D seismic data, no.

1 Q. Did you use 2-D seismic?

2 A. We have 2100 line miles, I believe, of seismic
3 data in this area. I believe -- I'm pretty sure we have
4 data north of this; I'm not sure.

5 Q. You personally didn't get a geophysicist in your
6 office and look at seismic information in terms of trying
7 to define the northern boundary of the reservoir as you
8 have mapped it; is that fair?

9 A. We had oil-water contacts in the wells, we were
10 clearly going downdip in the wells, with new wells to the
11 north. We're quite low to the reservoir. I'm not sure if
12 I can say that we've used 2-D seismic data north of the
13 unit. I don't recall.

14 Q. When you look at the oil-water contacts in the
15 northern portion of the reservoir, are you seeing a uniform
16 oil-water contact in this reservoir?

17 A. Essentially so, yes.

18 Q. Have you looked at the oil-water contact in the
19 Klein well in the northwest of the northeast of 33?

20 A. Yes, I believe so.

21 Q. And have you compared that to the oil-water
22 contact in the Wiley well due south?

23 A. I'm sure that I have.

24 Q. Isn't -- Do you know whether or not they're the
25 same?

1 A. It's been a long time since I actually looked at
2 those.

3 Q. But based on the way you have mapped this, you
4 have used a uniform oil-water contact in the reservoir?

5 A. That was the oil-water contact accepted by the
6 OCD, based on the Platt Sparks work.

7 Q. And the OCD might be wrong; isn't that true?

8 MR. HALL: I'll object.

9 Q. (By Mr. Carr) Even if they were, you're using
10 that number, right?

11 MR. HALL: That's the wildest assumption he could
12 make.

13 THE WITNESS: We are using the subsea as minus
14 7617.

15 Q. (By Mr. Carr) Is it my understanding that before
16 any additional acreage, any additional tracts can be
17 included in this reservoir, that they must have a well on
18 it?

19 MR. HALL: I'll object. Is the question asking
20 for Mr. Carr's understanding of the procedure here?

21 Q. (By Mr. Carr) I would ask Mr. Nelson's
22 understanding. Did you understand my question, and the
23 question was, do you have to have a -- Do you the criteria
24 that is used by your company for extending the unit,
25 expanding --

1 A. Typically, we have tried to use wellbore data to
2 expand the unit. I'm not sure if the unit agreement --
3 what that calls for exactly.

4 Q. Would someone else, do you think, be a better
5 witness to pursue that with?

6 A. Perhaps.

7 Q. And that's speculation on your part?

8 A. (Laughter)

9 Q. One second here, and I may be able to wrap this
10 up.

11 Were you involved in the decisions that resulted
12 in the adoption of the unitization formula based on the
13 hydrocarbon pore volumes?

14 A. Repeat that again, please.

15 Q. Were you involved in any of the negotiations
16 which resulted in the development of the allocation formula
17 for this unit?

18 A. I thought the allocation formula was one
19 submitted by Platt Sparks.

20 Q. Were you involved in negotiations concerning the
21 use of one factor, that being hydrocarbon pore volume?

22 A. Negotiations with -- ?

23 Q. Phillips?

24 A. Yes, we had discussions with Phillips, yes.

25 Q. And when you were developing the unit, were you

1 involved in discussions where you were determining what
2 kind of an allocation formula should, in fact, be utilized?

3 A. I believe -- I was involved in what we
4 recommended, yes.

5 Q. Did you recommend the formula that is actually in
6 the unit agreement finally approved?

7 A. I'm not sure.

8 Q. You are aware that unit participation is based on
9 the hydrocarbon pore volume under each tract; isn't that
10 fair to say?

11 A. Yes.

12 Q. And in the negotiations, in the formation of this
13 unit, was the use of that one factor, hydrocarbon pore
14 volume factor, was that discussed among the parties?

15 A. The use of that factor?

16 Q. Yes.

17 A. I believe we had -- we thought that that was the
18 fairest way to allocate tract participation.

19 Q. And didn't you have to have lengthy meeting with
20 Phillips to get them to agree to use that formula?

21 A. I believe we had several discussions with them.

22 Q. And didn't you agree to increase the hydrocarbon
23 pore volume under their tracts before they would agree to
24 go with the hydrocarbon pore volume approach?

25 A. I believe part of that was based on -- again, we

1 have, as you have asked me repeatedly, used and did use
2 seismic initially. Phillips also reviewed the seismic in
3 their interpretation; ended up with us in part changing
4 that, yes.

5 Q. And as part of the initial negotiations with
6 Phillips, in fact, didn't you agree to increase the
7 hydrocarbon pore volume on their acreage?

8 MR. HALL: Mr. Examiner, I want to state an
9 objection at this point. Mr. Carr's questions are
10 revisiting the negotiations for the original unitization.
11 I think they're far beyond the point of this Application.
12 They're simply not relevant at this point.

13 MR. CARR: Mr. Examiner, the unit has expanded
14 and these two tracts are added. Hanley, Yates and others
15 will be served their lunch, and it will be a formula one
16 factor, hydrocarbon pore volume.

17 The original negotiations involved adjustment of
18 the hydrocarbon pore volume by tract so that they could
19 reach an agreement that met all their objectives, not ours.
20 And I think it's relevant to show that the formula they're
21 asking you to impose on us was a result of negotiations,
22 and we were not involved with those negotiations. And to
23 that extent, it is relevant.

24 And again, they're trying to put blinders on
25 everyone in this room so that you can't get the whole

1 picture, because for some reason they're worried about what
2 that picture will show.

3 MR. HALL: Let me briefly respond to that, Mr.
4 Examiner. It's easy to say anything is relevant. The
5 question is whether, again, it's admissible within the
6 context of this Application. It's a revisitation of an
7 earlier case. We don't need to go over it again.

8 EXAMINER CATANACH: Well, with your expansion of
9 this unit, you're going to propose to revise this
10 allocation formula; is that correct, Mr. Carr, Mr. Hall?

11 MR. HALL: That's correct, but we're talking
12 about negotiations for the determination of that
13 participation, which has already been accepted. There's an
14 order to that effect dealing with that issue in the earlier
15 cases. It's no longer relevant here.

16 EXAMINER CATANACH: Mr. --

17 MR. CARR: Mr. Catanach --

18 MR. BRUCE: Go ahead, Bill.

19 MR. CARR: -- you entered an order based on a
20 record made in another hearing. And we see Enserch and
21 Gillespie trying to hide behind that to prevent us from
22 presenting data that has a direct impact on the order
23 you're going to enter as a result of this hearing.

24 And we're going to challenge the formula, because
25 we didn't -- weren't able to play around with the pore

1 volume and simplify the ownership to get to a point where
2 we could fly with a one-factor formula.

3 It is something that was done before, yes. It
4 was the subject of another hearing, yes, and we are
5 revisiting it today because we're going to ask you to
6 change it, because we're going to show you it is not fair.

7 MR. BRUCE: Mr. Examiner, just a point of
8 clarification.

9 Gillespie-Crow and their partner Enserch are not
10 asking to change the participation formula. The
11 participation formula that was in the original unit
12 agreement was based on hydrocarbon pore volume under each
13 tract, less production to date. That formula remains the
14 one that is being used here in this hearing by Gillespie-
15 Crow.

16 We are just stating that we found approximately
17 5-percent more reservoir volume outside the existing unit,
18 and we're asking to include that in and, of course, reduce
19 the existing tracts proportionately.

20 I would point out that in the original tract
21 participation formula production was subtracted from each
22 tract. We're not asking to do that here. They've produced
23 70,000 and 140,000 from these new tracts. We're just
24 asking to use hydrocarbon pore volume.

25 EXAMINER CATANACH: Mr. Carr, are you challenging

1 the -- are you going to challenge the formula itself for
2 the --

3 MR. CARR: Yes.

4 EXAMINER CATANACH: -- hydrocarbon pore volume?

5 MR. CARR: I mean, they're one and the same.
6 They are one and the same. And to sit here and complain
7 about what's been produced outside the unit when they've
8 not expanded it is as great a straw man as I've ever seen
9 raised in one of these proceedings.

10 The issue before you right now is whether or not
11 I can ask this witness if, in fact, it didn't engage in
12 negotiations with Phillips and change the hydrocarbon pore
13 volume to reach an agreement among themselves, and I think
14 that's relevant to the fact that now they are asking you to
15 impose that same formula on us, and we don't have a chance
16 to negotiate anything.

17 MR. HALL: And that's the problem we've pointed
18 out in our motions, Mr. Catanach. This is the first time
19 we've been aware of this. They spring it on us here today.
20 We can't respond to it. It is revisitation of the earlier
21 hearing.

22 We're not arguing -- We're not here to revisit
23 the formula or the methodology. It's just the presence of
24 pore volume under the expansion acreage, period. That's
25 why we think we ought to bring this proceeding under

1 control and limit the question to that issue.

2 MR. CARR: I feel sorry for them, but they could
3 have subpoenaed whatever they wanted, and they did not.

4 EXAMINER CATANACH: Mr. Carr, what do you hope to
5 accomplish with this line of questioning?

6 MR. CARR: Later I'll present evidence that will
7 show that it's unique to have a one-factor allocation
8 formula in the unit.

9 And I can wrap this up by asking Mr. Nelson,
10 perhaps, if they're going to try and use the same formula
11 with us that's already been adopted. And then at the end
12 I'm going to be able, I believe, to show you from the
13 transcript of prior proceedings that they adjusted this to
14 accommodate their interest, but what they're now trying to
15 lop wholesale outside the existing unit to us is unfair.

16 And that is one of the reasons we're going to ask
17 you to change it.

18 EXAMINER CATANACH: Well, Yates and Hanley are
19 going to propose a different method of allocation within
20 the unit.

21 MR. CARR: Yes, sir, we are. But to get to that
22 point under the statute, we need to show what they've done
23 is unfair. That's what it says. You have to decide that
24 first.

25 MR. HALL: And that's my point, Mr. Catanach.

1 That's a separate Application. Yates and Hanley are free
2 to abide by the procedures under the unitization act and do
3 that. They have the evidence to back it up. They can
4 present it in a second -- a separate properly advertised
5 and noticed case.

6 Not in this case. This is a simple expansion
7 case into two 80-acre tracts. Really, the only question on
8 the table is the distribution of pore volume into the
9 expansion acreage. That's all.

10 MR. CARR: It is not a separate proceeding, Mr.
11 Catanach.

12 I quote to you from Section 70-6-7 in the
13 Statutory Unitization Act, which provides in Subpart (b),
14 If the Division -- that's you -- determines that the
15 participation formula contained in the unitization
16 agreement does not allocate unitized hydrocarbons on a
17 fair, reasonable and equitable basis, the Division shall
18 determine the relative values. And it goes on and passes
19 it to you.

20 So it isn't a separate proceeding. Mr. Hall
21 ought to read the Act. It's this proceeding.

22 MR. HALL: Well, you know, I've read the Act, Mr.
23 Catanach. Before Mr. Carr can come in here and expand
24 beyond the scope of this Application, he has to show that
25 he's complied with the Act as well. And I don't think the

1 basis of counsel letter to interest owners sent in the
2 blind -- the Division didn't know of, opposing counsel was
3 not made aware of -- simply advising them of the pendency
4 of this expansion hearing, complies.

5 What he has to do is go out and show that he has
6 consent of 100-percent of the interest owners he proposes
7 to bring in if that's, in fact, what he's doing, and tell
8 them about his new participation formula and explain it to
9 them and get them to consent to that.

10 I doubt he's done that.

11 MR. CARR: Mr. Catanach, I will do one thing I
12 think may be helpful. I'll withdraw my question and ask
13 you to take administrative notice of pages 50 through 53 of
14 the transcript of the June 16, 1995, hearing in the case
15 called on the application of Gillespie-Crow to create this
16 unit, and it is Case 11,194.

17 If you'll take administrative notice of those,
18 I'll stop my cross-examination, because I thought you've
19 ruled on our prehearing motions and I -- we'll never get
20 anywhere if we sit here and re-argue them all afternoon.

21 EXAMINER CATANACH: Any objection, Mr. Hall?

22 MR. HALL: No, sir.

23 EXAMINER CATANACH: We'll adopt that.

24 MR. CARR: And that concludes my direct exam- --
25 my cross-examination of this witness.

1 EXAMINER CATANACH: Cite those to me again, Mr.
2 Carr.

3 MR. CARR: It is in the transcript of Case 11,094
4 [sic], and it's pages 51 through 53, the testimony of
5 William Crow concerning the negotiations with Phillips who
6 did -- who agreed to participation.

7 EXAMINER CATANACH: Case Number?

8 MR. CARR: 11,194.

9 EXAMINER CATANACH: 11,194.

10 MR. CARR: Yes.

11 MR. CARROLL: Can we see that right now? Mr.
12 Carr, can we look at those pages?

13 EXAMINER CATANACH: Any redirect, Mr. Hall?

14 MR. HALL: Briefly.

15 REDIRECT EXAMINATION

16 BY MR. HALL:

17 Q. Mr. Nelson, now that the mystery acreage and the
18 mystery formula is off the table, let's refocus on the
19 purpose of this Application. Isn't it true that really
20 what we're talking about here is the proper distribution of
21 hydrocarbon pore volume under the two expansion tracts?

22 A. That's correct.

23 Q. And what is the most accurate basis for
24 determining distribution to those tracts? What's the best
25 data you can use to do that?

1 A. From the well control hydrocarbon pore volume.

2 Q. And that's from the well data?

3 A. That's correct.

4 Q. And that's what you've done?

5 A. Yes.

6 MR. HALL: That's all I have.

7 MR. BRUCE: Mr. Examiner, could I just say one
8 thing? I do want to affirm that Gillespie-Crow, Inc., the
9 Applicant, does adopt Mr. Nelson's geology in this case.

10 EXAMINER CATANACH: Okay.

11 EXAMINATION

12 BY EXAMINER CATANACH:

13 Q. Mr. Nelson, what areas of your mapped reservoir
14 do you feel the least comfortable with, as far as the
15 boundaries go?

16 A. You're looking at Exhibit 5 --

17 Q. I'm looking at 5B.

18 A. Well, to the south, I really don't believe the
19 zero line goes south of the unit in Section 1. Again, that
20 was based from the Platt Sparks map.

21 Placing the zero line between the Culp well and
22 the State "S" could be subject to interpretation. I had
23 placed it more than halfway toward the Culp well.

24 The Culp well was drill stem tested in the Strawn
25 interval. The drill stem test result basically was a very

1 tight interval with low pressures. It recovered some gas
2 in pipe; it actually had a little gas to the surface, too
3 small to measure, as I recall. It had no oil recovered in
4 the test, and to me that suggests the well is not close to
5 an oil reservoir. However, we do know that there is oil at
6 the State "S".

7 So where you put that zero point could be
8 debated. But I believe where I have it is a reasonable
9 interpretation.

10 Exactly how the zero line is in the northeast
11 quarter, relative to the proposed Gillespie-Crow Culp well,
12 again, that is a Platt Sparks interpretation. And as I
13 said, we are reviewing that. There has been discussions
14 within our company as to the risk involved in drilling that
15 well.

16 This reservoir is unusual in its size and in the
17 sense that it's one reservoir for this area, where most of
18 these reservoirs are two- and three-well, maybe four-well
19 fields. I guess the Big Dog-Strawn is probably five wells.
20 That's a little unusual, that's getting in the upper end.
21 And to continue drawing these contour lines out and out and
22 out, well, there's no match for it in this area. There's
23 no reservoir of that kind of areal extent here, from my
24 knowledge, that is Strawn in the Lovington area.

25 I guess those are the areas that I'm not sure of,

1 to answer your question.

2 Q. Okay. You've really knocked out a lot of well
3 control in between the State "D" and the Snyder "EC" Com.
4 Do you feel comfortable in that area in the southeast
5 portion of the unit?

6 A. I believe from drill stem test data, and I guess
7 our next witness may testify as to the pressures in the
8 "EC" Com, that well is connected to the reservoir; it has
9 four feet of net pay in it.

10 As I recall, I believe we show the Hanley well --
11 and the map will reflect whatever the value is -- and the
12 Chandler well, that there were 17 feet of net porosity in
13 that well. Well, the difference between the two wells is
14 not a great deal in thickness, but obviously a great deal
15 in permeability. The "EC" Com pumps 40 barrels a day, and
16 it pumps off.

17 So we're getting everything we can get,
18 apparently -- Excuse me, Gillespie is getting everything
19 they can get out of that well. Where that zero -- Where
20 the effective permeability line may be, I'm not sure. I
21 don't think that there is much reservoir nearby the Snyder
22 "EC" Com.

23 And again, we had -- Enserch, I don't believe,
24 really wants the "EC" Com in the reservoir, as I don't
25 believe it really is materially benefitting from the

1 pressure maintenance, and I believe Yates has also objected
2 to that inclusion. And Gillespie has never pushed to
3 include that well. They had asked the parties, but when we
4 objected, when I believe Yates objected, they quit pushing
5 on them.

6 Q. How about the western boundary of this unit?
7 there's not a lot of well control between the West State
8 and the Hanley State Number 1.

9 A. Well, the Gillespie Baer 2 well is in that Big
10 Dog-Strawn Pool. It has a different reservoir pressure
11 within the unit. It is clearly separated. The Amerind
12 State well is dry in the Strawn, it's a dry hole. So there
13 are two points of control. Actually, there's -- I'm not
14 sure in the northwest of 32.

15 Q. Unless you drill additional wells within this
16 pool, do you think it's possible to change this map, the
17 way it is, to further redefine the reservoir?

18 A. I believe this map reflects the well control, the
19 known well control at the time. Additional wells may
20 change this map.

21 Q. We may be back here expanding the unit again; is
22 that correct?

23 A. Maybe. Again, this is an unusual reservoir in
24 its areal extent.

25 Originally -- I was not involved with the

1 predecessor company, the Dalen, the PG&E who was a partner
2 with Gillespie at the time the first drilled, but I do know
3 from conversations that Gillespie never thought this
4 reservoir was this large to begin with, or they wouldn't
5 have drilled the initial six wells or so, so close
6 together.

7 Q. You don't know at this point whether or not the
8 Culp Number 1 is going to be drilled?

9 A. We have not approved an AFE. We have not agreed
10 among -- technically among ourselves if we're going to
11 participate in the well.

12 Q. Who -- Is the ultimate decision to drill that
13 well, is that the decision of the -- of Gillespie?

14 A. Yes, that is the decision of the operator.

15 As I understand -- and I have not read the
16 operating agreements -- if we don't participate then we go
17 nonconsent, and then they can, even with a signed a
18 operating agreement -- a signed AFE, don't have to drill
19 the well.

20 Q. It's your opinion that the Chandler well and the
21 State "S" well are definitely in this reservoir, and that
22 acreage should be included in the unit?

23 A. It is my opinion from the log correlations. I
24 believe that the next witness will testify to the
25 engineering facts concerning that.

1 EXAMINER CATANACH: Okay, I have nothing further
2 of this witness.

3 Anything further?

4 MR. HALL: We have nothing further.

5 EXAMINER CATANACH: Okay, this witness may be
6 excused.

7 MARK MLADENKA,
8 the witness herein, after having been first duly sworn upon
9 his oath, was examined and testified as follows:

10 DIRECT EXAMINATION

11 BY MR. BRUCE:

12 Q. Will you please state your name and city of
13 residence for the record?

14 A. My name is Mark Mladenka. I live in Midland,
15 Texas.

16 Q. And who do you work for and in what capacity?

17 A. I work for Charles B. Gillespie and Gillespie-
18 Crow, Inc. I'm the production manager.

19 Q. By education and experience are you a petroleum
20 engineer?

21 A. I was educated at the University of Texas,
22 Austin, graduated with a mechanical engineering degree in
23 1976 and been employed by Union in California for three
24 years and Mabee Petroleum for another nine, and have been
25 employed as a -- in the capacity of an operations

1 manager/engineer since that time, since 1989.

2 Q. And are you familiar with the engineering matters
3 pertaining to the West Lovington-Strawn unit?

4 A. Yes, I am.

5 MR. BRUCE: Mr. Examiner, I tender Mr. Mladenka
6 as an expert petroleum engineer.

7 EXAMINER CATANACH: Any objection?

8 MR. CARR: No objection.

9 EXAMINER CATANACH: Mr. Mladenka is so qualified.

10 Q. (By Mr. Bruce) Let's start with a little bit of
11 the history, sir. When was the West Lovington-Strawn Unit
12 formed?

13 A. The unit was officially formed in October 1st of
14 1995.

15 Q. And what has happened since the unitization
16 hearing, since the unitization order became effective, to
17 cause Gillespie-Crow to seek unit expansion?

18 A. The Chandler Well Number 1 in the south half of
19 the southeast quarter of Section 28 was completed in March,
20 1996, and the State "S" Well Number 1 in the west half of
21 the southeast quarter of Section 34 was completed late in
22 October, 1995, which extended the boundaries of the unit
23 reservoir, the West Lovington-Strawn Pool.

24 Q. And why are you seeking to include these --
25 there's actually three new tracts, but these two wells and

1 the three new tracts in the West Lovington-Strawn Unit?

2 A. The two new wells are in pressure communication
3 with the unit's reservoir, and thus should be brought into
4 the unit.

5 Q. Are the unit's interest owners bearing the costs
6 of the pressure-maintenance project?

7 A. Yes, and we are bearing the entire cost of the
8 pressure-maintenance project and have at times restricted
9 production from the unit wells to accommodate the
10 production from the two subject wells. Therefore, if we
11 don't bring the wells inside the unit, they are benefitting
12 from the pressure maintenance project without having to pay
13 for its share of it.

14 Q. Okay. Now, let's just talk about the pool, not
15 just the unit but the pool. When -- Could you just
16 describe briefly the history of the pool?

17 A. The West Lovington-Strawn Pool was discovered in
18 June, 1992, by the Hamilton Federal Number 1, now the WLSU
19 Well Number 1. It's located in the southwest quarter of
20 the southeast quarter of Section 33, Township 15 South,
21 Range 35 East.

22 Ten additional wells were drilled in the pool
23 within the next three years. As early as April, 1993,
24 Enserch and Charles Gillespie, the largest working interest
25 owners in the pool, began considering a pressure-

1 maintenance project, due to the rapid pressure depletion of
2 the reservoir.

3 In June of 1995 a hearing was held before the
4 Division resulting in orders approving statutory
5 unitization and a gas-injection pressure-maintenance
6 project for the unit.

7 The unit became effective October 1, 1995.

8 Q. What is the drive mechanism of this pool?

9 A. It is a solution gas drive.

10 Q. And what is the depth bracket allowable for wells
11 in the pool?

12 A. The original depth bracket allowable was 445
13 barrels of oil per day. Order Number R-9722-C reduced the
14 allowable to 250 barrels a day.

15 Q. Now, were these wells in the pool ever produced
16 at top allowable, at the 445 barrels a day?

17 A. Yes, early in the life of the pool. However, due
18 to pressure decline we voluntarily curtailed production to
19 100 barrels of oil per day per well in May of 1994, about a
20 year and a half before the pressure-maintenance project
21 began.

22 Q. Why was the production curtailed?

23 A. At the time production was restricted, the
24 working interest owners knew they were going to initiate a
25 secondary recovery project but that it would take some time

1 putting it into place. The reservoir was approaching
2 critical gas saturation, and depletion of the reservoir's
3 bottomhole pressure had to be slowed down.

4 If we had continued to produce the wells at top
5 allowable, critical gas saturation would have been reached
6 before the pool was unitized. Had that occurred, free gas
7 within the reservoir would have become mobile, and the
8 producing GOR would have increased rapidly, depleting the
9 reservoir of its main energy drive.

10 Q. How would that have affected production from this
11 pool?

12 A. Oil production would have declined very rapidly,
13 and a significant volume of original oil in place would not
14 have been recovered.

15 Q. Was the pressure-maintenance project for the unit
16 proposed as a method to prevent the loss of reserves?

17 A. Yes.

18 Q. When did injection of gas begin into the unitized
19 formation?

20 A. We began injection in October of 1995. Since
21 then, we've been injecting about 4 to 7 million a day, for
22 a total of 2.4 BCF as of April 1 of 1997.

23 Q. And which is the injection well?

24 A. We're injecting into the top of the Strawn
25 porosity in the WLSU Number 7, formerly the Speight Fee

1 Number 1, which structurally has the highest drilled
2 porosity in the unit's reservoir.

3 The perforations from each producing well in the
4 unit are at the bottom of the Strawn porosity, or the
5 bottom 10 to 15 feet of perforations isolated mechanically.

6 Q. Okay. Now, let's move to your exhibits. Could
7 you identify Exhibit 6 for the Examiner and discuss the
8 effect of gas injection on pressures in the unitized
9 formation?

10 A. Exhibit 6 is a plot of bottomhole pressure versus
11 cumulative production, both calculated and measured,
12 measured being oil in the tank and pressure actually
13 recorded. Calculations, I'll get into that later.

14 As you can see, the original bottomhole pressure
15 was 4392 p.s.i. By April, 1994, the bottomhole pressure
16 had declined to 3450. At that time, production was
17 curtailed to 100 barrels of oil per day. By October of
18 1995, when injection began, the bottomhole pressure had
19 further declined to 3261 p.s.i.

20 As a result of gas injection the bottomhole
21 pressure actually increased to 3310 p.s.i. in March of
22 1996, even though over 240,000 barrels of oil were produced
23 from the unit and the two wells outside the unit since the
24 pressure-maintenance project began.

25 Since March, 1996, the bottomhole pressure in the

1 unit has decreased 48 pounds to 3262 p.s.i., after
2 producing 790,000 barrels of oil since injection began.

3 Q. So let's stop on that for a minute. When you
4 began injection, pressures were 3261 p.s.i.?

5 A. That's correct.

6 Q. And in March, 19-- currently, they're virtually
7 the same thing; is that correct?

8 A. That is correct.

9 Q. Even after producing 790,000 barrels?

10 A. Right. Actually, it shows the average has
11 increased 1 p.s.i., so...

12 Q. Now, looking at this chart, how do the actual
13 bottomhole pressure figures compare with the calculated and
14 extrapolated figures?

15 A. The calculated points on Exhibit 6 were generated
16 using our latest available pressure data. The calculated
17 points compared to actual measured points indicate how
18 accurate our predictions have been. This confirms our
19 prediction that the reservoir would have depleted very
20 rapidly had we not instituted the pressure-maintenance
21 project.

22 Q. Did the gas injection program successfully
23 prevent additional gas from breaking out of solution, in
24 your opinion?

25 A. Yes, it has prevented waste and enabled the

1 recovery of additional reserves from the reservoir.

2 Q. Now, let's move to your Exhibits -- Let's go to
3 7A and 7B together. Could you go to 7A, identify that, and
4 then discuss what that shows for the Examiner?

5 A. Exhibit 7A is a rough material balance of the
6 West Lovington-Strawn Unit, and these are unit wells only.
7 It takes the oil produced at the time -- well, since
8 injection began, October, 1995, being the first month of
9 injection with the oil produced. We account for that oil
10 produced as reservoir withdrawal and the gas injection and
11 then a resulting monthly balance with a cumulative
12 reservoir barrel balance.

13 Page 2 of 7A is the graphical representation of
14 that data from October through March of 1997. It shows
15 that we've maintained at least a 300,000-barrel reservoir
16 positive balance over injection --

17 Q. Over withdrawals?

18 A. Over withdrawals.

19 Q. So as far as just looking at the unit wells only,
20 you're ahead of the game?

21 A. That is correct.

22 Q. Now, is Exhibit 7B, is that just simply --

23 A. That -- Exhibit 7B is simply the tabular monthly
24 production since the discovery well, the Hamilton 1 or the
25 WLSU Well Number 1 came on, through March of 1997, with

1 oil, gas, GOR, cum oil, gas, gas injection. These are
2 tabular monthly data input.

3 Q. Am I correct that just for the unit approximately
4 2.4 million barrels of oil have been produced?

5 A. That is correct. We've produced -- correct, 2.4
6 million barrels of oil, as of April 1, 1997.

7 Q. Now, if I can digress for a moment, that's beyond
8 what was projected for primary recovery from the entire
9 pool?

10 A. That is correct.

11 Q. Okay, let's move on to your Exhibit 8A. Could
12 you identify that?

13 A. 8A is simply -- are identical to the 7A
14 presentation; however, this incorporates the entire pool,
15 meaning the State "S" and the Hanley "EC" -- I'm sorry, the
16 Hanley well, and even the "EC", the Snyder "EC" Com well.
17 It shows that we are now at a monthly imbalance of 264,000
18 barrels, due to the production of those -- mainly those two
19 -- the State "S" and the Hanley well.

20 The -- Page 2 of that exhibit is the graphical
21 representation showing the negative balance currently seen
22 by the pool.

23 I'd like to point out on page 3 of that Exhibit
24 8B [sic], I have transposed the bottomhole pressure data
25 for the pool below the reservoir balance graph representation.

1 October, 1995 -- These are the same pressure
2 points that we'll go into later. October, 1995, the
3 pressure is 3294. We show an imbalance at that point, 3261
4 in November, 3310 in March.

5 Q. So you had increased at that point?

6 A. We had increased that, and our predictions and
7 our modeling shows that we're on the right tract.

8 Q. Then what's happened since that, you reached that
9 maximum pressure of 3310?

10 A. Right, and we showed a reservoir -- These are
11 just calculations showing the material balance, and the
12 pressure just confirms our calculations. And then we
13 decline down to 3262, which was essentially the same
14 pressure, in October-November, 1995.

15 Q. And since you've reached imbalance -- or when you
16 reach that imbalance point, you've had these two new wells
17 producing?

18 A. That is correct. If we put this same pressure
19 plot on there, the correlation on the unit curve, for the
20 material balance for the unit curve, you could tell that
21 the reservoir pressure is declining. However, material
22 balance shows a positive.

23 Q. And Exhibit A again, could you identify that --

24 A. Yeah.

25 Q. -- or Exhibit --

1 A. Exhibit 8B is the graph- -- the tabular
2 production data with page 3 as being the graphical
3 presentation of that data for the West Lovington-Strawn
4 Pool.

5 Q. For all wells in the pool?

6 A. For all wells in the pool.

7 Q. At this point the pool has produced 2.6 million
8 barrels?

9 A. That is correct.

10 Q. Okay. Now, are the rates at which unit wells
11 have been producing greater than the rates you could have
12 produced the wells without the pressure-maintenance
13 project?

14 A. Yes. Without the project, we would have had to
15 continue the strict production to 100 barrels, to minimize
16 depletion of reservoir energy and loss of reserves. But
17 that would also have required extremely good cooperation
18 from all interest owners and would not have -- and also
19 would have required, probably, the shut-in of the State
20 well and other structurally high wells to -- due to gas
21 breakthrough or the gas cap expansion to the upper porosity
22 and depleting the reservoir pressure.

23 Q. Okay. In your opinion, was the pressure-
24 maintenance project approved in time to prevent harm to the
25 reservoir?

1 A. Yes, it was.

2 Q. Now, looking at the unit wells, at one time they
3 were producing approximately 100 barrels a day, and then
4 they -- I believe there's previous testimony they went up
5 to about 200 barrels a day. Were they always held constant
6 in production rates?

7 A. No, the production from the Chandler Number 1 and
8 the State "S" Number 1, which are the two wells we're
9 seeking to add to the unit, required production from the
10 unit wells to be reduced to 150 barrels of oil per day in
11 mid-1996, in order to prevent a further decrease in
12 reservoir pressures.

13 At that time, production from the State "S"
14 Number 1 was increased to 445 barrels of oil per day, as
15 demanded by Yates.

16 Q. At that time, why didn't you just increase the
17 gas injection rates to make up for production from these
18 two new wells?

19 A. Originally, we were limited by our compressor
20 capacity. At the unit's cost we installed a larger
21 compressor in late September of 1996. This took time
22 because of the environmental permits involved. After the
23 new compressor was installed, we are able to increase
24 injection rates and increase producing rates on the unit
25 wells.

1 Q. Now, you mentioned that in March, 1996, pressures
2 reached 3310 p.s.i., and since then they've dropped about
3 50 p.s.i. In your opinion, what is the cause of that
4 pressure decrease?

5 A. In my opinion, the drop in pressure is a result
6 of production from the State "S" and the Chandler Well
7 Number 1. Since then, the State "S" Number 1 has produced
8 98,000 barrels of oil and the Chandler Number 1 has
9 produced 68,000 barrels of oil.

10 Q. That's since March, 1996?

11 A. That is correct.

12 Q. Let's talk about the State "S" Number 1 first.
13 What is Exhibit 9?

14 A. Once again, the State "S" is the tabular
15 production data associated with the State "S" Number 1
16 operated by Gillespie-Crow.

17 Page 2 of that is the State "S" production graph,
18 representing that tabular data.

19 Q. Okay. So it goes -- it was fairly -- Looking at
20 page 2 of that exhibit, production was flat from August for
21 a number of months; is that correct?

22 A. That is correct.

23 Q. Now, in February, that's when the allowable was
24 reduced; is that correct?

25 A. I believe it was March. January we had some

1 cold-weather shut-ins, and February we also had cold
2 weather in the shut-in period for the bottomhole pressure
3 test period. And it's a short month.

4 Q. Okay. Is it still at this -- currently producing
5 at a flat rate?

6 A. 250 barrels a day, the current --

7 Q. No decline?

8 A. No decline.

9 Q. And the current production to date from the State
10 "S" Number 1 is 140,000 barrels of oil?

11 A. That is correct.

12 Q. Okay. Now, this lack of decline in production,
13 what does that indicate to you?

14 A. It clearly shows that the well is receiving
15 pressure support from the unit.

16 Q. Now, what about the Chandler Well Number 1? When
17 was that completed?

18 A. It was completed in March of 1996. It initially
19 produced 138 barrels of oil per day and 280 barrels of
20 water per day.

21 Q. Okay, let's go to Exhibit 10. What is the
22 production data from the Chandler?

23 A. Exhibit 10 is again the tabular monthly
24 production from that particular well, indicating a
25 cumulative production of over 68,000 barrels as of April 1,

1 1997. This also shows the amount of water production that
2 particular well has made.

3 Q. Now at page 2, looking at the production graph,
4 from its completion date for the next nine months, the
5 production -- oil production from that well actually
6 inclined, didn't it?

7 A. That is correct. It continually increased to
8 September of 1996, and at least through December of 1996 it
9 has maintained that higher producing rate.

10 The last two to three months, I'm not sure
11 exactly why the production has dropped on that. Perhaps
12 due to higher water cut.

13 Q. Again, what does this flat or inclining oil
14 production rate suggest to you?

15 A. It's in direct communication with the reservoir
16 and receiving pressure support.

17 Q. Now, let me refer you -- Once again, talking
18 about the unit and these two new wells, referring to your
19 Exhibits 11 and 12, what other data do you have that these
20 -- the Chandler well and the State "S" Number 1 are in
21 communication with the unit's reservoir?

22 A. Exhibit Number 11 is a tabular presentation of
23 the West Lovington-Strawn pressure data compared to the
24 State "S" and the Chandler 1 well.

25 We have a few more points on the State "S" since

1 we operate that well. We received the Chandler bottomhole
2 pressure information. It appears that it was taken --
3 well, March 11th, just very shortly after initial
4 completion of that well. It shows bottomhole pressure
5 3260.

6 But you can see the chronological order of the
7 pressure and how it -- at the beginning of injection,
8 October, 1995, how that reservoir pressure has been
9 maintained, and that the State "S" compares very favorable
10 to the field average of the unit wells.

11 Q. Okay, and Exhibit 12, that's on the State "S"
12 Number 1. What in particular does that graph represent?

13 A. I'd like to talk about this. This is the State
14 "S" well bottomhole pressure buildup we performed in July
15 of 1996. Our general procedure of obtaining field
16 bottomhole pressures have been to shut the entire unit
17 down, shut the injection well down, shut the wells in for a
18 72-hour period.

19 This particular case, the bombs did not record
20 for the first 72 hours, and a replacement set of bombs were
21 run in essence, 72 hours in the unit. The main shut-in for
22 another -- it appears, another 45, something like that, I
23 guess, 50 hours.

24 At approximately 141 hours into the shut-in
25 period of the State "S" Well Number 1, we turned all the

1 wells back on and also started back our injection well.

2 Within six hours of this production from the
3 unit, with the State "S" well shut in, we saw the slope
4 changing, the pressure flatten out, and within 25 hours
5 actually see a decrease in reservoir pressure, indicating
6 excellent communication with the reservoir.

7 Q. Okay. Now, as to the Chandler well, why don't
8 you, you know, use Exhibits 11 and 13? What do you see
9 there?

10 A. Right. Once again, back to Exhibit 11, it's the
11 tabular comparison of the reservoir pressures of the
12 Chandler well. It shows 3260 on March 11th of 1996,
13 compared to the field average of 3310, within 50 pounds of
14 the reservoir -- the field average.

15 Exhibit Number 13 is the subpoenaed bottomhole
16 pressure data that we acquired, which shows that the well
17 was shut in at 1:30 p.m. on March the 6th of 1996. The
18 reservoir -- The pressure declines at this point.

19 At this time the unit was still producing.
20 Whether -- I wasn't around at this particular time, but --
21 It might have been pure coincidence. We were doing our
22 monthly -- six-month bottomhole pressure field test.

23 This coincided -- We shut in the unit -- you can
24 see there, at 1:30 p.m., March 8th of 1996 -- we shut it in
25 within about three hours after that particular point at 52

1 hours into their shut-in buildup.

2 Within 20 hours, the rate of increase in the
3 bottomhole pressure actually increased during that period
4 of time. We discontinued our bottomhole pressure several
5 hours -- well, you can see there, it says 1:30 p.m.,
6 3-12-96. They pulled their bombs, I believe, at least 24
7 hours prior to that point.

8 The increase in pressure is awful coincidental
9 and suggests that it is in pressure communication with the
10 unit.

11 Q. Okay, let's move on to gas injection. How much
12 gas does the unit need to inject to the reservoir to
13 replace each barrel of produced oil and still maintain
14 pressures?

15 A. We determined that to be 2 MCF per barrel of oil
16 produced.

17 Q. Okay. Let's go to your Exhibit 14 and discuss
18 that. What have been the injection amounts and costs, et
19 cetera, to the unit to date?

20 A. Okay, Exhibit 14 is a tabular presentation of our
21 gas-injection cost for the West Lovington-Strawn Unit.

22 We have what we call our available gas. It is
23 gas returned to the unit in the form of residue gas. We
24 also purchase the gas, and the purchased gas is at the gas
25 price noted. Therefore, you have a gas cost per month.

1 We also have a transportation cost associated
2 with that gas. You can see there that we have -- our total
3 cost is a little over -- about \$3.3 million as of April 1,
4 1997.

5 Q. Okay. Now, that's the total cost of injected gas
6 for the unit?

7 A. That is correct.

8 Q. Okay. Now, referring to Exhibits 15 and 16, what
9 portion of that cost or those costs have been attributable
10 to production from the State "S" Number 1 and the Chandler
11 Number 1?

12 A. If we look at Exhibit 15, the tabular
13 presentation of the cost required to match those reservoir
14 withdrawals, and we neglect water production, that
15 cumulative cost for the Hanley well has amounted to
16 \$337,000, and for the State "S" well it has amounted to
17 \$646,000.

18 For the first three months of this year, the
19 average cost for those two wells are \$84,000 a month, it is
20 costing the unit to maintain reservoir pressure to those
21 reservoir barrel withdrawals.

22 Q. The total cost to date for both wells is
23 approximately a million dollars to the unit; is that
24 correct?

25 A. That is correct.

1 Q. And these two wells, they're not paying part of
2 the pressure-maintenance costs?

3 A. No, they're -- No.

4 Q. Okay. Now, you have to make up for production
5 from all the wells; is that correct?

6 A. That is correct.

7 Q. What if you don't do that? What could happen?

8 A. Well, if we don't match the injected volume and
9 the withdrawal, the reservoir pressure would decline, which
10 would substantially shorten the life of the unit and lead
11 to loss of reserves.

12 Q. Okay. Now, Mr. Mladenka, if I could refer you
13 back to your first exhibit, Exhibit 6, I think you've
14 previously testified that total pool production to date is
15 about 2.6 million barrels of oil.

16 Now, if the pressure-maintenance project had not
17 been instituted, you know, first, what would have been the
18 approximate total amount of primary recovery from this
19 pool?

20 A. Based on our updated pressure information,
21 primary production was projected at 2.1 million barrels.

22 Q. Okay. Now, if the pressure-maintenance project
23 had not been instituted but the State "S" Number 1 and the
24 Chandler Number 1 had been drilled, can you give us a rough
25 estimate of what they each would have produced?

1 A. Production would have declined rapidly within the
2 field if the injection was not initiated, so you've got to
3 base your recovery on the -- some percent, primary recovery
4 factor.

5 Based on the hydrocarbon pore volumes associated
6 with the State "S" and the Chandler well, the State "S"
7 would probably recover 68,000 barrels, based on a 15-
8 percent recovery factor. Or at a 20-percent recovery
9 factor, it may be 90,000.

10 The Chandler well at 15-percent recovery factor
11 would have been 4500, based on the 30,000 barrels of oil in
12 place under the HPV that we projected for it, or given it.
13 It's actually detailed on the map. At 20 percent, that
14 number might have gone to 6000 barrels recovery.

15 Q. Actual production from these two wells has been
16 substantially higher than that, hasn't it?

17 A. That is correct. Referring back to Exhibits 9
18 and 10, the State "S" produced 140,000 barrels to date --
19 or to April 1st of 1997 -- and the Chandler well has
20 produced 68,000 barrels of oil to date. Thus, they
21 definitely have benefitted from the pressure-maintenance
22 project without having to pay any of its costs.

23 Q. In your opinion, is the addition of the three new
24 tracts as proposed by Gillespie-Crow reasonably necessary
25 for the purposes of the unit and the pressure-maintenance

1 project?

2 A. That is correct.

3 Q. In your opinion, is the unitized management,
4 operation and further development, if necessary, of the
5 Strawn reservoir underlying the expanded unit reasonably
6 necessary in order to effectively carry on pressure-
7 maintenance operations?

8 A. Yes.

9 Q. Has the institution of the pressure-maintenance
10 project resulted in the recovery of substantially more oil
11 from the pool than would otherwise have been recovered?

12 A. Yes.

13 Q. Now, will any additional costs of conducting
14 pressure-maintenance operations for the expanded unit
15 exceed the cost of the additional oil recovered, plus a
16 reasonable profit?

17 A. No. However, at this time, if there were no more
18 additional -- At this time, no more additional costs are
19 anticipated.

20 However, if the tracts are not unitized, the
21 unit's operating cost will be higher, which could lead to
22 premature termination of the unit.

23 Q. In your opinion, will expansion of the unit
24 benefit interest owners in the unit as expanded?

25 A. Yes.

1 Q. What is Exhibit 17?

2 A. Exhibit 17 is the revised Exhibit C to the unit
3 agreement, containing the proposed tract participation
4 factors.

5 Q. Once again, the -- You are using the exact same
6 participation formula proposed in the unit back in 19- --
7 the unit agreement in 1995?

8 A. That is correct.

9 Q. You are not -- At that time production through, I
10 think, May 1 of 1995 was subtracted; is that correct?

11 A. That is correct.

12 Q. And since these two new tracts don't have any
13 production through that date, you're not subtracting --

14 A. No --

15 Q. -- any production?

16 A. -- that is correct.

17 Q. In your opinion, does this proposal as reflected
18 in Exhibit -- Excuse me. In Exhibit C, what was this
19 calculated from again?

20 A. It's calculated -- I believe it's Exhibit Number
21 5B, the hydrocarbon pore volume map.

22 Q. Okay. And does this proposal allocate produced
23 and saved hydrocarbons to each tract on a fair, reasonable
24 and equitable basis?

25 A. Yes.

1 Q. Okay. Moving on to a slightly different subject,
2 is it true, Mr. Mladenka, that Gillespie-Crow is also
3 seeking the expansion area of the unit be certified for the
4 recovered oil tax rate and that these two wells be brought
5 into the unit and be certified for a positive production
6 response?

7 A. Yes.

8 Q. Are these new tracts, in your opinion, qualified
9 for the recovered oil tax rate?

10 A. Yes, as I've discussed, they've recovered
11 substantially more oil than if the pressure-maintenance
12 project had not been instituted.

13 Q. In your opinion, have the State "S" Number 1 and
14 the Chandler Number 1 shown a positive production response
15 attributable to the pressure-maintenance project?

16 A. Yes. I think it's apparent from Exhibits 9 and
17 10, which showed no production decline, or even an incline
18 in production.

19 Q. Okay, has the reservoir within the proposed
20 expanded unit area been reasonably defined by the
21 development?

22 A. Yes.

23 Q. From an engineering standpoint -- and you might
24 want to look at that Exhibit 5B, Mr. Nelson's map -- would
25 you discuss the basis for the unit boundaries, the expanded

1 boundaries?

2 A. All right, the -- We'll start on the west side.
3 The Amerind West State Number 1 in Lot 1 of Section 2 was
4 dry in the Strawn. However, it's only a few feet off the
5 unit boundary.

6 Also, the State -- The same can be said for the
7 Gillespie State "D" Well Number 8 in lot 12 of Section 1,
8 also shown to be a few feet off the unit boundary.

9 We recently had that -- The well has died on us
10 twice, and the last three months a shut-in period of three
11 days failed to build up any reservoir pressure or tubing
12 pressure, rigged up a swab unit, tagged fluid level at 7100
13 foot. That's roughly 1600, 1700 pounds of bottomhole
14 pressure. So it's definitely not inside the West
15 Lovington-Strawn Pool.

16 Q. And that's the State "D" 8 Number -- State "D"
17 Number 8?

18 A. State "D" Well Number 8.

19 The Gillespie-Snyder "EC" Com, as we heard, was
20 tight. It is part of the -- It is connected to the West
21 Lovington-Strawn pool by pressure information, that being
22 the DST data we obtained on -- when the well was drilled.

23 Also the Julia Culp Well Number 1 in the
24 southeast quarter of the northeast quarter of Section 34,
25 15 South, 35 East, was DST'd in the Strawn interval and was

1 shown to be tight.

2 Q. Now, if Yates and Hanley have indicated that
3 additional lands other than these three tracts that
4 Gillespie-Crow proposes be brought into the unit, what's
5 your response to that proposal?

6 A. Well, first off, the new wells just outside the
7 unit essentially confirm the original geology. We believe
8 there is very little reservoir outside the original unit
9 boundaries.

10 Second, the unit agreement and the Statutory
11 Unitization Act allow unitization of less than an entire
12 pool if the new unit boundaries have been reasonably
13 defined by development. The only area reasonably defined
14 by development is the acreage Gillespie-Crow seeks to bring
15 into the unit.

16 Third, we cannot determine if those tracts will
17 have any Strawn under them outside the proposed two
18 proration units.

19 What we propose is that if Yates or Hanley
20 believe that additional offsetting acreage is in the
21 reservoir, let them drill a well; if that well is
22 productive, economical and in communication, then they can
23 propose to bring it into the unit.

24 All the wells -- I believe there are provisions
25 set up that all wells have brought into the unit on a paid-

1 out basis, whether the unit paid for any unpaid portion of
2 it or the well has paid out on its own.

3 Adding undrilled, unproven acreage, could add
4 noncontributing acreage, just like the Snyder "EC" Com
5 Number 1. There's no question that the pressure-
6 maintenance project is benefitting the tracts we seek to
7 add to the unit, and delay in bringing them into the unit
8 is unfair to the unit's interest owners as a whole.

9 Q. Now, Mr. Mladenka, you've already heard this
10 morning Yates and Hanley state that the proposal to bring
11 in only these three tracts is an effort to benefit solely
12 Enserch and Charles Gillespie. In your opinion, is that
13 true?

14 A. No, that's absolutely not true. A majority of
15 the offsetting acreage owned by -- A majority of that
16 offsetting acreage is owned by Enserch and Charles
17 Gillespie.

18 Q. Let me lead you through this. Now, this gray
19 area is, you know, Mr. Mladenka's area that Yates and
20 Hanley have at least said they may bring into the unit.
21 But let me crosshatch some of this for you.

22 This acreage down here, who owns that?

23 A. Charles Gillespie.

24 Q. A hundred percent?

25 A. One hundred percent.

1 Q. Now, that's 100-percent Charles Gillespie.

2 Let's look at the Snyder "EC" Com well unit.

3 It's actually 100-percent Charles Gillespie's and not Bill
4 Crow's; is that --

5 A. That is correct.

6 Q. What about this Snyder "EC" Com well unit? Who
7 owns that?

8 A. Charles Gillespie.

9 Q. A hundred percent again?

10 A. A hundred percent.

11 Q. So that's 100-percent Charles Gillespie.

12 Now, there's Lot -- I believe this would be Lot
13 6, Section 6. I believe that's, to the best of your
14 knowledge, 100 percent Snyder Ranches?

15 A. That is correct. That was under lease at one
16 time by Charles Gillespie. However, after drilling the
17 "EC" Com well, we let that lease expire.

18 Q. Okay. So at the time of the 1995 unitization
19 hearing, this was 100-percent Charles Gillespie?

20 A. I believe that's correct.

21 Q. Now, let's move on to the well unit for the State
22 "S" Number 1. At the time of the original unitization
23 hearing and at the time that State "S" Number 1 was
24 drilled, what did Charles Gillespie and Enserch think as to
25 ownership of that 80 acres?

1 A. We believed we owned 100 percent of that well.

2 Q. So 100 percent Gillespie/Enserch. Now, as it
3 turned out, there was a title problem there, right?

4 A. Correct.

5 Q. And the actual ownership through stipulation of
6 the parties now is about two-thirds Gillespie and Enserch;
7 is that correct?

8 A. I believe that's correct.

9 Q. Okay. Let's move to the west half, northeast
10 quarter. What do combined Charles Gillespie and Enserch
11 own in that acreage?

12 A. I believe it's over 50 percent of that acreage.

13 Q. Somewhere 50 percent to two-thirds?

14 A. Fifty-five, something like that.

15 Q. Fifty percent, two-thirds, Gillespie and Enserch.
16 That's current?

17 A. Current.

18 Q. And that was also at the time of unitization?

19 A. That's correct.

20 Q. Okay. Now, let's move over to the western
21 boundary of the unit. I don't think it really matters
22 much, but let's -- Charles Gillespie own an interest over
23 there?

24 A. He does.

25 Q. Is that roughly 50-, 60-, 55-percent also?

1 A. I believe that's correct also.

2 Q. And I do not know. Does Enserch own an interest
3 there?

4 A. Yes, they do.

5 Q. Okay. So that's 50 percent plus Gillespie and
6 Enserch. One final tract. Does Charles Gillespie own an
7 interest in this acreage?

8 A. Correct, I believe it's 10 acres out of that 120.

9 Q. Okay, so -- Where are we? A tenth, an eighth, a
10 twelfth?

11 A. A twelfth.

12 Q. So at the time of the original unitization
13 hearing, Charles Gillespie, William Crow and Enserch owned
14 the vast majority of acreage offsetting this unit?

15 A. That is correct.

16 Q. It would have only benefitted them to bring in
17 their acreage, would it not?

18 A. That is correct.

19 Q. But Mr. Gillespie didn't think it was fair to
20 bring in his acreage, did he?

21 MR. CARR: Objection, I think that's speculative,
22 and he said he wasn't here when they did that.

23 Q. (By Mr. Bruce) Mr. Gillespie never asked --
24 Looking at the expanded unit, he has not -- Mr. Gillespie
25 has not asked, while you've been employed by him, to bring

1 in his extra 100-percent owned the acreage, has he?

2 A. That is correct.

3 And we think that the only prudent way to bring
4 in acreage is to drill it. You drill it, you get the hard
5 data, you get the hydrocarbon pore volume associated with
6 that data, and you can actually produce -- or you'll know
7 exactly what oil in place is -- not exactly, whatever the
8 contour shows. You'll have a more reasonable number to
9 base the participation on.

10 Q. And again, I think Mr. Nelson has testified to
11 that, originally Gillespie-Crow thought the State "S"
12 Number 1 acreage was in another reservoir when that well
13 was drilled?

14 A. That is my understanding.

15 Q. Let's skip along here, Mr. Mladenka, and move on
16 to our final subject, and let's discuss the unitization
17 process. To the best of your recollection, how long did it
18 take to form the unit originally?

19 A. I believe about a year and a half.

20 Q. Now, regarding unit expansion, could you refer to
21 your Exhibit 18 and first just identify it. What is it?

22 A. Exhibit 18 is a chronology of events for the West
23 Lovington-Strawn unit.

24 Q. Now, I don't really want you go to through this
25 in detail. This was prepared from company records, was it

1 not?

2 A. That is correct.

3 Q. Don't go through it in detail, but if you could
4 give the Hearing Examiner a few highlights of the time
5 frames involved, when the parties first discussed
6 unitization and the procedures since then.

7 A. Correct. On January 8th, after the State "S"
8 title problem was pointed out to us, we, in fact, requested
9 them -- their election to join the unit. And however, they
10 have consistently claimed it had not had enough time to
11 prepare for this hearing.

12 Hanley has consistently requested giving unit
13 owners any information and has opposed unitization. The
14 unit owners had discussions for 15 months with Hanley and
15 Yates.

16 Q. So there's been 15 months of discussion, and the
17 parties just couldn't come to terms?

18 A. That is correct. We actually approached Hanley
19 before they spudded a well to -- if they would trade
20 information. We had the same agreement with Amerind to the
21 west, and the South Big Dog-Strawn has turned out to trade
22 information, however they wouldn't cooperate. And it
23 wasn't until three weeks ago we received the bottomhole
24 pressure information that we subpoenaed.

25 Q. Now, has Yates ever proposed any participation

1 percentages?

2 A. I believe Yates did not want the State "S" Number
3 1 to be added to the unit. However, it was the -- added
4 the units, Yates wanted Tracts 12 and 13 to be treated as
5 one tract and proposed a combined tract participation of
6 4.89 percent. Hanley has never proposed a tract
7 participation.

8 Q. Okay. So for the State "S" Number 1 combined,
9 Yates proposed 4.89 percent?

10 A. That is correct.

11 Q. What -- if you look at Tracts 12 and 13
12 together -- Well, first of all, why don't you treat them as
13 one tract?

14 A. They're separate leases with different ownership,
15 as -- and the BLM and the Commissioner require them to be
16 listed as separate tracts.

17 Q. Okay. Now, what -- For your combined Tracts 12
18 and 13, what participation has Gillespie-Crow proposed?

19 A. The proposal was 4.3 percent, and it's not that
20 much different than the Yates proposal at that time.

21 Q. Okay, so Yates proposed 4.89, and Gillespie-Crow
22 has proposed 4.34?

23 A. Correct. And Yates owns approximately 12 percent
24 of that State "S" well.

25 Q. Okay.

1 A. So we've been fighting over some fairly small
2 percentages.

3 Q. In your opinion, has Gillespie-Crow made a good-
4 faith effort to obtain the voluntary joinder of the
5 interest owners in the unit?

6 A. Yes, we have.

7 Q. And in your opinion, is the granting of this
8 Application, as proposed by Gillespie-Crow, in the
9 interests of conservation and the prevention of waste?

10 A. Yes.

11 Q. And were Exhibits 6 through 18 prepared by you,
12 under your direction or compiled from company business
13 records?

14 A. That is correct.

15 MR. BRUCE: Mr. Examiner, I'd move the admission
16 of Gillespie-Crow Exhibits 6 through 18.

17 MR. CARR: No objection.

18 EXAMINER CATANACH: Exhibits 6 through 18 will be
19 admitted as evidence.

20 Let's take a short break here.

21 (Thereupon, a recess was taken at 3:45 p.m.)

22 (The following proceedings had at 4:03 p.m.)

23 EXAMINER CATANACH: Let's call the hearing back
24 to order.

25 One piece of business before we move on. I'd

1 like to mention that Kellahin and Kellahin have filed an
2 entry of appearance on behalf of Snyder Ranches and Larry
3 Squires. I just wanted to make sure that got on the
4 record, and we'll go from there.

5 Mr. Carr?

6 MR. CARR: Mr. Catanach.

7 CROSS-EXAMINATION

8 BY MR. CARR:

9 Q. How long have you actually worked on the West
10 Lovington-Strawn Unit?

11 A. February 1st, I was employed by Charles
12 Gillespie.

13 Q. So when you're giving us a history of the unit,
14 you're really relying on the company records and data that
15 you have available to you in those files?

16 A. That is correct.

17 Q. When we look at this map that Mr. Bruce has
18 written all over -- he usually does those to my maps, not
19 his own -- he has shown us where Mr. Gillespie has
20 ownership surrounding the unit area.

21 A. Correct.

22 Q. My question to you is, does Yates own anything
23 within the unit?

24 A. Within the unit boundaries at this time?

25 Q. As it currently stands?

1 A. No, not I know of.

2 Q. Does Hanley own anything within the unit?

3 A. No.

4 Q. Does David Petroleum?

5 A. I don't believe so.

6 Q. In your review of unit records, were you able to
7 see who was involved in the original negotiations for the
8 formation of this unit?

9 A. No, I don't -- I haven't looked at it.

10 Q. Now, when we look at all the ownership
11 information that's been depicted on this exhibit, you would
12 agree with me that who owns what is really the improper way
13 to approach formation of the unit; wouldn't you agree with
14 me on that?

15 A. Not necessarily. The ownership generally starts
16 the discussions, and then geology and the engineering
17 proceed.

18 Q. Wouldn't you think the geology and the
19 engineering data, though, ought to actually control what
20 you unitize, not the --

21 A. That is correct.

22 Q. When you were testifying, you, I believe,
23 testified that if the two tracts you're proposing to
24 include in the unit were, in fact, added, that the same
25 participation formula would exist in the present unit.

1 You're recommending it would apply to those tracts as well;
2 is that not correct?

3 A. That is what we want.

4 Q. Now, when you look at the records on the unit,
5 almost before the unit was formed, the State "S" well had
6 been drilled; isn't that correct?

7 A. It was completed, actually, a few days -- well,
8 the 26th, I believe. It was late October. The unit was
9 effective October 1.

10 Q. Based on the data that's available on the -- was
11 available on that well, wouldn't it be fair to assume that
12 almost at the time the unit was formed, the unit owners had
13 reason to know that they had a well in pressure
14 communication with their unit?

15 A. Well, we can look and see what the bottomhole
16 pressure data, what the actual dates were.

17 It shows September the 24th, 1995, there was a
18 DST. I would assume that there was reason to suspect, due
19 to the low bottomhole pressure, that it could be on
20 communication. However, producing rates and -- well, the
21 quality of rock may not have been clearly apparent at that
22 time.

23 Q. Wouldn't you think it would have been in the best
24 interests of unit operators to quickly expand the unit to
25 bring this well in?

1 A. I would think so, that the -- what my
2 understanding is, that payout is allowed, or before any
3 well is brought in the unit, it is under a payout status,
4 whether the unit pays for the remaining portion of the
5 payout or the well is paid out on its own.

6 Q. But as soon as that State "S" well was out there,
7 there was a problem; isn't that fair to say?

8 A. I'm sorry.

9 Q. As soon as the well was drilled and information
10 was available on it, unit operators knew there was a
11 problem; isn't that fair to say?

12 A. I wouldn't say it was a problem. I would say
13 that they would have to consider it, bringing it into the
14 unit.

15 Q. Now, you've looked at the records, and is it your
16 opinion that the 15-month delay in bringing this forward
17 was -- Did you have an opinion on that, or did you just --

18 A. Well, it appears that Yates was notified in
19 January of the problem and that the unit -- or -- the first
20 mention of bringing it into the unit, that was within three
21 months, let's say, well within, probably, the payout
22 period.

23 Q. There was a working interest owner meeting in
24 June of 1996, was there not?

25 A. I believe that's correct.

1 Q. That was called by Yates, not Gillespie; isn't
2 that right?

3 A. I'd have to review every single piece --

4 Q. And if you don't know, I'm not --

5 A. I don't know, I don't know exactly who called
6 what. I'd have to refer to Exhibit 18.

7 Q. And do you know whether -- Are you familiar with
8 the ballot that Gillespie sent out in mid-1996 to expand
9 the unit?

10 A. I was aware that ballots were sent out.

11 Q. Do you know what result there was when that
12 ballot was --

13 A. No, I don't have those numbers. It was
14 unsuccessful.

15 Q. If I understand your testimony, there is a
16 problem, in your opinion, for the unit having these non-
17 unit wells sitting outside the unit boundary but in the
18 reservoir?

19 A. That is correct.

20 Q. And because of that, you're having to purchase
21 gas and inject it in the reservoir to try and equalize or
22 offset the withdrawal --

23 A. Correct.

24 Q. The unit is producing gas, is it not?

25 A. That is correct.

1 Q. And you're selling that gas, or are you
2 reinjecting that gas?

3 A. Combination of both. We recover the liquids, we
4 get paid for the liquids. The residue gas is credited back
5 to the sales line. It goes in one plant, comes out
6 another, so it's credited in the Pipeline Balancing Act.

7 Q. And so when you -- you reinject some and then you
8 buy some additional gas, and that's what you're using to
9 inject?

10 A. Essentially.

11 Q. And what you're doing is because of this
12 stripping and the -- or processing or whatever you do to
13 the gas, it's really a lower-BTU gas that you're injecting
14 than that which you're producing --

15 A. Exactly.

16 Q. -- isn't that right?

17 And whatever volume you have in that reservoir,
18 because it sweeping your -- maintaining pressure in an oil
19 reservoir, it's probably going to increase in BTU content?

20 A. I'm sorry?

21 Q. By putting this low-BTU gas into the reservoir,
22 you ultimately will produce that gas; isn't that right?

23 A. Yes.

24 Q. And then you're going to sell that gas?

25 A. That is correct.

1 Q. So it's not just a -- You're not just throwing
2 that money in the ground; there will eventually be recovery
3 from that; isn't that --

4 A. True.

5 Q. And by sweeping it to an oil reservoir, you're
6 going to improve the BTU content --

7 A. That is correct.

8 Q. -- of the gas as well?

9 A. That is correct.

10 Q. You talked about having restricted production
11 within the unit.

12 A. Yes.

13 Q. Mr. Gillespie also restricted the production in
14 the State "S" well, did he not?

15 A. That is correct.

16 Q. And in fact, most of the time it has been
17 produced at a level fairly comparable to what unit wells
18 have been produced at; isn't that fair to say?

19 A. During that -- from -- Well, I can't remember
20 exactly. It was -- You can look at the curve there. It's
21 over -- There's four or five months at 12,000 barrels a
22 month. First three months there's 12,000 barrels. That's
23 significantly higher at that time than the unit wells were.

24 Q. Now, if I understand, for a new tract to be added
25 to the unit, it has to have a commercial well on it; isn't

1 that right?

2 A. I believe it has to be -- In my opinion, it would
3 be a commercial well. It has to be communicated to the
4 reservoir and contribute to the reservoir.

5 Q. And that decision would be made by the current
6 owners in the --

7 A. Yes, the working interest owners, as I understand
8 the unit agreement, must agree to that.

9 Q. Now, Gillespie right now is proposing the
10 drilling of an additional well in the northeast quarter of
11 Section 34?

12 A. That is correct.

13 Q. And if that well is drilled, that won't be a 100-
14 percent Gillespie-owned well?

15 A. No, that won't.

16 Q. Yates will own part of that well?

17 A. That is correct.

18 Q. Enserch will own part of it?

19 A. Correct.

20 Q. That would be another well outside the unit;
21 isn't that correct?

22 A. That is correct.

23 Q. And then those withdrawals are going to impact
24 the amount of gas you have to reinject; isn't that a
25 fair --

1 A. That is correct.

2 Q. Now, did you testify that you have been injecting
3 at a rate which is enabling you to offset the withdrawals
4 from the unit? Are you keeping the pressure up?

5 A. Yes, that exhibit shows clearly.

6 Q. Now, which exhibit was that?

7 A. Here it is, Exhibit 11.

8 Q. Okay. And that shows that -- Is this within just
9 the unit or within the pool, where --

10 A. The pool.

11 Q. Now, if you're able to keep the pressure up --
12 and I don't read these things as well as you guys, but I
13 look at Exhibit 8A --

14 A. Right.

15 Q. -- I see that you have a negative cumulative
16 balance in terms of your -- when we look at your material
17 balance work on the reservoir; is that not right?

18 A. That is correct.

19 Q. Isn't it inconsistent to have your pressures up
20 and a negative cumulative balance?

21 A. The pressures are dropping. We've dropped 48
22 pounds. So we have seen a pressure decrease, and thus a
23 negative reservoir injection barrels. We went from 3310 to
24 3262.

25 Q. Let me go to Exhibit 8A, okay?

1 A. Which one?

2 Q. 8A.

3 A. 8A, okay.

4 Q. Now, if I look at your reservoir barrel
5 withdrawal line on this exhibit, the third one down, can
6 you tell me what those factors are? It says OSTB with
7 1.- --

8 A. Oil stock barrels times 1.99.

9 Q. And what is the source of this information?

10 A. That is the B_o current generated by a reservoir
11 engineer, based on PVT data, pressure cum plots, the like.

12 Q. And if I go across that column, I get to the end
13 and I've got a PMCF. What is that?

14 A. That is the free gas produced.

15 Q. And then -- And the source of that number after
16 .9028?

17 A. That is a standing correlation, specific gravity
18 correction for the gas --

19 Q. If we go down to the --

20 A. -- B_g .

21 Q. I'm sorry?

22 A. B_g .

23 Q. Okay. If I go down to the last line it says
24 "free gas production".

25 A. Right.

1 Q. It looks to me like you've only used the West
2 Lovington-Strawn Unit wells 5 and 6, and why would that be?

3 A. Those two are structurally high. The 5 was the
4 original one that exhibited an increase in GOR. The 6 is
5 the second one. And currently, in April and May, we are
6 seeing this occur in our West Lovington-Strawn Unit Number
7 2 and 4. It's all following a structurally high --

8 Q. And these two wells --

9 A. -- we're expanding the gas cap, and it's just
10 coming down to those particular wells.

11 Q. If I look at your Exhibit Number 10 and the graph
12 attached to that, that's the Chandler Well Number 1, and
13 they're indicating that there is a -- What is this? An
14 increase in production? Is that what we're seeing here?

15 A. Yes. I don't know why, but from June through
16 September you saw the production increase, and -- actually
17 through December and for some reason January, February,
18 March. And it's just my speculation that the water-oil
19 ratio is increasing in that well.

20 Q. Is that indicative to you of support from support
21 from pressure maintenance?

22 A. Exactly.

23 Q. If I go back to 8A and I look at the last page of
24 that exhibit, this again is showing, is it not, a pressure
25 decline at the same time you're showing the pressure

1 support?

2 A. Which one?

3 Q. The last page on 8A, doesn't it show a decline in
4 the reservoir pressure? Page 3 of 8A?

5 A. Let me get these organized again. Okay, here we
6 go. Okay.

7 Repeat the question.

8 Q. If I look at the third page of 8A, that shows a
9 decline in reservoir pressure, does it not?

10 A. On 8A, page 3?

11 Q. Yes, sir, it's on the "Material Balance - West
12 Loving- --"

13 A. Right. I've plotted the reservoir pressure off
14 of Exhibit Number 11 on this particular material balance
15 plot.

16 Q. And so you're seeing, on one hand, a drop in
17 pressure in the reservoir, and you're seeing at the same
18 time an increase in production from the Chandler Well
19 Number 1; is that what these two show?

20 A. Yes, during that period from -- whenever it is,
21 the production actually increased from -- on the Chandler
22 well.

23 The Chandler well came on in March of 1996. The
24 State "S" was still producing. We see a pressure decrease
25 and a material balance decrease in the pool. Those are

1 facts.

2 Q. If your well is successful that you're proposing
3 in the northeast of 34, if you drill that well, would you
4 produce at allowable rates, or are you going to be
5 curtailing that?

6 A. We're restricted by the 250 a day.

7 Q. Would you go to that level? Are you going to be
8 producing at a rate comparable to what you need to, to
9 maintain pressure maintenance in the unit?

10 A. I would imagine that -- We have the capability
11 right now, the capability to match with reservoir
12 withdrawals we have. We have restricted production in
13 these high-GOR wells where now 250 a day per well for the
14 existing wells that do not exhibit high-GOR wells, we have
15 more than enough capacity with our compression equipment to
16 handle another well that comes into the unit or outside of
17 the unit, restricted by the 250-barrel a day limitation.

18 Q. And would that be with 250 a day for the State
19 "S" and the Chandler?

20 A. Yes.

21 Q. And that's injecting in the West Lovington-Strawn
22 Unit Well Number 7?

23 A. That is correct.

24 Q. Do you have any plans to add, say, the F 1 well
25 to your plans for injection?

1 A. That's another point there that we're in the
2 process of evaluating. March -- you can look at the
3 injection rates -- we had injection rates of 7 million a
4 day. We never accomplished that.

5 However, our West Lovington-Strawn Units Number 1
6 and 4, the GORs have increased. There is some debate on
7 exactly what's happening there, but due to the extremely
8 large intervals that we're perforating in those wells and
9 we're mechanically isolating the bottom set of perfs with a
10 packer there's a possibility we're channeling or -- We're
11 just seeing a high GOR, whether or not that's the gas cap
12 or not.

13 Q. But you're going to be able to manage the
14 injection --

15 A. Sure.

16 Q. -- without additional surface facilities --

17 A. Sure -- Well, a pipeline to another well.

18 Q. And using the Number 7 well? That's what --

19 A. Or --

20 Q. -- your plans are?

21 A. Or taking another well, like the West Lovington
22 Unit Number 5.

23 Q. Okay. If, in fact, we have a successful well
24 where you're proposing it in 34, are we looking at having
25 to expand the unit again potentially?

1 A. I'm hoping that we'll bring these wells into the
2 unit and the precedent will be set and we can get the job
3 done quickly. If the well is valuable to the unit, the
4 unit operators -- It's clearly evident this is a tremendous
5 reservoir here, we're talking about. And it's very obvious
6 whether or not you want to bring it in.

7 Q. As you look at the reservoir right now, there are
8 hydrocarbon pore volumes under that tract?

9 A. It's mapped that way, correct.

10 Q. And are you willing -- You're not willing to make
11 a call just on how you've mapped it; you actually want the
12 well up there?

13 A. Let me point this out to you.

14 Originally, under the Platt and Sparks map, these
15 contoured lines actually were closer into the unit bounding
16 map. We did not bring that acreage into place. We drilled
17 these -- the State "S" Well Number 1.

18 If we had brought that acreage into the unit
19 under the hydrocarbon pore volume map, the allocation
20 formula, it would not be receiving its actual oil in place
21 allocated volume, based on the drill bit that drilled
22 through that particular reservoir at that point.

23 Q. So you're talking about there's a definite value
24 to having that wellbore there?

25 A. Yes.

1 Q. If we go inside the unit and we go up into the
2 northwest quarter of Section 34, we see no wellbore in the
3 northwest of 34. That's all just interpretive information;
4 isn't that right?

5 A. I believe that's correct.

6 Q. And so aren't we applying a different standard
7 to what we have in the unit now and what we're willing to
8 bring in?

9 A. That is acreage that we considered -- or I
10 believe we considered productive.

11 Q. Do you know on what basis?

12 A. From a geological standpoint. And it was a
13 reasonable expectation of the unit to be there.

14 Q. Don't you have a reasonable expectation under the
15 acreage where you're proposing to drill the new Strawn
16 well?

17 A. We do, and I feel like it's in a downdip
18 position. However, we -- the verdict is still out on the
19 actual drilling of that well. One of the reasons Mr.
20 Gillespie wanted that well staked at this time was to share
21 the risk in that particular well, not prove up any
22 additional offset, and basically share the risk.

23 And we know if it's going to come into the unit,
24 it will be a valuable wellbore because of its structural
25 position.

1 Q. What do you mean by "share the risk"?

2 A. Share the risk, as in drilling -- we don't know,
3 from what I understand about the geology -- and Ralph had
4 to honor the Platt and Sparks map originally -- the verdict
5 is still -- this is essentially as -- You can see the
6 Amerind well; it got as close a corner shot as to the --
7 one of the first ones, drilled a dry hole. This thing can
8 disappear, four-well, five-well fields max, maybe, and here
9 we've got this tremendous field.

10 Q. And when you say "share the risk", you mean share
11 the risk of a successful well with Yates and with -- that
12 also is one of the owners in that acreage, correct?

13 A. That is correct.

14 Q. And so if Yates pays its share of the well and
15 it's a poor well, then it just stays outside the unit,
16 isn't that fair to say?

17 A. If it is not in communication with the unit and
18 the unit owners do not agree to bring it into the unit,
19 that's correct.

20 Q. If it produces like the Snyder "EC" Com Number 1,
21 it could just be left out?

22 A. I would say that's correct, because it's not
23 hurting the unit interest owners, and -- It's just not
24 hurting the unit interest owners.

25 Q. And if it turned out, conversely, to be a well

1 that could have produced 250 a day or 445 a day, then it
2 could be brought into the unit if the unit owners decided
3 to do that, correct?

4 A. If it's in pressure communication --

5 Q. They could then bring it in, could they not?

6 A. They would try to, I would imagine.

7 Q. And then they would -- that well would not --
8 what it -- the owners, Yates, wouldn't get what it owns
9 under the dedicated acreage, but it would get its share of
10 unit production; isn't that right?

11 A. Correct, based on the hydrocarbon pore volume.

12 Q. And that could be substantially less than what it
13 would get, perhaps, on a stand-alone basis?

14 A. I don't know. The drill bit would tell you. I
15 mean, it could go either way.

16 Q. And the drill bit would give you some hard
17 information?

18 A. Exactly.

19 Q. When you talked about the cost to the unit of
20 having these two wells outside the unit, you were talking
21 about how many thousands of dollars, or maybe a million
22 dollars to date, and I guess what I was going at when I got
23 sidetracked on the facilities and the Number 7 well, are
24 you putting into those numbers any cost factor for
25 additional facilities related to the State "S" or the

1 Chandler?

2 A. No.

3 Q. Is it just the gas cost?

4 A. Just the gas cost, just to replace that barrel
5 that comes out of the ground.

6 Q. And then that gas is in the reservoir, and you
7 can't produce it later, correct?

8 A. That is correct.

9 Q. And it will have a higher BTU content when it
10 comes out of the ground?

11 A. It should, yes.

12 Q. Did Mr. Bruce do your title work for the State
13 "S" Number 1?

14 A. I'm not sure he did.

15 MR. CARR: That's all I have.

16 (Laughter)

17 REDIRECT EXAMINATION

18 BY MR. BRUCE:

19 Q. Just a couple of --

20 A. Okay.

21 Q. -- follow-ups. I want to clarify one thing that
22 in your original, your direct testimony, was fairly long.

23 On the State "S" Number 1, that was commenced in
24 late August, 1995, was it not?

25 A. That is correct.

1 Q. There was a lease expiring August 31st, 1995,
2 within that well unit, was there not?

3 A. That is correct.

4 Q. Okay. So if that well hadn't been drilled, that
5 lease would have expired?

6 A. Correct.

7 Q. And that is the lease Yates has an interest in?

8 A. That is correct.

9 Q. Now, regarding the timing of the negotiations,
10 Exhibit 18, which was the chronology -- I don't think you
11 have to get it out, but I think you said January, 1996, was
12 the first notice to Yates of any proposal on unitization?

13 A. Correct, where you're going to -- it says -- The
14 document says that it was mentioned to try to bring it into
15 the unit.

16 Q. Okay. And then in July, 1996, a lot of PVT data,
17 pressure data, things like that, were given to Yates?

18 A. That is correct.

19 Q. And so negotiations -- And there were also the
20 title problems we've mentioned in the State "S" well?

21 A. That is correct.

22 Q. Now, that was -- that took from -- That took
23 seven or eight months to resolve, did it not?

24 A. I believe that's correct.

25 Q. So overall -- Plus that you had to get the

1 approval of the BLM, the Land Commissioner, things like
2 that? These are just normal course of events?

3 A. That is correct.

4 Q. Okay. Now, the first working interest owners'
5 meeting, do you know, did Hanley attend the first working
6 interest owners' meeting?

7 A. I couldn't answer that.

8 Q. Okay. But that well was still tight as of May,
9 1995 --

10 A. We hadn't got --

11 Q. -- May, 1996?

12 A. -- any information on that well.

13 Q. Okay. Then one final -- Mr. Carr asked you to
14 look at Exhibit 8A, which is the copy I gave you?

15 A. Right.

16 Q. Okay. Are you saying there's a -- I forget how
17 -- if there's an imbalance, how come pressures are
18 constant? That's only -- That's looking at the unit.
19 There's actually a positive for the unit itself?

20 A. Correct.

21 Q. So if you look at both Exhibits 8A and 7A
22 together, they come out even, which is why the pressures
23 have remained constant?

24 A. Exactly.

25 MR. BRUCE: Okay. That's all I have, Mr.

1 Examiner.

2 EXAMINER CATANACH: Okay, just a couple.

3 EXAMINATION

4 BY EXAMINER CATANACH:

5 Q. Did you participate in the generation of the
6 percentages on Exhibit 17, the new allocation percentages?

7 A. To some degree.

8 Q. Okay. Do you have, by any chance, or do you know
9 if they're available, the calculated hydrocarbon pore
10 volumes for each of these tracts?

11 A. I believe that we have that somewhere, but it was
12 not shown as an exhibit. We can get that for you, though.

13 Q. Okay. To your knowledge, that was based on the
14 5B map?

15 A. Yes, Exhibit -- What? 5B, I think.

16 Q. Okay. Can you guys provide that?

17 A. Yes.

18 Q. And this unit, as I recall, we've already
19 approved a positive production response --

20 A. That is correct.

21 Q. -- for this unit?

22 So you're seeking to get that certified for this
23 State "S" and the Chandler?

24 A. Correct.

25 Q. Do you have an estimate on when -- on what dates

1 should be approved for those responses, or recommendation?

2 A. They saw the production response when they were
3 drilled , so -- in fact -- well, I say that -- I take that
4 back.

5 We started the injection October of 1995. It
6 probably was not apparent -- I would say the same date that
7 we certified the unit at.

8 Q. Those wells were both producing at that time?

9 A. Yes, correct.

10 MR. BRUCE: Actually, Mr. Examiner, the -- I
11 think we certified the unit as of January 1, 1996. The
12 State "S" Number 1 was producing at that time. I believe
13 the Chandler Well Number 1 started producing March, 1996.

14 THE WITNESS: 1996.

15 Q. (By Examiner Catanach) Has the ultimate gas --
16 or ultimate oil recovery number, estimated oil recovery
17 number, been changed from the last hearing? Have you guys
18 revised that number?

19 A. I'm not sure if we ever really determined what
20 that ultimate recovery will be. We have asked -- requested
21 the QLA2 calculations that this map was generated on from
22 Snyder Ranches. We have not received that.

23 It was my intention to use that data on a
24 subsea -- porosity above a certain subsea point to
25 determine what recovery we have produced at that point, and

1 an areal extent. Then we could probably come up with a
2 good ultimate recovery factor for the reservoir.

3 We have not received that information. We may
4 have to proceed with Enserch's data.

5 Q. Did I understand your testimony to be that the
6 original estimated recovery from primary was 2.1 million
7 barrels?

8 A. Correct.

9 Q. Without any kind of pressure maintenance?

10 A. Correct. And based on producing those wells at
11 near top-allowable rates.

12 Q. And that was calculated based on decline rates
13 and --

14 A. I'd like to --

15 Q. Or how was that --

16 A. It's the -- the Exhibit 6 -- and I'm not
17 extremely good at reservoir engineering, but it's based on
18 the Horner method for primary recovery below the bubble
19 point, and it's based on PVT data and relative perm data,
20 and gas-oil ratios and so forth.

21 Q. So that was calculated by somebody at Gillespie?

22 A. Yes, or a consultant.

23 Q. Okay. And to date you've recovered 2.6 million?

24 A. Correct.

25 Q. That's from the start of production from all

1 these wells?

2 A. Yes.

3 Q. That's not just unit production?

4 A. That's the pool.

5 Q. That's from the start of production, okay.

6 Do you know what the remaining recovery is going
7 to be, estimated?

8 A. No, until we get those numbers and find out
9 exactly where the gas cap is.

10 Q. Is it your understanding that if the well is
11 drilled outside the unit and it's determined that it is in
12 pressure communication, then it still has to be approved by
13 the unit operators to be included in the unit?

14 A. Correct. For example, the Snyder "EC" Com well,
15 DST information showed it had a bottomhole pressure of less
16 than original 33, 36, I can't remember exactly what it was.
17 However, it was a poor producer. The interest owners,
18 "huh-uh", and it was fine with Gillespie.

19 EXAMINER CATANACH: I think that's all I have.
20 Anything further of this witness?

21 MR. BRUCE: No, sir.

22 EXAMINER CATANACH: Okay, this witness may be
23 excused.

24 (Off the record)

25 EXAMINER CATANACH: Okay, let's proceed.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

PAUL S. CONNOR,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. BRUCE:

Q. Will you please state your name for the record?

A. Paul S. Connor.

Q. And who do you work for and in what capacity?

A. I'm President of Unit Source, Incorporated, Denver, Colorado.

Q. And what is the relationship between Unit Source and Gillespie-Crow in this Application?

A. Gillespie-Crow has asked my assistance in the expansion of the West Lovington-Strawn Unit area.

Q. What does Unit Source do?

A. Our expertise is specifically specializing in the formation of cooperative units such as enhanced recovery, waterfloods and gas injection.

Q. Preparing documentation and obtaining ratifications, et cetera?

A. Exactly.

Q. And did you testify at the initial unitization hearing in this matter as an expert in unitization?

A. Yes, sir. I did.

Q. And are you familiar with those matters related

1 to obtaining ratifications and the unitization of the West
2 Lovington-Strawn Pool expansion?

3 A. Yes, sir.

4 MR. BRUCE: Mr. Examiner, I tender Mr. Connor as
5 an expert in unitization.

6 MR. CARR: No objection.

7 EXAMINER CATANACH: Mr. Connor is so qualified.

8 Q. (By Mr. Bruce) First, Mr. Connor, the unit
9 documents, the unit agreement and the unit operating
10 agreement were previously approved by the Division, were
11 they not?

12 A. That's correct.

13 MR. BRUCE: Mr. Examiner, if it's okay, rather
14 than submitting the documents if we could just incorporate
15 those documents from the prior case?

16 EXAMINER CATANACH: Let's do that.

17 Q. (By Mr. Bruce) How have the unit agreement and
18 the unit operating agreement been revised for the unit
19 expansion?

20 A. The revisions have been to Exhibits A, B, C and D
21 to both agreements to accommodate the expansion in the new
22 tracts.

23 Q. Okay, and Exhibit A to the unit agreement was
24 previously introduced as Exhibit 1, I believe?

25 A. Yes, sir.

1 Q. And Exhibit C, the tract participations, was
2 previously introduced as Exhibit 17?

3 A. That's correct.

4 Q. Okay. What are Exhibits 19 and 20?

5 A. Exhibit 19 is a revised Exhibit B to the initial
6 or the existing West Lovington-Strawn Unit agreement, and
7 Exhibit 20 is the Exhibit B to the unit agreement that
8 reflects the ownership within the expansion.

9 Q. Okay. Exhibit 20 merely concerns the interest
10 ownership of the three new tracts?

11 A. That's correct.

12 Q. And were these exhibits taken from current title
13 files?

14 A. Yes, sir, they were.

15 Q. And when we get down to the -- oh, some of the
16 later exhibits, the existing West Lovington-Strawn Unit was
17 treated as one tract for allocation purposes, was it not?

18 A. That's correct, and the apportionment of
19 production still remains as originally approved by the
20 Commission.

21 Q. Now, what are Exhibits 21 and 22?

22 A. Exhibits 21 and 22, Exhibit 21 is a letter from
23 the Oil and Gas -- or I'm sorry, the Commissioner of Public
24 Lands, the State of New Mexico, that has granted a
25 preliminary approval to the request for -- by Gillespie-

1 Crow to expand the unit.

2 And Exhibit 22 is also the same letter but on
3 behalf of the Bureau of Land Management, responding to an
4 application.

5 Q. And those entities won't finally approve a unit
6 expansion until the Division hearing?

7 A. That's correct.

8 Q. Now, what correspondence have you had on behalf
9 of the Applicant with the interest owners in the proposed
10 expanded unit?

11 A. Once the BLM and the Commissioner of Public Lands
12 preliminarily have granted approval of the expansion, we
13 sent out letters to all the parties, which constituted
14 notice of the hearing and also an invitation to ratify and
15 commit their interest to both the -- or the expansion.

16 Q. And Exhibit 23 in particular contains
17 correspondence just related to sending out notices
18 requesting ratification, et cetera?

19 A. That's correct. There's various letters in there
20 dating -- beginning with January 9th through the end of
21 January that -- with the intent to request voluntary
22 commitment of the parties to the unit -- exhibit.

23 Q. Have the royalty owners or others contacted you
24 regarding this?

25 A. We've had some contacts, just some basic

1 questions, but we have not received to date any objections
2 to the proposed expansion.

3 Q. Now, next, what is Exhibit 24?

4 A. Exhibit 24 is actually a compilation of the
5 ratification of joinders that we've received back approving
6 and adopting the expansion.

7 Q. These are from both royalty owners and working
8 interest owners?

9 A. That's correct.

10 Q. Now, on a participation basis, what percentages
11 of working interest owners and royalty interest owners have
12 approved the unit expansion at this time?

13 A. To date, we have ratification of joinders from
14 royalty parties that represent 74.365 percent on a royalty
15 basis and, on a working-interest basis, 98.051 percent.

16 Q. Okay. At this point are you still slowly
17 receiving ratifications?

18 A. Yes, sir, we are.

19 Q. Does Exhibit 25 reflect the current royalty owner
20 commitment to the expansion?

21 A. Yes, sir, it does.

22 Q. And does 26 -- 26 is Exhibit D to the unit
23 operating agreement, I believe?

24 A. Yes, sir.

25 Q. And does that reflect working interest owner

1 ratification?

2 A. Yes, sir, it does.

3 Q. Okay. And finally, were all interest owners
4 within the unit as expanded notified of the Application for
5 expansion?

6 A. Yes, sir, the exhibit contains copies of notice
7 and letters and also an affidavit on my part, proving that
8 mailing was deposited.

9 Q. And that's Exhibit 27?

10 A. Yes, sir.

11 Q. And were Exhibits 19 through 27 prepared by you
12 or compiled from company records?

13 A. Yes, sir, they were.

14 MR. BRUCE: Mr. Examiner, at this time I'd move
15 the admission of Gillespie-Crow Exhibits 19 through 27.

16 EXAMINER CATANACH: Exhibits 19 through 27 will
17 be admitted as evidence.

18 MR. CARR: No objection.

19 CROSS-EXAMINATION

20 BY MR. CARR:

21 Q. Mr. Connor, the people whose ratifications you've
22 shown on Exhibit Number 24, are those owners in the entire
23 unit as expanded, or are they just in the two tracts --

24 A. Those are ratification of joinders from parties
25 within the entire unit? There are a -- There is a

1 ratification of joinder from a royalty owner who is within
2 the expanded unit area. But everybody --

3 Q. Just that one --

4 A. Yes, sir.

5 Q. -- expanded?

6 A. To date.

7 Q. You said you had received no opposition. Is that
8 the only support you've received, other than the Applicant,
9 the Applicants, for the expansion from owners in the
10 expansion area?

11 A. Support?

12 Q. I mean the only ratification. You have one
13 royalty owner in the expansion area?

14 A. That's correct.

15 Q. And you said you haven't received any opposition.
16 That means you haven't received anything in the mail in
17 opposition to the --

18 A. No, we haven't. In our letters to the parties,
19 we requested that any written obligation -- or any written
20 objections to the expansion be sent to us through -- or on
21 behalf of Gillespie through us.

22 Q. You've been here today, have you not?

23 A. Yes, sir, I have.

24 Q. You know there's some objection to the expansion?

25 A. Yes, sir, I do.

1 MR. CARR: That's all I have.

2 MR. BRUCE: One follow-up question, Mr. Examiner.

3 REDIRECT EXAMINATION

4 BY MR. BRUCE:

5 Q. Tract 12, one of the new tracts, the State of New
6 Mexico has preliminarily approved that also, has it --

7 A. Yes, sir, under their letter, Exhibit 21, I
8 believe.

9 MR. BRUCE: That's all I have, Mr. Examiner.

10 EXAMINATION

11 BY EXAMINER CATANACH:

12 Q. Mr. Connor, according to the unit agreement, is
13 there a minimum percentage needed to be able to expand?

14 A. I believe it's State statute, 75 percent.

15 Q. Okay, of the working interest, or both --

16 A. Both cost-bearing and non-cost-bearing.

17 Q. Okay. And do you anticipate having that 75-
18 percent royalty?

19 A. Yes, sir, there's several royalty owners who have
20 a substantial interest that we sug- -- or believe that we
21 will get, yes.

22 EXAMINER CATANACH: Okay, that's all I have of
23 the witness.

24 MR. BRUCE: Mr. Examiner, that's all I have at
25 this time.


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
 COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division (Volume I) was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL May 25th, 1997.



STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 14, 1998