

STATE OF NEW MEXICO
 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
 OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
 THE OIL CONSERVATION DIVISION FOR THE)
 PURPOSE OF CONSIDERING:)

CASE NO. 11,724

APPLICATION OF GILLESPIE-CROW, INC., FOR)
 UNIT EXPANSION, STATUTORY UNITIZATION)
 AND QUALIFICATION OF THE EXPANDED UNIT)
 AREA FOR THE RECOVERED OIL TAX RATE AND)
 CERTIFICATION OF A POSITIVE PRODUCTION)
 RESPONSE PURSUANT TO THE "NEW MEXICO)
 ENHANCED OIL RECOVERY ACT", LEA COUNTY,)
 NEW MEXICO)

ORIGINAL

RECEIVED

JUN 12 1997

Oil Conservation Division

REPORTER'S TRANSCRIPT OF PROCEEDINGS (Volume II)

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

May 16th, 1997

Santa Fe, New Mexico

This matter (Volume II) came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Friday, May 16th, 1997, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

May 16th, 1997
 Examiner Hearing
 CASE NO. 11,724 (Volume II)

	PAGE
EXHIBITS	131
APPEARANCES	132
APPLICANT'S WITNESSES (Continued):	
<u>JOHN McDERMETT</u> (Reservoir Engineer)	
Direct Examination by Mr. Bruce	133
Examination by Examiner Catanach	137
HANLEY/YATES WITNESSES:	
<u>DAVID F. BONEAU</u> (Engineer)	
Direct Examination by Mr. Carr	138
Cross-Examination by Mr. Bruce	159
Cross-Examination by Mr. Hall	172
Redirect Examination by Mr. Carr	186
Recross-Examination by Mr. Hall	190
Examination by Examiner Catanach	191
<u>BRETT BRACKEN</u> (Geologist)	
Direct Examination by Mr. Carr	193
Cross-Examination by Mr. Hall	223
Cross-Examination by Mr. Bruce	246
Redirect Examination by Mr. Carr	258
Examination by Examiner Catanach	259
<u>JOHN SAVAGE</u> (Engineer)	
Direct Examination by Mr. Carr	266
Cross-Examination by Mr. Bruce	287
Cross-Examination by Mr. Hall	299
Cross-Examination (Continued) by Mr. Bruce	301
Examination by Examiner Catanach	302

(Continued...)

ENSERCH WITNESS (Recalled):

RALPH NELSON (Geologist)

Direct Examination by Mr. Hall	305
Cross-Examination by Mr. Carr	312
Examination by Examiner Catanach	314

CLOSING STATEMENTS:

By Mr. Carr	314
By Mr. Bruce	322
By Mr. Hall	329

ADDITIONAL STATEMENT:

Alfred Kent (Phillips Petroleum Company)	336
--	-----

REPORTER'S CERTIFICATE	337
------------------------	-----

* * *

E X H I B I T S (Volume II)

Applicant's/Enserch (Continued)

	Identified	Admitted
Exhibit 28 (GCI)	164	-
Exhibit 29 (GCI)	168	-
Exhibit 30 (Enserch)	305	312

* * *

Yates/Hanley

	Identified	Admitted
Exhibit 1	141	158
Exhibit 2	142	158
Exhibit 3	143	158
Exhibit 4	143	158
Exhibit 5	143	158
Exhibit 6	150	158
Exhibit 7	154	158
Exhibit 8	195	220
Exhibit 9	197	220
Exhibit 10	201	220
Exhibit 11	202	220
Exhibit 12	205	220
Exhibit 13	207	220
Exhibit 14	211	220
Exhibit 15	212	220
Exhibit 16	213	220
Exhibit 17	218, 271	220
Exhibit 18	272	287
Exhibit 19	273	287
Exhibit 20	275	287
Exhibit 21	279	287

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

JAMES G. BRUCE, Attorney at Law
612 Old Santa Fe Trail, Suite B
Santa Fe, New Mexico 87501
P.O. Box 1056
Santa Fe, New Mexico 87504

FOR ENSERCH EXPLORATION, INC.:

MILLER, STRATVERT and TORGERSON, P.A.
150 Washington
Suite 300
Santa Fe, New Mexico 87501
By: J. SCOTT HALL

FOR HANLEY PETROLEUM, INC., YATES PETROLEUM
CORPORATION and DAVID PETROLEUM CORPORATION:

CAMPBELL, CARR, BERGE and SHERIDAN, P.A.
Suite 1 - 110 N. Guadalupe
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: WILLIAM F. CARR

FOR SNYDER RANCHES and LARRY SQUIRES:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

* * *

1 WHEREUPON, the following proceedings were had on
2 Friday, May 16th, 1997, at 8:17 a.m.:

3 EXAMINER CATANACH: Call the hearing back to
4 order this morning, and I think I'm going to turn it over
5 to Mr. Bruce who has one last witness in his presentation.

6 Mr. Bruce?

7 JOHN McDERMETT,

8 the witness herein, after having been first duly sworn upon
9 his oath, was examined and testified as follows:

10 DIRECT EXAMINATION

11 BY MR. BRUCE:

12 Q. Would you please state your name for the record?

13 A. John McDermett.

14 Q. And where do you reside?

15 A. Midland, Texas.

16 Q. What is your occupation?

17 A. I'm a reservoir engineer, retained by Charles
18 Gillespie.

19 Q. Have you previously testified before the
20 Division?

21 A. Yes, I have.

22 Q. And were your credentials as an expert engineer
23 accepted as a matter of record?

24 A. Yes.

25 Q. Would you give just a very brief outline of your

1 experience with the West Lovington-Strawn Unit and the West
2 Lovington-Strawn Pool?

3 A. Okay, I was retained by Charles Gillespie in
4 early 1994. They obviously had a good reservoir, and they
5 were wanting help in evaluating it for possible secondary
6 enhanced recovery.

7 Q. Did you prepare a study at that time?

8 A. Yes, I did. The study was dated August of 1994.
9 And the Exhibit 6 from yesterday is a slightly modified
10 version of the same curve from that report, and it, as
11 Exhibit 6, has been presented previously.

12 The previous versions were based on a 14-million-
13 barrel oil in place. In the last month or so I've revised
14 to 15-million-barrel oil in place, just to match this --
15 match the later points on the curve a little better.
16 Either way, they both -- The prediction from back in 1994
17 matches the actual production versus pressure pretty well
18 since then.

19 MR. BRUCE: Mr. Examiner, I would tender Mr.
20 McDermott as an expert engineer.

21 EXAMINER CATANACH: He is so qualified.

22 Q. (By Mr. Bruce) Now yesterday, Mr. McDermott, the
23 Hearing Examiner asked about ultimate recoveries. Would
24 you discuss that issue and perhaps give us a range?

25 A. All right, the -- First of all, the primary

1 recovery off of this curve is about 2.1 million barrels.
2 We never had a real forecast for the secondary reserves.
3 There's not a -- We don't have a simulator and we don't
4 have an analogous field to look at.

5 I did do a literature search and testified in a
6 previous hearing we might expect under ideal conditions 40-
7 to 60-percent ultimate recovery of oil in place.

8 For our economic purposes in the past, we've used
9 a 25- to 30-percent total ultimate recovery, primary plus
10 the -- due to the injection.

11 We think now that the 25 to 30 percent of oil in
12 place, which translates to 4 to 4.5 million barrels, we
13 think we're getting evidence that those are pretty good
14 estimates.

15 Q. Okay, so that 4 to 4.5 million would be a
16 reasonable estimate for ultimate recovery from this pool?

17 A. Yes, primary plus secondary; 2 of that would be
18 primary, and then the rest would be due to the gas
19 injection.

20 Q. Do you have anything else to say on that issue?

21 A. No.

22 Q. Okay. Now, on a related matter, are -- a
23 question that came up yesterday, are off-unit tracts,
24 current off-unit tracts, being drained by unit wells?

25 A. I don't think they would be now, because as long

1 as we keep the pressure constant, whether -- that oil is
2 just going to basically sit out there, and whether a well
3 is drilled now or two years from now, as long as the
4 pressure is constant, it's not going to be moving, because
5 there won't be any differential causing it to flow
6 anywhere.

7 Q. One other matter. You were here yesterday,
8 correct?

9 A. Yes.

10 Q. And you heard questions being asked about
11 recovery of the injected gas?

12 A. Yes.

13 Q. What is your comment on that?

14 A. There were comments that at the end of gas
15 injection eventually you will recover that gas that you did
16 inject, and that is true.

17 One thing to remember, unless you escalate your
18 gas price higher than a discount factor of, say, 10
19 percent, you're still going to be losing money on the gas
20 you inject.

21 Another thing, even more important than that, is
22 the oil that's being pushed out to the edge wells from the
23 injection in the middle. So that's the main point, rather
24 than just the cost of the gas to the unit.

25 Q. So what you're saying by the oil being pushed out

1 to the edge wells, it could be -- oil could be being pushed
2 off the unit if the reservoir extends off the unit?

3 A. If it extended that far, it could, if there was a
4 well out there.

5 Q. If there's a well out there.

6 In your opinion, is the granting of the
7 Application in the interests of conservation and the
8 prevention of waste?

9 A. Yes.

10 MR. BRUCE: Pass the witness, Mr. Examiner

11 MR. CARR: No questions.

12 EXAMINATION

13 BY EXAMINER CATANACH:

14 Q. Just one question. The remaining reserves, do
15 you have an estimate on how long it might take to recover
16 those reserves?

17 A. Well, at this point it's kind of up in the air.
18 You know, the unit is restricted now to the 250. If that's
19 -- If the State "S" and the Chandler well are brought in,
20 that would increase that rate. So we're kind of -- All the
21 history has been kind of artificially controlled, the rate.

22 So I would expect at whatever rate the allowable
23 is ultimately fixed, it can produce at that allowable at a
24 constant rate for quite some time. And then towards the
25 end of the life, when we decide it's no longer economic to

1 inject gas, well, then, it's going to go pretty fast, I
2 would think.

3 So you can take this remaining secondary and
4 divide it by whatever allowable we had and get most of that
5 constant rate, I would think.

6 EXAMINER CATANACH: I have nothing further.

7 Anything else of this witness? This witness may
8 be excused.

9 MR. BRUCE: That concludes our direct case.

10 EXAMINER CATANACH: Okay, we'll at this point
11 turn it over to Mr. Carr.

12 MR. CARR: Mr. Catanach, at this time we call
13 David Boneau.

14 DAVID F. BONEAU,
15 the witness herein, after having been first duly sworn upon
16 his oath, was examined and testified as follows:

17 DIRECT EXAMINATION

18 BY MR. CARR:

19 Q. Would you state your name for the record, please?

20 A. My name is David Francis Boneau.

21 Q. Where do you reside?

22 A. Artesia, New Mexico.

23 Q. By whom are you employed?

24 A. I'm employed there by Yates Petroleum
25 Corporation.

1 Q. Dr. Boneau, have you previously testified before
2 this Division?

3 A. Yes, I have.

4 Q. At the time of that prior testimony, were your
5 credentials as an expert witness in petroleum engineering
6 accepted and made a matter of record?

7 A. Yes, they were.

8 Q. Are you familiar with the Application filed in
9 this case on behalf of Gillespie-Crow?

10 A. I'm familiar with that.

11 Q. And are you familiar with the West-Lovington
12 Strawn Unit?

13 A. Yes, sir.

14 Q. What is Yates Petroleum Corporation's interest in
15 the West Lovington-Strawn Unit?

16 A. Yates Petroleum has no ownership interest in the
17 present West Lovington-Strawn Unit. Yates Petroleum owns a
18 part of one of the wells that Gillespie is proposing to
19 bring into the unit. Yates Petroleum owns an interest in a
20 well, the Culp Number 1, that's recently been proposed by
21 Gillespie near the unit. And Yates Petroleum owns interest
22 in some of the other tracts adjoining the unit.

23 Q. Have you reviewed the impact of this Application
24 on the interests of Yates Petroleum Corporation in the West
25 Lovington-Strawn Pool?

1 A. Yes, I have done that.

2 Q. Are you prepared to review Yates' concerns about
3 the expansion of this unit as it is now proposed by
4 Gillespie-Crow?

5 A. I'm prepared to do that, yes, sir.

6 MR. CARR: Are the witness's qualifications
7 acceptable?

8 EXAMINER CATANACH: Any objection?

9 MR. HALL: (Shakes head)

10 EXAMINER CATANACH: The witness is so qualified.

11 Q. (By Mr. Carr) Dr. Boneau, would you briefly
12 state what Yates Petroleum Corporation seeks in this case?

13 A. Yeah, Yates and Hanley are seeking two things:
14 One, we're seeking a expansion of the statutory
15 unit, the West Lovington-Strawn Unit, to include all
16 acreage that's contributing to production in the West
17 Lovington-Strawn Unit.

18 And second, we're seeking adoption of an
19 allocation formula which will distribute the unit
20 production from these tracts and the expanding unit on a
21 fair, reasonable, equitable basis, and our point is that
22 that's a different formula than the formula proposed by
23 Gillespie.

24 Q. Have you prepared or had prepared under your
25 direction and supervision certain exhibits for presentation

1 in this hearing?

2 A. I've prepared those, yes, sir.

3 Q. Could you identify and review for Mr. Catanach
4 what has been marked for identification as Hanley/Yates
5 Exhibit Number 1?

6 A. Yes, Hanley/Yates Exhibit Number 1 is a map, an
7 orientation plat. It shows a number of things that are of
8 interest. In brown is the current West Lovington-Strawn
9 Unit. It also shows, as Tracts 12, 13 and Tract 14 the two
10 80-acre tracts that Gillespie proposes to add to the unit.
11 And it shows additional acreage marked as Tracts 15 up to
12 30 that Yates and Hanley propose to be included in the unit
13 because they're contributing to production from the unit.

14 And just as a -- I think, a last thing it shows
15 is -- Well it doesn't show it very well, but the well
16 that -- the Culp Number 1 well that Gillespie is proposing
17 to drill near the unit would be located in Tracts 19 and
18 the adjacent part of Tract 21.

19 Q. Can you review the status of the tracts in the
20 expanded unit area?

21 A. Yes, the present unit previously has been called
22 by Gillespie Tracts 1 to 11, and that's a convenient
23 nomenclature, and that's shown in brown in Exhibit 1.

24 There are 19 additional tracts which contain some
25 of the acreage in the reservoir, as Yates and Hanley see

1 the reservoir, and all the acreage that we're proposing to
2 include in the unit will be affected and is being affected
3 by unit operations, and the -- You'll hear the real lowdown
4 on these additional tracts from our geological and
5 engineering witness that will follow.

6 Q. Let's go to Exhibit Number 2. What is this?

7 A. Exhibit Number 2 identi- -- well, it identifies
8 as well as we're able to the ownership of each of the 30
9 tracts that Yates and Hanley believe should be in this
10 expanded unit.

11 The West Lovington-Strawn Unit at the lower right
12 is the present unit, Tracts 1 to 11, and that's mostly
13 owned by Enserch and by Gillespie; Phillips has about a 5-
14 percent interest and there's some individuals have small
15 interest.

16 The exhibit, then, just lists the companies that
17 have the ownership of the tracts that Yates and Hanley are
18 proposing to bring in. It's not an exhaustive list of
19 everyone's interest in every tract. Frankly, we were
20 unable to do that in a reasonable amount of time. But it
21 does tell you who owns the tracts.

22 And as Gillespie pointed out yesterday, they own
23 interest in a large number of these tracts. They own
24 interest in 12, 13, I think 19, 20, 24, 25, 26, 28, 29.
25 Enserch owns interest in several of them, and Yates and

1 Hanley own interest in some of them also.

2 Q. Can you identify what's been marked as Exhibit
3 Number 3?

4 A. Exhibit Number 3 is a -- what we call a notice
5 list. We provided notice to Gillespie for each tract that
6 has been -- that we're proposing for expansion into the
7 unit. We've provided notice to Gillespie of each of these
8 30 tracts. And this is an affidavit and certification of
9 mailing and list of the people and things like that.

10 Q. What response did you receive to these notice
11 letters?

12 A. We've received one letter in response, and that's
13 our Exhibit 4. We've received no letters of opposition,
14 but I -- there could be people in attendance today that
15 stand up and oppose it or support it.

16 But we have received a letter from Vierson and
17 Cochran, who's one of the other minority interests in the
18 State "S" well that supports our position, and that's
19 Exhibit 4.

20 Q. Now, Dr. Boneau, I'd like to have you go to what
21 has been marked as Exhibit Number 5 and entitled "Yates
22 Summary", and I would like you just to initially review for
23 the Examiner basically the points that you hope to make
24 with your presentation.

25 A. Yes, Exhibit Number 5 contains two pages. The

1 first one is a summary of what I think is important in this
2 case, and I hope I can make those points.

3 First of all, Gillespie has done a wonderful
4 geologic job in discovering this interesting, large pool,
5 and Gillespie, I think, has instituted a successful
6 secondary recovery project, and they are simply to be
7 congratulated for that. I know we have been looking for
8 these kind of pools out there, and we sure haven't found
9 one of this size, and they have just done a great job doing
10 that.

11 But they haven't been perfect in some other
12 areas. From Yates' point of view, in item number 2 there,
13 expanding this unit to include the State "S" 1 where Yates
14 has an interest could have been easy, should have been
15 easy.

16 In the first half of 1996, we found out that we
17 were involved with Gillespie here, and they were going to
18 expand the unit and do all these things. And it turned out
19 that Yates was the only one that did anything about trying
20 to expand the unit. And Yates made offers to compromise
21 and settle the issue when it basically just involved the
22 State "S" Number 1.

23 And I just got -- Well, I'm sure I got frustrated
24 at times. But Gillespie was only interested in producing
25 oil and not in expanding the unit and getting a fair

1 settlement here.

2 The minority interest owners in the State "S",
3 which include Yates and Vierson and Cochran and some Wilson
4 people and, I guess, Lario, I think undeniably were treated
5 badly by Gillespie.

6 In the spring of 1996, when we should have been
7 talking about unitization, Gillespie, who's the operator of
8 that State "S" well, cut it back to like 90 barrels a day
9 and upped the production on the offset unit wells, just
10 blatantly trying to drain the State "S" 1.

11 I've been real happy to hear, you know,
12 continuing, the Gillespie people tell us how valuable these
13 edge wells are. The State "S" is a valuable well, and
14 they've testified, essentially, and I believe that it's
15 going to retain a low GOR until essentially the end of the
16 unit, when blowdown starts. It's going to produce a lot of
17 the oil from this secondary recovery project.

18 The State "S" 1 -- On a simplified basis, the
19 State "S" 1 is as good a well as any in the unit. They
20 have ten producers, the State "S" well is one producer.
21 Just on simple smell test, the State "S" is one out of 11
22 wells, and it seems like it ought to have one out of 11,
23 the one -- something like 9 percent of the unit.

24 Okay. Another point I really need to make is
25 that when Hanley's well came into the picture -- and that

1 was in the late summer last year -- I finally realized that
2 we weren't going to have a compromise and an easy solution
3 to this. I was struggling with how badly Yates has been
4 treated, and our other friends, and I saw that Hanley was
5 treated just so much worse, and I kind of gave up the idea
6 that we could compromise and that we needed to take a
7 different tack to this.

8 I also, in Number 3, speak a minute from
9 Hanley -- It's important that you understand this, I think,
10 or that everybody here involved understand this. Hanley
11 operates the Chandler Number 1, and it has other acreage,
12 like most of Section 28, that it needs to develop.

13 The current situation is that if Hanley drills a
14 good well on the undeveloped acreage, the unit will take it
15 with almost no compensation. In the proposal that
16 Gillespie has before you, Hanley has a well that's been
17 making about 200 barrels a day. In the month I looked at
18 it, it was making 194 barrels a day. The Gillespie
19 proposal for bringing that well into the unit will give
20 Hanley eight barrels a day.

21 And so the present situation just gives Hanley no
22 way to develop its acreage. Hanley can tolerate, can live
23 with it's acreage being in the unit or out of the unit.
24 But it's got to know which one it is. Nobody can tolerate
25 this -- You drill a well, we take it if it's good, you keep

1 it if it's bad. That situation just must be settled, from
2 Hanley's point of view and from any point of fairness.

3 Q. In your opinion, is the current formula fair?

4 A. The formula proposed by Hanley [sic] for
5 expanding this unit is very unfair and needs to be changed
6 radically, and I have a -- The second page of this exhibit,
7 I hope, can illustrate to the Examiner why it's unfair.

8 Q. Okay. Would you review the second page of this
9 exhibit? What month did you use in -- what --

10 A. The latest -- And we all know the ONGARD story
11 and et cetera. The latest month for which I could get
12 production going into this hearing was February of 1997,
13 and Gillespie as operator had data for March yesterday, but
14 the latest month I could get was February and I used
15 February.

16 You can do these calculations for any other
17 month, and you'll get similar results.

18 Q. Okay, what does this show?

19 A. Page 2 of Exhibit 5 shows the effect on current
20 production of the various proposals that you're hearing, of
21 the current situation of the Gillespie proposal that you've
22 heard, and of the Hanley-Yates proposal, which you're going
23 to hear or you're starting to hear. So those are the three
24 columns of numbers.

25 The owners of the original West Lovington-Strawn

1 Unit, Tracts 1 to 11, in February produced 2171 barrels of
2 oil a day. The State "S" 1 produced 287 barrels a day in
3 February, of which Yates got 34 and the rest of the owners
4 got 253.

5 The Hanley Chandler Number 1 produced 194 barrels
6 a day in February, and the outside tracts have no
7 production -- Well, that's absolute- -- that's not quite
8 true. I just left out the "EC" 1. The "EC" 1 did have
9 some production that it would slide on through.

10 Q. So the first column shows --

11 A. So the first column shows in February the unit,
12 the State "S" 1 and the Chandler well produced 2652 barrels
13 of oil per day.

14 Under -- In the second column or the third
15 column, the column labeled "Gillespie Proposal", if that
16 proposal had been in effect in February, the unit owners
17 would have gotten 2527 barrels a day. They would have
18 gotten 350 more barrels of oil every single day.

19 The Yates interest in the State "S" 1 would have
20 dropped from 34 to 14, the Hanley interest in the Chandler
21 1 would drop from 194 to 8, the rest of the State "S" 1
22 would have dropped from 253 to 103, and there would be no
23 effect, essentially, on the outside tracts since Hanley is
24 not proposing to bring that in.

25 My main point is, them gaining 350 barrels,

1 Hanley losing almost all of its production and Yates being
2 cut in half is obviously unfair. It's lousy.

3 In the last column, then, the formula that's
4 going to -- that's being proposed by Hanley and Yates would
5 be better. I don't know if it's perfect, and I'd love to
6 sit down with these people and negotiate something. But it
7 would be a heck of a lot better.

8 The owners of the West Lovington-Strawn Unit, in
9 February, would have gotten 2098 barrels a day, a decrease
10 of 73 barrels a day; the Yates interest in the State "S" 1
11 would have gone from 34 to 27; the Hanley interest in the
12 Chandler would have gone from 194 to 161; and the rest of
13 the State "S" 1 would have gone down by about 50 barrels a
14 day.

15 All of them would have gone down, and the reason
16 all of them would have gone down is that Hanley and Yates
17 are proposing that some of the interest in the unit be
18 given to these outside tracts that are contributing to
19 production. And under our proposal, those outside tracts
20 would have gotten 160 barrels of oil a day.

21 Phillips owns none of that, but Gillespie owns a
22 significant amount of that. Enserch owns some, Yates and
23 Hanley own some.

24 When you add that oil that Gillespie would get
25 from the outside tracts back to what it gets from the unit,

1 its position is not much changed.

2 Anyway, the point is that the Gillespie proposal
3 is just clearly unfair. It's taken away the oil from the
4 State "S" 1 and the Chandler 1 and just handing it to the
5 current unit owners.

6 The Hanley-Yates proposal is a lot better.
7 That's the whole point. It's on the road to being fair,
8 it's close to being fair, it's in the ballpark of being
9 fair. And the Gillespie proposal is outside left field,
10 over the fence, down the railroad track someplace.

11 Q. All right, Dr. Boneau, let's take a look at what
12 has been marked as Yates/Hanley Exhibit Number 6. Will you
13 identify that and then review the significant points on
14 that exhibit?

15 A. Yes, sir, I'll attempt to do that. And I don't
16 want to go through every point, but Exhibit 6 is a
17 chronology of events, essentially from the time that Yates
18 became involved. So Yates has no interest in the current
19 West Lovington-Strawn Unit. We own none of it.

20 And that unit became effective in October 1,
21 1995. Yates become involved when the State "S" 1 was
22 drilled, and actually it was drilling -- it was at TD when
23 the unit became effective.

24 Gillespie discovered that Yates and others owned
25 about a third of that well. Actually, Yates owns 11.7

1 percent of the State "S" 1, the way we figure it. That was
2 a real good well that IP'd in October of 1995 at 505
3 barrels of oil a day, and I think it's clear that Gillespie
4 was the operator of that unit. So Yates had hardly any
5 control over its operations.

6 When Gillespie discovered that other people own
7 part of that well, it sent out a letter in January 8th,
8 1996, telling us all about it. But what I think was
9 important about that letter, to me, was, Gillespie said
10 they would do two things. They would let the well pay out
11 and then do two things: They would choke it back to 175
12 barrels a day, and they would move to bring it in the unit.

13 And the truth is that they didn't do either of
14 those. And I'm just in the habit of expecting people to do
15 what they say they're going to do, and these guys didn't do
16 it.

17 What they really did -- and I think that will be
18 shown in the next exhibit, was cut back our well to like 93
19 barrels a day, and they jacked up the production from the
20 offset unit wells to try to drain the State "S" 1, and they
21 did zero about trying to bring us into the unit.

22 Finally, in June, 1996, Yates called an
23 operators' meeting because Gillespie wasn't doing anything,
24 and Gillespie sent out some ballots prior to this meeting
25 and they wouldn't tell us what happened to the ballots.

1 They just made no move to do that.

2 After this -- Try to be truthful with the
3 Examiner. Up to this meeting, I thought that the State "S"
4 well was so far away from the injector that it would not be
5 affected. And I had no data; I just said, There are five
6 locations between there. How in the heck is that injected
7 gas going to get over to support our State "S" 1? It just
8 intuitively didn't seem likely.

9 And so, you know, I went to the meeting thinking
10 that probably our well was not in communication. Gillespie
11 showed me data that showed that it was, and from that time
12 forward, scout's honor, it's in communication, it ought to
13 be in the unit.

14 And after that June meeting, you know, Yates sent
15 Gillespie a letter proposing a formula or proposing a --
16 what I would call a compromise that we'd vote for taking
17 the State "S" in the unit where it got 4.89 percent of it.
18 That's been testified and, you know, what everybody needs
19 to understand, Yates owned 11.7 percent of this State "S"
20 1. That was going to translate into a half or one percent
21 of the unit, a tiny amount.

22 And I simply judged early in this deal that the
23 money that Yates had involved in it could not support
24 fighting about it very much. I would have loved to have
25 done a computer simulation and a big-time reservoir study

1 and found out what was really going on, but Yates had
2 \$50,000 or \$100,000 or something involved, and I really
3 didn't want to spend it all, like it turns out we have, on
4 lawyers and consultants and trips, and a heck of a lot of
5 my time, you know, on my regular job.

6 And so we wanted to get the thing settled in some
7 halfway fair way and go away. And we tried -- We thought
8 we tried to do that.

9 And the response we got was that we found out
10 that Hanley was, you know, being treated this ridiculous
11 way that I've just described to you, and that Gillespie
12 filed an application to restrict the pool allowables,
13 essentially, in an effort to legitimize the treatment
14 that we were getting.

15 Pretty much at that point, which was late summer,
16 I gave up hope of an easy compromise, and it became a
17 matter of -- what I would call a matter of principle; we
18 just needed to get this thing solved right even though
19 monetarily it was not going to benefit us very much.

20 So finally in January, Gillespie filed a motion
21 to expand this so that we had a forum on which to actually
22 hear what was going on in the unit, and that has led to
23 today, to the hearing that we're having yesterday and
24 today.

25 Q. In your experience, have normal procedures been

1 followed by Gillespie in terms of the formation of this
2 unit?

3 A. No, I was very surprised by what has happened. I
4 -- I mean, you know, it's been an education for me. I
5 should have been around enough to know these things happen.
6 But I was really surprised.

7 Normally, unitization is a voluntary process
8 where the affected parties sit down, talk about things,
9 hammer out their various interests and come to the
10 Commission with a solution. There's been zilch
11 negotiations in this, there's been no exchange of data.
12 Subpoenas are the only way that you get even normal things
13 that ought to be public and ought to be readily available.
14 It's just been horrible, instead of a voluntary negotiation
15 of a normal unit operation.

16 Q. Let's go to what has been marked Yates/Hanley
17 Exhibit Number 7. Could you tell me what this is?

18 A. Yates/Hanley Exhibit Number 7 is our -- is a
19 table, but it's my best illustration of how poorly the
20 State "S" 1 was treated by Gillespie.

21 And I call your attention to the months February,
22 March, April and May of 1996, you know, some other months.
23 But out there in the fifth column, labeled "State 'S' 1
24 Production, Barrels of Oil per Day", in February, March,
25 April and May, Gillespie as operator of the State "S" 1

1 restricted the production to 93, 99, 95 and 103 barrels a
2 day.

3 And with the -- Well, anyway, they did that, and
4 at the same time they raised the production on the West
5 Lovington-Strawn Units Number 8 and Number 9, which are the
6 offsetting unit wells to the numbers you see there, up to
7 one month of 379 barrels a day, 362 barrels a day, 252
8 barrels a day, numbers away above the 175 that they're
9 talking about being normal for a unit. So...

10 Q. And those are the immediately offsetting wells --

11 A. Those are the immediately offsetting unit wells
12 to the west. They doubled their production and cut ours
13 back to almost zilch.

14 Q. Did Yates request the State "S" Well Number 1 be
15 produced at higher rates during this time?

16 A. Well, with the ONGARD situation it took us a
17 while to learn what they had done, and we learned what they
18 had done, we had our -- our lawyer, who at that point was
19 Ernie Carroll in Artesia, you know, call Mr. Crow. John
20 Yates is considering himself a personal friend of Mr.
21 Gillespie. Anyway, we made calls asking them to fulfill
22 what we thought was their duty.

23 What I thought -- You know, what we thought
24 should have happened was that the State "S" Number 1,
25 outside the unit has an allowable of 445 barrels a day, a

1 prudent operator would have produced it at 445 barrels a
2 day, and that would have encouraged Gillespie to move ahead
3 with expansion of the unit.

4 And it -- Just coincidence made it that Gillespie
5 had control of everything, and in our sense they didn't
6 really fulfill their duty to the -- as operator of the
7 State "S" 1. And when we finally figured out what they
8 were doing, yes, we complained, we...

9 Q. In your opinion, has the unit drained reserves
10 from the acreage that's dedicated to the State "S" Number
11 1?

12 A. Well, before the State "S" Number 1 was drilled,
13 it had to drain reserves because of the fact that the
14 pressure of the State "S" 1 was lower.

15 But the State "S" 1 has oil in place under it and
16 under the -- actually under the tract to the east that it
17 is draining, and the way Gillespie restricted the State "S"
18 1 and upped the unit production, it made an attempt to
19 drain us and -- you know, probably a successful attempt.

20 Q. Does Yates, in fact, desire for the unit to be
21 expanded to include the acreage which is dedicated to the
22 State "S" Number 1?

23 A. Yes, Yates wants the unit expanded to include the
24 State "S" 1, the Chandler well, and other acreage that
25 you'll see is clearly within this reservoir, is definitely

1 within this reservoir.

2 Q. Now, Dr. Boneau, on May 2nd Gillespie proposed to
3 Yates the drilling of an additional well in the West
4 Lovington-Strawn Pool. Where is this well located?

5 A. The well you refer to is called the Culp Number
6 1. It's proposed to be located 2310 feet from the north
7 and east lines of Section 34 of 15 South, 35 East, in Lea
8 County, and that turns out to be 330 feet from the acreage
9 dedicated to the State "S" Number 1, and it's also 330 feet
10 from the current unit boundary. It's close.

11 Q. In your opinion, should this acreage at this time
12 be included in the unit?

13 A. The acreage dedicated to the Culp Number 1, I see
14 no argument about that. It's in the reservoir; it will
15 either drain the unit or the unit will drain it.

16 But we're back to kind of the same game.
17 Gillespie is trying to pull another State "S" 1 on us.
18 Yates would own part of that, and we'd in the same -- the
19 same minority owner with no control, subject to Gillespie's
20 whims.

21 It's another recipe for a lot of lawyer bills and
22 consultant bills.

23 Q. As it now stands, if that well is drilled, would
24 Yates be paying its proportionate share of the well based
25 on the dedicated acreage?

1 A. Yes, and on a -- You know, on a geologic basis,
2 I'm recommending to the Yates people that we participate in
3 that well.

4 If it's going to be taken away from us like this,
5 we -- you know, we may think. But geologically, Yates
6 would participate in that well right now.

7 Q. Will Yates and Hanley call geological and
8 engineering witnesses to review the justification for their
9 new proposed unit boundary?

10 A. Yes, we'll call two other witnesses.

11 Q. Will these witnesses also explain the proposed
12 changes to the formula which are being recommended by Yates
13 and Hanley?

14 A. They'll talk about that in a lot of detail, yes,
15 sir.

16 Q. Were Yates/Hanley Exhibits 1 through 7 either
17 prepared by you or compiled under your direction?

18 A. Yes, they were.

19 MR. CARR: At this time, Mr. Catanach, I would
20 move the admission into evidence of Exhibits 1 through 7 of
21 Hanley and Yates Petroleum Corporation.

22 EXAMINER CATANACH: Exhibits 1 through 7 will be
23 admitted as evidence.

24 MR. CARR: That concludes my direction
25 examination of Dr. Boneau.

CROSS-EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. BRUCE:

Q. Dr. Boneau --

A. Yes, sir.

Q. -- would you look at your Exhibits 1 and 2, please?

A. I have those.

Q. Okay, looking at Tract 18, I'm a little confused. Your Tract 18 is in Section 27. You show it in Exhibit 1 to cover the southeast of the southwest and the southwest of the southeast. And then on Exhibit 2, you show two listings for it, but you show it covering also the southeast of the southeast. Which are you proposing?

A. The map is correct, and there's a typo on Exhibit 2. Tract 18 -- And I've got to really think about these southeast southwest things to get them down there right.

Q. And you're not a landman?

A. Just by necessity.

But the -- Anyway, Tract 18 actually does not have the same ownership in the one 40 that it has in the other 40. It's an 80-acre, as shown on the map.

Q. It's one lease with different ownership?

A. It's one lease, but the eastern part of it is dedic- -- to a -- an agreement that -- operating agreement is related to -- oh, some other lease. I'm not a landman,

1 and I'll get it all screwed up.

2 But anyway, the ownership is different on the
3 western part of Tract 18 from the eastern part of Tract 18,
4 and Exhibit 2 was intended to say that, and the acreage,
5 southeast and southwest, et cetera, on Exhibit 2 are
6 screwed up.

7 Q. Okay. Now, looking at your Exhibit 5, under
8 point 2, you say that since you have one of 11 producers
9 you should have one divided by 11, nine percent of the
10 unit.

11 Now, you can look at your Exhibit 1 if you want,
12 but if a well was drilled 80 -- This pool has 80-acre
13 spacing; is that correct?

14 A. That's my understanding, yes, sir.

15 Q. So if you looked at the expanded unit, there
16 would be room for about 20 wells in there?

17 A. Correct. There's quite a bit of acreage in
18 the --

19 Q. That's undrilled?

20 A. -- expanded part.

21 Q. Okay.

22 A. Yes.

23 Q. Are you saying that every tract should be drilled
24 and then just divided up, based on a well -- one well per
25 80 acres?

1 A. No, anything can be taken, I think, to ridiculous
2 extremes.

3 Q. And that would substantially lower this nine
4 percent if that's the case, wouldn't it?

5 A. Well -- Yeah. When I'm talking about item 2.e.
6 there, in my mind I'm thinking about like a year ago when
7 we had the Unit and the State "S" 1 and no other
8 complications, really, had entered yet.

9 My point is, the State "S" 1 is a well comparable
10 to the wells in the unit. It may be better, but it's at
11 least as good as those wells. It's really valuable to the
12 unit because it -- You know, it sounds crazy but in this
13 case it's valuable because it's downdip.

14 Q. And it's --

15 A. And it's going to -- And it's been producing at
16 this low GOR, and as the gas come down and down and down,
17 that State "S" take point is going to physically take a
18 heck of a lot of the secondary recovery oil out of the
19 unit.

20 Q. The gas cap is pushing the oil out; is that
21 correct?

22 A. The gas cap is pushing the oil out there.

23 But my point is simply that it's as good a well
24 as any in the unit. And just as a first look in the wind
25 at what it ought to be worth, it ought to be worth

1 something like one-eleventh of the unit when we're talking
2 about the present unit and the State "S" 1. When you add
3 in other acreage, you dilute everybody.

4 And the point is that my idea of the smell test
5 says that it ought to be closer to nine than the four that
6 we've been talking about.

7 Q. Have you done any oil-in-place calculations for
8 any of these tracts?

9 A. Have I done oil-in-place for any of these tracts?
10 I have surely done oil-in-place calculations for some of
11 the tracts, for the --

12 Q. What about Tract 14? Have you done it for that
13 tract?

14 A. Well -- I have done it -- Okay. I'll say what
15 I -- Yeah, I can do the calculations, I can sit down and
16 run a planimeter and calculate things, and I have done that
17 for Tracts 12, 13 and a little bit for 14. I have worried
18 about where the $S_o(\phi)h$ is located in the area of Tracts 13
19 and 14. I have not worried about where it is drawn in the
20 area of Tract 14.

21 So in Tract 14 I have calculated oil in place
22 based on your map, based on a map provided by Hanley/Yates'
23 geologist, which you'll see -- the Hanley geologist.

24 But I have done what I would call no engineering
25 or log work, et cetera, in the area of Tract 14, and I want

1 to make that --

2 Q. Well, you said you had calculated -- You had some
3 rough calculations for Tract 14. What did you have for
4 numbers, oil in -- original oil in place?

5 A. Your map shows the numbers that you showed in
6 place. I mean, I can duplicate those numbers, real small
7 numbers.

8 The map that our geologist will show has like
9 five percent of the unit under there, five percent of the
10 oil under there. Just a hugely different number. And
11 you're wasting your time, probably, arguing with me; you
12 need to argue with the geologist who drew those two maps.
13 That's where the difference lies. I can competently get an
14 oil-in-place number from a map, but you give me a map, I --

15 Q. It's dependent upon the geologist?

16 A. It's dependent upon the geologist, and I have not
17 done anything independent of the geologist.

18 Q. In your -- You know, one of your points you make,
19 you congratulate Charles Gillespie for discovering this
20 pool. Did you think that Gillespie and Enserch benefitted
21 this entire pool by restricting their own production to 100
22 barrels of oil per day for a year and a half, pending
23 unitization?

24 A. No, I think that -- What I tried to say there
25 includes congratulations for doing it right up to that

1 point. They found the thing. They worried about some
2 science; that involved back their cash flow for a while
3 until they could get a little science. They made
4 reasonable decisions, they went ahead with the project, and
5 it looks like the project's working. Kudos to you. Good
6 job, guys.

7 Q. Well, my question is, do you think restricting
8 the production to 100 barrels of oil per day -- And that's
9 when the allowable was 445 a day, right?

10 A. Yes.

11 Q. So that's restricting production about 80
12 percent?

13 A. It's a big --

14 Q. Do you think that helped this pool until pressure
15 maintenance was instituted?

16 A. From a cursory look, it clearly helped the pool.
17 You'll hear from our engineer a slightly different slant on
18 it. But yeah, that was the right thing to do at that time.

19 Q. And do you -- well -- Now, you've said that
20 really Yates was the only one interested in unitizing
21 during the first half of 1996?

22 A. That's the impression I got, yes, sir.

23 Q. I've handed you what's been marked Gillespie-Crow
24 Exhibit 28. Have you seen that letter before?

25 A. Yes, I've seen it before.

1 Q. Could I direct your attention to paragraph number
2 -- not paragraph number 1 but the item number 1? What does
3 that say?

4 A. It says, "We oppose having the State S put into
5 the Unit. We believe that it does not benefit
6 substantially from your improved recovery project."

7 Q. Now, didn't you just testify that in June of 1996
8 you found out enough data to show that the State "S" was
9 substantially benefitting from the pressure-maintenance
10 project?

11 A. Yes, I told you that.

12 Q. Then a month later -- And you say during the
13 first half of 1996 Yates is the only one who wants to
14 unitize, and then in July we have this letter. Does that
15 appear that Yates is pushing unitization?

16 A. Yeah, I think it appears that Yates is pushing --
17 You can tell I didn't sign this letter; I hope you can tell
18 that I didn't sign this letter.

19 Q. I see that, Dave.

20 A. Okay.

21 Q. But Mecca Mauritsen is --

22 A. Mecca Mauritsen is a Yates --

23 Q. -- an employee of Yates?

24 A. -- employee who's worked on this project as a
25 landperson.

1 Q. Now --

2 A. No, I do not agree with the words in item number
3 1. I think that Mecca put item number 1 in her letter
4 because Yates is purporting to represent in some sense the
5 other minority owners in the State "S" 1, and the Wilsons,
6 for one, were smart enough to figure out that the State "S"
7 1 was going to get more money if it stayed out of the unit.

8 Q. We'll get to that in a minute.

9 A. And so she had -- She had input from other people
10 than me when Mecca wrote this letter. And item number 1
11 does not represent the input from Dave Boneau; it
12 represents the input from some other people.

13 Q. Including other Yates people?

14 A. I really wouldn't say that, but --

15 Q. Yates looks out --

16 A. -- it's mostly --

17 Q. -- for its own interest, doesn't it?

18 A. That's not entirely true. We do some really
19 goofy things sometimes, just because we think it's right.

20 (Laughter)

21 Q. Well, let's move on to item 4. Now, looking at
22 Exhibit 1, you want to include a tract with -- I think you
23 listed as Tracts 24 and 25, and that's --

24 A. Which one are we talking about?

25 Q. Exhibit 1. Looking down in Section 6, 16 South,

1 36 East --

2 A. I've got hold of the things here. Please tell me
3 which --

4 Q. Section 6, down in the southeast corner of your
5 proposal.

6 A. Oh, okay, surely.

7 Q. Sections 24 and 25, and there's a well on there,
8 the Snyder -- the Gillespie Snyder "EC" Com Number 1, and
9 you're proposing that that be included in the unit?

10 A. We're tracts 25 and 26? Are we talking about the
11 Snyder --

12 Q. 24 and 25.

13 A. 24 and 25, 80 acres, including the 1 "EC" in --

14 Q. Yes.

15 A. -- Tract 24? Okay.

16 Q. Now, if you look at the letter I just handed you,
17 Item 4, doesn't Yates request that that well stay out of
18 the unit? I believe it's incorrectly referring to the --
19 as the "CE", but...

20 A. Okay, item 4 says something about keeping the
21 "EC" well --

22 Q. So --

23 A. -- out of the unit.

24 Q. -- Yates made that request, and --

25 A. I --

1 Q. -- Gillespie --

2 A. I think you're -- Okay. Well, I would not say it
3 the way you're saying it.

4 What I think happened was that Gillespie said
5 they didn't want it in the unit, and then in a spirit of
6 compromise -- I'm talking about Yates agreed that, If
7 that's what you guys want, we'll leave it out of the unit.

8 And that was -- That's my understanding of the
9 situation at that time. And you can tell me you me you
10 don't like how Mecca wrote it, but that's fine. We were
11 trying to agree with you and leaving the "EC" 1 out of the
12 unit at that time.

13 Q. Now, I think you made the comment that the only
14 way anybody's ever gotten any data here was by subpoena; is
15 that correct?

16 A. I might have said those words. I meant something
17 close to that, you know, what -- literally "only way".
18 Gillespie does send us C-115s on the State "S" 1 most of
19 the time. But to get information about the unit is about
20 impossible from public sources.

21 Q. Let me hand you Gillespie Exhibit 29. Are you
22 aware of Gillespie-Crow sending a substantial amount of
23 data --

24 A. Oh, yes --

25 Q. -- on the unit?

1 A. -- I'm aware of this, and I asked them to send
2 this, and they sent this in July.

3 Q. And that was --

4 A. But my point would be, this is substantial data,
5 but they have taken, you know, 18 pressure surveys and
6 we've gotten a handful of them.

7 We do not have -- You know, I told you that I
8 don't want to spend the money to do a detailed reservoir
9 simulation of this reservoir by a half-a-percent owner.
10 But we -- Even at this time we don't have the data to do
11 that if we wanted to do it.

12 Yes, you have sent us some data. You have sent
13 us an inch of data. As a result of the subpoena I got
14 maybe three or four inches of data. We've gotten some
15 pounds of data. It's been relatively tough to get, and
16 there's some we haven't gotten.

17 So I'm backing off that t's impossible, but it's
18 not been a friendly, free exchange of information.

19 Q. Have Yates and Hanley voluntarily offered to give
20 Gillespie or Enserch the Williamson study?

21 A. You're going to hear about the Williamson study,
22 and I think what you're going to hear is all that exists at
23 this time. There is no study to hand you.

24 Q. One final -- Let's go to your Exhibit 7, the
25 production.

1 A. Okay.

2 Q. Okay. Now, if you look, like you said, early in
3 1996, the State "S" was not being produced as highly as
4 some of the unit wells; is that correct?

5 A. I haven't found any unit wells produced that low,
6 but yes that's correct.

7 Q. Since August, 1996, it's been the reverse, hasn't
8 it?

9 A. Yeah, I think so. That's when we went -- when
10 our request for Hanley to produce the well at what we
11 thought they should --

12 Q. Okay.

13 A. -- had some effect.

14 Q. Now, there's about -- There are ten unit wells
15 producing; is that correct?

16 A. That's my understanding, yes, sir.

17 Q. So if you look over in your column 3, you know,
18 it's hard to pick out an average, but say a hundred -- over
19 that time period the unit has been producing about 175
20 barrels a day --

21 A. We're talking about --

22 Q. -- per well, on average?

23 A. We're talking about the last half of 1996,
24 essentially, is that what you --

25 Q. Sure, let's just take the last half of 1996.

1 150, 170 barrels a day per well?

2 A. The numbers for the unit are in that range, yes,
3 sir.

4 Q. Okay. So 1500-plus barrels a day. And during
5 that period the State "S" Number 1 is producing 400 barrels
6 a day, 375?

7 A. (Nods)

8 Q. So the total production, looking at the West
9 Lovington-Strawn Unit and the State "S" Number 1, the State
10 "S" Number 1 is producing about 25 percent of production,
11 isn't it?

12 A. 20 to 25.

13 Q. 20 to 25 percent?

14 A. Yeah.

15 Q. And the State "S" 1 well has 80 acres in that
16 unit?

17 A. (Nods)

18 Q. And the West Lovington-Strawn Unit has about 1450
19 acres in it.

20 A. Uh-huh, and Gillespie operates all of them.

21 Q. So it's about five percent of the area of the
22 unit, and it's producing 20 to 25 percent of the
23 production?

24 A. That's right, in that context.

25 Q. Do you think that's fair?

1 A. Well, now we're back to October. I think we
2 addressed this in October. What I think should have
3 happened, and what I said should happen, Gillespie operates
4 all the wells you're talking about, and they have
5 responsibility to the unit and they have responsibility to
6 the State "S" 1. I think they should have produced the
7 State "S" 1 at allowable from the start and moved ahead
8 with unitization.

9 Yeah, I agree with you that if the State "S" 1
10 produced for long periods of time at the situation you're
11 describing, that that would turn in to be unfair, and the
12 State "S" 1 needs to be brought into the unit, it needs to
13 be operated as a unit well, it needs to get this together
14 under a fair formula and charge forward.

15 And I'm just repeating that, you know, I felt
16 that I have tried to do that, and I ain't got it done.

17 MR. BRUCE: I don't have any further questions.
18 I'll pass it to Mr. Hall.

19 CROSS-EXAMINATION

20 BY MR. HALL:

21 Q. All right, Dr. Boneau, if you would, please,
22 would you take your Exhibit 3 in front of you, please?
23 Again, Exhibit 3, as I understand it, is another -- was
24 sent out by Mr. Carr, your attorney. Page 4 of Exhibit 3
25 is the Exhibit A with the acreage description; is that

1 correct?

2 A. You're talking about a page that says Exhibit A
3 at the top, like the fifth sheet?

4 Q. That's correct. And if you would compare the
5 acreage description on Exhibit A to Exhibit 3 with your
6 Exhibit 1, it's quite different, is it not?

7 A. Exhibit A includes the same tracts, but it
8 includes more acreage than is shown on my Exhibit 1.

9 Q. For instance, most of Section 27 is deleted from
10 Exhibit 1. Why is that?

11 A. Well, it never was in Exhibit 1. Mr. Carr -- and
12 I can see how you were -- where you were confused by his
13 wording, but Mr. Carr sent out --

14 (Laughter)

15 A. I've been confused by his wording sometimes too.

16 Mr. Carr sent notice and listed the leases that
17 we were proposing to bring all or part of into the unit.
18 And like I said, I could read his letter and make the
19 conclusion that you're trying to represent, that he said he
20 was going to bring all of 27 into the unit, and that's --
21 You know, that's not what it was intended to say, that's
22 not what it says --

23 Q. I understand.

24 A. -- end of story.

25 Q. The point is, it's -- you're proposing on a lease

1 basis in either event; is that correct?

2 A. He gave notice to the lessees of those leases,
3 and the notice was intended to say that all or part of your
4 lease was going to be proposed for inclusion into the unit.
5 And he accomplished that, and Exhibit 1 shows exactly what
6 we're proposing to bring into the unit. And it does not
7 include all of the lease V-3917 that's in Section 28 under
8 Yates Petroleum. And if you got that impression, then our
9 side kind of misled you, if that's what you're saying.

10 Q. I see. Well, I did want to clarify that. But if
11 I understand that, the heart of your proposal, the heart of
12 the Yates/Hanley proposal, is to participate in unit
13 production on a lease basis. That's really what you're
14 proposing, isn't it?

15 A. I'm not understanding what you're saying, Mr.
16 Hall, I -- We're proposing that the reservoir covers the
17 area in Exhibit 1 and that all that area outlined in red in
18 Exhibit 1 ought to be brought into the unit, because all
19 that area is contributing to production from the unit. And
20 I'm not able to comprehend what you mean by "on a lease
21 basis" without further description.

22 Q. Well, let me ask you this: Yates was aware of
23 the prospect, likelihood of a unit expansion for at least
24 the last -- what? 16, 18 months anyway, correct?

25 A. We thought in January, 1996, that it was going to

1 happen imminently, yeah.

2 Q. Yeah, and with respect to Exhibit 3, do you know
3 if an application to the Oil Conservation Division was sent
4 out to those interest owners, along with the notice letter
5 in Exhibit 3?

6 A. Let's see if I understand what you're saying. We
7 discussed -- or Yates' people and Mr. Carr discussed what
8 was the appropriate way to hear both sides of this issue,
9 and we discussed filing a separate case that specifically
10 asked to do what we are -- want to do.

11 And the word I got back through hearsay, kind of
12 thing, through the lawyers and the chain of people, was
13 that the Commission preferred to do it the way that we went
14 and did it.

15 Q. Did the Commission tell you that?

16 A. I was told that the Commission told Mr. Carr
17 that.

18 Q. The Commission would rather not deal with formal
19 applications; was that your understanding?

20 MR. CARR: I object to the form of the question.
21 Dr. Boneau can tell you what he said, but you can't put
22 words in his mouth.

23 THE WITNESS: All I know is that we talked about
24 filing an application. That seemed like a reasonable way
25 to go to me. The word came back that that was not going to

1 happen. We were going to do this because the Commission
2 advised Mr. Carr that that was the way to do it.

3 Q. (By Mr. Hall) What was the application --

4 A. That's all I know.

5 Q. I'm sorry, what was the application to say, if
6 you know?

7 A. I think it would essentially have said the two
8 things that I said I'm here today seeking approval of. It
9 would have said we're seeking approval of an expanded unit
10 that includes what's shown in Exhibit 1, and we're seeking
11 an allocation formula laid out that's different from what
12 Gillespie has proposed --

13 Q. All right.

14 A. -- a specific allocation formula. It may have
15 ended up saying some other kind of thing about the unit
16 agreement or whatever -- You know, who knows, once they
17 start scratching things on the paper? But essentially it
18 would have said those two things.

19 Q. Right. I assume we'll see your participation
20 formula today, but --

21 A. Yeah, it --

22 Q. -- it's not been seen before now, has it?

23 A. No, and I don't -- Not that it's a secret. Our
24 participation formula is 50 percent $S_o(\phi)h$, as drawn by our
25 geologist, and 50 percent what's going to be called current

1 production or recent production.

2 Q. All right. But a proposed participation formula
3 has not been sent out to the interest owners or reflected
4 on Exhibit 3; is that correct?

5 A. That's my understanding, yes, sir.

6 Q. And it hasn't been provided to Gillespie-Crow or
7 Enserch before today, has it?

8 A. Not that I know of.

9 Q. So it's safe to say, summarize, we're really here
10 arguing over two things: the participation formula and the
11 acreage?

12 A. I think so, yes.

13 Q. But Yates has no formal application before the
14 Division for additional acreage. So all we're talking
15 about, all that's on the table --

16 MR. CARR: I object to this unless it's proposed
17 in the form of questions instead of testimony. He can ask
18 the question, but he's testifying.

19 Q. (By Mr. Hall) Let's look again at your Exhibit 1
20 so we're sure how we're proceeding today, if you have that
21 in front of you.

22 A. I see that, yes, sir.

23 Q. That's the acreage Yates would like to bring into
24 the unit. No question about that, correct?

25 A. Yes.

1 Q. And included within that are Tracts 14, 22 and
2 23?

3 A. They must exist somewhere, yes, I see those.

4 Q. All right, and it's Sections 28 and 34, the
5 Chandler and State "S" tracts?

6 A. You're referring to 12, 13 and 14? We're
7 proposing that --

8 Q. Yes, I'm sorry.

9 A. -- that exist of 30 tracts, so any number between
10 1 and 30 is in there somewhere.

11 Q. You're correct, Tracts 12, 13 and 14 --

12 A. Yes.

13 Q. -- are included within the acreage Yates
14 proposes?

15 A. That's correct.

16 Q. There's no question Yates does not oppose the
17 expansion into those tracts, anyway? That's not an issue,
18 is it?

19 A. No, no.

20 Q. All we're fighting about is participation at this
21 point?

22 A. Well, you've proposed something, and we're here
23 to argue how your proposal should be modified --

24 Q. And Yates is --

25 A. -- but we're not arguing that Tracts 13, 12 and

1 14 should not be in the expanded unit.

2 Q. All right so that is a non-issue in this
3 proceeding?

4 A. That is not an issue in this proceeding.

5 Q. And you acknowledge that Yates is free to come
6 back with a properly filed application before the OCD to
7 expand into acreage other than Tracts 12, 13 and 14, and
8 subject it to scrutiny in a proper proceeding --

9 MR. CARR: I will object to the question.

10 THE WITNESS: I have no idea --

11 MR. CARR: I will object to the question unless
12 Mr. Hall will agree that contrary to prior positions he's
13 taken, a nonoperator may file that Application to expand
14 the statutory unit.

15 THE WITNESS: I have no idea. I just want this
16 problem solved, and I've been told that this is the forum
17 in which we're going to try to solve it.

18 Q. (By Mr. Hall) I would agree that anybody can
19 file an application. There's not even a filing fee
20 required. And it's going to be subject to a motion to
21 dismiss at the appropriate time, if appropriate at that
22 time, so not an issue about that.

23 Let me ask you, Dr. Boneau, you rendered some
24 testimony about what you understood to be negotiations
25 between the parties, good-faith negotiations or lack of

1 good-faith negotiations, in your view.

2 There was some negotiations, in fact -- There
3 were negotiations, in fact, correct?

4 A. I wouldn't represent them as that, but there were
5 some -- there was some communication.

6 We had a meeting and -- Do you want a short
7 answer or a long answer?

8 Q. Well, let me ask you another question. At one
9 point from the expansion into the State "S" 1, really, what
10 it came down to, Yates wanted a participation factor for
11 that acreage of 4.89 percent, Gillespie-Crow proposed 4.34
12 percent. Is that accurate? You had that --

13 A. At one time, those two numbers were on the table,
14 yes.

15 Q. And wasn't there, in fact, an offer of compromise
16 communicated to Yates to simply split the baby, split the
17 difference of 4.6 percent? Do you acknowledge that?

18 A. No, that I understand, no. I don't -- I'm not
19 aware that that offer existed.

20 Q. So you can't deny that that was communicated; you
21 simply don't know?

22 A. At one point Gillespie offered to take our
23 position on the issue of whether the Tracts 12 and 13
24 were -- commutized, I think, is the word I would use, into
25 a spacing unit. But I didn't think that -- that did not

1 bring their offer up to 4.6 percent, according to my
2 memory.

3 Obviously, we thought that offering 4.87 was a
4 gift to you, to get the problem solved and out of our hair.

5 Q. That's as far as you went, correct, as far as you
6 know?

7 A. Gillespie-Crow never made a meaningful response
8 to that.

9 Q. To your knowledge?

10 A. To my knowledge.

11 Q. You wouldn't consider a 4.6-percent counteroffer
12 meaningful; is that your testimony?

13 A. No, I never heard a 4.6-percent counteroffer.

14 Q. Well, my question is, would you consider that
15 meaningful?

16 A. I would consider that -- Yes, I would consider
17 that as indication that they were serious and wanted to do
18 something. And as far as I know, that didn't happen.

19 Q. Dr. Boneau, you also testified about considerable
20 delays that have been experienced during the course of
21 this single application, and isn't it correct that one of
22 the reasons for delay was, you were preparing a reservoir-
23 simulation study, needed additional time to do that?

24 A. I think the little answer to your question is no,
25 but obviously you're getting at something and I'm, you

1 know, not sure what it is.

2 Q. Well, Yates has retained --

3 A. I don't recall anything that said we need
4 additional time to do a reservoir-simulation study. Maybe
5 there was. I don't remember that. But there were letters
6 that said Yates/Hanley needs additional time to prepare its
7 case for this hearing.

8 Q. I see. You did commission a simulation study; is
9 that accurate?

10 A. Yates and Hanley hired Williamson consultants to
11 do a study, and he's going to be here quite soon to show
12 you what that study is. I just don't feel comfortable
13 characterizing it at this moment.

14 Q. All right, I understand. I'm just interested in
15 the timing of events.

16 From your earlier comments I got the impression
17 that the study is still not complete today.

18 A. There's no paper on which the answers are written
19 down.

20 Q. All right. Are there some preliminary
21 conclusions?

22 A. I sure hope so. He needs to say something here
23 for us.

24 (Laughter)

25 Q. Dr. Boneau, what is your estimate of the primary

1 oil recovery for the State "S" 1?

2 A. I made one of those, and I don't remember what
3 the answer was. I testified to that earlier, but I simply
4 don't remember what it was. I can see the curve in my
5 head, but I can't see the end of it. I'm sorry, I just
6 don't remember.

7 Q. But you agree, there is not dispute over the fact
8 that the State "S" has benefitted substantially from
9 pressure-maintenance in the unit? That's not an issue here
10 today, is it?

11 A. I think the State "S" 1 has benefitted, yes.

12 Q. Do you have an estimate of what production
13 performance on primary production, without pressure
14 maintenance -- remember that?

15 A. No, that's the -- That's the number I said I
16 don't remember. That's what I would call the primary
17 recovery, my estimate of the primary recovery from the
18 State "S" 1, and I think I submitted that at the October
19 hearing.

20 But I did do that once; I simply don't remember
21 the answer.

22 Q. All right. Without pressure maintenance, would,
23 in your view, the production curve have climbed rapidly,
24 would it have remained flat? Can you say?

25 A. It would not have remained flat.

1 Q. What would have happened?

2 A. It would have declined, and I don't know that I'd
3 characterize it as rapidly, but it would have declined, and
4 it would have produced something like whatever number I
5 calculated back at the time that I did that, that I can't
6 remember.

7 Q. All right. Getting back to the participation
8 factor, which is based on hydrocarbon pore volume, Yates
9 was at 4.9, Gillespie-Crow at 4.3. Does that tell you that
10 both sides' estimates are pretty close?

11 A. No.

12 Q. Substantial agreement?

13 A. No. It only tells me that Yates really wanted to
14 settle this, and we just -- At the time you're talking
15 about, we acted as if we accepted. We accepted that our
16 negotiation between Gillespie and Yates would involve
17 $S_o(\phi)h$ as the only parameter, which I think is ludicrous,
18 but that we accepted that.

19 And we simply drew -- Actually, we used Tom Davis
20 -- Tom Davis got up in the meeting and drew some lines that
21 that was a reasonable $S_o(\phi)h$ in that area. We used his, we
22 calculated it up, we sent you an offer.

23 But the -- And my main point is that we were
24 negotiating at that time on your terms, and we were happy
25 to do that, but we -- I didn't believe it, but we were

1 doing it to try to get rid of the problem, try to
2 compromise and go away.

3 And we took an $S_0(\phi)h$ number that gave us 4.89,
4 based on just a plain vanilla $S_0(\phi)h$ curve, in that area,
5 that, as far as I know, Tom Davis got up in the middle of
6 the meeting and just said, Mmm, mmm, and drew a couple
7 lines and said, That looks good to me, as good as all the
8 science is going to get after -- And we just went with
9 that.

10 And we were -- Anyway, my point is, we were
11 negotiating on your terms, and we were going what we
12 thought was way down low to try to get the problem solved.

13 Q. You went as far as you thought you could go,
14 anyway?

15 A. Well, using your methodology of $S_0(\phi)h$, we went
16 to what we thought was fair. I didn't like that
17 methodology, but we accepted that methodology, we drew what
18 we thought was fair $S_0(\phi)h$ curve in the area of the State
19 "S" 1, and we sent you an offer based on that. That's as
20 much -- That's what we did.

21 Q. The incremental difference between 4.9 and 4.3,
22 that's a small increment if that's the basis for fairness,
23 is it not?

24 A. It's only a 15-percent difference.

25 Q. As I understand from your earlier comments,

1 really, the only reason we are here is fighting over some
2 matter of principle; isn't that what you said earlier?

3 A. Yeah, I said something similar to that. I said
4 that Yates has such a small interest in this that
5 monetarily to our benefit would be to make some deal a year
6 ago and take whatever we got of the unit.

7 We were treated really poorly, Hanley was just
8 treated horribly, and it just came to a point where the way
9 Gillespie was doing it was clearly wrong. And yeah, it
10 became kind of a matter of principle that we're still here.

11 We have -- you know, I think -- I'm convinced
12 that we have spent more money on this than we are ever
13 going to get from the unit. And -- I mean, you've either
14 got to be dumb or you've got to have some other reason,
15 and, you know, we probably have both of those.

16 (Laughter)

17 MR. HALL: No further questions.

18 EXAMINER CATANACH: Mr. Carr?

19 REDIRECT EXAMINATION

20 BY MR. CARR:

21 Q. Dr. Boneau, let's go to my ambiguous letter of
22 April 22nd, 1977 [sic]. Attached to that letter as Exhibit
23 A --

24 A. This is Exhibit 3?

25 Q. Yes, sir.

1 A. The fat one? Okay.

2 Q. Attached to that is a property description. My
3 question to you is, on April 22nd, 1997, did we even know
4 what the final recommended unit boundary would be?

5 A. No, the answer to that is no. We drew this unit
6 boundary after that date.

7 Q. Let's go to Mecca Mauritsen's July 2, 1996,
8 letter that Mr. Hall has -- or Mr. Bruce, I guess, gave
9 you, marked Exhibit 28, and let's look at the whole letter.

10 If we go to the paragraph that they directed you
11 to, paragraph 1, it does say, "We oppose having the State S
12 put into the Unit", correct?

13 A. That's what it says.

14 Q. If we go to the last full paragraph in the
15 letter, it also reads, "We understand that you plan a
16 series of pressure measurement tests that may include the
17 State S #1. In order to better evaluate our position, we
18 ask that you to provide us with all PVT..." data "...and
19 pressure information from the Unit", correct?

20 A. That's what it says, yes.

21 Q. Is it fair to say you were continuing to evaluate
22 your position?

23 A. Yes and --

24 Q. And what is your position today? Should the
25 State "S" Number 1 be in the unit?

1 A. The State "S" Number 1 should be in the unit.

2 Q. And that was Tracts 12 and 13, correct?

3 A. Yes.

4 Q. And you stated that that wasn't an issue, that
5 they should be brought into the unit; is that a correct
6 statement of your testimony?

7 A. They should be brought into the unit, yes, sir.

8 Q. Is that -- Would that statement apply under the
9 existing allocation formula in this unit?

10 A. Are you asking, should it be brought into the
11 unit under the --

12 Q. -- present formula?

13 A. -- the present formula? That's not fair, but it
14 needs to be brought into the unit, rather than stay out.

15 Q. When you recommend that these tracts be brought
16 in, are you also recommending that the formula be changed
17 so that they're brought in on a fair, reasonable and
18 equitable basis?

19 A. Yes, very strongly. And as I've stated before,
20 that's -- that's a huge issue for Hanley; it's a major
21 issue for Yates.

22 Q. If we go back to the July 2nd, 1996, letter and
23 we look at the second paragraph, numbered paragraph, it
24 says, "If, over our objection, the Unit is expanded to
25 include the State S #1, we propose a modification of the

1 hydrocarbon pore volume map..." That's what you said,
2 correct?

3 A. That's what the letter says.

4 Q. Isn't -- Weren't you there seeking the same kinds
5 of negotiations that Gillespie and Crow engaged in with
6 Phillips to increase the hydrocarbon pore volume so you
7 would come in on a fair, reasonable and equitable basis?

8 A. The simple answer to that is yes, but I don't
9 have a whole lot of knowledge of what went on with
10 Phillips.

11 Q. Dr. Boneau, if we look at your numbered paragraph
12 4 it says, "The data indicates that the "CE" well in
13 Section 6 should remain out of the Unit. We do believe,
14 however, that you must decide whether to include the "CE"
15 well in the Unit at the same time you're determining the
16 fate of the State S #1."

17 Do you see that paragraph?

18 A. Yes, surely.

19 Q. Does the recommendation of Yates and Hanley,
20 address including both the "CE" and the State "S" Number 1
21 in this hearing here today?

22 A. Our proposal today is that both of those wells
23 should be in the unit, as well as all the other acreage
24 that's contributing.

25 Q. You were asked if it was fair to have 5 percent

1 of the acreage producing -- or receiving 25 percent of the
2 production. Do you remember that question?

3 A. Twenty or 25. I remember that question, yes.

4 Q. Of that 20 to 25 percent of the production,
5 doesn't Mr. Gillespie own 50 percent of it?

6 A. My understanding is, Mr. Gillespie owns like 31
7 percent of the State "S" 1 and Enserch owns 33, is the
8 numbers I remember.

9 MR. CARR: That's all I have.

10 MR. HALL: One brief follow-up, if I might.

11 RE CROSS-EXAMINATION

12 BY MR. HALL:

13 Q. Dr. Boneau, since you testified you're the *de*
14 *facto* landman by necessity here today, I direct your
15 attention back to Exhibit 3, which is the notice that your
16 attorney sent out, the thick one.

17 A. The fat one, yes.

18 Q. The fat one. Has Yates received any consents
19 from the royalty interest, from the working interest, the
20 acreage reflected on Exhibit 3, or the expansion acreage
21 Yates is proposing in Exhibit 1?

22 A. If I understand your question, Exhibit -- what I
23 think is Exhibit 4 is the only response that we received to
24 Exhibit 3.

25 MR. HALL: That's all I have.

EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY EXAMINER CATANACH:

Q. Dr. Boneau, did this notice include a notice to royalty interest owners?

A. My understanding is, it included -- No, is my understanding. It included notice to lessees.

Q. Is your proposed unit expansion -- that's based upon a geologic interpretation that you've done?

A. That Hanley/Yates have done, that you will see that from the geology witness.

Q. Okay. What is your opinion on whether or not -- Do you think that it's reasonable to have development on this acreage before you bring it into the unit, or do you think your geology is sufficient to just bring it in without any proven production?

A. My experience with secondary recovery units tells me that you should always err on the side of making the unit too big, you should always bring in, at the first time, all the acreage that has a chance of being in the unit. And I agree that that's difficult when a unit is unitized, when the unitization takes place so early in the life of the pool.

But no, you've got to take in -- you've got to take in acreage that has $S_o(\phi)h$, whether or not it has a well on it. And in fact, in forming the unit, Gillespie

1 did that. Two of the tracts that they put into the
2 original unit have zero wells on them.

3 Q. Can you give me your opinion on why using
4 hydrocarbon pore volume is the only factor in determining
5 the unit participation is not fair?

6 A. Okay. Hydrocarbon pore volume is always going to
7 be subjective, which I consider a negative. And in this
8 case, that negative is compounded by the fact that the
9 hydrocarbon pore volume maps were made by one party, by the
10 other party. The normal procedure is that the parties sit
11 down and draw the hydrocarbon pore volume map together, so
12 that everyone's subjective view is kind of integrated into
13 the hydrocarbon pore volume map.

14 So this one -- You know, in this case I see two
15 faults. One is just plain that it's subjective, and the
16 other is that you're not seeing a group hydrocarbon pore
17 volume map. What you're seeing are a hydrocarbon pore
18 volume map made by Gillespie or a hydrocarbon pore volume
19 map made by Hanley. You're -- In some sense, you're seeing
20 the extremes; you're not seeing a result of an effort at
21 compromise.

22 So I would much -- Well, I've never heard of a
23 unit that had this kind of a formula, but you like to
24 include some hard data in the formula, and you'd like the
25 formula to be the result of negotiations between all of the

1 parties. And, you know, none of those things have happened
2 here.

3 EXAMINER CATANACH: I believe that's all I have
4 of this witness, Mr. Carr. He may be excused.

5 MR. CARR: That concludes our presentation of
6 this witness.

7 EXAMINER CATANACH: Okay, let's take a short
8 break here, ten minutes.

9 (Thereupon, a recess was taken at 9:48 a.m.)

10 (The following proceedings had at 10:00 a.m.)

11 EXAMINER CATANACH: Mr. Carr?

12 BRETT BRACKEN,

13 the witness herein, after having been first duly sworn upon
14 his oath, was examined and testified as follows:

15 DIRECT EXAMINATION

16 BY MR. CARR:

17 Q. Would you state your full name for the record,
18 please?

19 A. Brett Bracken.

20 Q. Mr. Bracken, where do you reside?

21 A. Midland, Texas.

22 Q. By whom are you employed?

23 A. Hanley Petroleum.

24 Q. What is your current position with Hanley
25 Petroleum?

1 A. Vice president of exploration.

2 Q. And are you by training a geologist?

3 A. Yes, sir.

4 Q. Have you previously testified before this
5 Division or one of its Examiners and had your credentials
6 as an expert witness in petroleum geology accepted and made
7 a matter of record?

8 A. Yes, sir, I have.

9 Q. Are you familiar with the Application filed in
10 this case on behalf of Gillespie-Crow, Inc.?

11 A. Yes, sir.

12 Q. Have you made a geological study of the Strawn
13 formation in the area of the West Lovington-Strawn Pool?

14 A. Yes, I have.

15 Q. Are you prepared to share the results of that
16 study with Mr. Catanach?

17 A. Yes, I am.

18 Q. Are the witness's qualifications acceptable?

19 EXAMINER CATANACH: Yes, they are.

20 Q. (By Mr. Carr) Mr. Bracken, could you summarize
21 what Hanley seeks in this case?

22 A. What Hanley seeks is an expansion of the West
23 Lovington-Strawn Unit to include acreage that we expect to
24 be affected by unit operations and that would also
25 contribute reserves to the unit.

1 Q. Will Hanley also be seeking the adoption of a
2 formula for the unit that will allocate substances to unit
3 owners on a fair, reasonable and equitable basis?

4 A. Yes, sir.

5 Q. Have you prepared exhibits for presentation in
6 this case?

7 A. Yes, I have.

8 Q. Would you refer to what has been marked for
9 identification as Hanley Petroleum, Inc., and Yates
10 Petroleum Corporation Exhibit 8? First identify this and
11 then review it for Mr. Catanach.

12 A. Mr. Catanach, this is a 3-D seismic display of
13 the top of the Strawn structure. The area that it covers
14 is all of Section 28 and more or less the west half of
15 Section 27, which is in 15 South, 35 East.

16 It is a one-inch-to-500 scale, the contour
17 interval is ten feet. The bar scale on the left-hand
18 column is an elevation scale. The darker oranges, shading
19 to browns, represent a higher elevation, and any blues and
20 greens represent lower elevation.

21 Starting at the bottom of Section 28, it depicts
22 the structural position of our Hanley Chandler Number 1 at
23 a minus 7557, just inside the 7560 contour.

24 Due east of that is our proposed location, the
25 Hanley Number 1 State 28.

1 Continuing up in a northwest direction, you will
2 see in the -- basically the upper two-thirds of the west
3 half of Section 28, there's another positive area or high
4 elevation, which is relatively the same position as our
5 Hanley Chandler, which is a producing well.

6 This ridge, associated with it is an area of low
7 amplitude on the Strawn reflector, which is indicative of
8 mounding or porosity in the mound. So we feel that we have
9 reservoir, we have established reservoir at the Chandler,
10 and we feel that it continues up to the northwest.

11 I also would like to bring your attention to the
12 lower right-hand corner of the map, and that shows another
13 positive area, the importance of which we'll get into other
14 exhibits.

15 Q. Mr. Bracken, this, in fact, covers the area
16 immediately north of the current boundary of the West
17 Lovington-Strawn Unit?

18 A. Yes, it does.

19 Q. And you have shown the location for the Hanley
20 State 28 well just to the west of the Hanley Chandler
21 Number 1?

22 A. Yes, sir.

23 Q. Yesterday that was represented as an abandoned
24 location. Is that location abandoned?

25 A. No, sir, it's not.

1 Q. Will Hanley drill that well?

2 A. We would like to drill it.

3 Q. And what is delaying or has delayed the drilling
4 of that well to date?

5 A. Well, we've been concerned about the problem with
6 the unit, you know, the -- whether it's a commercial well
7 or a noncommercial well. If it's a commercial well, then
8 we're -- we know what's going to happen at this point;
9 Gillespie is going to try to unitize it.

10 So we need to resolve this problem before we can
11 move ahead.

12 Q. Do those same concerns apply to the development
13 of the anomaly as shown north and west of these two
14 locations?

15 A. Yes, sir.

16 Q. Let's go now to what has been marked as Hanley
17 Exhibit Number 9. Will you identify that, please?

18 A. This is a 2-D seismic display of the top of the
19 Strawn structure. As you can see, it covers most of the
20 West Lovington-Strawn area, as well as the Big Dog and
21 South Big Dog areas to the west.

22 The scale is one inch to 2000 feet. Contour
23 interval is 50 feet. It was prepared by our geophysical
24 consultant, Bill Collins. And I might mention that the
25 first display was prepared by him also.

1 At the bottom it shows a little purple legend
2 where it says zones of lower amplitude on the Strawn
3 reflector, and that's depicted on the lines that this map
4 was constructed from. These -- The lines that were used is
5 data that we purchased.

6 Starting at the north portion of Section 1, 16
7 South, 35 East, which is where the Hanley -- Gillespie
8 Speight and the two Ernestine -- Gillespie two -- the two
9 Gillespie Ernestine wells are located, going from that
10 direction northward, up through the southeast corner --
11 quarter -- of Section 28, 15 South, 35 East, we see a
12 structural nosing in that direction.

13 Also, there is a low depicted, a low area
14 depicted in the -- basically the west portion of Section
15 33, and it has a northeast-southwest trend that basically
16 stops at about the southeast quarter of Section 32.

17 And just below that is a relatively low well in
18 the north -- extreme northeast quarter of Section 2, 16
19 South, 35 East, and that's the Amerind well.

20 Also, going back to the shaded sections, we
21 see -- of course, we see shading over a large part of the
22 map. The ones I'd like to bring your attention to are the
23 ones on line -- which start at line 4B. It's a north-south
24 line that runs along the east section line of Section 28.
25 Where that intersects line H4 -- I mean H3, which is the

1 east-west-running line along the south section line of
2 Section 28, where those two cross there is a shaded area.
3 And we saw an anomaly in the Strawn reflector which we feel
4 was indicative of Strawn porosity.

5 Also, if you'll continue eastward on line H3, the
6 east-west line running along the south section line of 28
7 -- it's also the north section line of Section 34 -- we see
8 some shading on it as well.

9 Another portion of shading in the northwest
10 quarter of Section 34, there's a northwest-to-southeast-
11 running line that basically ends up in the northwest
12 quarter of Section 4. There's some shading also there.
13 This is important now that we feel that there is reason to
14 believe that there's reservoir-quality rock in these areas.

15 Also, you'll note that there is some nosing in
16 the northeast quarter of Section 34.

17 I'd like to also bring your attention to the --
18 back over to Section 32, 15 South, 35 East. There's two
19 lines there that cross essentially in the middle of section
20 lines 20, which is a southwest-to-northeast-running line,
21 and line 5-1, which is a northwest-to-southeast-running
22 line, and also crosses over a well that would be in unit
23 letter F, I believe, of Section 32. That is the -- And
24 there's a minus 7424 subsea depth there. That's the
25 Mitchell Number 1 Baer, which is now the Gillespie Number 1

1 Baer.

2 There is shading on those two lines at that
3 point, and it is my opinion that that -- if that is
4 reservoir quality, which we -- or reservoir rock, which we
5 believe is there, that that is associated with the Mitchell
6 Number 1 Baer well. And it is a -- It's part of the Big
7 Dog-Strawn field, I believe.

8 Q. Mr. Bracken, when we look at this exhibit,
9 doesn't this basically show us that this reservoir consists
10 of a number of interconnected mounds?

11 A. Yes.

12 Q. From a geologic point of view, do you believe
13 that these would be -- this entire area, affected by unit
14 operations?

15 A. Most of the area would be, yes.

16 Q. When we look at this seismic information, does it
17 suggest a separation on the west side of what is now the
18 unit from the Big Dog Strawn area to the west?

19 A. Yes, it would suggest that.

20 Q. And would it suggest that the reservoir does not
21 go to the west boundary of the unit as previously mapped?

22 A. Yes, sir.

23 Q. Anything else you'd like to present with this?

24 A. I think that's it.

25 Q. All right. Let's go to Exhibit Number 10. Would

1 you identify that, please? What is this exhibit?

2 A. Exhibit Number 10 is a top-of-Strawn structure
3 constructed by me. It incorporates well control, 2-D and
4 3-D seismic data. It is one inch to 1000 feet scale, and
5 the contour interval is 20 feet.

6 The green-shaded area, or green outline, is the
7 outline that Hanley proposes as the unit boundary. And the
8 pink-shaded line is the current boundary operated by
9 Gillespie. And the two 80-acre tracts that have the
10 hachured infill are the two tracts proposed by Gillespie to
11 bring into the unit.

12 Again, it shows the structural trend basically in
13 a north-south direction, or south to north, however you
14 want to look at it, running from the Tracts Number 2 and
15 Number 5 of the unit, which is the north two-thirds of
16 Section 1, 16 South, 35 East, running north up through our
17 Hanley Chandler and then skewing off to the north
18 northwest.

19 Again, I'd like to bring your attention to the
20 trough or low area running from -- in a northeast-to-
21 southeast direction from the northwest quarter of Section
22 33, trending down through in a line toward the Gallagher --
23 excuse me, the Amerind Number 2 Gallagher State, which is
24 in Section 2 of 16 South, 35 East.

25 It's based on the seismic and testimony about the

1 Big Dog Strawn and the fact that these two -- that this
2 field is separate from the West Lovington-Strawn, is my
3 interpretation. There has to be some kind of a barrier
4 that separates these two areas, and I would like to suggest
5 that this low area is probably an area that was possibly a
6 title search area channel or a lagoonal area that separated
7 these two mounding complex.

8 Again, up in the northwest quarter -- excuse me,
9 the northeast quarter of Section 34, I have shown a -- and
10 basically the south central part of Section 27 of 15 South,
11 35 East, I've indicated a nosing in that area also.

12 Q. Anything else with Exhibit Number 10?

13 A. I believe that's all.

14 Q. Let's go, then, to Exhibit Number 11, your top
15 Strawn mound porosity map.

16 A. Mr. Examiner, this is the top of the mound
17 porosity. The scales are the same, the shading is the
18 same.

19 The reason I've chosen to do a map on the top of
20 porosity was, the top of the porosity is actually the top
21 of the reservoir. And so by seismic, what we pick on the
22 seismic is really not the top of the reservoir. So all
23 I've tried to do is depict what is a better expression of
24 what the reservoir looks like as far as the topography.

25 And again, we see the same structural trend that

1 I mentioned earlier, the north-south trend running through
2 the center part of the unit up through our Hanley Chandler
3 area and then skewing off to the northwest.

4 I might mention that the dashed line around the
5 perimeter of the contours is what I have interpreted to be
6 the zero line or zero-porosity point.

7 I have also interpreted four productive what I
8 call mounds, and they're depicted by the contours that are
9 closed. One of them would be -- Starting at the north
10 would be the Hanley Chandler and then the West Lovington-
11 Strawn Unit Number 11 well, and then the big closure to the
12 south, which is pretty obvious, and then moving over to the
13 east, in the west half, the south half of the west half of
14 Section 34, I have a closure depicted around the West
15 Lovington-Strawn Unit Number 9 well, and then another
16 closure depicted around the Gillespie Number 1 State "S".

17 The reason I did this is, if you look at the way
18 the pattern in which the wells were drilled, you can make
19 some -- draw some conclusions from what possibly could be
20 going on.

21 If you look at the State "S" well in the west
22 half of the southeast quarter of Section 34, they pushed
23 their well as close to the eastern line of that proration
24 unit, which tells me that they felt like they had a
25 separate mound or closure there, and I believe they've

1 already testified to that, they believe that.

2 And then up in the northern portion of Section 33
3 -- Let's go down to Tract 8 of Section 33, which would be
4 unit letter -- which is where the West Lovington-Strawn
5 Unit Number 10 well is located, if you'll notice, they
6 drilled that well as far south along that line as they
7 possibly could.

8 And then they stepped up to the north and drilled
9 their West Lovington-Strawn Unit Number 11 well. And the
10 conclusion I draw from that is that they again thought they
11 had a separate amplitude anomaly, closure, hence another
12 mound.

13 And as also you can see, we've got the high area
14 in the west half of Section 28, the -- basically the top
15 two-thirds of the west half of Section 28.

16 I think that's all I'd like to say about that.

17 Q. Mr. Bracken, on the unit itself you don't have
18 3-D seismic, do you?

19 A. On the unit itself, no, sir, we do not.

20 Q. You have some 2-D on that?

21 A. All we have is 2-D.

22 Q. And what you've done in mapping within the unit
23 area is, you have, one assumed that they drilled the wells
24 at the best location they could --

25 A. Exactly.

1 Q. -- and then you have integrated into that your
2 2-D seismics?

3 A. Yes, sir.

4 Q. All right, let's go to Exhibit Number 12, the
5 Strawn mound net pay isopach.

6 A. Mr. Examiner, this is the Strawn mound net pay
7 map, also constructed by me. The scales are the same.
8 Contour interval, all that, is the same. Shading is the
9 same.

10 The data points or the numbers that I've used for
11 net pay are based on a 3-percent or better density porosity
12 cutoff and a less than 40-percent water saturation. Except
13 on Tracts 10 in the north part of Section 33 where we have
14 the West Lovington-Strawn Unit Number 11 and to the south
15 of that the West Lovington-Strawn Unit Number 10, we picked
16 a -- water contacts in those two wells, so we assumed
17 everything below that water contact is nonpay.

18 Again, what it shows is reservoir to the -- in
19 the western portion of Section 28, northwest of our Hanley
20 Chandler well and the Hanley 28 location, as well as
21 porosity or reservoir to the east of the Chandler well.

22 I've also interpreted porosity in the northern --
23 or the northeast quarter of Section 34, primarily Section
24 -- or Tract 19 and the west half of Tract 20, and I've also
25 indicated some porosity in the very southern part of Tract

1 28. And if you'll remember on the 2-D seismic, at about
2 that point we had an amplitude anomaly through that area,
3 so that's the basis for bringing that line up through
4 there.

5 And again, moving down in -- clockwise along the
6 map where the Gillespie Number 1 State "S", I've
7 interpreted porosity beyond the eastern boundary of that
8 80-acre tract due to the fact that Gillespie drilled their
9 well so close to that line.

10 And also the Bridge Oil Number 2 Julia Culp, as
11 Ralph Nelson testified earlier today, did drill stem test
12 that well, they did get some gas on it, and it is in my
13 opinion that this well could possibly have produced, albeit
14 it would be a marginal well. But that is the reason that I
15 brought the zero line so close to that. It appears to have
16 mound-quality rock.

17 Q. If we look in Section 28, you've got as much as
18 40 feet of porosity; is that right? In that northern
19 mound?

20 A. Yes, sir.

21 Q. How many feet of pay did Gillespie assign to the
22 Chandler Number 1?

23 A. I believe it was 17 feet.

24 Q. And how many are you assigning to that well?

25 A. Twenty-five feet.

1 Q. Is it your understanding that part of the pay was
2 discounted by Hanley because of it deemed wet -- I mean by
3 Gillespie because it was deemed wet?

4 A. I would assume so.

5 Q. Are you experiencing S_w s anywhere near the 40-
6 percent range in that acreage?

7 A. No, we are not.

8 Q. When you look at this reservoir, are you seeing a
9 common oil-water contact throughout the reservoir?

10 A. No.

11 Q. Let's go to your Exhibit Number 13, your cross-
12 sections A-A' and B-B', and I'd ask you to review those and
13 especially note the water contacts you see on there, on
14 those cross-sections.

15 A. Mr. Examiner, this is a combination of two cross-
16 sections I've constructed. The scale is -- The vertical
17 scale is 2.5 inches to 100 feet, and the horizontal scale
18 is one inch to 500 feet. Both wells are hung on a subsea
19 datum of minus 7600 feet, and the -- on the lower right-
20 hand corner of the display is a -- just a map showing the
21 unit as it is now, and Hanley's proposed unit boundary, as
22 well as the section lines, cross-section lines.

23 If I can bring your attention to the top cross-
24 section, which is a west-to-east cross-section running from
25 the Amerind Number 1 West State, eastward to the Gillespie

1 Number 1 State "S" well.

2 And if you would go to the third log from the
3 right-hand side [sic], which is the Gillespie Number 1
4 Hamilton Federal, at a depth of 11,490 or so, there on the
5 right-hand track -- excuse me, the left-hand track of the
6 log, there is a shift in the gamma -- That is the gamma-ray
7 track, and there's a shift from the left to the right.

8 Continue over to the next log to the right, which
9 would be the fourth well from the right, the Gillespie
10 Number 2 Hamilton Federal, at a depth of 11,558, I believe.
11 Notice again, on the left-hand track, the gamma-ray track,
12 there is a character change again. The gamma ray this time
13 goes from the right and shifts back to the left.

14 Continue moving to the right. The next well
15 over, which would be the Gillespie 2 Snyder "S" Com, we see
16 another character change at 11,528, I believe, on the left-
17 hand side, the gamma-ray scale. And associated with that,
18 on the right-hand track, which is the porosity curves,
19 there's a tight streak. It's my opinion that these
20 character changes are indicative of the -- basically the
21 top of one mound and the base of another mound. So in
22 other words, we have not just one mound but multiple
23 mounds.

24 Move on down to the second cross-section, the
25 lower cross-section, which is cross-section B-B' -- Let me

1 back up to this first section.

2 What I've -- All I have correlated is the top and
3 then the bottom, and the bottom is pretty well marked by
4 it. There's a hot streak there that is pretty well
5 correlated throughout the area. I have not made any
6 detailed correlations between logs concerning these -- that
7 moundal -- the proposed moundal boundaries. It's
8 impossible to do, and I will show on another exhibit why
9 it's impossible to do.

10 Going to the lower cross-section, B-B', again if
11 you'll start -- which is a north-to- -- excuse me, south-
12 to-north cross-section and it starts at the Speight,
13 Gillespie Speight well, and runs up to the north to our
14 Chandler well.

15 If you'll bring your attention to the fourth well
16 from the right [*sic*], which is the Gillespie Number 1 Wiley
17 Fee, again at a depth of 11,570, there is a gamma-ray
18 change again on the left-hand track, the gamma-ray track,
19 and associated with that on the right-hand track, the
20 porosity scale, you'll see a tight streak.

21 If you'll move down in -- continue down into that
22 same well, it appears from the gamma ray that we're still
23 in one mound. But moving on down to 11,613, I have a
24 dashed line going through that log, and I have interpreted
25 that to be the oil-water contact in that well, which I

1 believe is the same oil-water contact depicted -- or
2 testified to by Gillespie, and it's at a minus 7616.

3 If you'll move to the next well to the right,
4 which is the Gillespie Number 1 Klein Fee, again we see --
5 if you'll notice, on the left-hand track there's several
6 gamma-ray shifts. But I'd like to bring your attention to
7 the depth at about 11,622, -20 or -22. Again, we see a
8 shift in the gamma ray. And it's the -- Again, it's the
9 left-hand scale, gamma ray. We see a shift from the right
10 to the left.

11 And associated with that, on the left-hand track
12 of the -- excuse me, the right-hand track, which is the
13 porosity scale, we see a tight streak. And at about that
14 same point I have a dashed line going through there, and
15 that is the oil-water contact in that well at a minus 7625.
16 That is nine feet low to the contact in the Wiley Fee.

17 Also note that I have not drawn a water contact
18 in the Chandler well.

19 Q. You see no oil-water contact in the Chandler?

20 A. I do not see an oil-water contact in the Chandler
21 well.

22 Q. You see a nine-foot variation between the Wiley
23 and the Klein well in the oil-water contact?

24 A. Yes, sir.

25 Q. Let's go to Exhibit Number 14. Would you

1 identify that, please?

2 A. Exhibit Number 14 is a log analysis of the Wiley
3 Number 1 Fee and the Klein -- the Number 1 Klein Fee.
4 They're the two wells in the cross-section that had the
5 indicated water contacts. This is an analysis, it's in a
6 tabular form, it was done by TerraSciences in Houston.

7 And if you'll start at the Wiley Fee analysis and
8 go to page 2, at a -- The depth track or depth column is
9 the far left column. Go to a depth of 11,613. And then
10 you go all the way to the right, which is the water-
11 saturation column. And it's in a decimal form, but at
12 11,613 the water saturation is a .1957 or 19.5 percent.
13 And immediately below that at a depth of 11,614 the water
14 saturation jumps up to a .3754, which is 37.54 percent.
15 It's at that depth that we've interpreted an oil-water
16 contact.

17 Now, if you go to the next display in that
18 exhibit, which is the Klein -- analysis done on the Klein
19 Fee, and also go to page 2, again, the depth column is the
20 far left column. Go to a depth of 11,622. Find that depth
21 and go immediately over to the far right-hand column, which
22 is the water-saturation column, and at 11,622 the water
23 saturation is .1691 or 16.91 percent. And if you go the
24 next depth below that at 11,623, it jumps up to .4999,
25 which is 49.99 percent.

1 Q. In your mapping, have you used a common oil-water
2 contact throughout the reservoir?

3 A. No, I have not.

4 Q. Have you honored these variations in your mapping
5 of the hydrocarbon pore volume in this reservoir?

6 A. I'm not sure I understand your question.

7 Q. Have you honored the variations in the water
8 contact, as opposed to using a common water contact --

9 A. Yes, I have.

10 Q. Let's go to Exhibit Number 15, a two-well cross-
11 section. What does this show?

12 A. Exhibit 15 is a two-well cross-section using dual
13 lateral logs from the Gillespie Number 1 Wiley Fee and the
14 Gillespie Number 1 Klein Fee.

15 The left -- the well on the left-hand side --
16 Excuse me, the scale on this is again 2.5 inches --
17 vertical scale is 2.5 inches to 100 feet. There is no
18 horizontal scale. And it is hung, again, on a subsea datum
19 of minus 7600.

20 Go to the left-hand log. If you'll, again, go
21 down to a depth of 11,613, I have a dashed line across
22 there. And if you'll go across to the right-hand track of
23 that log, which is the resistivity curve log, the lateral
24 log curve, you'll notice that there's a shift in the curves
25 from the right to the left. And it's at that point that we

1 see, visibly see, the oil-water contact.

2 If you will move to the next log to the right,
3 the right-hand log, which is the Klein well -- and again,
4 I'd like to note that -- bring your attention to the fact
5 that this well is farther north, or downdip, you might say,
6 than the Wiley well.

7 In that log, if you'll go to the depth of 11,622,
8 again I have a dashed line which is right about at the
9 character change on the gamma ray. If you'll go to the
10 right-hand track, again, we see a shift in the curves from
11 the right to the left, and again I think it's an obvious
12 contact at that depth.

13 I believe that's all I have to say about that.

14 Q. What is Exhibit 16?

15 A. Okay...

16 Q. Would you explain --

17 A. I'm sorry, I couldn't find the number on that
18 one.

19 Exhibit 16 is a schematic of an actual outcrop in
20 the Beeman Canyon area on the west flank of the Sacramento
21 Mountains. This canyon area is a -- or this outcrop is
22 roughly 2.5 miles north-northeast of Alamogordo.

23 If you go to the last page on the exhibit,
24 there's a map that shows the area, and it's kind of hard to
25 see, but in a dark line you can see the line of section,

1 and there's triangles around numbers. Those numbers
2 represent measured sections that the author who constructed
3 this schematic, he -- those are some measured sections that
4 he actually did.

5 This line of -- This schematic or this outcrop
6 trends from the right-hand side of the display, from the
7 southeast, to the northwest. And each -- there's a scale
8 -- Forgive me but when I xeroxed this thing I accidentally
9 cut off the bottom part of it. There's a horizontal scale
10 there.

11 Q. On page 1 of your exhibit --

12 A. On page 1 of the exhibit. But the actual
13 distance -- and you can see on the index map on the back
14 that the actual length of this section is about 2.5 miles,
15 which is essentially the same lateral distance on the West
16 Lovington-Strawn Unit from a north-to-south direction.

17 The vertical columns on this schematic represent
18 measured sections. And I don't know if you know what a
19 measured section is, but what it is is that a geologist
20 goes out on the outcrop with a tape measure and a notebook
21 and actually examines the rock outcrop with a micros- --
22 magnifying glass, describes it, measures it. And then
23 whatever parts of the outcrop that he can't climb on,
24 whether it's too steep or whatever, he backs away a hundred
25 yards or a quarter of a mile or half a mile and sketches in

1 the rest of the outcrop.

2 What it shows is, he has identified three mounds
3 in this schematic. You see the tail end of one on about
4 the middle part of -- halfway down on Section 21, and
5 then -- and it's separated from the rest of the other
6 mounds that you see, Core Number I, Core II and Core III.

7 What it shows is, is that there's -- he's
8 identified three mounds with distinctive boundaries between
9 those mounds, and that they offlap into the Basin, which
10 would be the -- going to the left on the schematic.

11 And what I'd like to do is just kind of as a
12 demonstration, to make a point, is that if we were -- if
13 you were to assume that these sections were just wellbores
14 and that was the only thing you could see of this mound
15 complex, you'd be forced to change your correlations. The
16 only thing you'd be able to do is correlate the top of the
17 mound and the base of the mound, but you wouldn't be able
18 to make any detailed correlations in between.

19 So that is depicted on the next page. And
20 forgive me, it's simplistic, but this is what we've done on
21 our cross-sections. It's basically what Gillespie has done
22 and I have done. It's really the only way to do it. But
23 the point is that you cannot see the complex nature of the
24 reservoir with a cross-section like this.

25 Go to the next display. What I've done is, it's

1 another -- try to make another point -- is I've taken Core
2 Number II and I've colored in a portion of it. And let's
3 just play a game. Let's just say Measured Section Number
4 17 represents the Gillespie Number 1 Wiley well with an
5 oil-water contact at -- where I've shown it.

6 And then let's play again, let's say that
7 Measured Section Number 30 represents the Klein well,
8 downdip, but a different oil-water contact, probably due to
9 the fact that there's two mounds.

10 And then somewhere in between the Sections 30 and
11 31, moving to the left, or downdip, basinward, somewhere in
12 there would be a position roughly equivalent to our
13 Chandler well. And then continuing further to Section 31,
14 that would represent an undrilled location with mound-
15 quality rock, oil-bearing, downdip from water.

16 I know this is a -- I realize this is an
17 oversimplification, but it's a possible explanation for
18 different oil-water contacts. I think that's all.

19 Q. And this just is an example of how you can have
20 the varying oil-water contacts in a reservoir with multiple
21 mounds, like what we're dealing with here?

22 A. That is correct. And I'd like to bring up one
23 other thing. I've done a literature search on these
24 mounds, and again I think that Ralph testified that this is
25 an unusual, complex -- or an unusually large reservoir.

1 And if you go over to the east of this -- the West
2 Lovington-Strawn area, in the Shipp-Strawn, the Humble
3 City, the Northeast -- East Lovington area, the mounds over
4 there, I agree with Ralph that typically you see one-, two-
5 well fields. You just -- One, two wells, sometimes --
6 sometimes four. And it's -- this is unusual.

7 And so in my search of literature, there's
8 another area on the Eddy-Lea County lines in Township 19
9 South, there's the Lusk-Strawn field, and it's quite an
10 extensive area. It -- I don't know, I'd estimate there's
11 probably 30 sections that have -- inside the field. And in
12 fact, at one time it was unitized, the Lusk-Strawn unit.

13 The literature in that, the person that wrote the
14 article, Dewey Thornton, he's an independent geologist --
15 well, he works for Moncrief in Midland. He wrote an
16 article in that, and it's on that field, and it's in the
17 *AAPG Journal*. And they identified three oil-water contacts
18 in that field.

19 Q. And that's the Lusk- --

20 A. The Lusk-Strawn.

21 Q. -- -Strawn field.

22 In mapping a reservoir of this nature, if you
23 just use a simple one oil-water contact reservoirwide,
24 aren't you really taking too simple an approach?

25 A. Yes, you are.

1 Q. Let's go to what has been marked as Yates/Hanley
2 Exhibit Number 17, your Strawn Mound hydrocarbon pore
3 volume map.

4 A. Okay. Mr. Catanach, this is a map of the
5 hydrocarbon pore volume feet. Contour interval is one
6 hydrocarbon pore volume foot. Everything else is pretty
7 much the same, it's -- the scale and outline have not
8 changed.

9 And it's simply -- It's based on my
10 interpretation of all the previous data, the best I could,
11 with no goals intended, and it's what I believe is the
12 actual representation of the hydrocarbon pore volume feet
13 in this reservoir.

14 The outline that goes around -- The green outline
15 is based on what we call at Hanley a 40-acre rule.
16 Wherever the zero line shaved a tract, nicked it or
17 whatever, then we brought that 40-acre tract in. And
18 really, we felt like that was the only -- trying to find a
19 uniform way to do it and a fair way to do it, and that's
20 what we felt like that was, so that's what that's based on.

21 The only exception to that would be down in the
22 lower or the right -- lower left corner of the unit, down
23 where the Gillespie 8 State "D" well is. We had to make an
24 exception there because they have stated that this well is
25 in a different reservoir, possibly, than the South Big Dog-

1 Strawn. And we don't have a log on it and we have no way
2 to dispute that, so I'm assuming that they're right. And
3 so we had to leave it out.

4 Q. Now, Mr. Bracken, just in summary, what did you
5 use to define the northern boundary of the reservoir?

6 A. It's seismic.

7 Q. And on the eastern side, what actually were you
8 utilizing?

9 A. Seismic.

10 Q. And did you -- And data from the State "S" Number
11 1?

12 A. Yes, sir, well control and seismic.

13 Q. Did you have well control along the southern
14 boundary of the unit?

15 A. The southern boundary. Yeah, there's some well
16 control.

17 Q. And basically how did you construct this line?
18 Was it the seismic --

19 A. Well, the lower part of the unit, we really don't
20 have any data down there, so we depended on Gillespie's map
21 in that area. We had no other choice. So we pretty much
22 left that as it was.

23 Q. Okay. And on the western boundary of the
24 reservoir, how did you pick that line?

25 A. That's based on our interpretation of the

1 seismic.

2 Q. And the low that you saw running across that area
3 that would separate the West Lovington-Strawn from the Big
4 Dog off to the west.

5 A. (No response)

6 Q. What conclusions have you drawn from your
7 geological study of the area?

8 A. Well, there's a substantial amount of acreage
9 that is not -- or that is -- will be affected by unit
10 operations that is not in the current boundary, as it's
11 depicted by the pink line.

12 And that also we're dealing with a complex
13 reservoir with multiple mounds, and we feel that our
14 depiction of the hydrocarbon pore volume map is the most
15 correct way to draw it, based on the data as we see it.

16 Q. Were Yates/Hanley Exhibits 8 through 17 prepared
17 by you or compiled under your direction?

18 A. Yes, sir.

19 MR. CARR: At this time, Mr. Catanach, we move
20 the admission into evidence of Yates/Hanley Exhibits 8
21 through 17.

22 EXAMINER CATANACH: Exhibits 8 through 17 will be
23 admitted as evidence.

24 MR. CARR: And I pass the witness.

25 MR. HALL: May we take a break?

1 EXAMINER CATANACH: How long?

2 MR. HALL: Ten minutes.

3 MR. BRUCE: It might shorten up the cross-exam.

4 EXAMINER CATANACH: All right, let's take ten
5 here.

6 (Thereupon, a recess was taken at 10:53 a.m.)

7 (The following proceedings had at 11:07 a.m.)

8 EXAMINER CATANACH: Gentlemen, are we ready?

9 MR. HALL: Ready, sir.

10 EXAMINER CATANACH: Mr. Hall?

11 MR. ROSE: Mr. Examiner, if I might I think I may
12 be revisiting the admission of a couple of exhibits here.

13 I think they went in without objection. I don't --

14 Frankly, I didn't hear their admission; it's my problem.

15 But I do want to ask the witness -- voir dire the
16 witness a little bit on a couple of the exhibits, if I
17 might. You might reconsider the admission of a couple.

18 MR. CARR: I submit they've been admitted. If
19 you want to question when they go in, you need to do it
20 then.

21 He can ask his questions.

22 EXAMINER CATANACH: I think they have been
23 admitted, Mr. Hall.

24 MR. BRUCE: I would second his motion. I didn't
25 hear that right at the end. I was talking with the

1 witness.

2 MR. HALL: Let me state the problem for the
3 record. There was no foundation given to their admission,
4 primarily Exhibits 8 and 9, which I understand off the
5 record were prepared by someone else -- Phil Collins; is
6 that correct?

7 THE WITNESS: Bill Collins.

8 MR. HALL: Bill Collins. They were the 3-D and
9 the 2-D?

10 EXAMINER CATANACH: Are you objecting to these
11 being admitted, Mr. Hall?

12 MR. HALL: Well, there was no foundation given
13 for their admission. At this point I'm simply stating an
14 objection for the record. I believe the witness testified
15 he did not prepare these, and I don't think he was even
16 asked whether he reviewed them or the methodology he used
17 to correlate them and substantiate them at all. So it's a
18 foundational objection.

19 I understand the Examiner has ruled, and I'll
20 accept that. I do want to state an objection for the
21 record.

22 But if I might ask him a little bit more about
23 those two exhibits --

24 EXAMINER CATANACH: Okay.

25 MR. HALL: -- he testified about.

CROSS-EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. HALL:

Q. Dr. Bracken, with respect to Exhibits 8 and 9, your seismic maps you brought, did you bring any of the underlying seismic data with you today that we could see?

A. No, I have not.

Q. Now, I understand from your testimony Exhibits 8 and 9, the seismic maps, they are done -- the seismic methodology itself, if you can testify to this, it's done in time, but yet Exhibits 8 and 9 show depth; is that correct?

A. Correct.

Q. Do you know how the time is converted to depth, if you now?

A. I'm not a geophysicist.

Q. So you can't testify about how that is done?

A. No.

Q. It's safe to say that you need wells to calibrate what's shown on Exhibits 8 and 9?

A. Sure.

Q. Otherwise Exhibit 8 and 9 is simply interpretive? It's exploration geology; is that accurate?

A. It's interpretive, but we had a sonic on quite a few wells in there that -- used for calibration, at least on the 2-D.

1 Q. The primary purpose for use of information like
2 this, a 2-D and 3-D seismic circumstance like this, is for
3 exploratory purposes; is that correct?

4 A. Sometimes.

5 Q. In this case?

6 A. I'm not sure what you mean by the question. I
7 mean, what we do is, we bought the seismic and had it
8 interpreted, and we came back through with our 3-D to give
9 more credibility to the 2-D, and we -- it's -- I think
10 every well in here is somewhat of an exploration well.

11 When you're drilling mound wells, you're never
12 quite sure what you're going to do. In fact, they've
13 already testified that they thought they had one separate
14 mound, and it ended up being connected. That was from
15 seismic.

16 Q. All right, so we agree on that.

17 Did you happen to bring a time map, have any
18 time --

19 A. No.

20 Q. -- maps for us to look at?

21 How about a velocity map?

22 A. No, sir.

23 Q. So there's no well control, as I understand it,
24 to calibrate the time to depth, or can you say?

25 A. Yes, there is.

1 Q. What is that?

2 A. The wells in the West Lovington-Strawn Unit were
3 used --

4 Q. To calibrate time to depth? Can you show me
5 where that might be on Exhibit 8?

6 A. It's not on Exhibit 8.

7 Q. So there's no well control to calibrate anything
8 on 8 so -- Correct?

9 A. That's correct.

10 Q. Now, you did prepare Exhibit 10?

11 A. Yes, sir.

12 Q. In your view, don't the information shown on
13 Exhibits 10, and then compare it to 8 and 9, they don't
14 compare favorably, do they? They're quite different.
15 Would you agree?

16 A. I would say they're quite different, not at
17 all --

18 Q. In fact --

19 A. I would say -- I would say the northern portion
20 up in our Section 28 -- basically, I took an overlay,
21 overlaid this map and drew the contours.

22 Q. I see.

23 A. I didn't -- it's -- The only reason it looks a
24 little different is the fact that it's on a different
25 contour interval. This is a 10-foot contour interval, this

1 is a 20-foot contour interval.

2 Q. On 10 --

3 A. I prefer 20-foot contour interval.

4 Q. All right. On 10, your pick on the Yates well,
5 the Bridge Oil Culp Number 2, do you have that log from
6 that well available to us here today?

7 A. Lets see, I believe it's on the cross-section.

8 Q. Oh, I'm sorry, the Chambers.

9 A. The Chambers?

10 Q. It's in the east half of 27, the Yates 1
11 Chambers.

12 MR. BRUCE: Northeast quarter, southeast quarter,
13 Section 27.

14 THE WITNESS: I don't have it here today, but I
15 do have a log on that well.

16 Q. (By Mr. Hall) Will you make that available to
17 us?

18 A. I can -- well, I -- Yes, I can.

19 DR. BONEAU: If he can't, I can.

20 (Laughter)

21 THE WITNESS: I say I have a log. All I have is
22 a xerox portion of the -- basically the few feet above the
23 Strawn and a few feet below the Strawn. That's all I have.

24 Q. (By Mr. Hall) Dr. Bracken --

25 A. I'm not a doctor.

1 Q. Oh, I apologize, I beg your pardon.

2 A. My dad was, but...

3 Q. Hanley proposal for the 28-1 in the southwest of
4 Section 28 --

5 A. Yes, sir.

6 Q. -- why is that location not dead center on the
7 top of the mound you identified?

8 A. Why it's not dead center on top of the mound?
9 I'd have to shift the mound over to get it dead center.

10 Q. Why aren't you proposing one in the center of the
11 mound?

12 A. Where would you like to pick that location? I
13 don't know what you're asking me. I can't move the mound.
14 I have to drill that lo- -- We have to drill that location
15 there because it's the only place you can.

16 Q. Why can't you move further up into Section 28 and
17 drill a high spot?

18 A. We plan to, if we could ever get this situation
19 resolved. We would love to drill up there.

20 Q. Well, isn't that the better acreage? Wouldn't
21 you rather drill that first?

22 A. Which, the --

23 Q. The northern location in the center of the mound?

24 A. There are some in our company that do feel that
25 is a better location. Common sense would tell you don't,

1 just to not step out. You drill your least risky wells
2 first --

3 Q. Right, you want to --

4 A. -- then move out.

5 Q. You want to corner-shoot the unit as much as you
6 can?

7 MR. CARR: I object to that characterization. I
8 mean, he wants -- the locations are obviously where they
9 are, they're standard locations and it's -- to call it a
10 corner shoot is a cheap shot.

11 Q. (By Mr. Hall) Let me rephrase. You want to
12 crowd the unit as much as you can?

13 A. I don't want to crowd it.

14 Q. You want to get as close as you can to --

15 A. We have reserves under our location. We would
16 like to recover those reserves.

17 Q. Yeah. Do you think you have more reserves
18 further to the north where it's the high spot?

19 A. Well, I'm not an engineer. We have a man that's
20 going to answer those questions.

21 Q. Let's look at Exhibit 13 if you would, please,
22 sir.

23 A. Can you tell me which one that is, because --

24 Q. Thirteen, it's the first cross-section.

25 A. Okay.

1 Q. With respect to this exhibit, why don't we start
2 with your geologic description of the reservoir? What's
3 its lithology?

4 A. Limestone. More detail? It's a phylloid algal
5 mound complex.

6 Q. All right. In your picks on Exhibit 13 you were
7 trying to pick the top of the lime; is that fair to say?

8 A. Yes, sir.

9 Q. Let's look at the log for the A-A' line, the
10 Bridge 2 Julia Culp well on the right. If you would refer
11 to your pick for the top of the lime there and then refer
12 over to the PE curve. Do you have that spot?

13 A. Say again?

14 Q. If you would refer to the PE curve on that log,
15 over on the right side. Are you with me there?

16 A. Yeah. Without a heading I'm not sure which -- I
17 believe it would be the second curve on the --

18 Q. On the depth column?

19 A. Right.

20 Q. Second curve to the right of the depth column. I
21 think we're in the right -- in the same place.

22 Now, your pick as I'm seeing it -- Am I correct
23 that you've, in fact, picked the shale there where you've
24 drawn your line?

25 A. Yeah, if you'll look at the -- just explain what

1 I did. If you'll look at the porosity track, which is the
2 right-hand side, there's a distinct shift in porosity. You
3 know, you see the curves at that shelf peak, and above
4 that, they're kicked way out toward the center of the log,
5 toward the depth column. And at that point where I've
6 drawn the line, the curves take an immediate shift to the
7 right.

8 Well, the -- Associated with that on the sonic
9 logs there's also a velocity change. And so I picked that
10 point because I felt like that point is the point at which
11 the seismic is going to see a velocity change.

12 So in order to get a more accurate depth to
13 seismic or whatever that -- That's the reason I've done
14 that. I wasn't necessarily picking a top line; I was
15 picking a correlation point. And I just -- I have chosen
16 to call it the top of the Strawn. I don't think there's
17 any question that that shale correlates all the way across
18 there.

19 Q. All right. But you're not saying, as I
20 understand, that that is necessarily the top of the Strawn.
21 You're saying that's the correlation point only?

22 A. I would choose to call it the top of the Strawn.
23 Somebody else might not. That's common.

24 Q. All right.

25 A. No two geologists agree on things like that,

1 that's common.

2 Q. Wouldn't you agree that the kick to the right for
3 the PE curve at about 11,510, 11,520, would be a limestone
4 kick?

5 A. I can't -- Honestly, I cannot remember the PE
6 cutoffs. So, you know, to say a definite yes or no, I'd
7 have to look at my chart book. But that is probably a
8 reasonable assumption to make.

9 Q. All right. Let's look at the same thing for the
10 Hanley 1 Chandler on your B-B' line. It's the well log to
11 the right side.

12 Now, the correlation you reflect there for the
13 7600-foot interval, what is that? Is that the shale again?
14 What is that?

15 A. The 7600 line is the subsea datum that the logs
16 were hung on.

17 Q. Right. So it's the heavier line on top of that,
18 that's your shale pick; is that right?

19 A. Yeah, there's a correlation -- It's the first
20 heavy line --

21 Q. Right.

22 A. -- is my correlation.

23 Q. And likewise, you're not saying that that
24 particular line is necessarily the top of the limestone?

25 A. Yes, yes.

1 Q. And it's also reasonable to say, if you come down
2 the PE curve again at about the 11,700 depth area, that it
3 shows a limestone kick there?

4 A. 11,700? It's pretty consistent all the way down
5 from --

6 Q. I'm sorry, I'm way off. I can't read these very
7 well.

8 How about the 11,057? Are you with me? 11,574?
9 Have you got a point on there?

10 A. Yeah, there's a shift there.

11 Q. Would that indicate a limestone kick to you?

12 A. Again, you know, I have to qualify it because I
13 can't remember what the cutoffs are on the PE curve, what
14 distinguishes limes, dolomites. It's probably a reasonable
15 assumption. I'm not trying to be evasive; I just couldn't
16 tell you. That's probably a reasonable assumption to make.

17 Q. All right. Generally, though, is it safe to
18 assume that your Exhibit 13 seems to show that you've
19 picked the top of the Strawn limestone to be a little bit
20 high?

21 A. I have picked a depth that I believe correlates
22 to what the seismic probably is going to see. There's
23 going to be a velocity change. As best -- You know, I'm a
24 geologist, but as best I can understand it that's where
25 you're going to see a change, right there.

1 And that is important to us because, after all,
2 that's what we use to pick our locations, is the seismic,
3 not something ten feet below the reflector.

4 Q. Now, I want to ask you about the way you've gone
5 about identifying the oil-water contact --

6 A. Uh-huh.

7 Q. -- throughout. The way I understand you've done
8 it, you've simply gone to where you see the first west
9 porosity; is that accurate?

10 A. Yes.

11 Q. Say for instance --

12 A. Not -- well --

13 Q. Okay, that's not a complete answer. Go ahead and
14 answer it.

15 A. That's not entirely true, because you're going to
16 see -- in your tabulation you may see streaks where they
17 calculate out a wet streak, that there's other prob- --
18 There may be other factors there, tight porosity or
19 whatever.

20 It's the -- What we've picked is where it's a
21 consistently -- you go from a consistently lower water
22 saturation, on an average basis, to a consistently higher
23 interval, on an average basis, of water saturation. I
24 think it's obvious on the tabular -- tabulation that I
25 have.

1 Q. All right. To now, I think all the
2 interpretations have been that the oil-water contact is
3 about 7600, 7616?

4 A. Yes.

5 Q. If there weren't porosity at that depth, how
6 would you determine whether or not that was wet or not at
7 that depth?

8 A. If there were not porosity at that depth, which
9 means there would not be any reservoir at that depth, which
10 would not contain any fluid. I don't --

11 Q. Right, if you don't have the porosity there, you
12 don't know where the oil-water contact is, correct?

13 A. That's right.

14 Q. But on your picks there's porosity both above and
15 below?

16 A. Above and below what?

17 A. Your picks.

18 A. My picks of what?

19 Q. Of the water contact.

20 A. Yes.

21 Q. Do you have Exhibit 14? Pull it out please.

22 A. It's this thing, I believe it's this --

23 Q. I want to discuss with you the reservoir
24 characteristics of the area below the oil-water contact
25 you've identified, you show on Exhibit 14 and also on 13,

1 the cross-section.

2 Let me ask you, what R_w did you use to generate
3 these?

4 A. I believe we used a .047, and that is based on
5 our produced water. And we did that twice. We have two
6 water analyses, and both of them came out at .047.

7 Q. All right. Are these computer-generated
8 calculations?

9 A. These?

10 Q. Yes.

11 A. Yes.

12 Q. What program did you use?

13 A. I did not do this. This is done by
14 TerraSciences.

15 Q. Okay, do you know what they use, the particular
16 program?

17 A. Our engineer can address that.

18 Q. Okay. He'll be able to say how porosity is
19 determined?

20 A. Sure.

21 Q. Your data in Exhibit 14 for the Wiley well, page
22 2, your perforations are shown down to about 11,600?

23 A. Perforations, on the -- Are we back on the cross-
24 section now?

25 Q. No, 14. I'm sorry. Back on 13, the large cross-

1 section.

2 A. Okay.

3 Q. The log for the 1 Wiley Fee from your perfs at
4 11,600?

5 A. Yeah.

6 Q. Do you have that there?

7 A. 11,600 --

8 Q. All right.

9 A. -- yes.

10 Q. And your oil-water contact is 11,612?

11 A. Yes.

12 Q. What are the porosity values below that point,
13 11,612?

14 A. Oh, 11,612?

15 Q. Yeah, look back on Exhibit 14 for the Wiley.
16 It's page 2 for the Wiley, page 3 of the entire exhibit.

17 A. The porosity values would be the second column
18 from the left-hand side, so if you were to move down, say,
19 to 11,6- -- Well, starting at 11,614 it's 3.9 percent. I'm
20 just going to read them down and -- down. 3.9 percent. 4.4
21 percent, 4.5 percent, 4.7 percent, 4.5, and then on up to
22 6, 6.43 -- How far do you want me to go?

23 Q. That's fine. What are the water-saturation
24 values for the same depth?

25 A. Starting at 11,614 it's 37.5, 39.27, 41.03,

1 40.17, 39.35, on down.

2 Q. Let's refer to the data for the Klein well now,
3 page 2 of that. Do you have that open in front of you
4 there?

5 A. Yes.

6 Q. Let's look at the -- Where's your oil-water
7 contact there? That's at 11,622; is that about right?

8 A. That's where we have interpreted it to be.

9 Q. At that point is it fair to characterize porosity
10 values below the oil-water contact at about 6.9 percent?

11 A. Maybe a little higher. It's close.

12 Q. Runs through about 6.9 to 8.2, 8.92?

13 A. Yeah, yes.

14 Q. And what are the corresponding water saturation
15 values at 11,623 depth, below the oil-water contact?

16 A. 49.9, 38.52, 36.34, 30.36, 38.51, 37.55, 31.04,
17 32 -- Do you want me to keep going?

18 Q. That's fine. does that show you that producible
19 water could exist on the Klein production in saturations as
20 low as 20 to 36 percent? Can you draw that conclusion?

21 A. Say again?

22 Q. Would producible water exist on production from
23 the Klein with saturation values as low as 20 percent?

24 A. This is a discussion that we've had in house. I
25 can't say yes or no, because we don't know. All we have

1 done is, there is a marked change at that level. And there
2 is some subjectivity in this, and this is our
3 interpretation.

4 And the thing that's obvious is that where the
5 marked changed takes place is nine feet lower than the
6 other well. Now, you would think, if things were
7 consistent, you would start to see the change in the same
8 interval.

9 So as far as, you know, where you're going to
10 pick the cutoff, I don't know. You know, I don't have core
11 data, you know, to -- I don't have anything.

12 Q. All right. From what you say, you cannot
13 preclude that you would have produced water for the Klein
14 with saturation values as low as 20 percent? Fair to say?

15 A. That is a possibility.

16 Q. All right. You can't preclude it anyway? Your
17 answer is yes, for the record?

18 A. Possibility.

19 Q. Same thing, you can't preclude water production
20 from the Klein with saturation values down to 36 percent?
21 And you're indicating "yes" for the record? The court
22 reporter needs to take a verbal reaction.

23 A. It's a possibility.

24 Q. Earlier, what did you testify as the water
25 saturation on the Chandler well? Do you recall?

1 A. I have not testified to a water -- I don't think
2 I've testified to the water saturation on the Chandler
3 well.

4 Q. Didn't you say --

5 A. I testified --

6 Q. I'm sorry, go ahead.

7 A. I said that we did not see a marked or obvious
8 oil-water contact in the Chandler well.

9 Q. Didn't you testify you saw a saturation for the
10 Chandler at about the 40-percent range? Do you recall
11 that?

12 A. I don't. If I -- all I talked about was --
13 Somebody asked me about an oil-water contact. I said I
14 don't see an oil-water contact in the Chandler.

15 Q. Isn't it true you said you saw no water
16 saturations above 40 percent? Do you remember saying that?

17 A. I did not say that. I said that I did not see an
18 oil-water contact.

19 Q. Has the Chandler produced water from the perfs at
20 11,582 to 11,5- --

21 A. It does produce water.

22 Q. Since the first day of production?

23 A. I believe so, yes.

24 Q. So from that you can conclude that the area north
25 of the Chandler on the downdip is wet?

1 A. Say again?

2 Q. From all of that, from our discussion about water
3 saturation values, the fact that the Chandler has produced
4 water through those perms, isn't it reasonable to conclude
5 that the area north of the Chandler, downdip, is wet?

6 A. No, I guess you didn't get my point on the
7 exhibit prior to this, that there's a possibility that you
8 could be -- go downdip and get into water-free production,
9 and we would not hesitate to drill a well to the north,
10 would love to do it.

11 Q. Do you have plans to do that?

12 A. If we can resolve this situation, we'll be out
13 there in a heartbeat.

14 Q. Do you have a log analysis on the Klein, or
15 similar to the Klein, for the Chandler?

16 A. Not here.

17 Q. Could you provide that to us?

18 A. I can.

19 Q. With respect to your Exhibit 10 -- is it 12,
20 where you've identified your four separate mounds? Do I
21 have the right exhibit? I'm sorry, it's Exhibit 11. Let's
22 refer to that.

23 A. What did you say? Exhibit 11?

24 Q. Exhibit 11. As I understand it, the purpose of
25 this exhibit was to show your interpretation that you

1 believe four separate mounds to exist in the reservoir,
2 correct?

3 A. That's correct.

4 Q. Is there any dispute that these mounds are in
5 connection -- or in communication?

6 A. No, I don't dispute that.

7 Q. Let me ask your opinion on something. Do you
8 believe it's appropriate to incorporate exploration acreage
9 into an enhanced oil recovery unit?

10 A. I don't know if I'd qualify it as exploration
11 acreage, but if you do it by -- tract by tract, you're
12 going to prohibit development of the reservoir. Because,
13 like in our situation, we can't do anything until we know
14 what's going to happen to us. You know, if we're going to
15 spend the money to drill a well and then have it taken away
16 from us, we won't drill it.

17 So if we can resolve the -- what we think is the
18 boundary of the total reservoir, by whatever data that it
19 takes and discussions that it takes, then it's right.

20 Q. By whatever data. Earlier you testified that
21 Exhibits in 9, your seismic exhibits, were for exploratory
22 development -- exploratory geological purposes.

23 A. I don't think that I said that exactly. I --
24 They can be but -- This area here is a combination of
25 development and exploration.

1 Q. It certainly --

2 A. Each well is an exploratory well, but each well
3 is also a development well. And you can look at it any way
4 you want to look at it.

5 Q. Well, given that state of affairs --

6 A. Every time you pick a location out there, you --
7 it's a gut check.

8 Q. You're exploring, aren't you?

9 A. Developing.

10 Q. Well, which is it? You said Exhibits 8 and 9
11 were used for exploration.

12 A. I'm going to say development, that's my opinion.

13 Q. Now you're saying development, all right.

14 A. Technically -- Technically, that Chandler is a
15 development well. By industry standards, that is a
16 development well.

17 Now, if I were to step out up there beyond 6 and
18 27, then you might get me to say that it's an exploration
19 well.

20 MR. HALL: Well, I think I did get you to say
21 that earlier.

22 MR. CARR: Well, we'll let the transcript verify
23 that, not Mr. Hall's comment.

24 Q. (By Mr. Hall) So we're in agreement, then --
25 It's your position that the Hanley Chandler 1 is a

1 development well that ought to be included within the EOR
2 unit; no dispute about that?

3 A. It's connected and -- Yes.

4 Q. How about the Hanley 1 State 28? What's that
5 going to be?

6 A. If it proves out to be connected to the
7 reservoir, then it will have to be included, I guess.

8 Q. But it's a gut check; it's an exploratory well
9 now?

10 A. I don't think so. I don't think so, because the
11 seismic that you saw, that seismic was 100-percent correct.
12 It was right on. And so we have a great -- a high degree
13 of confidence in the State 28.

14 Q. Isn't the best way to bring any acreage
15 associated with the State 28 into the unit is after
16 production is established, after the well is drilled, after
17 you have the well data?

18 A. Well, I'm not prepared to speak to those issues.
19 I'm going to let my engineer field that.

20 Q. So you don't have an opinion on that particular
21 issue?

22 A. I have an opinion, but it's not an expert
23 opinion. But I -- No, I don't think it's fair, and I've
24 already explained that to you.

25 Q. You don't --

1 A. Each time you go -- It's going to prohibit
2 development of this reservoir --

3 Q. Nothing preventing --

4 A. -- which is -- which prevents the State from
5 getting income.

6 Q. There's nothing preventing you from drilling the
7 Hanley 1 State 28 today, is there?

8 A. Yes, there is.

9 Q. What is that?

10 A. Gillespie, proposal to -- You know, if we drill a
11 well and it's a good well, I'm going to be sitting in this
12 chair again.

13 Q. It's not proposed to be included within the unit
14 today, under this Application, is it?

15 A. Well, but they've already testified that they
16 were going to do it on a step by step -- That's clear.

17 Q. No, my question is, there is no impediment to the
18 drilling of the Hanley 1 State 28 today?

19 A. There is an impediment. I'll say it again. We
20 cannot drill that well till we resolve this situation.
21 That's the impediment.

22 Q. All right. You're saying Gillespie has a say-so
23 by virtue of what, in drilling the State 28-1?

24 A. I'll answer in the same way. We can go on
25 forever.

1 Q. All right. And what's the impediment to the
2 drilling further up in Section 28, in the high spot of the
3 mound that you've identified? There is none, is there?

4 A. Yes, there is. It's the same scenario.

5 Q. You're going to --

6 A. If we drill up there and it proves to be
7 connected, which we think it is, our seismic, here we go
8 again.

9 Q. Okay --

10 A. We don't want to do that.

11 Q. And that's interpretation based upon your
12 exploratory seismic data, correct?

13 A. That's my interpretation based on the seismic.

14 Q. All right. So you're asking for the inclusion of
15 that acreage, as well as the acreage for the Hanley 1 State
16 28, on the basis of interpretive seismic; is that accurate?

17 A. That's correct.

18 Q. Isn't the best way to include acreage within an
19 enhanced oil recovery unit, not an exploratory unit, EOR
20 unit, is to first have the well data? Isn't that the best
21 information you could have?

22 A. I am not an expert on units or -- I couldn't
23 address that.

24 Q. Do you have an opinion?

25 A. I have an opinion, and I've already stated it.

1 Q. Well, answer my question. Isn't the best data
2 you could have to consider inclusion of acreage well data?
3 Yes or no.

4 A. If you have a well and it's producing, that's
5 great. But --

6 Q. Can you answer my question yes or no?

7 A. I just answered.

8 Q. The answer, then, is "yes"?

9 MR. CARR: I think the question was answered, and
10 I think that to try and restrict a person to accepting the
11 characterization of the facts as Mr. Hall is, is
12 inappropriate. The question has been asked and answered 14
13 times, and we're going to beat the thing to death. But
14 we're not going to sit here, and I'm not going to agree to
15 let Mr. Hall require yes or no answers. The question has
16 been fully answered 15 times.

17 EXAMINER CATANACH: I agree, Mr. Hall.

18 MR. HALL: That's all I have, Mr. Bracken. Thank
19 you.

20 EXAMINER CATANACH: Mr. Bruce?

21 CROSS-EXAMINATION

22 BY MR. BRUCE:

23 Q. In only have a few issues I want to cover, but
24 one of them might be the same.

25 But you said that -- how far away -- You

1 mentioned the Shipp-Strawn, which has small porosity pods,
2 small reservoirs. How far away is that, from this pool?

3 A. Ten miles.

4 Q. Ten miles. There's a series of those small
5 Strawn pools up there, aren't there?

6 A. Yes.

7 Q. Casey-Strawn, Shipp-Strawn?

8 A. Yes, sir.

9 Q. How far away is the Lusk-Strawn?

10 A. Oh, I want to say -- I'm guessing. I'd say 40
11 miles.

12 Q. Okay.

13 A. But it's part of the trend. If you were to map a
14 Strawn-producing trend, which was done in this article that
15 I quoted, it's all part of the producing phylloid algal
16 trend.

17 Q. What is the current daily water producing rate of
18 the Chandler Number 1?

19 A. I believe it's around 300 barrels a day.

20 Q. Do you have any idea of what the total unit water
21 production is per day?

22 A. The last I heard, it's zero.

23 Q. But that doesn't indicate to you that there might
24 be an oil-water contact by the Hanley well?

25 A. It indicates that this reservoir is more

1 complicated than we give it credit. And if I knew the
2 answer to that, I would -- I probably wouldn't be sitting
3 here.

4 But it's a difficult problem and it has -- we've
5 tried to figure it out, and if somebody could give me the
6 answer I'd sure like to have that answer. I might -- But
7 we don't see a contact in the well; it's that simple. The
8 data demonstrates that.

9 Q. That water just appeared out of nowhere?

10 A. No, obviously not.

11 Q. Okay. Let's move up to Hanley's acreage, the
12 Hanley State 28 Number 1. When was that staked?

13 A. I believe we staked it -- I'm not sure, but we
14 staked it -- Staked or -- ?

15 Q. Staked.

16 A. Pretty much the same time we staked the Chandler.

17 Q. About 15 months ago, 14 months ago?

18 A. Yes, I guess. I don't --

19 Q. And so you just have not seen fit to drill that
20 location in the 14 months since you've completed the
21 Chandler well?

22 A. We chose to drill the Chandler first, and then we
23 chose to sit on it for a year, and it had no- -- not have
24 anything to do with the unit, but we just -- we wanted to
25 see what the well would do. It would give us a degree of

1 confidence --

2 Q. Okay, so --

3 A. -- in the other well.

4 Q. -- you just said that had nothing to do with the
5 unit, not drilling the State 28 Number 1 had nothing to do
6 with the unit. Now, in response to Mr. Hall's questions
7 you said you couldn't drill that because of the unit?

8 A. At this point, at this point.

9 Q. Today?

10 A. Today. He asked me today.

11 Q. What about yesterday, or a month ago?

12 A. Same answer yesterday, just that we --

13 Q. No, I'm --

14 A. The chronology of how things developed, they mesh
15 together. There was a point where we were producing the
16 well and we didn't know -- we really didn't know what
17 Gillespie was going to do, if they were going to take us
18 in. We kind of -- and I'm speaking for myself. I thought
19 we weren't going to be bothered by it. And then later on
20 the issue came up, and so then that took over.

21 But at this point in time, we have a high degree
22 of confidence geologically to drill the well, we feel like
23 we have a commercial location. But because of the
24 situation today we can't do anything.

25 Q. Okay, let's get to that. You say you can't do

1 anything, and you say it's because of the unit, but why? I
2 still don't understand. You just said because of the unit.
3 Why can't you drill a well in the west half of Section 28?
4 What's preventing you?

5 Let me take a step back. The Chandler Number 1
6 has been producing about 200 barrels a day for 14 months,
7 between -- from 140 it inclined up to about 200 barrels a
8 day, flat rate of production. It's been producing at that
9 rate for a year; is that correct?

10 A. Somewhat, yeah.

11 Q. Is it a commercial well?

12 A. Yes, sir.

13 Q. It's paid out?

14 A. Yes, sir.

15 Q. If you could drill a well in the west half of
16 Section 28 and have it produce at top allowable, which is,
17 at this point, 250 barrels of oil per day for a year, would
18 it be worth it to you? Would it be a commercial well?

19 A. Yes.

20 Q. Then why can't you drill it?

21 A. Why do something that --

22 Q. Won't that prove up your acreage?

23 MR. CARR: Could the witness answer the question?

24 MR. BRUCE: Sure.

25 MR. CARR: I mean, we just have question after

1 question and --

2 THE WITNESS: It's just -- Common sense tells you
3 that if somebody's out there, lurking, to take your well,
4 why do it?

5 Q. (By Mr. Bruce) What do you mean, "take the
6 well"? The unit operating agreement provides --

7 A. Well, under current --

8 Q. -- any well is taken in on a paid-out basis --

9 A. -- under the current conditions, we're -- from
10 what David has testified to, if our well is basically a
11 160-barrel-per-day well, and you all's proposal we're going
12 to get eight barrels.

13 So if that's the same -- If the same thing is
14 going to happen at the State 28, then that would be a poor
15 expenditure on Hanley's part; it would be a bad management
16 decision.

17 Q. Won't drilling a well in the west half of 28
18 prove up this theoretical mound in the center of the west
19 half of Section 28, and you could come in at that point and
20 say, We have X amount of hydrocarbon pore feet in the west
21 half of Section 28?

22 A. We have to resolve before that how production is
23 allocated to all the unit owners. And until that time, we
24 can't do anything.

25 Q. So what you're saying -- you've heard Mr. Carr --

1 You were here yesterday, weren't you?

2 A. Yes, sir.

3 Q. And you heard Mr. Carr questioning Mr. Nelson.

4 He was questioning him about, how can you give any value to
5 the northwest quarter of Section 33, because there's no
6 data point there? You heard that, didn't you?

7 A. Right, and he also testified that he did not use
8 seismic.

9 Q. But it's okay not to have a data point, say, in
10 Tract 15, to give it any value? It's okay not to have a
11 data point to the southeast in section Tract 17, to give it
12 any value?

13 A. I have a data point at --

14 Q. A well data point?

15 A. I have a well data point at the Hanley Chandler,
16 and I use that well as a calibration. We had so much of an
17 amplitude anomaly at the Chandler. Out to the east of
18 that, it's at least twice as wide. We have the same type
19 anomaly to the north.

20 So it's just -- It's simple-minded, but it's the
21 only way to do it. And that is how we --

22 Q. Well data points are not necessary?

23 A. Pardon me?

24 Q. Well data points are not necessary in the west
25 half of Section 15?

1 A. We don't -- Well data points are necessary if you
2 have them. We don't have a well data point in the west
3 half of Section -- in our Tract 15.

4 Q. Tract 15, I mean. Tract 15 or Tract 17 or Tract
5 19 or Tract 22, you don't have any well data points?

6 A. No, but I have seismic that I believe has a high
7 degree of accuracy to it. I feel very confident in it.

8 Q. But you had nothing to do with preparing the
9 seismic?

10 A. No.

11 Q. No, and so you -- But you still have a high
12 degree of confidence in it?

13 A. My job -- part of my job is -- I'm not an expert
14 geophysicist, but I am an expert at picking geophysicists,
15 and that's we have done --

16 Q. Okay.

17 A. -- and I have a high degree of confidence in him.
18 He has done a lot of work for us. And that is how anybody
19 else would do it; it's no different.

20 Q. Now, looking at this Exhibit 9, doesn't this show
21 that the acreage up in the northeast quarter of Section 28
22 is better than the acreage you're including in Section 27?

23 A. Where are you talking about? Oh, that is a
24 structure map, mind you. Okay. There is an amplitude
25 anomaly --

1 Q. It's structurally -- The northeast quarter of 28
2 is structurally, apparently, a lot better than this acreage
3 in Section 27 that you seek to include?

4 A. That is correct.

5 Q. But you're --

6 A. We don't associate mound in that area, but we do
7 in the southeast --

8 Q. And that's --

9 A. -- quarter of 27.

10 Q. -- interpretive?

11 A. Huh?

12 Q. It's interpretive?

13 A. It's interpretive.

14 Q. And there's no well data points out there to tell
15 you otherwise?

16 A. No, sir.

17 Q. Now, looking at, you know, whatever one of your
18 maps, Exhibit 17 --

19 A. 17, okay.

20 Q. All I'm really looking for is, get a map with the
21 unit outline, your proposed unit outline, on it.

22 A. Okay, sure.

23 Q. That Tract 15 -- that's the west half and the
24 southwest-southeast of Section 28 -- that is entirely
25 Hanley Petroleum's tract; is that correct?

1 A. That is correct.

2 Q. Let me hand you -- This is Dr. Boneau's Exhibit
3 1, and it shows on there, I believe, that that's Hanley
4 Petroleum.

5 Now, there are no wells at this point, no
6 producing wells on Tract 15, are there?

7 A. No.

8 Q. Also, looking at your -- at the Exhibit 1, I'm
9 assuming this is a commercial map, probably Midland Map
10 Company. All of these leases, independent, separate leases
11 out here, have lease expiration dates on them, don't
12 they --

13 A. I --

14 Q. -- just looking at them?

15 A. Yes, some of them.

16 Q. You know, over in -- like the next-door tract, it
17 says Gulf, that's HBP?

18 A. Yeah.

19 Q. Okay. Moving over to Section 20 it says, Yates
20 Petroleum, et al., it gives the State lease number and the
21 expiration date, which is December 1, 1996.

22 A. I don't know where you are now.

23 Q. Okay, look at Section 27.

24 A. Tract 20 or --

25 Q. Section 27 --

1 A. Oh --

2 Q. -- non-unit tract.

3 A. Yeah, yes.

4 Q. Okay, Yates Petroleum, et al., in Section 27,
5 12-1-96 lease expiration date, gives a state lease number.
6 Down in -- over -- You know, all around, if you look, it
7 has lease expiration dates. It doesn't have a lease
8 expiration date on the Hanley lease. Why?

9 A. I don't know. I have to defer that to a landman.
10 I don't know.

11 Q. Do you have any idea when that lease expires?

12 A. Yes, I think we have another year on it, I
13 believe.

14 Q. Would it be May 1, 1998?

15 A. That sounds close, I think that's right.

16 Q. Why is this -- You know, is this simply a grab to
17 get a nonproducing lease into the unit?

18 MR. CARR: I object to the form of the question.

19 MR. BRUCE: That's a fair question. Mr.
20 Examiner, I would refer you -- you can -- I'll ask you to
21 take administrative notice of Yates' Exhibit Number 1 in
22 Case 11,599. It has the expiration date. It's the exact
23 same map, has the expiration date.

24 They've excised that from this map so you
25 wouldn't think there was any lease-expiration problems.

1 EXAMINER CATANACH: Can you kind of rephrase the
2 question, Mr. Bruce? Is that --

3 MR. BRUCE: I'm trying to preserve the lease past
4 the lease deadline by unitizing it.

5 THE WITNESS: All I did was -- is do the geology,
6 with no goals. I just simply drew what I thought is my
7 best interpretation, based on all the data that was
8 available to me, drew that reservoir like I see it, and
9 then the other staff take care of it from there.

10 They're -- I -- As far as I know, we're not
11 trying to protect a lease; we just want it done right.

12 Q. (By Mr. Bruce) And you don't want to maximize
13 Hanley's interest?

14 A. We just want it done correctly. We feel at this
15 time it's not --

16 Q. Do you want to maximize Hanley's interest?

17 A. Huh?

18 Q. Do you want to maximize Hanley's interest?

19 A. We feel like the interest that we have been given
20 is not fair.

21 Q. Do you want to maximize Hanley's interest?

22 A. The interest that we have now is not fair. So --

23 MR. BRUCE: Mr. Examiner, it's a simple yes or no
24 question.

25 MR. CARR: No, it isn't, and we've got to a point

1 where the question has become argumentative. The question
2 was, Are you trying to maximize Hanley's interest? The
3 response is, We're trying to do it fair.

4 You can't answer that yes or no and give an
5 honest answer.

6 EXAMINER CATANACH: I think that's a sufficient
7 answer, Mr. Bruce.

8 MR. BRUCE: That's all I have.

9 I would ask that Yates Exhibit Number 1 from Case
10 11,599 be taken administrative notice of.

11 MR. CARR: We have no objection to that.

12 I have about two questions, maybe four.

13 REDIRECT EXAMINATION

14 BY MR. CARR:

15 Q. Mr. Bracken --

16 A. Yes, sir.

17 Q. -- you testified you have confidence in your
18 seismic information north of the current unit boundary; is
19 that correct?

20 A. Yes, we do.

21 Q. Did you use seismic information to locate and
22 drill the Chandler Number 1?

23 A. Yes, we did.

24 Q. And is it a good well?

25 A. Yes.

- 1 Q. There are no wells in Tract 15; is that correct?
- 2 A. That's correct.
- 3 Q. That's outside the unit?
- 4 A. At this time.
- 5 Q. Are there any wells on Tract 3 within the unit?
- 6 A. There are no wells in Tract 3 in the unit.
- 7 Q. Are there any wells on Tract 4 within the unit?
- 8 A. There are no wells in Tract 4.
- 9 Q. Are there any wells on Tract 6 within the unit?
- 10 A. Yes -- No, no wells in Tract 6.
- 11 Q. Are you asking to be treated like tracts in the
- 12 unit?
- 13 A. Just want fair treatment.
- 14 MR. CARR: That's all I have.
- 15 EXAMINATION
- 16 BY EXAMINER CATANACH:
- 17 Q. Mr. Bracken, according to your Exhibit Number 8,
- 18 you've identified by seismic what you believe is a separate
- 19 -- or a structure within the west half of the northwest
- 20 quarter of Section 28; is that correct?
- 21 A. Yes, sir.
- 22 Q. What information do you have, or do you have any
- 23 information that suggests that that structure is, in fact,
- 24 connected and in communication with the rest of them?
- 25 A. The -- of course, the -- If you look at the

1 individual traces of the 3-D -- and I don't mean --
2 "traces" is probably the wrong term, but the lines that
3 make up the 3-D, I believe they're like 110 feet apart,
4 spacing in this, the way they -- so the way -- they come
5 out looking like 2-D sections. We see a character in the
6 Strawn peak that would suggest that these are connected.

7 And then when you display this in a map form as
8 an amplitude map where you see low amplitudes and high
9 amplitudes, the low amplitudes being indicative of
10 porosity, you see associated with that ridge a low-
11 amplitude anomaly, and there appears to be a connection.

12 Q. Would this structure be -- in the northwest
13 quarter of Section 28, would it -- it's your opinion that
14 it's not structurally low enough to be below the oil-water
15 contact?

16 A. Well, again, we think -- there's a possibility --
17 We know, in our opinion, there's at least two oil-water
18 contacts, a possibility it could be more. It does not
19 deter us at all from drilling a well up there, because we
20 don't think that a uniform contact is applicable to this
21 field.

22 And I think that's -- You can see examples of
23 that in other areas, like the Lusk-Strawn that I mentioned
24 earlier in the testimony.

25 Q. So even though the structure may be in

1 communication, you still believe it may have its own oil-
2 water contact?

3 A. It could.

4 Q. But you don't have any idea where that is?

5 A. No, there's no way to know that.

6 Q. Without drilling a well?

7 A. That's correct.

8 Q. In the southeast extreme area of Section 27, is
9 that -- that's part of an existing structure that you've
10 mapped there in that bottom corner of that?

11 A. Yes -- Well, we think it is. Our 2-D seismic
12 indicated a positive area in that area, and this -- the 3-D
13 tends to back that up.

14 Q. Based on this --

15 A. And -- I'm sorry.

16 Q. Based on this seismic data, would you drill a
17 well at that location?

18 A. Over to the --

19 Q. Yeah, in the southeast area of Section 27?

20 A. Yeah, I would love to have that acreage.

21 Q. Would you drill a well there?

22 A. Probably.

23 Q. Okay. Your seismic data doesn't really show
24 you -- or does it show you where you might put a zero-
25 porosity line?

1 A. This display does not.

2 Q. What data did you use in the northern portion of
3 the unit to map your zero-porosity line?

4 A. Well, again, I go back to the -- when you look at
5 the individual lines that make up the 3-D, we look at those
6 on a -- when it's all done, it comes out in the
7 presentation where you have -- you have east-west line and
8 you have north-south lines.

9 And our consultant, of course, he goes through
10 that and makes his picks and interpretations, and then I
11 look at it, and we get together and agree on an
12 interpretation.

13 But based on those individual lines, line by line
14 by line -- There's hundreds of lines, and we look at those,
15 and just going from line to line we estimate what would be
16 a zero point on the line.

17 You cannot absolutely pick out a zero point from
18 the seismic; it is an estimate.

19 Q. But does seismic aid you in that interpretation?

20 A. It aids me, right.

21 Q. The western boundary of the -- or the -- You feel
22 comfortable with the western boundary of the unit, except
23 that you want to include the tract that the Amerind West
24 State well sits on; is that correct?

25 A. That is correct.

1 Q. And that's due to the Hanley policy of -- that
2 you stated before of -- the zero porosity line just
3 encroaches a bit on that tract?

4 A. That is correct, and I must -- would like to
5 qualify that area down there. And that line -- that basis
6 for that line, since our data -- we're on the extreme of
7 our data, we relied on Gillespie's mapping of that area.

8 So if their map is correct in that area, then
9 just being uniformly consistent, we would have to include
10 that acreage.

11 Q. Is this -- Okay, for the southern portion of the
12 unit, what -- Is that the same? Did you rely on
13 Gillespie's map?

14 A. Yes sir.

15 Q. Does that hold true on the southeast portion of
16 the unit, proposed unit?

17 A. The contour holds true, yeah. I think I followed
18 their map pretty closely. Down in Tracts 26 and 25, that
19 area.

20 Q. Yeah, 26, 24, 25. So that's basically the
21 Gillespie interpretation?

22 A. Yes.

23 Q. On the eastern portion of this unit, you've
24 extended the zero line further east than Gillespie had it?

25 A. That's correct.

1 Q. And I believe you testified -- Or let me ask you,
2 what is that based on?

3 A. Okay, that -- If you look at the way that
4 Gillespie developed, a recurrent development -- a
5 development has taken place throughout the development of
6 this unit. I think you can draw some conclusions.

7 And the Gillespie Number 1 State "S" is, I
8 believe, 330 feet off the east line of that proration unit,
9 which I believe is as close as you can get without a
10 special hearing.

11 So the fact they pushed it so far to the east
12 would tell me that they suspected another mound in that
13 area and that the better part of it actually laid on the
14 outside of that line.

15 So I have taken the liberty of just -- or it's an
16 interpretation that there's possibly more mound out there
17 to the east than what has originally been depicted.

18 And then the Bridge Number 2 Julia Culp, as I
19 testified earlier, I suspect that that well could have been
20 -- they could have set pipe on it and made a well. So I've
21 brought the zero line -- I haven't drawn the zero line
22 right through that well, but close to it. I believe that
23 there's, from the log, mound-quality rock.

24 So just maintaining an even -- a contour spacing,
25 it just brings it out, extends it out into Tracts 22 and

1 23.

2 Q. Who drilled that well?

3 A. Pardon me?

4 Q. Who drilled that -- Oh, was that Bridge Oil that
5 drilled that well?

6 A. Bridge.

7 Q. Do you believe that they could have made a
8 producing well out of the Strawn?

9 A. It's a possibility. It is tight. Ralph
10 testified to that, and I would agree. It is a tight well
11 but extremely close to a mound, I believe.

12 Q. You've got the zero line that sort of wildly
13 fluctuates in that north-northeast portion of the proposed
14 unit. What data did you use on that?

15 A. Okay, that's -- We relied on our 2-D seismic in
16 that area.

17 And then, I might add, in Tract 18 where it kicks
18 up through there, we have 3-D there. It's on the edge of
19 our seismic, but our -- the 3-D also indicated an amplitude
20 by anomaly in that area also.

21 And due to the log on the Yates Number 1 Chambers
22 AQI State, it was my interpretation that that well was
23 farther away from mound-quality rock than, say, the Bridge
24 Number 2 Culp. So I just didn't feel justified in
25 stretching the line any farther. I was conservative there.

1 It probably...

2 EXAMINER CATANACH: I believe that's all I have
3 of this witness.

4 MR. CARR: I have nothing further.

5 EXAMINER CATANACH: This witness may be excused.
6 What have we got?

7 MR. CARR: I have one witness. The direct this
8 morning took about 28 minutes.

9 (Off the record)

10 EXAMINER CATANACH: Let's just keep going.

11 MR. CARR: May we have a five-minute break?

12 EXAMINER CATANACH: Yeah, let's do that.

13 (Thereupon, a recess was taken at 12:14 p.m.)

14 (The following proceedings had at 12:29 p.m.)

15 EXAMINER CATANACH: Let's proceed.

16 Mr. Carr?

17 MR. CARR: Mr. Catanach, at this time we call
18 John Savage.

19 JOHN SAVAGE,

20 the witness herein, after having been first duly sworn upon
21 his oath, was examined and testified as follows:

22 DIRECT EXAMINATION

23 BY MR. CARR:

24 Q. Will you state your name for the record, please?

25 A. John Savage.

1 Q. Where do you reside?

2 A. Houston, Texas.

3 Q. By whom are you employed?

4 A. Williamson Petroleum Consultants.

5 Q. And what is the relationship between Williamson
6 Petroleum Consultants and Yates and Hanley?

7 A. We're their engineering consultant.

8 Q. When were you employed by Yates and Hanley in
9 this matter?

10 A. Late 1996, early 1997.

11 Q. And what were you asked to do?

12 A. To prepare an oil-in-place study for the West
13 Lovington-Strawn Pool.

14 Q. Mr. Savage, have you previously testified before
15 the New Mexico Oil Conservation Division?

16 A. No, I have not.

17 Q. Could you summarize your educational background
18 for the Examiner?

19 A. I have a BS in petroleum engineering from Texas
20 A&M and graduated in 1982.

21 Q. And following your graduation in 1982, for whom
22 have you worked?

23 A. I have 15 years experience as a reservoir
24 evaluation engineer, and I have two years -- I had two
25 years' experience with Midland National Bank and the

1 remaining 13 with Williamson.

2 Q. Are you a registered petroleum engineer?

3 A. Yes, I am, in the State of Texas.

4 Q. Have you now completed your oil-in-place study?

5 A. Yes, I have.

6 Q. And are you prepared to share the results of that
7 work with Mr. Catanach?

8 A. Yes, sir, I am.

9 MR. CARR: Mr. Catanach, at this time we tender
10 Mr. Savage as an expert witness in petroleum engineering.

11 EXAMINER CATANACH: Any objection?

12 MR. HALL: No objection.

13 EXAMINER CATANACH: Mr. Savage is so qualified.

14 Q. (By Mr. Carr) Could you generally summarize how
15 you approached this project?

16 A. Yeah, we used two methods to estimate oil in
17 place, volumetric and material balance. Our volumetric oil
18 in place resulted -- was 12.9 million barrels, and our
19 material-balance oil in place calculated to be 14.2 million
20 barrels.

21 Q. And we've heard a lot about the reservoir, but
22 could you just give me a general history of the pool and
23 unit, emphasizing those points that will relate to your
24 testimony?

25 A. Well, the pool was discovered in May of 1992 when

1 Gillespie drilled the Hammond Federal Number 1 in the
2 southwest quarter of the southeast quarter of Section 33,
3 Township 15 South, Range 35 East. Gillespie drilled an
4 additional ten wells by April, 1995.

5 The pool was unitized in October, 1995, and
6 consists of approximately 1457 surface acres, one injection
7 well, 10 producing wells, and natural gas injection
8 commenced in October, 1995.

9 Q. And you are aware that the allowable for the pool
10 was reduced from 445 barrels of oil a day to 250 barrels of
11 oil a day in March of this year?

12 A. Yes, sir.

13 Q. Can you describe the reservoir at the time of
14 discovery?

15 A. The original reservoir pressure was 4392 p.s.i.
16 on a datum of 7549 subsea and had a reservoir temperature
17 of 171 degrees fahrenheit. The fluid was determined to be
18 undersaturated with a bubble pressure of 4115 p.s.i.

19 Q. How was that determined?

20 A. That was determined from a sample taken from the
21 Speight Number 1 well, the second well drilled in the unit.
22 The sample was taken on December 2nd, 1992. It was
23 analyzed by Phase Behavior, Inc., and published in a report
24 dated December 18, 1992.

25 The December 2nd reservoir conditions were a

1 temperature of 171 degrees fahrenheit and a pressure of
2 4342 p.s.i.

3 Q. Now, these are the fluid properties that were
4 used in the Williamson study. They were based on this
5 fluid analysis; is that correct?

6 A. Yes, sir.

7 Q. Can you explain how the volumetric calculation
8 was prepared?

9 A. Brett Bracken, Hanley's geologist, had done hand
10 calculations of the logs and wanted a computer calculation
11 of the logs. So I obtained a paper copy of the logs from
12 Brett, sent them to a firm called A-to-D Technologies in
13 Midland to digitize the logs, and they digitized them into
14 a CWLAS format.

15 I took the digitized logs to Mr. Jim Engstrom, a
16 geologist with TerraSciences, Inc., who analyzed the logs
17 for us using their proprietary petrophysical software, and
18 that software is Terra Station 2, Version 61 R1 Mod 1.

19 Q. And what porosity cutoff was used?

20 A. We asked Jim to use a cutoff of 3 percent and a
21 water saturation cutoff of 40 percent.

22 Q. How was this analysis actually done?

23 A. He analyzed each log on a half-foot basis through
24 the Strawn pay.

25 Q. And to the best of your knowledge, were the same

1 cutoffs used as were used in the Gillespie work?

2 A. From prior -- from testimony, yes.

3 Q. What porosity was used?

4 A. The porosity that we used was density porosity as
5 the formation porosity. We had requested core data, but it
6 was not made available, so we couldn't compare it to core
7 data.

8 And also, in this case, when we looked at the
9 logs, the gas effect appeared to be affecting the neutron
10 density -- I mean the neutron porosity curve, but it did
11 not appear to be affecting the density curve. So we chose
12 not to use a crossplot porosity and used the density
13 porosity as the true porosity.

14 Q. What were the results of this particular
15 analysis?

16 A. Well, values were calculated for R_t , the
17 formation resistivity porosity and water saturation of each
18 half foot in each well. And then we -- Of course, it
19 resulted in average porosity water saturations and total
20 feet of pay for each well.

21 Q. Let's go to what's been marked Yates/Hanley
22 Exhibit Number 17. Could you identify that, please? This
23 has been previously admitted into evidence.

24 All right, Mr. Savage, what is this?

25 A. This is Hanley's hydrocarbon pore volume map that

1 was based on their interpretation of 2-D and 3-D seismic
2 and on the values obtained from our log analysis.

3 Q. And it's shown in hydrocarbon pore feet?

4 A. It's -- The number next to each well is
5 hydrocarbon pore feet, and that's defined as the product of
6 porosity times one minus the water saturation times the
7 feet of pay.

8 Q. How was this map integrated into your work?

9 A. Well, this is the map we used to planimeter to
10 get our hydrocarbon pore feet by tract and for the total
11 reservoir, resulting in a total reservoir hydrocarbon pore
12 volume of 3715 acre-feet.

13 Q. Okay, could you identify what has been marked
14 Yates/Hanley Exhibit Number 18?

15 A. This exhibit is the result of our oil-in-place
16 calculation. It's a tabulation. On the left column you'll
17 see that it's -- That's the tract. The first tract is the
18 West Lovington-Strawn Unit. I used it as a single tract
19 because the relationship of the 11 tracts that make up that
20 unit has been fixed by the prior unitization.

21 The next column -- And then preceding that are
22 the 19 other tracts that -- additional tracts that are in
23 the expanded unit as we see it.

24 The next column is the hydrocarbon pore volume
25 that we've planimetered for each tract in acre-feet, and

1 then the percent of pool that represents, and then a
2 calculation of the oil in place, based on hydrocarbon pore
3 volume, using the formula at the bottom of the spreadsheet,
4 oil in place equals 7758 times hydrocarbon pore volume
5 divided by original formation oil --

6 Q. What's the -- Excuse me.

7 A. -- formation oil factor --

8 Q. And what is the result of that calculation?

9 A. -- 2.23.

10 The result of that calculation is in the right-
11 hand column, and the total is 12,924,000.

12 Q. Let's go to Exhibit Number 19. Would you
13 identify and review that, please?

14 A. Exhibit 19 shows the formulas that were used in
15 our material balance study. The first formula just is the
16 basic formula for material balance. It includes all the
17 factors that could impact oil in place.

18 We had assumed that there was no water influx, no
19 water injection or gas injection, and those terms, W_e , W_i
20 and G_i , were dropped out, and the second formula shows that
21 reduction.

22 The two formulas that we used in the study are
23 the formulas 3 and 4. Formula 3 is the formula used above
24 the bubble point, and Formula 4 is the formula used below
25 the bubble point. They're different formulas, different

1 terms have dropped out.

2 But the last formula below the bubble point is
3 missing a term, and the term it's missing is the -- if you
4 go to -- It's missing the term that's on the bottom of the
5 equation in Equation 1, the portion of that equation that
6 starts B_{oi} over $1 - S_w$ times the quantity $1 + m$, et
7 cetera. That term represents the rock and water expansion,
8 and that's normally considered negligible below the bubble
9 point, so it was excluded.

10 The equation we used above the bubble point,
11 Equation 3, is minus a few terms too. The term that has
12 R_{si} minus R_s in it, in the bottom part of the equation,
13 goes to zero because the solution gas-oil ratio is zero
14 above the bubble point, so that would be zero.

15 The other term that would drop out is the term in
16 the bottom part of the equation that starts with mB_{oi} times
17 the quantity B_g minus B_{gi} over B_{gi} . That drops out because
18 the term m is the ratio of gas cap pore volume to reservoir
19 -- oil pore volume. And that's zero above the bubble point
20 also.

21 The final term that's missing in this equation is
22 the term representing free gas production, which is G_p
23 minus N_p times R_s , which appears in the top part of the
24 equation. And because there's no free gas above the bubble
25 point, that drops out to be zero also.

1 Q. Mr. Savage, hat pressure information was used in
2 your material balance calculations?

3 A. We used 14 pressures that were provided by
4 Gillespie-Crow when we subpoenaed data.

5 Q. Were these all the pressures available on the
6 reservoir?

7 A. They had supplied a total of 17 or 18 pressures.
8 Three or four of those -- The 14 we used were the 14 that
9 were prior to gas injection and the drilling of the three
10 offset wells, the Snyder "EC", the State "S" and the
11 Chandler. The reservoir production, cum production, as of
12 that last data point that we used, pressure point that we
13 used, was approximately 1,493,000 barrels, which is
14 approximately 10 percent of the oil in place. And it's a
15 point considered to where material balance should yield an
16 effective value.

17 Q. Could you identify Yates/Hanley Exhibit Number
18 20?

19 A. This is a spreadsheet showing the results of the
20 oil-in-place calculations at the various pressure points.

21 Going from left to right, the first column is the
22 day at which the pressure was said to be taken.

23 The next column is the percent of oil in place
24 that the cum oil represents as a portion of the total oil
25 in place.

1 The third column is the cum oil, the fourth
2 column is cum gas, the fifth column is the cum water, of
3 which there was a minor amount.

4 The next column is the pressure that was given to
5 us, and then the oil in place calculated as a result of the
6 study at each one of those pressure points.

7 The average oil in place at the bottom, the 14.2,
8 is an average of the last three points that we feel
9 represents a good estimate of the oil in place.

10 The final column is just a percent-difference
11 column to show you how much different that value that was
12 calculated at that point is from the average pressure that
13 we assumed to be the proper oil in place.

14 Q. The material balance work resulted in an original
15 oil in place of 14.2 million barrels of oil?

16 A. Yes, sir.

17 Q. Using your volumetric approach, you came out with
18 12.9 million barrels of oil?

19 A. Yes, sir.

20 Q. How do these results compare to reservoir data
21 presented by Gillespie-Crow and others on this West
22 Lovington-Strawn reservoir?

23 A. There have been a number of numbers that have
24 been presented, either in testimony or in some of the
25 documents that were presented to us. But most of the

1 numbers regarding material balance oil in place fell
2 between 14 million and 15 million, and ours was 14.2. So
3 we're within range. We're actually low to the stated oil
4 in place that was stated today by about 6 percent.

5 Our volumetric oil in place of 12.9 is high to
6 the Gillespie oil in place that I've seen, which have been
7 around the range of 11.9 to 12.3 million barrels. So we're
8 5 to 8 percent high to their number.

9 But that's really not the important part.
10 Normally, you like to see volumetric -- When you do this by
11 two methods, you'd like to see them to agree by two to
12 three percent. And we don't see that, so there is a
13 problem here.

14 However, our variance is a 9-percent variance,
15 and the Gillespie variance is about 18 percent, the
16 difference between 12.3 and 15, and I think that that
17 proves that the oil in place that we want to use is
18 probably a better oil in place.

19 Q. And when you say the oil in place you want to use
20 is a better alternative, what are you talking about? The
21 volumetric?

22 A. The volumetric oil in place.

23 Q. And would you recommend that that figure be used
24 for future decisions made concerning the West Lovington-
25 Strawn Unit?

1 A. Yes, sir, I do.

2 Q. Do you believe the current unit allocation
3 formula that considers, really, only original oil in place
4 adjusted cumulative production allocates unit production on
5 a fair, reasonable and equitable basis?

6 A. No, sir, I don't.

7 Q. Would you explain that, please?

8 A. Well, the formula is based on subjective data
9 only, and its application to only producing tracts does not
10 allow it to be fair and reasonable and equitable to
11 nonproducing tracts. And also, the formula was really
12 negotiated by the current interest owners, which did not
13 include Hanley or Yates.

14 Q. How does Williamson recommend that this problem
15 with the formula be corrected?

16 A. Well, we need -- We want to add another factor,
17 and -- a factor that's based on hard data.

18 Q. And what is that?

19 A. We would like to recommend the inclusion in the
20 unit allocation formula of current producing rate, and the
21 current producing rate to be defined as the average oil
22 production in the last six -- for the six months that
23 preceded the reduced allowable.

24 Q. So we're talking September, 1996, through
25 February, 1997; is that right?

1 A. Yes, sir.

2 Q. And what -- Do you recommend that this formula
3 apply to -- What tracts? You tell me.

4 A. Well, we recommend that all tracts contain a
5 portion of the unit in the pool as now defined, out of
6 participation in the interest of the unit to protect their
7 correlative rights.

8 Q. All right. Would you refer to what has been
9 marked as the Hanley/Yates Exhibit 21 and identify that for
10 the Examiner and review it, please?

11 A. This is the results of using that formula.

12 On the left is the tracts that -- the West
13 Lovington-Strawn Unit being considered as a single tract,
14 and then all the other additional tracts as separate
15 tracts.

16 The first column is the volumetric oil in place
17 that's been calculated for that tract based on hydrocarbon
18 pore volume.

19 The next column is the percent of oil in place
20 that that oil in place represents of the total.

21 Then the next column is current oil rate for the
22 producing -- the tracts that have production. And there's
23 only four of those.

24 And following that is the percent of the current
25 rate that that production is of the total production.

1 And then the last is the unit participation
2 (decimal) that would result from using this formula as a
3 participation formula. And the formula is at the bottom of
4 the exhibit.

5 Q. In your opinion, will adoption of this formula
6 allocate unit production of the interest owners in the unit
7 on a fair, reasonable and equitable basis?

8 A. Yes, sir, it does.

9 Q. And why is that?

10 A. Well, it uses hard data, for one thing, where up
11 to now we're totally subjective with oil in place, even
12 though we only apply it to producing tracts.

13 The other thing is, it does give weight that has
14 production. So if you have production, it does give you
15 more participation.

16 And the other thing is that it includes
17 nonproducing tracts that we think that there's oil there.
18 It does include those.

19 The other thing it does is -- And to be fair,
20 including some period of time so we didn't pick a month or
21 a day or something where a well could be down or there is a
22 story about the well being down or a lease where you have
23 multiple wells that some of them may be down.

24 A six-month period I felt was reasonable, so that
25 all those things, these stories that operators and -- will

1 say about their well, particularly when they're trying to
2 tell you how great they are, that it gives you a period of
3 time that all that averages out, that if they can't get it
4 squared away in six months, you know, I mean, what you say
5 is what you get. And so that's why I think that's fair.

6 Q. Mr. Savage, you've been present when there has
7 been testimony about the problems being created for the
8 unit by the production from the State "S" Number 1 and the
9 Chandler well. In your opinion, is it necessary to shut in
10 or curtail those wells to protect the existing pressure-
11 maintenance project in this unit?

12 A. No, I don't think so. This reservoir has become
13 really a combination drive reservoir. It was originally
14 solution gas, but it's now a gas cap, solution gas and
15 gravity drainage reservoir.

16 And I believe that if anything happens from the
17 production of these offsetting wells, that all it's really
18 going to do is maybe accelerate the expansion of the gas
19 cap by whatever percent of fluids additional that it's
20 taking out of the reservoir.

21 Q. In your opinion, will approval of the unit
22 boundary for the West Lovington-Strawn Unit, which includes
23 all tracts in the reservoir as now defined and shown on the
24 Yates/Hanley Strawn Mound pore volume map, coupled with the
25 adoption of a revised participation formula as you have set

1 out -- will those two things, if adopted, protect the
2 correlative rights of all interest owners in this
3 reservoir?

4 A. Yes, I believe it does.

5 Q. In your opinion, will expansion of the unit in
6 accordance with this recommendation and the adoption of the
7 new formula otherwise be in the best interest of
8 conservation and the prevention of waste?

9 A. Yes.

10 Q. Mr. Savage, you were present for the testimony
11 concerning the exclusion of the Snyder "EC" Com Number 1
12 well from the unit because of its low producing rate, were
13 you not?

14 A. Yes, sir, I was.

15 Q. Do you agree with the exclusion of that well?

16 A. No, sir, I don't.

17 Q. And why not?

18 A. Well, you know, if we leave that well alone -- I
19 went home last night -- I didn't go home, but I went back
20 to the hotel last night and thought about that. If we
21 leave that well alone, I project the reserves on that well
22 to be over 127,000 barrels ultimately from that well if we
23 don't do anything to that well and just let it produce the
24 way it wants to produce.

25 Q. Did you project that with a decline curve?

1 A. Yeah, I did. I put a 10-percent decline on it to
2 come up with those reserves.

3 Q. In your opinion, will that be a commercial well
4 in this reservoir?

5 A. It will pay out. It's got 14,000 -- It will pay
6 out, yes, sir.

7 Q. What about the pressure information on that well?

8 A. Well, I think, really, the pressure information
9 is really what tells the story about this well, that we
10 didn't -- I don't have access to the pressure, but
11 testimony said that when this well was drilled, it had
12 reservoir pressure when it was drilled, therefore they know
13 it was connected.

14 And if that is, in fact, the case, then this
15 well, this location where this well is, means that it sees
16 the reservoir just like any other well does. It may not
17 produce as well, it may not have as many feet of pay, but
18 it sees the reservoir and it sees the pressure that the
19 other wells see.

20 Q. And when you say it sees it, it's affected by and
21 affects --

22 A. Oh, absolutely.

23 Q. -- the other portions of the reservoir?

24 A. Absolutely.

25 Q. In fact, by using producing rate as a factor to

1 keep wells out of the unit, in essence hasn't Gillespie
2 injected another factor into the --

3 A. Yeah, well, they've already -- They didn't give
4 me the idea, but you're right, they've already used it when
5 they tried to keep -- or when they want to keep this well
6 out of the unit, they're using the producing rate as the
7 reason.

8 Q. And that would be a -- could be a formula in a
9 factor could it not --

10 A. Yeah, it could be.

11 Q. -- a factor in a formula?

12 A. Could be.

13 Q. Gillespie testified that the Hanley Chandler
14 Number 1 well would have had only an ultimate recovery of
15 4500 to 6000 barrels of oil, except for pressure
16 maintenance; do you agree with that?

17 A. No, sir, I don't.

18 Q. And why not?

19 A. Well, Hanley's well was drilled in March of 1996,
20 and the first month it produced over 3100 barrels of oil,
21 and approximately 6000 barrels of water. So it was
22 producing, flowing, over 9000 barrels of fluid that month.
23 And according to the testimony, this well would have to die
24 next month, sooner than that, because we're talking 4500
25 barrels --

1 Q. When you say "next month", you mean the second
2 month?

3 A. The second month. It would have had to die then,
4 and all that pressure would have had to have gone away, and
5 that well wouldn't have been able to produce anything.

6 So what that tells me there -- I didn't try to
7 project reserves, although I do have a feeling for what
8 that well will produce. But what that told me was that the
9 oil in place that was assigned to the Chandler well is
10 extremely low and obviously unfair, because the Chandler
11 well, if left alone, and even without pressure maintenance,
12 would produce for a long time. In fact, it's in an
13 advantageous position, because it's low on structure.

14 Q. Do you agree that without pressure maintenance in
15 the reservoir, the pressures would have declined very
16 rapidly?

17 A. Well, I don't think so. They'll decline, but
18 it's not going to do -- I don't think it's going to be like
19 the characterization that we've heard and that was assumed
20 earlier, because I believe when I was doing my oil-in-place
21 study with material balance, I saw -- started seeing an
22 effect of some other factor, other than the expansion of
23 those terms.

24 And what it was, I believe, was the formations --
25 the beginning of a gas cap. And when I took that into

1 account, my numbers started flattening out at 14.2.

2 Q. So what this creates is really a reservoir
3 management question, does it not?

4 A. Yeah. They would have had the same problem, I
5 believe, in this formation, that they would have had the
6 same problem whether they were injecting gas or not. In
7 fact, it probably wouldn't have occurred as early, because
8 injecting gas, now, you know, they're going to be shutting
9 in wells at the top of the structure. But they're going to
10 have to do that anyway, to manage the reservoir.

11 This field probably would have had to be unitized
12 to efficiently produce it, even if they didn't have a
13 pressure management -- maintenance program going on.

14 Q. Were Yates/Hanley Exhibits 18 through 20 prepared
15 by you or compiled at your direction?

16 A. Yes, sir, they were.

17 MR. CARR: May it please the Examiner, I would
18 move the admission into evidence of Yates/Hanley Exhibits
19 18 through 20.

20 EXAMINER CATANACH: Any objection?

21 MR. HALL: Object to Exhibit 21. It refers to a
22 participation formula to tracts that are not within the
23 scope of this hearing and not relevant.

24 MR. CARR: May it please the Examiner, if we go
25 with Mr. Hall, this is the unit. This is all we can

1 consider.

2 But the fact of the matter is, when you're
3 looking at the impact of this unit on a larger reservoir,
4 you have to consider the impact on other owners, or you
5 step outside and ignore your directive under the Statutory
6 Unitization Act. Section 21 shows you the impact on those
7 other tracts. It's relevant, it's admissible, and it must
8 be admitted.

9 EXAMINER CATANACH: We'll go ahead and admit it
10 as evidence.

11 MR. CARR: And that concludes my examination of
12 Mr. Savage at 28 minutes and 26 seconds under the
13 presentation.

14 EXAMINER CATANACH: Mr. Bruce?

15 CROSS-EXAMINATION

16 BY MR. BRUCE:

17 Q. You've got Exhibit 17 --

18 A. Yeah.

19 Q. -- in front of you there?

20 Now, if you compared the State "S" Number 1 well
21 with, over in Section 1, the WLSU Number 7, which used to
22 be the Speight well, which well is more valuable?

23 A. Probably ultimately the State "S" is going to be,
24 according to your testimony -- I mean Gillespie's
25 testimony.

1 Q. And why would that be?

2 A. Because they're low on structure. And as these
3 wells -- as gas -- as the gas cap expands, they're going to
4 have to be shut in, and the lower wells on structure will
5 be the wells you need to have in your unit to produce, if,
6 in fact, you know, we're getting -- if it's as presented
7 where we're getting pushed from the gas cap.

8 Q. Does -- Your formula doesn't give any value to
9 the Unit Number 7 well, does it?

10 A. Why doesn't it?

11 Q. Well, your formula gives 50 percent to current
12 oil rate, and the Number 7 well is an injector. So that
13 gives absolutely no credit for forming the gas cap for that
14 unit; is that correct?

15 A. No. It's providing pressure support for those
16 other wells, so it becomes an integral part of that unit,
17 whether you put it back on production and start producing
18 that gas of there, which reduces the pressure, which causes
19 these other wells' production rates to go down, or you put
20 gas in it and let those wells produce at higher rates.

21 Q. But it's not given any credit for oil production,
22 or any production?

23 A. The unit -- All these unit wells are treated as a
24 well.

25 Q. But your participation formula depends on current

1 oil producing rate?

2 A. Current oil producing rate.

3 Q. So the Speight Number 1 gets no credit for being
4 an injector?

5 A. No, that's not correct.

6 Q. What value does it get, then?

7 A. It gets value as it -- I'm not touching the
8 individual values of these wells; that has already been --
9 you all have already established a relationship between
10 these wells and these tracts when you unitized it.

11 So I can't touch that. All I can do is look at
12 this as a lease. I mean, however you operate that lease,
13 if you're going to inject in one well to make other wells
14 produce better, then it becomes part of the total
15 production for that lease.

16 If you don't want to inject in that well and you
17 want to shut it in, then that's still part of that lease.

18 If you want to produce the gas out of that and
19 reduce the pressure in the reservoir and cause the other
20 wells' production to decrease, then it's taken into
21 account. I mean, it's taken into account.

22 Q. Do you think that would be smart to stop
23 injection in this reservoir?

24 A. Well, no, I think that what you're doing is
25 pretty good.

1 Q. Now, what you're telling me is, if you knew what
2 the unit boundaries were, exactly, the very best way to
3 produce it would be to have the injector at the highest
4 possible spot and have a few wells out at the fringes,
5 downdip?

6 A. I don't suggest that. I mean, you already
7 have -- I mean, when you do that, when you do that, what's
8 going to happen in this reservoir, you're going to produce
9 as much oil as you need -- or, I mean, that you can produce
10 as you go along, just for economics.

11 I don't -- I'm not saying that you shut in these
12 other wells. You're going to shut them in as you have to.
13 Whether they get GOR-limited or whether you want to
14 conserve energy, you're going to shut those wells in, and
15 you're going to start just producing the wells
16 downstructure.

17 I mean, that's how you manage this reservoir.
18 That's how Gillespie is going to manage this reservoir.
19 You can ask him how he's going to manage this reservoir.
20 That's how he's going to do it.

21 Q. But it cuts into the credit for these wells that
22 have the very hydrocarbon pore value, doesn't it?

23 A. See, the hydrocarbon pore volume -- You know,
24 that's the rub here. When you look at Gillespie's
25 interpretation, Gillespie/Enserch interpretation, that's

1 their interpretation of the field.

2 I mean, they used whatever data they could. And
3 Brett has done that. And they're different, because
4 they've taken different things into account. And so -- And
5 the oil in place is very subjective. That's the problem
6 with it, it's very subjective.

7 And we don't know -- and I can tell you right
8 now, the thing that bothers me -- and it bothers me, and
9 I'm only 9 percent different. You know, I've got 1.2
10 million barrels different between our representation about
11 where the oil is and what material balance says. But you
12 all have another million barrels.

13 So what we're doing is, we're fighting over 12.9
14 or 12.3 million barrels, and at the same time we have an
15 expert that says there are really 15 million barrels. Now,
16 what's fair here?

17 That's a real problem for me. I didn't know how
18 to really present this, because my numbers didn't come
19 together.

20 Q. Have you ever done a history match for this well?

21 A. No.

22 Q. Wasn't Williamson hired three or four years ago
23 to do a history match --

24 A. Yes.

25 Q. -- by Charles Gillespie?

1 A. Yes.

2 Q. Couldn't do it, could you?

3 A. That's exactly right.

4 Q. Does material balance tell you where the oil is?

5 A. No, that's exactly --

6 Q. Also, in your --

7 A. See, that's the problem.

8 Q. Also, in your participation formula you talk
9 about current oil rate. That doesn't take into account
10 wells that may be artificially restricted in their
11 production --

12 A. Well --

13 Q. -- does it?

14 A. No, it doesn't.

15 Q. Some of these wells might have to be restricted
16 because of increased gas-oil ratio; isn't that correct?

17 A. Well, that's not an artificial restriction?

18 Q. That's not artificial?

19 A. No, that's good reservoir management.

20 Q. Okay.

21 A. And see, if you don't do that in that well --
22 See, you're not -- an operator won't look at these wells as
23 one well against another. He looks at total production,
24 and he's going to -- if a well is harming him by producing
25 energy out of that reservoir of gas that you guys are

1 buying right now to put it into the reservoir, you're not
2 going to produce gas; you're going to shut that in so you
3 maximize the production out of the other wells. I mean,
4 that's just good reservoir management.

5 Q. You said that you had done some figures. You
6 talked about the Snyder "EC" Com, did --

7 A. Yes.

8 Q. -- some figures there on what that would produce.
9 What about the State "S" Number 1? Have you ever done
10 anything on that, what that well would ultimately produce?

11 A. I did not go into individual decline curves on
12 these because this -- you know, this unit has been -- It
13 came on close to the time where we had pressure maintenance
14 and other things going on, which makes it a little
15 difficult.

16 And it wasn't really in the same situation as
17 what was being presented about the Snyder "EC". I mean,
18 the Snyder "EC", nobody was going to bring it into the
19 unit, and I just wanted to let people know that this was
20 not just a piddly little well out there. I understand it's
21 on pump. But you know, pumping wells pump for a long time.

22 And that's what this thing is doing, and it's
23 going to -- If you leave it alone, look how far away it is
24 from all these other wells here. There's a lot of oil out
25 there. And these wells aren't going to produce it because

1 this well is lower on structure, this well is going to sit
2 there and suck all that oil out of your unit, and you don't
3 care. It's going to do it slowly.

4 MR. BRUCE: Mr. Examiner, I would object to the
5 characterization that we don't care. We were asked to
6 leave that unit --

7 THE WITNESS: I'm sorry.

8 MR. BRUCE: -- out of the unit -- that well out
9 of the unit.

10 THE WITNESS: I'm sorry, I got carried away. I
11 apologize.

12 Q. (By Mr. Bruce) Now, looking at your Exhibit 21,
13 what you're saying, you're giving original oil in place to
14 Tracts 12 and 13, which is the State "S" Number 1 tract,
15 about 254,000 barrels? Tracts 12 and 13?

16 A. Yes, sir, excuse me.

17 Q. Do you know what the current total production is
18 from the State "S" Number 1?

19 A. No, I couldn't tell you. I mean, I could find
20 out, but I really don't know.

21 Q. I think there's previous testimony there's about
22 140,000 barrels?

23 A. 140,000.

24 Q. So it's recovered already 70 percent of the oil
25 under its tract, roughly?

1 A. You can probably go -- Yeah. I mean, if that's
2 the way it calculates, you're right. There's going to be -
3 - I mean, if you want to look at it that way, you know, you
4 can go up into your section up here without any wells, and
5 you're giving these guys barrels and here they're getting
6 barrels in any other well.

7 So, no, this is going to happen. You're going to
8 have wells that are very good wells, that are going to cum
9 more. You know, that's why you need to unitize this thing
10 fairly, so that everybody gets in there and you don't have
11 these kinds of discussions.

12 But you get up at Hanley, see, where you've
13 done -- where I think it's been done wrong. And whether
14 this is right I'm not sure because, you know, it's so
15 interpretive. But it's certainly better than getting
16 30,000 barrels of oil in place out there.

17 Q. Well, what would the Chandler well have produced
18 without the pressure-maintenance project? Do you have an
19 idea?

20 A. Well, I think it will probably -- it would
21 probably, if you didn't have pressure maintenance but you
22 did unitize, say -- say you unitized, because you realized
23 that you have problems, and you still operated this well so
24 that you're in control of the wells at the top. I think
25 that they would -- I think my expectation is somewhere

1 between 150,000 and 250,000 barrels.

2 Q. But without unitization?

3 A. Yeah, without -- I'm talking about without
4 unitization.

5 Q. Where would that --

6 A. Well --

7 Q. Where would that come from?

8 A. Well, it will come from the lease line. You see?
9 I mean --

10 Q. The unit --

11 A. -- that --

12 Q. The unit? The unit, in other words?

13 A. Sure, yeah. I mean, when Hanley was drilled, it
14 was drained already by the unit wells. I mean, that unit
15 line, it goes both ways, you know. I mean, if you can
16 drain both ways. So that's what's going to happen, and
17 that's why you need to take care of these things.

18 Q. So currently it's draining the unit?

19 A. I don't know about that. It may be draining
20 itself out here.

21 Q. Do you have an explanation for inclining
22 production in that well?

23 A. According to Hanley, the incline -- Oh, yeah, I
24 meant to mention that. According to Hanley, the incline is
25 that, you know, the well came on and produced a lot of

1 water. And it took them, I think, five or six months, to
2 line that well up, changing the choke around, getting it
3 set up, because they were afraid of the water and how all
4 that worked. And they got it lined up by then.

5 But there was prior testimony that blamed that on
6 their injection. You know, I mean, the injection caused
7 it.

8 But when I looked at -- I would need that
9 exhibit, your Exhibit 8A which shows -- well, I think it's
10 your Exhibit 11 also, shows that the reservoir pressure at
11 the time Hanley drilled their well was 3310, in March of
12 1996, and every pressure point after that was lower, so
13 that it was not getting the pressure push from the unit.
14 Actually, the unit -- the pressure in the reservoir was
15 going down.

16 So that was really -- should have caused Hanley's
17 well to go down, you know, I mean if the performance of
18 that well is based on your pressure maintenance. I mean,
19 it's pretty good physics of you can do it the other way
20 around.

21 Q. Looking at Exhibit 17, the -- as an engineer, how
22 would you characterize the west half of Section 28? Are
23 those reserves -- Are they proven undeveloped reserves, are
24 they probable reserves, are they possible reserves?

25 A. Well, let me just make some statements about my

1 feelings about this, is that it -- too few wells drilled to
2 define this pool by well control.

3 You only have -- I can't -- one, two -- you
4 really -- and maybe the State "D". There's only a few
5 wells that can be used to define the outer boundaries of
6 this pool.

7 Every -- The wells that are inside the pool, you
8 can say that they're thin or the reservoir isn't as good,
9 but you can't say where the zero is because they're inside.

10 So when you put a zero line outside that well,
11 you're just -- you're extrapolating data. And so the only
12 good data for drawing zero lines are the data points
13 outside the zero lines.

14 Q. Now, getting to volumetrics, what was density
15 porosity -- Now, you used density porosity, excuse me.

16 A. Yes, sir.

17 Q. And Gillespie used crossflow; is that --

18 A. Not -- Well, Gillespie in their early testimony
19 used some -- used core data and used some percent of
20 density.

21 But I heard today or yesterday someone say that
22 they used crossplot, but I don't know if that was a
23 misstatement or...

24 Q. What would be the effect if you used a lower
25 porosity on your...

1 A. He used Archie's equation.

2 Q. I'm sorry?

3 A. He used Archie's equation, that is typical for
4 use out here. I think someone else called it the Permian
5 Basin equation, but I don't think they'll find that in the
6 literature.

7 But it's water saturation equals the square root
8 of R_w over R_t times porosity squared -- R_t times porosity
9 squared --

10 Q. Let me ask you about your Exhibit 21 very
11 briefly. That's your proposed participation formula. Do
12 you have that in front of you there?

13 A. Uh-huh.

14 Q. Down at the bottom right-hand corner there's a
15 date indicated May 13th, 1997, which was --

16 A. Yes.

17 Q. -- Tuesday, I believe.

18 A. That's when we could do it.

19 Q. All right. Do you know when it was delivered to
20 Hanley and Yates?

21 A. I would assume -- I want to say that we probably
22 faxed it that day, but we may not. I may have brought it
23 with me.

24 Q. All right. Is it safe to assume that none of the
25 other working interests or royalty interests in the

1 proposed expansion acreage have even seen this?

2 A. That's so. They didn't see this; they have seen
3 a rough at some point.

4 Q. Do you have any consents from any royalty
5 interest or working interest?

6 A. I'm not a part of the consent business or, you
7 know, that business.

8 Q. All right, you simply don't know?

9 A. No, sir, I don't know.

10 MR. HALL: That's all I have, Mr. Catanach.

11 MR. BRUCE: One thing, Mr. Examiner. I asked a
12 question, and I don't -- I got sidetracked.

13 CROSS-EXAMINATION (Continued)

14 BY MR. BRUCE:

15 Q. Once again, looking at Exhibit 17, the west half
16 of Section 28, would you characterize that tract as having
17 proved undeveloped reserves?

18 A. The feature out here?

19 Q. Just the entire west half and southwest --

20 A. By -- it's -- what -- what --

21 Q. -- and northeast of Section 28.

22 A. What kind of definition are you using?

23 Q. Are they proved undeveloped reserves?

24 A. You've got to tell me what definition you're
25 using. Are you using SEC definition, or are you using SPG

1 definition? Either/or.

2 Q. Answer it over both.

3 A. Okay. SEC, it would not be. Okay? If you're
4 talking SEC.

5 If you're talking SPE, it would, because you can
6 take into account your interpretation of the structure as
7 to what's proved or not, if you have enough data points to
8 tell you that you can do that. But if it was SEC, they
9 limit it to a location away, and you can't use interpretive
10 data like that for SEC. But --

11 Q. What would they be classified as, under SEC?

12 A. Williams would probably classify them as
13 probable, which is the next classification down.

14 MR. BRUCE: That's all, Mr. Examiner.

15 EXAMINATION

16 BY EXAMINER CATANACH:

17 Q. Mr. Savage, according to your participation
18 formula, 79 percent of the participation would be
19 attributed to the current unit as it stands right now?

20 That would -- If we used your table, we'd have to
21 adjust -- within the unit, we'd have to adjust the
22 individual tracts to account for this 79 percent instead of
23 the 100 percent that's used before, right?

24 A. Well, you would have to take 79 times their
25 interest right now. They would -- Their interest right now

1 would be a tract-participation interest, and then this
2 would be the interest that would be multiplied to get their
3 -- in the -- yeah.

4 Q. Yeah, according to your formula, their
5 participation isn't going to change --

6 A. Right.

7 Q. -- the percentage; just the total is going to
8 change?

9 A. Yes, sir.

10 Q. According to your participation formula, the
11 Tract 14, which would be the Chandler tract, would be --
12 they would get approximately 6-percent participation?

13 A. Yes, sir.

14 Q. Do you recall what, under the Gillespie-Crow
15 unit, do you recall what that number was?

16 A. I want to say it's two or three percent or less.

17 See, I didn't -- I'm not good with comparative
18 because I went into this thing really -- I'd seen the
19 exhibits, but I didn't study them, and I didn't do a
20 comparative as I went along, because my -- honestly, my
21 feeling was, I thought they had described the reservoir
22 wrong.

23 So I didn't even -- I really wasn't into
24 comparing. But I think this is quite a bit higher.

25 But they had drawn their zero line, that you

1 remember, just right above the well, so they didn't give it
2 very much oil in place.

3 It may have been less than one percent. It may
4 have been about like a half a percent.

5 Q. By far the biggest new contributor would be Tract
6 15 at 654,000 barrels of oil; is that right?

7 A. Yes, sir, and then it would be deemed because it
8 didn't have any producing on it. Even though it had that,
9 it only ends up with a 2.5-percent interest.

10 EXAMINER CATANACH: I've got no further questions
11 of this witness.

12 MR. CARR: No further questions.

13 EXAMINER CATANACH: No further questions?

14 MR. HALL: (Shakes head)

15 EXAMINER CATANACH: Gentlemen?

16 This witness may be excused.

17 MR. CARR: May it please the Examiner, that
18 concludes our presentation in this case.

19 MR. HALL: Call one rebuttal witness.

20 EXAMINER CATANACH: Okay.

21 MR. HALL: We can take a break now if -- or you
22 would like to proceed?

23 EXAMINER CATANACH: Who is your witness?

24 MR. HALL: Ralph Nelson.

25 EXAMINER CATANACH: Yeah, let's go forward.

1 Go ahead, Mr. Hall.

2 RALPH NELSON,

3 the witness herein, having been previously duly sworn upon
4 his oath, was examined and testified as follows:

5 DIRECT EXAMINATION

6 BY MR. HALL:

7 Q. Mr. Nelson, if you would, please, I'd like for
8 you to explain to the Hearing Examiner the method you used
9 to calculate hydrocarbon pore volume and what industry
10 standard you used in conjunction with that.

11 If you want to refer to Exhibit 30 and identify
12 that for the Examiner --

13 A. Exhibit 30 is a tabular display of our QLA2 log
14 analysis that we did on the Chandler Number 1 well.

15 As I previously said, I think we used the square
16 root of one over porosity squared times R_w , divided by R_t .
17 I believe that was -- a different wording of that was said
18 just a moment ago.

19 The difference that we did, I guess, between
20 their program and our program is, Platt Sparks came to the
21 OCD and the OCD accepted their crossplotted porosity as the
22 correct method to do log analysis in this pool.

23 And before we -- Gillespie-Crow and Enserch had
24 come to the OCD and I had compared core porosity with -- to
25 log porosity and could see that there was -- the core

1 porosity was about 85 percent of density porosity.

2 But the OCD accepted the crossplotted porosity as
3 the more commonly used way to handle a density neutron log
4 where the neutron read lower porosity than the density,
5 and we used that same method when we performed the log
6 analysis for the Chandler and the State "S" well.

7 So I believe Hanley testified that they had a
8 measured R_w of .047. We had a measured R_w from the Klein
9 well, from a drill stem test, of .052. I believe that was
10 testified earlier in the original hearing as to where we
11 came up with that R_w .

12 And quickly comparing the two R_w 's used and some
13 of their porosity values and resistivities as they had
14 stated, that's going to make a very small difference,
15 around three percent, in the numbers.

16 When we -- When I started looking through this
17 Exhibit 14 --

18 Q. What is 14?

19 A. Yates Exhibit 14.

20 Q. That's the log analysis?

21 A. On the Wiley Fee Number 1.

22 -- I took the density porosity at a depth of
23 11,575. They showed a 6-percent. I used the formula that
24 we had used, I used the formula that they said they had
25 used -- I think some other people had checked it -- I used

1 their R_t . I can't come up with their water-saturation
2 numbers. And that was true for some other numbers in here
3 also.

4 Water-saturation number for that one foot, as I
5 recall, was about 16 percent. Again, a difference.

6 I think also previously it had been testified
7 about the water saturation and in the Chandler well that we
8 couldn't really see an oil-water contact.

9 And yes, in a carbonate reservoir with porosity
10 lenses you can get a smearing, so to speak, of the oil-
11 water contact so that our simplified number of 7617, which
12 was challenged, is not completely correct. However, I
13 think the statement was made that there as no water contact
14 in the Chandler Number 1.

15 I think you can see from the QLA2 analysis, you
16 have an increasing water saturation. And at 11,603 you've
17 got 62.9-percent water saturation. If you use the .047 R_w
18 at that point, then you have a 59.1-percent water
19 saturation.

20 I think that suggests that perhaps the water
21 contact in this well is perhaps substantially higher than
22 we had it picked.

23 If you use 11,594, the water saturation on this
24 tabulation is 55 percent.

25 Q. You heard Mr. Bracken testify that he used a

1 water saturation factor of around 40 percent for the
2 Chandler well. Do you remember that?

3 A. That's correct.

4 Q. Is that correct? Do you agree with that?

5 A. Well, our numbers had been higher for a cutoff
6 than that. But if you use that percentage, then in our
7 QLA2 printout, then this water contact would be up
8 11,590.5, or 11,590, since that's essentially 40 percent.

9 What this does is, number one, I'm -- I did
10 compare -- Go back to Exhibit 14, the tabulation that says
11 in the front page, it says the pay hydrocarbon thickness is
12 4.1987. I assume that that's a hydrocarbon pore foot
13 thickness for this well. I compared it to the Hanley
14 hydrocarbon pore volume map.

15 Q. That's Exhibit 17?

16 A. Yes.

17 Q. Will you look at that?

18 A. Those two numbers are different. The map shows
19 3.7; this shows essentially 4.2.

20 Q. So Hanley's own exhibits contradict each other?

21 A. Yes, they do.

22 Also, on that same Exhibit 14 for the Klein Fee
23 Number 1, that same pay hydrocarbon thickness shows to be
24 3.2 feet, and that shows 2.2 feet. I'm not sure of the
25 discrepancy, why they would be different.

1 I'm surprised that they came in with the Wiley
2 Fee and the Klein, which are unit wells 10 and 11, and
3 didn't have a similar tabulation for the Chandler well.
4 But our tabulation shows that the water contact is 11,603,
5 perhaps as high as 11,590. The KB elevation is 3999. So
6 essentially, then, you're reading 7590 as their oil-water
7 contact at the highest point in this QLA2 analysis, and
8 then 7604 at the lower point.

9 If you look at -- I want to look at this net
10 porosity structure map.

11 Q. If you have an exhibit number it would be helpful
12 to us all. Is that 11?

13 A. Yes, yes. It's looking at --

14 Q. Just a minute, let's make sure the Examiner has
15 his copy.

16 EXAMINER CATANACH: Are you looking at 11?

17 THE WITNESS: Exhibit 11.

18 Q. (By Mr. Hall) Go ahead.

19 A. If we look at what has been labeled Tract 15 and
20 you use a water contact of a subsea of 7604, then clearly
21 the mound in the west half of the tract is separated from
22 the unit. And if you use a number of 7590, then it's --
23 that mound is below the oil-water contact.

24 Q. Let's talk about the Hanley seismic exhibits, if
25 you'd like --

1 A. Okay.

2 Q. -- Exhibits 8 and 9, the 2-D and the 3-D.

3 A. I believe there was a lot of discussion earlier
4 concerning the seismic and the reliability of the seismic
5 and the accuracy of the seismic, as I understood.

6 When you look at Exhibit Number 9, the Yates
7 Chambers well, which is the northeast of the southeast in
8 27, I would interpret from this map to that structure point
9 to have been about 7675. I believe Hanley testified on
10 their Exhibit 10 that their pick of the Strawn there was
11 7580, which is just about a hundred feet.

12 I had picked the Strawn lower -- or, excuse me, I
13 had the Strawn reported lower than that, but 7580 still --
14 76- -- 7580 still proves that point.

15 Again, this is the 2-D structure map. I do
16 understand that. Maybe I misunderstood some of the
17 testimony, what the purple highlighting meant. I thought
18 that meant that that was good on this map, on the seismic,
19 and yet there are unit wells that are just 330 feet, and
20 I'm not sure the distance of the Hamilton Number 3, which
21 is Unit Well Number 4. Quite good producers, have no
22 seismic anomaly apparently noted from the 2-D data, right
23 across the center part of the field.

24 I think the seismic has been useful out here in
25 pointing us in the right direction, but to assign accuracy

1 to it, I don't believe, is proper use of the data.

2 Q. All right, let's look at Exhibit 8 real quick.

3 If you look to the west, the left side of the
4 exhibit, you get into Section 29, there starts to appear
5 another mound there. Do you see that --

6 A. Yes.

7 Q. -- right about at the fold?

8 That mound seems to be the same interval as the
9 mound shown within 28; do you agree with that?

10 A. That's correct.

11 Q. The mound to the west, whether it's in
12 communication or not, that's not reflected, that's not
13 honored on any of the other Hanley/Yates isopachs or
14 structure maps?

15 A. No. It's not on their hydrocarbon pore volume
16 map, which is Exhibit 17. There is no evidence of that
17 additional mound, and that is a mound that -- well, I'm not
18 sure of the ownership, but I don't believe it's Hanley
19 ownership over there in 29.

20 Q. Anything further you wish to add?

21 A. No.

22 Q. Was Exhibit 30 prepared by you or at your
23 direction?

24 A. Yes, it was.

25 MR. HALL: I move the introduction of 30. That

1 concludes our rebuttal exam.

2 EXAMINER CATANACH: Exhibit 30 will be admitted
3 as evidence.

4 Mr. Carr?

5 CROSS-EXAMINATION

6 BY MR. CARR:

7 Q. Mr. Nelson, if I understood your testimony, when
8 you look at the seismic information presented by Hanley,
9 you would interpret it somewhat differently; is that what
10 you said?

11 A. Repeat that -- I don't have a seismic to
12 interpret. Is that -- Is that your question?

13 Q. When you look at the data presented by Hanley,
14 these seismic exhibits --

15 A. The map.

16 Q. -- was it your testimony that you might interpret
17 this information somewhat differently?

18 A. Well, in terms of what?

19 Q. I mean, do you agree with the interpretation of
20 Hanley?

21 A. Exhibit 9?

22 Q. Yes, or 8?

23 A. Either/or, or specifically one or the other?

24 Q. Either one. Do you agree with either?

25 A. Well, as I pointed out in Exhibit 9, the

1 structural point is not the same as the well drilled out.
2 It's about a hundred feet of. I mean, it's 95 -- or where
3 it's over 100 if I'm picking it.

4 And yes, that is a contour option. I understand
5 that's a contour option. But that would suggest to me,
6 then, perhaps their velocity data was not correct, but I'm
7 not a geophysicist.

8 Q. Well, what were you trying to say? You might
9 read it differently?

10 MR. HALL: I'm going to object. That question
11 has been asked and answered, same question.

12 Q. (By Mr. Carr) Is seismic a tool you think is
13 valuable for you to use if you were trying to interpret the
14 reservoir north of the unit?

15 A. I believe seismic -- It has been testified that
16 seismic within the unit has not been accurate in depicting,
17 one, the State "S" well, was not separate mound. So why
18 should it be any different to the north? I don't know.

19 Q. My question is, when you're trying to map a
20 reservoir, is seismic a tool you would consider valuable in
21 trying to determine a boundary when you don't have actually
22 wells on every tract?

23 A. I would use seismic, yes.

24 Q. And you do have seismic within the unit, do you
25 not?

1 A. Yes, we do.

2 Q. And you elected not to present any of it here
3 today; isn't that right?

4 A. That's correct.

5 MR. CARR: Thank you.

6 EXAMINATION

7 BY EXAMINER CATANACH:

8 Q. Mr. Nelson, you have -- What type of seismic do
9 you have within the unit? 2-D or --

10 A. We have both 2-D and 3-D.

11 EXAMINER CATANACH: That's all I have of this
12 witness.

13 Anything further?

14 MR. CARR: Nothing further.

15 MR. HALL: No.

16 MR. CARR: I have a fabulous closing.

17 EXAMINER CATANACH: Okay.

18 MR. CARR: I do have a closing statement.

19 EXAMINER CATANACH: Okay, Mr. Carr, we'll let you
20 give your wonderful closing statement.

21 MR. CARR: May it please the Examiner, this case
22 is obviously about correlative rights, but it's about more
23 than that. It's about how this reservoir has been
24 unitized, it's about how interest owners other than the
25 operator and those in the present unit have actually been

1 treated.

2 And we're here today to tell you that our rights
3 are being violated, and they're being violated because we
4 believe the boundary as presented to you is improper. We
5 believe the formula utilized is unfair.

6 I stand before you, I submit, in a position
7 somewhat different than my opponents here today, because we
8 came in and we presented the geology that we had. We've
9 shown you what we think the seismic shows, we've shown you
10 how we analyze the reservoir.

11 But there's an interesting presentation on the
12 other side, because I will submit to you that Gillespie-
13 Crow/Enserch did not present their geology, did not show
14 you what they know about the reservoir. What they did was
15 basically hide behind the Platt Sparks map and a prior
16 order of the Division.

17 And when you say, What do you believe?, they
18 said, Well, the Commission has told us, the Division has
19 told us, on another day and another case with other issues.

20 It's interesting to listen to a presentation
21 where Gillespie-Crow paid for 2-D and 3-D seismic across
22 the unit, they've integrated it into prior mapping, but
23 they won't use it now.

24 And yet at the same time, when you look at their
25 geological interpretations, they can find a high in the

1 northwest of the unit without well control to support it.
2 They can take their mapping and their zero contour to the
3 extreme northwest corner of the unit, no well control to
4 support it. They can include substantial acreage in the
5 northeast of the unit, no well control to support it. All
6 without data points. Kind of saying, Well, the Commission
7 made me do it because they accepted Platt Sparks' map.

8 But I will tell you what is curious about this,
9 is, I don't know how a person can map a reservoir in 1994
10 using seismic and walk in here with a straight face and
11 say, Well, I mapped it without it today; it just happens to
12 match; I guess I forgot the seismic, but without data my
13 contours are the same. And I submit to you something is
14 radically wrong there.

15 They're going to talk to you, when they close,
16 about the relevance of the geology in the original well,
17 and they're going to say it has no relevance whatsoever,
18 but it does. And the reason it is relevant is because if
19 we are pushed into this unit we share with them in that
20 unit, based on that geology.

21 And what we see is a tract being put in on the
22 State "S", in the case of the State "S" or the Chandler,
23 with a well on it. But with hard data we've proven what
24 that acreage can do. And we're being put in with acreage
25 that is speculative, it's geological.

1 Mr. Bruce would say, We don't have any well
2 control in the northern extension you're proposing to the
3 unit.

4 But look at the unit. Go right around the edge.
5 Look at tract after tract after tract. No geological
6 control, no well data. Only interpretive information,
7 something which they thought was right when they unitized
8 initially, something which for some reason is wrong today.

9 It's a valid tool. We've come in shown you the
10 data we used to map the reservoir, and we believe today
11 when they expand it the data should be evaluated and
12 treated as it was back in 1995, and the unit as it is now
13 shown with the integration of all available information,
14 the boundaries ought to be expanded, the unit ought to be
15 expanded to include all acreage thereby that's going to be
16 affected by the production from this reservoir.

17 The time to do this right, the time to do it, is
18 now. In 1995 they drew their map to include what they
19 believe to be the entire reservoir, and yet today they
20 don't want to do that, and we think they must.

21 I think the best example of how Mr. Gillespie has
22 been treating others in this case, and I suspect a pretty
23 good example of what's wrong with this formula plays out
24 when you take a look at the new well they're proposing in
25 the west half of the northeast quarter of Section 34.

1 Mr. Mladenka says, Mr. Gillespie wants to drill
2 now, while he can share the risk, share with us.

3 But you see, the problem with that is that if we
4 drill a great well, what's going to happen to it? Look at
5 their -- I think it's 5A, the map -- their porosity-feet
6 map. They bring it in, and you will see that there is only
7 a small portion of the spacing unit that they're going to
8 attribute any hydrocarbon pore volume to, and it's a thin
9 sliver at that.

10 I mean, we're going to have another situation
11 where we bear the risk, and if we are successful we get
12 almost nothing, we have one of these 200-barrels-to-4-
13 barrels-a-day sort of penalty imposed on us.

14 Now, they say, Oh, you could go out and drill a
15 well. Sure, we could drill a well north of the State "S",
16 and we all know we could drill other wells in the Hanley --
17 the acreage. I mean, physically you could go out, take a
18 rig and drill a well.

19 But the issue is, would a prudent operator drill
20 a well when, if he's successful, it won't be his tomorrow?
21 And that's why we've got this mess before you.

22 Now, let's look at the formula. In the testimony
23 you incorporated by reference yesterday, Bill Crow was
24 testifying about how they brought Phillips into the
25 original unit, the 3-D seismic. Met with Phillips several

1 times -- he described them as lengthy meetings -- where
2 they took the data and they worked it out.

3 And what did they do? Crow says they increased
4 the interval on the Phillips tract, made it thicker. The
5 result is, Phillips got more.

6 So when you go into this unit, what happens when
7 you -- like with normal unitization, we all get together,
8 we develop a unit, we look at the formula, we look at the
9 boundaries. And then when it meets the criteria so that
10 people are satisfied it's fair, you can disapprove.

11 But that didn't happen here. The boundaries were
12 constructed in such a way that, whether by chance or
13 happenstance, Yates and Hanley were not involved.

14 And we hear a lot of things about, Well, Mr.
15 Gillespie owned a heck of a lot of acreage. Of course he
16 does, out here. I mean, that's obvious, and it's just a
17 red herring.

18 The issue is, Yates and Hanley did not own
19 anything in the original unit. Their acreage was
20 immediately offsetting.

21 And now, because of the way this has played out,
22 we're not in a position where we can negotiate changes in
23 the formula; we have to come here. And because what we
24 have done at an operator level has failed, we have to dump
25 that on you. I think that's unfair. I think it's unfair

1 to us, and I think it's unfair to you.

2 But Dr. Boneau has shown you what the Gillespie
3 proposal will, in fact, do to Yates and Hanley, Exhibit 5A.
4 We submit that's not fair, it's not reasonable, it's not
5 equitable.

6 John Savage has shown you how you could add
7 another factor to the formula that would improve it, make
8 it more fair, make it more reasonable, make it more
9 equitable.

10 And he also pointed out that the way they went
11 about excluding the Snyder "EC" Com, in fact, what they're
12 doing is using producing rate as a factor because they
13 won't exclude the unit if you have too low a -- I mean
14 expand the unit into tracts if a you have a well with too
15 low a producing rate.

16 So we have a formula, and then we have sort of a
17 formula, and then we have a proposed formula. And get
18 ready, it's all coming to you. And there a lot of false
19 issues that have been raised.

20 I've mentioned the Gillespie ownership issue, the
21 cost to the unit. Well, there are costs to the unit,
22 obviously; we're not pretending that things aren't
23 happening that are.

24 But you're only getting part of the story because
25 nobody's suggesting to you what kind of value they're going

1 to get when they sweep drycast through the reservoir, pick
2 up the liquids and sell them there.

3 There's a real valuable offset to the costs
4 they're lopping at you and saying how rough it is for them
5 that this is happening. And I submit to you if it is a
6 rough deal it's because they didn't get with it after their
7 letter in January last year and get this thing unitized.

8 Mr. Savage pointed out -- we were talking about
9 damage to their pressure-maintenance project -- it would
10 have happened anyway. And what they are now characterizing
11 as his horrible problem is really an issue related to
12 management of the reservoir.

13 I have the unpleasant task of going first in
14 closing, and you're going to hear about *de facto*
15 applications. You're going to hear that, you know, we
16 didn't bring a case before you, notifying everyone.

17 But I want to tell you, I believe that is nothing
18 more than an attempt to divert you from what you are told
19 to do by statute, and that's protect the correlative rights
20 of all interest owners in this reservoir. And I don't like
21 to be accused of cutting up, but when I did cut out the
22 unit a few minutes ago, that's what they'd like you to look
23 at, and that alone.

24 But, you see, you can't do that, because you
25 can't be put in that kind of place. Because if you are,

1 your only choice is to just bless what they have decided to
2 do. And that's what's gotten us into this mess to begin
3 with.

4 And so I guess the questions for you, other than
5 the obvious ones about the formula and the boundary, are
6 these: Is it not time to unitize the reservoir correctly?
7 Shouldn't Mr. Gillespie be told it's time to do it right?
8 Because if you don't, you're in essence authorizing more of
9 this same sort of stuff.

10 I guess the question is, do you want us to come
11 back with a new case involving an additional well next to
12 the Chandler Well North, and in a few months later we'll
13 see you again about the well they're proposing now north of
14 the State "S". Isn't it time to do this right?

15 You can do it two ways. You can either expand
16 the unit and amend the formula -- and you have the
17 authority to do that by statute -- or you can tell Mr.
18 Gillespie, No, go back and do it right.

19 Either of those -- By doing either of those, you
20 will have acted to protect correlative rights. But if you
21 don't do one of those, you'll have ignored what the
22 statutes -- the Oil and Gas Act tells you to do.

23 EXAMINER CATANACH: Mr. Carr.

24 Mr. Bruce? Mr. Hall?

25 MR. BRUCE: Mr. Examiner, first off, I knew Bill

1 would bring up the correlative rights and about how these
2 other people are being harmed, despite the fact that Dr.
3 Boneau got up there and admitted that the injected gas is
4 producing, is pushing oil off the unit. Now, you tell me
5 who's being harmed by that. It's not the unit tracts; it's
6 the people in the unit.

7 Now, the Division has already found that the unit
8 agreement and the unit operating agreement are fair and
9 reasonable. They shouldn't be changed now. There's been
10 no material change in the circumstances.

11 I'll get into the participation formula. I have
12 a little quote here from a case. The opinion stated that
13 in any unitization case the oil should be divided on the
14 basis of 100-percent saturated hydrocarbon pore space.
15 That was the judge's ultimate decision on fairness. That's
16 exactly what we're asking.

17 As you know, you've been through a bunch of
18 unitization cases. There are any number of formulas that
19 can be considered fair. Perhaps the formula proposed by
20 Yates and Hanley might be fair in some circumstances.
21 Certainly in our circumstance, the formula in the existing
22 unit agreement is fair.

23 They've requested -- Yates and Hanley have
24 requested a major change in the participation formula. If
25 you go to Section 70-7-9B, it says participation factors in

1 an existing unit can't be changed without 100-percent
2 approval by interest owners in the existing unit.

3 I'm here representing Gillespie-Crow, Inc.,
4 today. I also represent Charles Gillespie, one of the
5 largest working interest owners in that unit. I'm here to
6 tell you right now, he won't approve that participation
7 formula. Therefore, there's not 100-percent approval on
8 that participation formula; that formula is dead. And all
9 we're here today to look at is the horizontal boundaries of
10 that unit.

11 Yates and Hanley state that the Application isn't
12 proper because it may include less than the entire
13 reservoir. The Statutory Unitization Act expressly allows
14 unitization of less than the entire reservoir, so long as
15 other portions of the pool are not adversely affected.

16 Every witness who got up here said other portions
17 of the pool are not being adversely affected. Therefore,
18 this Application is proper.

19 Every unit agreement that comes in front of this
20 Division has a provision on expansion. Every unit
21 agreement allows for expansion. Why? There might be
22 additional development, you might find new data and then
23 you can expand the unit at that time. There's nothing
24 wrong with that.

25 In addition, the Statutory Unitization Act, the

1 main thing is not whether you have the entire unit. What
2 you look at is whether the acreage that you seek to add to
3 a unit has been reasonably defined by development.

4 The only acreage that has been reasonably defined
5 by development is State "S" Number 1 acreage, Chandler
6 Number 1 acreage.

7 Gillespie-Crow has done the proper thing and
8 limited expansion in this case.

9 What Yates and Hanley seek to do is include
10 exploratory acreage. They're asking for all this downdip
11 acreage to be included that has no wells on it. That's
12 what's done in exploratory units, not secondary recovery
13 units.

14 And there's one reason for that: If you have an
15 exploratory unit, there's a time limit on forming
16 participating areas. And you can contract acreage out of
17 the unit if it's not productive. That's what's required by
18 the state and federal governments.

19 Not in the West Lovington-Strawn Unit. Once that
20 acreage is in there, it's in there. So if you add goat
21 pasture to the north, which is exactly what it is, and
22 somebody goes out there and drills a well and there's
23 nothing there, you can't take away the five or ten percent
24 Hanley is asking to be added in. You can't do that. And
25 that's why Hanley's Application is improper.

1 I've got a few other points to address in Mr.
2 Carr's closing.

3 You know, it's true, Yates and Hanley weren't at
4 the original Application. I'll leave you my copy of the
5 map I had on the wall. They seem to show some big
6 conspiracy theory; we'll get into that in a minute. But
7 Yates/Hanley Exhibit 22, which was the Enserch/Gillespie
8 map used at the original unitization hearing, that was
9 based on seismic, no question about that. And that showed
10 what they thought was the reservoirs of the boundary -- the
11 boundaries of the reservoir.

12 But in that hearing seismic was not accepted.
13 The Division accepted Hanley's -- excuse me, accepted
14 Snyder Ranches' interpretation, which was not based on
15 seismic. So you said, Don't use seismic.

16 If you accept Hanley's interpretations today,
17 you're switching on us, saying, Let's base the new unit
18 boundary on highly speculative seismic interpretations. We
19 don't think that's proper.

20 The fact of the matter is, in the original
21 hearing the opponents to Gillespie-Crow and Enserch
22 basically agreed with the unit outline.

23 Second fact of the matter is, these new wells
24 only added about plus or minus five percent to the
25 reservoir's volume and only really resulted in minor

1 changes to the original geology.

2 Now, like I said, the map I had on the wall, they
3 seem to discount this. I showed you all of this acreage, a
4 hundred percent owned, two-thirds owned, by Gillespie and
5 Enserch.

6 Yes, you do not form a development unit on
7 surface acreage, on surface ownership. But the fact is, if
8 you look at this, if Charles Gillespie had wanted to add in
9 extra acreage, he owned the interests, he could have
10 increased his interest in the unit by adding in his
11 acreage. Is that unfair? No, he excluded a lot of his
12 acreage because he didn't think it was fair to the interest
13 owners to include his acreage.

14 This proves that Gillespie-Crow did not form this
15 unit two years ago, based on land ownership.

16 Today, just this afternoon, Gillespie-Crow is
17 being criticized for excluding the Snyder "EC" Com Number 1
18 well from the unit. You've got the letter. Yates didn't
19 want it in, apparently other interest owners didn't want it
20 in. So Charles Gillespie said, Okay, fine. Now he's being
21 criticized for it.

22 And I'll tell you this: You show acreage to the
23 south that's a hundred percent Charles Gillespie. He
24 didn't ask to have it in, he doesn't want to have it in.
25 Frankly, I don't think he thinks it's productive. He's

1 been pretty aggressive in drilling wells out there.

2 Again, despite all the facts, Gillespie and
3 Enserch are being stated to be the cause of the delay in
4 unitization. If that's the case, why did Hanley keep its
5 well information tight for six months? Why did, in July,
6 1996, Yates write a letter to Gillespie-Crow saying, We
7 don't want the State "S" unitized? Does that sound
8 cooperative? Baloney.

9 There was opposition from the two main opponents
10 today, there were title problems, there were other delays
11 requested by Yates and Hanley. They could have started a
12 unitization study back in July when they got the data we
13 provided to them. They waited until March of this year to
14 do it.

15 The working interest owners within the unit took
16 the risk in developing this pool starting five years ago.
17 It's benefitted everyone out there. You wouldn't see the
18 Strawn activity in this area if it hadn't been for Charles
19 Gillespie and Enserch drilling that first well almost five
20 years ago. I think you need to give credit to the people
21 who did that, not insult them by telling them they don't
22 know what they're doing, even though they've drilled 11
23 commercial wells out there with zero failures.

24 If you approve the Yates/Hanley request, you will
25 be violating the correlative rights of the current working

1 interest owners, you will be adding highly speculative
2 acreage, acreage that can never be contracted out of the
3 unit, it will be unfair to everyone involved, and we ask
4 you to approve the Hanley App- -- excuse me, the Gillespie-
5 Crow Application, as presented, no modifications.

6 Thank you.

7 MR. HALL: Mr. Catanach, when we present these
8 cases to you, I like to see it done in a manner that helps
9 you craft an order. And in doing that I've always had a
10 vision about how a Hearing Examiner sits down, takes the
11 case presented to him, starts to craft this order. My view
12 may not comport with reality, but this is my vision.

13 I see a Hearing Examiner start with the
14 advertisement, see what the Application is all about, in
15 this case look at the ad, look at the notice, look at the
16 Gillespie-Crow pleadings, and he would see that it's a
17 quite simple expansion of an enhanced oil recovery unit
18 under the Statutory Unitization Act.

19 Then I think the next thing I would do is, I
20 would pull out a copy of the Statutory Unitization Act
21 itself and make sure the Application is in conformance with
22 all the requirements of that Act.

23 Delve further into the pleadings and see who's
24 entered an appearance, who's supporting and who's in
25 opposition. If they're in opposition, what's the basis of

1 that?

2 In this case, I think you would look to see the
3 Hanley/Yates pleadings provided to you. And all of a
4 sudden you would wonder, why on earth are we considering a
5 Bravo Dome-class exploratory unit in the context of a
6 simple unit expansion to 160 acres?, and scratch my head at
7 that.

8 So that's your starting point. The case is
9 presented to you, and you consider all the evidence from
10 the witnesses. And let me go through that briefly for you.

11 In the context, the case is framed by the
12 pleadings, the notice and the advertisement. It's a
13 statutory unitization expansion case, simple as that.

14 Mr. Nelson gets up and establishes that the
15 allocation of hydrocarbon pore volume according to his
16 methodology is proper, and he's done it properly with
17 respect to the expansion tracts. This allocation has been
18 done on the basis of hard data.

19 And I think everybody's in agreement that it's
20 the best data available; it's well data; it's not by
21 extrapolation from seismic or anything else. It's not by
22 extrapolation from seismic or other interpretation. It's
23 hard well data, and that's the data that I think all of us
24 are the most comfortable with. The salient exhibit for
25 that is Exhibit 5B, which is the HPV pore volume map.

1 Mr. Nelson also established that the State "S"
2 and Chandler are in the reservoir and should be included.
3 That, right there, is the heart of the case in front of
4 you.

5 Mr. Mladenka, petroleum engineer for Gillespie-
6 Crow, testified that -- gave you a chronology of what
7 Gillespie-Crow has done in its operations of the unit.

8 And I think they quite clearly established
9 they've been prudent operations, and they've been
10 operations that have benefitted those outside the unit,
11 non-unit wells, at a cost to the unit operators and
12 participants of a million dollars, but cost-free to the
13 non-unit participant. So in essence, what I guess Yates
14 and Hanley are trying to enjoy here is a free million-
15 dollar ride.

16 Mr. Mladenka testified about the drop in the
17 reservoir pressure attributable to production from the
18 State "S" 1, primary reason for the drop. He said they
19 brought that back up, stabilized it, and that's
20 attributable to Gillespie-Crow's pressure-maintenance
21 program. There again, a million-dollar free ride. I think
22 the testimony was, the overall cost of injection was \$3.3
23 million, but the value of that pressure maintenance to the
24 non-unit participants today is a million dollars.

25 Mladenka also gave you evidence, irrefutable

1 evidence, that the State "S" 1 is in communication with the
2 unit and the reservoir, and I don't think anybody has
3 disputed that. It's established that without the pressure
4 maintenance, both the State "S" and the Chandler would have
5 experienced a rapid decline. So therefore, their inclusion
6 is necessary for unit operations and the continuation of
7 the pressure-maintenance project.

8 And by so doing you'll substantially increase
9 recoverable reserves from the unit, and that will benefit
10 all the working interest owners, all the royalty interest
11 owners. And he testified that HPV allocation method is the
12 fairest way to allocate participation among all the tracts
13 that are proposed for the unit.

14 Mr. Mladenka also, under the Statutory
15 Unitization Act, rendered direct testimony the reservoir is
16 reasonably defined by development, and I think all the
17 subsequent evidence bore that out.

18 He also has established that further delay is
19 harmful to both the working interest and royalty interest.
20 We need to proceed forthwith.

21 He also testified at length about the good-faith
22 efforts, 16, 19 months' worth of negotiations with Yates
23 and Hanley to secure their voluntary joinder. And it turns
24 out, it appears we've been haggling over a simple -- a very
25 small participation factor, and that's it.

1 Paul Connor testified. He's the consultant from
2 Unit Source, did the unit work. His testimony further
3 established compliance with the Statutory Unitization Act.
4 He got the joinder and the notification out, there's no
5 debate about that.

6 John McDermett testified. At your request, we
7 gave you the information on the recoverable reserves, both
8 primary and secondary.

9 Dr. Boneau was offered on behalf of Yates, and
10 through him we established the following, that Yates and
11 Hanley have not followed the procedures in the Statutory
12 Unitization Act, but he did concede that both the State "S"
13 1 and the Chandler should be brought into the unit, and
14 those tracts are included within their own proposal.
15 That's not an issue.

16 So it appears that the only part of this dispute
17 between the parties is over the participation factor, and
18 from what we heard the difference is between 4.34 percent.
19 and 4.89 percent. And that's it, that's all that's keeping
20 us apart, as I understand it.

21 I asked him if there was anything else. Why
22 can't we proceed to work this out? And he said, Well, it's
23 gotten down to a point of principle. We're here to put on
24 two days' worth of testimony, to fight over principle.

25 So really, what Hanley and Yates are trying to do

1 is get the same barrel revenues production currently
2 received from the stand-alone "S" 1 by including outside
3 acreage to improve their position in the unit. That's what
4 their proposition -- That's what their proposal is all
5 about. Their Exhibit 7 demonstrates that. The problem is,
6 they want to do that cost-free, without expense to them,
7 and that is patently unfair.

8 Fred [sic] Bracken testified, Hanley geologist,
9 and through him we established that his methodology, his
10 interpretations for picking the top of the Strawn lime were
11 probably not correct.

12 Also, his assumptions about the water-oil contact
13 were not correct. He said that there was no impediment to
14 drilling their acreage in Section 28, gave no reason anyway
15 that I heard. And he also said there was no correlating
16 data for the seismic that he presented. So his testimony
17 was characterized by inconsistent statements throughout, I
18 thought. I don't think it should be given a whole lot of
19 weight in this proceeding.

20 Mr. Savage testified, from Williamson and
21 Associates. Didn't establish much through him, only that
22 no one has consented to the participation formula that was
23 generated only last Tuesday.

24 Did try to establish that their formula is based
25 upon current oil producing rates. That's the basis for

1 attributing participation among the tracts. And I think
2 countervailing evidence, more reliable evidence put on in
3 the direct case was that you need comfortable data, you
4 need hard data, you need well data to do that.

5 Mr. Savage also testified that he had been asked
6 earlier -- or Williamson and Associates had been asked
7 earlier to do the reservoir simulation, and they just
8 couldn't make it work and do it. He testified, and this is
9 his quote, My numbers just didn't come together. He said
10 there are too few wells drilled to define this field. So
11 you're extrapolating, that's what we're reduced to.

12 Their expansion case is based upon nothing more
13 than extrapolations, and I submit to you that that's the
14 methodology used for exploratory units. Again, this is
15 Statutory Unitization Act expansion of an enhanced oil
16 recovery unit.

17 The differences are significant. I think you
18 need to go with the pleadings, need to go with the
19 evidence, by all means you need to go with the Act.

20 Thank you, Mr. Examiner.

21 EXAMINER CATANACH: Thank you, Mr. Hall.

22 Mr. -- ?

23 MR. CARR: I don't think I moved the admission of
24 Yates Exhibit 22 yesterday. I'd like to do that. It's the
25 exhibit that Jim --

1 MR. BRUCE: Yeah, that's fine, and I don't think
2 I moved the admission of my Exhibits 28 and 29.

3 MR. CARR: Well, I will object to that.

4 (Laughter)

5 MR. BRUCE: One final thing, Mr. Examiner.
6 Phillips Petroleum representatives are here, and if one of
7 them could make a very brief statement.

8 EXAMINER CATANACH: Okay.

9 MR. KENT: Alfred Kent, employed and representing
10 Phillips Petroleum Company.

11 Phillips Petroleum agrees to the unit expansion
12 exactly as applied for by Gillespie-Crow.

13 EXAMINER CATANACH: All right, anything further?

14 Gentlemen, I would like rough orders on this
15 case. You can submit a joint rough draft -- you're on your
16 own -- within a reasonable period of time, three weeks?

17 MR. CARR: I'll coordinate with Mr. Hall and Mr.
18 Bruce. We'll try and file it about the same time so we're
19 not responding to one another.

20 EXAMINER CATANACH: Okay. All right, if there
21 isn't anything further in Case 11,724 it will be taken
22 under advisement, and we'll adjourn this hearing.

23 (Thereupon, these proceedings were concluded at
24 2:14.m.)

25

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 1174.
*certified by me on May 15 1997.

David R. Catanch
STEVEN T. OBRENNER, CCR, Examiner
Investigation Division
(505) 989-9317

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division (Volume II) was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL June 1st, 1997.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 14, 1998