

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED
BY THE OIL CONSERVATION DIVISION FOR
THE PURPOSE OF CONSIDERING:

ORIGINAL

APPLICATION OF WILLIAMS PRODUCTION
COMPANY, LLC, FOR AN EXCEPTION TO THE
SPECIAL RULES AND REGULATIONS FOR THE
BLANCO-MESAVERDE GAS POOL FOR INCREASED
WELL DENSITY IN THE ROSA UNIT, SAN JUAN
AND RIO ARriba COUNTIES, NEW MEXICO

CASE NO. 14586

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID K. BROOKS, Legal Examiner
WILLIAM V. JONES, Technical Examiner

January 6, 2011

Santa Fe, New Mexico

This matter came on for hearing before the
New Mexico Oil Conservation Division, DAVID K. BROOKS,
Legal Examiner, and WILLIAM V. JONES, Technical Examiner,
on Thursday, January 6, 2011, at the New Mexico Energy,
Minerals and Natural Resources Department, 1220 South St.
Francis Drive, Room 102, Santa Fe, New Mexico.

REPORTED BY: Jacqueline R. Lujan, CCR #91
Paul Baca Professional Court Reporters
500 Fourth Street, N.W., Suite 105
Albuquerque, NM 87103 505-843-9241

A P P E A R A N C E S

FOR THE APPLICANT:

HOLLAND & HART
OCEAN MUNDS-DRY, ESQ.
110 North Guadalupe, Suite 1
Santa Fe, New Mexico 87501
(505)988-4421

FOR CONOCOPHILLIPS CO.:

KELLAHIN & KELLAHIN
W. THOMAS KELLAHIN, ESQ.
706 Gonzales Rd.
Santa Fe, New Mexico 87501
(505)982-4285

WITNESSES:

PAGE

Morgan Vern Hansen:

Direct examination by Ms. Munds-Dry	8
Examination by Examiner Jones	14
Examination by Examiner Brooks	16

Laura Wray:

Direct examination by Ms. Munds-Dry	17
Cross-examination by Mr. Kellahin	37
Examination by Examiner Jones	42

Marcia Brueggenjohann:

Direct examination by Ms. Munds-Dry	52
Cross-examination by Mr. Kellahin	69
Examination by Examiner Jones	77

Ken McQueen

Direct examination by Ms. Munds-Dry	82
Cross-examination by Mr. Kellahin	97

	INDEX	PAGE
1		
2	EXHIBITS 1 THROUGH 4 WERE ADMITTED	13
3	EXHIBITS 5 THROUGH 9 WERE ADMITTED	37
4	EXHIBIT 10 WAS ADMITTED	69
5	EXHIBITS 11 THROUGH 13 WERE ADMITTED	97
6	EXHIBIT 14 WAS ADMITTED	107
7		
8	REPORTER'S CERTIFICATE	108
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 EXAMINER BROOKS: At this time we'll call
2 Case Number 14585, application of McElvain Oil & Gas
3 Properties, Inc., for compulsory pooling, San Juan
4 County, New Mexico.

5 Call for appearances.

6 MS. MUNDS-DRY: Mr. Examiner, you may
7 recall that we asked to continue that case to February
8 3rd.

9 EXAMINER BROOKS: Okay. That's right.
10 That one has been continued. I'm sorry.

11 Then we'll call at this time Case Number
12 14586, application of Williams Production Company, LLC,
13 for an exception to the special rules and regulations for
14 the Blanco-Mesaverde Gas Pool for increased well density
15 in the Rosa Unit, San Juan and Rio Arriba Counties, New
16 Mexico.

17 MS. MUNDS-DRY: Good morning,
18 Mr. Examiner. Ocean Munds-Dry with law firm Holland &
19 Hart, LLP, Santa Fe office. I'm here representing
20 Williams Production Company, LLC, this morning, and I
21 have four witnesses.

22 EXAMINER BROOKS: Other appearances?

23 MR. KELLAHIN: Mr. Examiner, I'm Tom
24 Kellahin of the Santa Fe law firm of Kellahin & Kellahin,
25 appearing on behalf of ConocoPhillips Company.

1 EXAMINER BROOKS: Do you have any
2 witnesses?

3 MR. KELLAHIN: No, sir, not this morning.

4 EXAMINER BROOKS: Do you oppose the
5 granting of the application?

6 MR. KELLAHIN: We have not taken a
7 position for or against the parties. My client and
8 Ocean's clients have entered into a stipulation about the
9 buffer zone.

10 MS. MUNDS-DRY: And, Mr. Examiner, if we
11 could address that before we call the witnesses. I do
12 have a copy of it here. I thought I had it right on top.

13 As Mr. Kellahin mentions, we, being Williams
14 and ConocoPhillips, have entered -- if I may approach?

15 EXAMINER BROOKS: Yes.

16 MS. MUNDS-DRY: -- have entered into a
17 stipulation where Williams has agreed to a half-mile
18 setback in certain areas of their unit. And you'll see
19 there in the stipulation, the acreage that has been
20 identified, it's not only listed in the stipulation, but
21 there's also a map, which is Exhibit A, on the back there
22 so you can easily reference where Williams has agreed to
23 that setback.

24 You'll be able to see in the stipulation that
25 Williams is not necessarily agreeing that this is the

1 appropriate setback for drainage issues. We're simply
2 allowing Conoco more time to review our application and
3 proposal, and it also allows Williams to go forward so we
4 can hopefully start a drilling program if this
5 application is approved in a timely manner.

6 So for the time being, this is what we agreed
7 to. And we would ask that the Division take this
8 stipulation under consideration when it's drafting its
9 order.

10 EXAMINER BROOKS: Do you want to have
11 this -- would you like --

12 MS. MUNDS-DRY: We can mark it as an
13 exhibit, if you'd like.

14 EXAMINER BROOKS: I'll let you do the
15 marking, because you know what exhibits you're going to
16 offer.

17 MS. MUNDS-DRY: If you'd like, I can
18 submit it at the end. I'll figure out what the number
19 should be, if that's all right.

20 EXAMINER BROOKS: Okay. Very good.
21 Before we get started on four witnesses, I think we
22 should take a 10 minute recess.

23 MS. MUNDS-DRY: That would be great.

24 (A recess was taken.)

25 EXAMINER BROOKS: We're back on the record

1 then in Case Number 14586, application of Williams
2 Production Company, LLC, for exception to the special
3 rules and regulations for the Blanco-Mesaverde Gas Pool
4 for increased density in the Rosa Unit, San Juan and Rio
5 Arriba Counties, New Mexico.

6 We've taken the appearances. We now need to
7 swear in the witnesses. Would the witnesses please
8 stand, identify yourselves and then be sworn? Let's
9 start with you.

10 MR. McQUEEN: Ken McQueen.

11 MS. WRAY: Laura Wray.

12 MR. HANSEN: Vern Hansen.

13 MS. BRUEGGENJOHANN: Marcia
14 Brueggjenjohann.

15 EXAMINER BROOKS: Would the court reporter
16 please swear in the witnesses?

17 (Four witnesses were sworn.)

18 EXAMINER BROOKS: You may proceed.

19 MS. MUNDS-DRY: Thank you, Mr. Examiner.
20 With that, we call Vern Hansen.

21 Mr. Examiner, may we take a short break? I
22 apologize.

23 EXAMINER BROOKS: Okay.

24 (A recess was taken.)

25 EXAMINER BROOKS: Are we ready?

1 MS. MUNDS-DRY: I think we are ready.

2 Thank you for indulging us.

3 EXAMINER BROOKS: You may proceed.

4 MORGAN VERN HANSEN

5 Having been first duly sworn, testified as follows:

6 DIRECT EXAMINATION

7 BY MS. MUNDS-DRY:

8 Q. Please state your full name for the record.

9 A. Morgan Vern Hansen.

10 Q. Where do you reside, Mr. Hansen?

11 A. Tulsa, Oklahoma.

12 Q. By whom are you employed?

13 A. Williams Production Company, LLC.

14 Q. What do you do for Williams?

15 A. I'm a senior staff landman.

16 Q. Have you previously testified before the
17 Division and were your credentials accepted and made a
18 matter of record?

19 A. Yes.

20 Q. Are you familiar with the application that
21 Williams has filed in this case?

22 A. Yes, I am.

23 Q. Are you familiar with the status of the lands
24 in the subject area?

25 A. Yes, I am.

1 MS. MUNDS-DRY: Mr. Examiner, we would
2 tender Mr. Hansen as an expert in petroleum land matters.

3 EXAMINER BROOKS: So qualified. I assume
4 you have no objection?

5 MR. KELLAHIN: No objection.

6 Q. (By Ms. Munds-Dry) Mr. Hansen, before we turn
7 to your exhibits, would you briefly summarize for the
8 Examiners what Williams seeks with this application?

9 A. Williams seeks an exception to the special
10 pool rules and regulations for the Blanco-Mesaverde Gas
11 Pool to increase the well density to 8 Mesaverde wells
12 per 320-acre spacing unit from the current four. This is
13 based on data from Williams' pilot project. This data is
14 in support of our request and will be reviewed by other
15 witnesses.

16 Q. Thank you. Mr. Hansen, if you would turn to
17 what's been marked as Williams Exhibit 1 and review this
18 document for the Examiners.

19 A. This is a map of the Rosa Unit showing the
20 full boundaries of the unit. And in the red hatched
21 area, that shows the extent of the Mesaverde
22 participation that exists today.

23 Q. And it also shows -- although it's not
24 necessarily pertinent to this application -- shows, I
25 believe, the nature of the ownership in the Rosa Unit?

1 A. Yes. Most of the unit is federal, and
2 although it's not showing up very well on this map, what
3 would be in gray would be the federal acreage, what is in
4 brown is the state acreage, and what's shown in white
5 would be the fee acreage within the unit.

6 Q. Thank you. If you could review for the
7 Examiners, just so we're all on the same page, what rules
8 govern the development of the Blanco-Mesaverde Pool?

9 A. The current order is R-10871 -- or rule. It
10 provides for 320-acre spacing, up to four wells per
11 spacing unit, and that the wells be drilled no closer
12 than 660 feet to the outer unit boundary, nor 660 feet to
13 any uncommitted acreage. It provides for -- I'm sorry --
14 outer boundary of the spacing unit or uncommitted lands,
15 and that no well be closer than 10 feet to the interior
16 quarter line of the subdivision inner boundary.

17 Q. Now, those rules now stated, is Williams
18 pre-approved, though, to have non-standard locations
19 within the Rosa Unit?

20 A. Yes, it is.

21 Q. Do you know the order number that approved
22 non-standard locations for -- I believe it was all
23 producing pools in the Rosa Unit, if I recall correctly.

24 A. Yes. It's Case Number 14335, Order Number
25 R-13200(A). Williams was granted the pre-approval of the

1 non-standard locations.

2 Q. And if you'll now turn, please, Mr. Hansen, to
3 Williams Exhibit Number 2. This is the order approving
4 the pilot project that precipitated this case; is that
5 correct?

6 A. Yes.

7 Q. What's the order number here?

8 A. R-13123, dated May 11, 2009.

9 Q. And if you could summarize for the Examiners,
10 what did this order approve Williams to do?

11 A. The Oil Conservation Division originally
12 approved a two-year pilot project that studied the
13 feasibility of increased density for the Mesaverde wells
14 within the Rosa Unit. The order allowed for one
15 additional well per 320-acre spacing unit in those
16 portions of Townships 31 North and 32 North, 6 West. The
17 order required that within six months of the completion
18 of the pilot project, that Williams provides its overall
19 findings and well density recommendations to the
20 Division.

21 Q. And, Mr. Hansen, is that, in fact, what we're
22 doing here today?

23 A. Yes, it is.

24 Q. If you could turn to what's been marked as
25 Williams Exhibit Number 3. What is this display showing

1 us?

2 A. The map shows the -- in yellow, the area
3 approved for the pilot project. The wells are indicated
4 in green. And on the map is also indicated the Bureau of
5 Land Management and U.S. Forest Service boundary within
6 the unit.

7 Q. Great. Thank you. And is Exhibit Number 4
8 the notice packet?

9 A. Yes, it is.

10 Q. It includes the letter that was sent to all
11 interest owners in the unit and offset operators from the
12 unit?

13 A. Yes, it does.

14 Q. Were the State Land Office and the BLM also
15 notified of this application?

16 A. Yes, they were.

17 Q. In fact, has Williams met with the BLM and the
18 Forest Service about this application?

19 A. Yes. We met with the BLM and the Oil
20 Conservation Division Aztec Office and the Forest Service
21 on October 13th.

22 Q. And did the BLM or the Forest Service express
23 any concern or objection?

24 A. No, they did not.

25 Q. Did the OCD Aztec Office express any concern

1 or objection about this application?

2 A. No, they did not.

3 Q. Has Williams received any other objections to
4 this application that you're aware of?

5 A. No, we have not.

6 Q. Mr. Hansen, in your opinion, is this
7 application in the best interest of conservation, the
8 prevention of waste and the protection of correlative
9 rights?

10 A. Yes.

11 Q. Were Exhibits 1 through 4 either prepared by
12 you or compiled under your direct supervision?

13 A. Yes, they were.

14 MS. MUNDS-DRY: Mr. Examiner, we move the
15 admission of Williams Exhibits 1 through 4 into evidence.

16 EXAMINER BROOKS: I take it no objection?

17 MR. KELLAHIN: No, sir.

18 EXAMINER BROOKS: 1 through 4 are
19 admitted.

20 (Exhibits 1 through 4 were admitted.)

21 MS. MUNDS-DRY: Thank you. And I have
22 nothing further for Mr. Hansen.

23 EXAMINER BROOKS: Okay. Any questions,
24 Mr. Kellahin?

25 MR. KELLAHIN: No, sir.

1 EXAMINER BROOKS: I don't believe I have
2 any questions either.

3 EXAMINATION

4 BY EXAMINER JONES:

5 Q. I probably should just quickly ask -- you may
6 have already covered this. The proposed -- so it's
7 40-acre --

8 A. 40-acre density, yes.

9 Q. Would they be drilled from a separate new
10 location or --

11 A. There will be a combination. You know, we're
12 restricted by the surface agencies on where we can locate
13 our wells. But, you know, we have to drill as
14 efficiently as possible with the surface locations
15 available to us.

16 Q. So that affects your economics in places?

17 A. It does, yes.

18 Q. So it's just different depending on where
19 you're at from -- this is more than one county; is that
20 right?

21 A. Yes. It's San Juan and Rio Arriba. The
22 river -- if you go to Exhibit Number 1, it shows the
23 river cutting through the unit, and that is the boundary.
24 That's actually on the Navajo Reservation right now.

25 Q. Okay. Did you get -- did you guys have any

1 talks with Steve Hayden?

2 A. Yes, we did.

3 Q. Can you --

4 A. We had a very large meeting with all of the
5 parties and just set forth what we were doing. And also,
6 when we originally submitted the pilot project, we met
7 with the BLM and Steve Hayden before we even submitted
8 it, and they did not have any objections whatsoever to
9 our proceeding.

10 When we originally submitted it, we didn't
11 know what the correct density was, and that's what we
12 were trying to ascertain. And the testimony that will be
13 provided later will show what we found from our project.
14 This wasn't a typical pilot project. We spread the wells
15 out over the productive area of the Mesaverde so we could
16 try to get a better understanding of a very large area
17 within the unit boundaries.

18 Q. Are most of these wells downhole commingled?

19 A. The newer wells, yes. The 20 wells are
20 downhole commingled, I believe all with Mesaverde, Mancos
21 and Dakota.

22 Q. Okay.

23 A. Mr. McQueen could better testify to that. I
24 believe they are.

25 Q. As far as the regulatory filing that you would

1 have to do for that, are you familiar with that?

2 A. We also have pre-approval for downhole
3 commingling with all the formations.

4 Q. Throughout the Rosa Unit?

5 A. Yes.

6 EXAMINER JONES: I just wanted to make
7 sure you had that. I don't have any more questions.

8 EXAMINER BROOKS: Okay.

9 EXAMINATION

10 BY EXAMINER BROOKS:

11 Q. The eight wells that will be in the 320-acre
12 spacing unit, what you're proposing here, are you
13 proposing that they can be located anywhere in the
14 spacing unit?

15 A. Yes.

16 Q. The current rules for the Blanco-Mesaverde as
17 I recall, it's 80-acre well density and it's no more than
18 two wells per quarter section.

19 A. This would be four wells per quarter section.

20 Q. It would be four wells per quarter section.
21 Do you want to have no restrictions on where in the unit
22 the wells can be, though?

23 A. I believe that that should be a question that
24 should be directed to our reservoir engineers.

25 EXAMINER BROOKS: Very good. Thank you.

1 I have no further questions.

2 MS. MUNDS-DRY: Thank you. I have nothing
3 further of Mr. Hansen.

4 EXAMINER BROOKS: Okay. You may call your
5 next witness.

6 MS. MUNDS-DRY: We call Laura Wray,
7 please.

8 EXAMINER BROOKS: You may proceed.

9 MS. MUNDS-DRY: Thank you.

10 LAURA WRAY

11 Having been first duly sworn, testified as follows:

12 DIRECT EXAMINATION

13 BY MS. MUNDS-DRY:

14 Q. Will you please state your full name for the
15 record?

16 A. Yes. Laura Louise Wray, W-r-a-y.

17 Q. Ms. Wray, where do you reside?

18 A. Denver, Colorado.

19 Q. By whom are you employed?

20 A. Williams Production Company.

21 Q. What do you do for Williams?

22 A. I'm a senior staff geoscientist.

23 Q. Have you previously testified before the
24 Division?

25 A. No, I have not.

1 Q. Would you please review your -- summarize, if
2 you could, your education and work history pertinent to
3 being a geologist?

4 A. I have a Bachelor's degree in geology from
5 Wellesley College in Massachusetts, and a Master's degree
6 also in geology from West Virginia University.

7 My pertinent petroleum experience is 29 years
8 of service, 18 of those with Amoco Production Company in
9 Denver. I've been with Williams Production Company for 6
10 years. I had 3 years as a petroleum and coalbed methane
11 geologist for the Colorado Geological Survey, and I was a
12 consultant for 2 years for both the Colorado Geological
13 Survey and the Bureau of Land Management, Moab, and
14 Monticello offices.

15 Q. Are you responsible for -- do your duties
16 include any geologic duties for the San Juan Basin,
17 specifically the Rosa Unit?

18 A. Yes.

19 Q. Are you familiar with the application that's
20 been filed in this case?

21 A. Yes.

22 Q. Have you made a geological study of the
23 Mesaverde formation in the Rosa Unit?

24 A. Yes, I have.

25 MS. MUNDS-DRY: Mr. Examiner, we tender

1 Ms. Wray as an expert witness in petroleum geology.

2 EXAMINER BROOKS: Any objection?

3 MR. KELLAHIN: No objection.

4 EXAMINER BROOKS: She is so qualified.

5 MS. MUNDS-DRY: Thank you.

6 Q. (By Ms. Munds-Dry) Ms. Wray, if we could
7 first review the general characteristics of the Mesaverde
8 formation.

9 MS. MUNDS-DRY: And some of this, I
10 believe, Mr. Examiner, was previously reviewed by
11 Dr. Lessinger in the pilot project. And before Ms. Wray
12 begins, I would ask you take administrative notice of
13 Case 14291.

14 EXAMINER BROOKS: There being no
15 objection, we will take administrative notice of the
16 record of Case 14291.

17 MS. MUNDS-DRY: Thank you.

18 Q. (By Ms. Munds-Dry) Ms. Wray, I know you have
19 this also published as the PowerPoint for the Examiners.
20 If I could ask you first to turn and discuss what is
21 Exhibit Number 5.

22 A. Exhibit 5, is a part of a stratigraphic column
23 representative of the San Juan Basin. This would be the
24 upper cretaceous period.

25 And what I've done is to highlight the

1 Mesaverde formation with the three members from top to
2 bottom, Cliff House, the Menefee and the Point Lookout.
3 I'll be discussing in a little more detail the
4 sedimentological characteristics which I've listed on the
5 right. But I think they may be easier to understand with
6 some of the subsequent exhibits that I have.

7 Q. Can you please identify and review Williams
8 Exhibit Number 6?

9 A. This is a modified block diagram taken from a
10 publication by Ryer and McPhillips in 1983 -- 1963.
11 Excuse me. And the block diagram was constructed for
12 both the Mancos and the Mesaverde above the Mancos in
13 Colorado and Utah. But the depositional environments are
14 absolutely pertinent to the San Juan Basin.

15 I start here with the depositional
16 environments for the Cliff House sandstone. What I've
17 done is circle with that red oval both the orientation
18 and the depositional environment of the Cliff House for
19 the Rosa Unit.

20 You can see to the right here the north arrow
21 and the orientation of the shoreline in the Rosa Unit and
22 much of the San Juan Basin is actually
23 northwest/southeast, so I think it is a very good
24 representation of the what the depositional environment
25 would look like, sort of a snapshot in time.

1 The Cliff House sandstone itself is a
2 transgressive stack sequence of various types of sands,
3 including bar sands here, lower Delta Plain sands,
4 shoreface sands or beach sands, with associated silts and
5 shales.

6 The word transgressive refers to the fact that
7 the ocean is actually moving to the southwest in the
8 basin. And the reason I bring this up is that you're
9 looking just at a single point in time at the sands and
10 they are variable. But you can understand, as the oceans
11 moved to the southwest and back again to the northeast,
12 that these sands in a lateral -- in a vertical sense
13 would be variable. And that really is important to our
14 particular hearing.

15 So though the word transgressive suggests that
16 the sea moved in a landward position to the southwest,
17 they're actually sub-movements back and forth of rising
18 and falling sea levels that caused these sands to migrate
19 in two directions. And I think that will be obvious when
20 I show you the cross-section.

21 Q. If you could turn to your next slide, which is
22 the second page of Exhibit Number 6.

23 A. I'm using the same block diagram again, this
24 time to show the depositional environment of the Menefee.
25 In this case, again, the oval shows sort of a snapshot in

1 time of what the Ménéfee sands and coals would look like.

2 This particular unit has stack sequences of
3 both of those fluvial sands, and you can see those sands
4 on this diagram coming from the southwest, and that is
5 true of the San Juan Basin. We know the major source
6 area west of the southwest actually in Arizona -- what is
7 now Arizona -- so there are a series of lower Delta plain
8 fluvial channels and also coal swamps.

9 What makes this particular environment so
10 complex is that those rivers over time shift back and
11 forth, and they cut out coals. So you have varying
12 thickness of coals and stack sequences of coals and
13 sands. Again, I think this will be more obvious when I
14 show some of the cross-sections later on.

15 Q. Those coals are represented as sort of black
16 splotches on the display?

17 A. That's right. Those swamps are not
18 continuous. It does depend where the river channels cut
19 through them as to whether you have small lagoonal areas
20 that allow peat swamps to accumulate.

21 Q. If you could turn to the third page of Exhibit
22 Number 6 and review this for the Examiners?

23 A. I should have mentioned that I'm going older
24 in the section. So I started at the Cliff House and
25 now -- these are the oldest sands that we're dealing

1 with, the Point Lookout sands.

2 These are what we call regressive sands. And
3 again, the orientation for the Point Lookout sandstones
4 was northwest/southeast in the San Juan Basin. The
5 source area was to the southwest as this demonstrates.

6 And the Point Lookout sands are very thick,
7 horse grain stack sequences of sort of barrier bars,
8 maybe some fluvial channels and so on. What makes this a
9 little different is that the source area was the highest
10 at this time, so there was a tremendous shedding of
11 clastics from the southwest to the northeast and into
12 this basin. So we tend to find the Point Lookout
13 sandstones often have better reservoir qualities and tend
14 to be a little thicker than some of the Menefee and Cliff
15 House sands above.

16 Q. If you'll turn to Williams Exhibit Number 7
17 and explain to the Examiners what this document is.

18 A. This is a cross-section that actually is
19 fairly extensive and goes on the left-hand side from New
20 Mexico, all the way up to the Denver Basin, Colorado.
21 But the portion is a little hard to see. The portion of
22 the San Juan Basin is right here. And I think the time
23 is on the y-axis getting younger going to the top.

24 So if I start again with the same order of the
25 Cliff House sandstones, you can see that over time, and

1 it's a little subtle, these sands are moving landward and
2 getting younger and younger. That was what I showed on
3 the depositional environment, the block diagram.

4 The Menefee sands are in between, and they're
5 actually a combination because they're sandwiched between
6 the major sands that were prograding or moving to the
7 northeast in the Point Lookout and the Cliff House sands,
8 which were migrating landward to the southwest. So you
9 actually have a combination of both what we call seaward
10 and landward stepping non-marine intervals.

11 So the Menefee is non-marine coals and sand
12 sandwiched between these marine sands of the upper Cliff
13 House and the lower Point Lookout. And again, to
14 clarify, I put the orientation of the landward to the
15 southwest, seaward to the northeast.

16 Q. Please turn to what's been marked as Williams
17 Exhibit 8 and review this set of documents for the
18 Examiners.

19 A. In the previous hearing, there were outcrop
20 photos which were submitted. I made a couple of minor
21 changes. I'll tell you what they were.

22 Here is an outcrop photo of Cliff House
23 sandstone from Mancos Canyon. And previous testimony
24 indicated that these are very homogeneous in nature,
25 these sandstones, and I agree with that in terms of the

1 sand bodies themselves being continuous over a couple
2 hundred feet.

3 However, I wanted to make a point that when
4 you move to the subsurface, these may not be as
5 continuous as we think over thousands of feet. We see,
6 you know, some lateral continuity of sands in the
7 outcrop, but not necessarily in the subsurface. I'll
8 show that in a couple more slides.

9 Q. If you'll go to the next slide, which will be
10 the second page to Exhibit Number 8.

11 A. Here was another exhibit which had been shown
12 that just shows the Cliff House sandstone here. What
13 I've done is I highlighted the outline of the body of the
14 sandstone. The cliff is going around the corner so it
15 looks like it thins, but that may not be the case.

16 Again, when we talk about lateral continuous
17 sands, we're talking about the sand bodies themselves.
18 I'm not making any reference to lateral continuity of the
19 reservoir qualities, porosities and permeability within
20 that sand body.

21 Q. And the next slide?

22 A. This was an example of Menefee sands. This
23 particular outcrop shot doesn't show any coals very well,
24 if at all. But you can see that there are sands here and
25 there are a couple of discontinuous sands. And I've

1 noted that both these sandstone bodies and the outcrop
2 are discontinuous, and I will show that they're very
3 laterally discontinuous as well as vertically
4 discontinuous when I show you some cross-sections.

5 Q. Okay. Your next slide, which would be page 4
6 to Exhibit 8?

7 A. This is a just a highlight of those sand
8 bodies which I colored or outlined in orange to show that
9 lateral continuity.

10 Q. The next slide, which is page 5 to Exhibit 8?

11 A. This is an outcrop of the Point Lookout
12 sandstone. Again, you see there's quite a bit of
13 heterogeneity in the vertical sense. You have thicker
14 sands here, sands, silts and shales here. And as I'll
15 show you, there's very little lateral continuity in the
16 subsurface as well.

17 Q. Finally, page 6 of Exhibit Number 8?

18 A. Again, one outcrop photo of the Point Lookout
19 that shows here is a fairly continuous sand body and a
20 discontinuous one below it. Again, I want to make the
21 point that on an outcrop scale when you're looking at
22 hundreds of feet, you may see a sand body that looks
23 continuous, and from the subsurface, we're not seeing
24 that.

25 Q. Before we turn to your cross-sections, if you

1 could summarize for the Examiners what you can say about
2 these three reservoirs that you reviewed for us today?

3 A. What I can say is that in each of the three
4 formations, from the top to the bottom, the Cliff House,
5 the Menefee and the Point Lookout, we see lateral
6 variability from the migrating sands, coals, silts and so
7 on from the depositional environment. But in a stack
8 sequence, as those sands and coals were being deposited,
9 we see a lot of vertical heterogeneity.

10 So I think I'll be able to show you in the
11 cross-section that in terms of gas-filled sands, there
12 are -- almost all of these are gas-fill sands but they're
13 very discontinuous. And it's my contention that in order
14 to effectively drain these reservoirs, you will need
15 increased density. Because many of those sands will not
16 be even penetrated by the existing wells.

17 Q. Thank you, Ms. Wray. If you would now turn to
18 Williams Exhibit Number 9 and review these documents for
19 the Examiners?

20 A. I've established a log curve and color scheme
21 for the subsequent cross-sections so they're all the same
22 format. In Track 1 off to the left here, I have a shaded
23 gamma ray curve. The scale is from 0 to 180 API units.
24 What I've done is I've scaled that gamma ray to show the
25 best developed sands or coals -- and we can't just, from

1 the gamma ray necessarily distinguish the difference by
2 the hot colors. And as you get cooler colors or the
3 yellows, those are siltier or shalier intervals.

4 Also, on Track 1, and it's very difficult to
5 see, but in the left-hand corner is a black curve, which
6 is the caliper curve scaled 6 to 16 inches. That will
7 become important when I talk about the Menefee formation.
8 It's one of the curves I used to identify the coals,
9 distinguishing them from the sands.

10 Finally, there are some pinkish/reddish bars
11 on the left-hand side. Those denote the perforations in
12 the various wells.

13 Then in Track 2, I have a deep resistivity
14 curve, which is on a logarithmic scale in ohm meters. I
15 shaded in orange the deep resistivity greater than 18 ohm
16 meters. This is not a hard and fast indication of good
17 permeability, but it's one that we think is fairly
18 conservative and we've used fairly successfully to
19 demonstrate in comparison with the sands what might be
20 permeable, porous sandstones. Also, that's true for the
21 coal.

22 Then in Track 3 you'll see a blue curve, which
23 is the bulk density curve scaled 2 to 4 grams per cc, and
24 I shaded that curve red using a 7 percent porosity
25 cutoff. That's very conservative, I think. Some people

1 might argue that some of these sands would produce from 6
2 percent. That may be the case. But I'm looking for some
3 economic production cutoffs, so I used 7 percent.

4 Finally, in Track 4, I have a mud log total
5 gas curve. These are not necessarily scaled from well to
6 well, because the units are different. But they give you
7 a representative idea of what formations may be producing
8 gas.

9 Q. Okay. If you'll turn to the next slide, which
10 is the second page of Exhibit 9, and review it for the
11 Examiners.

12 A. The first cross-section I'm going to show you
13 is a northwest to southeast cross-section. The five
14 wells are included and labeled here. This is a
15 cross-section that would be parallel to the Mesaverde
16 shoreline as I set up with that block diagram.

17 Q. Okay. Turn to the third slide.

18 A. Before I show the representative formations
19 about which we're discussing, I want to just mention how
20 I have identified where those formations may be. And as
21 many are familiar, there is a bentonite, which is an ash
22 fall, that represents a single point in time when there
23 was a volcanic ash flow, and it represents equal time.
24 It's labeled here at the top, the Huerfanito Bentonite.

25 I used this marker and then looked down to

1 make sure that the Mesaverde interval, which is often a
2 little difficult to distinguish between some of the upper
3 silts and sands, to make sure I'm in the right interval.
4 You can see there's a little bit of thickening here.
5 That's to be accounted for by the fact that there are
6 various patterns of stacked sands and silts. Compaction
7 will be a little bit different.

8 But generally, I'm very confident that I'm in
9 the right interval for the top of the Cliff House, which
10 you see, and the Menefee formation underneath.

11 Q. Turn to your next slide.

12 A. This is the same cross-section from northwest
13 to southeast here. Now you can see the top of the Cliff
14 House sandstone that I've established. Again, I've used
15 the Huerfanito Bentonite to make sure that I was in the
16 right interval.

17 Again, the shaded gamma ray is in the
18 left-hand curve, and you can see a little bit of a
19 depression here right above the Cliff House, which gives
20 me more confidence that this is the top of the Cliff
21 House sands.

22 Let me just make a mention that if you look
23 above the Cliff House, you can see that there's sands and
24 silts there. It's a very difficult top to pick. I do
25 want to point out that there are some people that think

1 the top of the Cliff House might be up here. In fact,
2 there are perforations in our wells that are up there.
3 It's really not significant. I've looked at the
4 literature, and the top of the Cliff House varies
5 depending on the operator. So I just wanted to be clear
6 with that, that I picked it down here because I find it a
7 very good marker and I can correlate that.

8 So what I show here in the interval between
9 the Cliff House and Menefee formations here, what stands
10 out the best are these thick sands, again shown in red,
11 and you can see that the deep resistivity in Track 2 is
12 shaded greater than 18 ohm meters, indicating that you've
13 got good sands.

14 But as you cast your eye across this interval,
15 you see that the thickness of sands changes and even the
16 presence of the sand changes. And this is very typical
17 of this heterogeneity that we see. It's very difficult
18 to track a single sand across an area in west Rosa that
19 would even be the same sands. The sands themselves may
20 somehow go from one well to another, but they thicken and
21 thin.

22 I have no way of really knowing whether you
23 have a flow unit across that. But certainly this
24 cross-section gives you an indication that there are thin
25 sands and thicker sands. These could be representative

1 very easily of separate sands as you move through time,
2 based on both the lateral and the vertical heterogeneity
3 that we see resulting from the sea level changes of sands
4 moving back and forth.

5 Q. If you'll please turn to the fifth page in
6 Exhibit Number 9, which is the cross-section of the
7 Menefee.

8 A. This cross-section is the same one you saw
9 before of the same five wells going from the northwest on
10 the left, to the southeast on the right.

11 I picked the Menefee top, which you saw on the
12 last cross-section, and I picked that where there is a
13 really big shift in the gamma ray to the right,
14 indicating at the top there a silty or a shaley interval.
15 It's a very easy pick to see in this case.

16 The top of the Menefee also is where you first
17 see coals. And I've identified the coals here with the
18 black arrows based on several log characters. Coals
19 often wash out here. So the caliper curve, that black
20 curve on the left, will go to the right, indicating
21 whether you're drilling on air or mud. You have sort of
22 blown apart a very soft formation, and you get what we
23 call a rugose hole or elongated hole.

24 The gamma ray for coal is low, just as they
25 are from sands. That's why I mentioned you can't, just

1 on a gamma ray, necessarily tell the difference between
2 coals and sands. The resistivities are high both for
3 coals and sandstones.

4 But what's really characteristic if you look
5 at these intervals here, is that you get a big spike in
6 density, very low density. Coals are typically low
7 density, and you get a big spike. And often, but not
8 always, you have a gas show associated with the coals.
9 And the coals are the source of the Cliff House and the
10 Point Lookout sandstones.

11 So as you cast your eye across this
12 cross-section, just looking at the black arrows you see
13 tremendous heterogeneity in the coals themselves, as well
14 as the sandstones. And again, that's because of the
15 depositional environment. You have variable coal swamp
16 deposition, and then these coals are cut out by
17 meandering sands that change orientation and change
18 spacial arrangements throughout time. So I think this
19 shows, again, that there is tremendous heterogeneity in
20 the Menefee formation.

21 Q. Please review your next slide, the
22 cross-section for the Point Lookout.

23 A. Finally, the same cross-section as I've shown
24 before, this time of the Point Lookout formation.

25 In one case I did find a Point Lookout top

1 where there was coal above that. It's a little tough to
2 often depict the Point Lookout, but I feel fairly
3 confident with this cross-section.

4 What we see here is a coal-free section.
5 Again, you see somewhat thicker sand bodies. Again,
6 that's because of the depositional environment. You had
7 a tremendous shedding of clastics into the basin at Point
8 Lookout.

9 But again, if you just pay attention to the
10 thick sands in red here, you see there's tremendous
11 variability. Here you go from a sand. You don't see
12 anything in that same interval. This sand is a little
13 bit lower. Here's one that's higher. And, again, I
14 think that shows the nature of heterogeneity of the Point
15 Lookout formation.

16 Q. What is your next slide?

17 A. I wanted to also show a four-well
18 cross-section which would be perpendicular to the
19 shoreline. And, again, the numbers of the wells are
20 shown here.

21 Q. So this is your base map showing --

22 A. This is the base map with the location of the
23 that cross-section that we'll look at in just a moment.

24 Q. Let's look at that cross-section, the last
25 page to Exhibit 9.

1 A. Again, I didn't include a slide, but I did the
2 same thing as I did with the first cross-section to
3 confirm that the top of the Cliff House had a good
4 relationship with the Huerfanito Bentonite time marker
5 above it.

6 Now here you can see, from the southwest to
7 the northeast in the Cliff House interval, which is this
8 one up here, there's a little bit of thickening and
9 thinning of the interval itself. Again, I picked the top
10 of the Menefee with that characteristic shift in the
11 gamma ray. I haven't labeled the coals on here, but this
12 is the coal sequence.

13 This pattern would be expected. Again, this
14 was a sandstone that was migrating to the southwest. So
15 by the time the sands got to the southwest here, this
16 accumulation of sands was much thicker, so I think that
17 fits the pattern very nicely.

18 The Menefee formation is roughly of equal
19 thickness, and the Point Lookout has sort of a reverse
20 pattern. It's not perfect. But again, those sands were
21 migrating the opposite direction, moving to the northeast
22 in a seaward direction. And you can see between these
23 two wells, you have a thick sand here and then younger in
24 time. That sand may be the same sand. I can't tell you
25 that it is. It has migrated towards the sea direction.

1 Q. Thank you. Now that you've reviewed this
2 material for the Division, what can you conclude in your
3 opinion about what the density should be for the
4 Mesaverde formation in the Rosa Unit?

5 A. I can't say what the ultimate density would
6 be. What I can testify to is that it does appear that
7 even with the current spacing unit we have, there is so
8 much heterogeneity that there are likely to be sand
9 bodies in all these three formations, as well as coals,
10 that are not penetrated by the existing wellbores.

11 Q. Would this then lend credence to Williams'
12 application for the need to increase density to eight
13 wells per 320-acre spacing unit?

14 A. Yes, I believe it would.

15 Q. Would you agree that increasing the density
16 would more efficiently drain those reserves because of
17 the heterogeneous nature of the reservoirs?

18 A. Yes.

19 Q. Were Exhibits 5 through 9 either prepared by
20 you or compiled under your direct supervision?

21 A. Yes.

22 MS. MUNDS-DRY: Mr. Examiner, we move the
23 admissions of Exhibits 5 through 9 into evidence.

24 MR. KELLAHIN: No objection.

25 EXAMINER BROOKS: 5 through 9 are

1 admitted.

2 (Exhibits 5 through 9 were admitted.)

3 MS. MUNDS-DRY: That concludes my direct
4 examination of Ms. Wray.

5 MR. KELLAHIN: Mr. Examiner, a few
6 questions?

7 EXAMINER BROOKS: Yes.

8 CROSS-EXAMINATION

9 BY MR. KELLAHIN:

10 Q. Ms. Wray, do you have in the exhibit set a
11 copy of Exhibit Number 2? It's the copy of the pilot
12 order. Would you thumb through this pile for me? I
13 think it's the second one after the tab.

14 A. Yes.

15 Q. Did you participate on behalf of Williams as a
16 geologic expert in the formulation of the geologic
17 information for the pilot study?

18 A. No, I did not.

19 Q. That was not your work?

20 A. No, it wasn't.

21 Q. Would you turn with me to page 3 of that
22 order. I'm dealing with an extension of Finding 6, and
23 I'm looking at subsection 6(K). It talks about some of
24 the objectives of the pilot project were to achieve
25 additional geologic information.

1 A. Yes.

2 Q. Was it your understanding that the pilot was
3 going to give you more geologic information?

4 A. Yes.

5 Q. When I set that aside and go back to your
6 Exhibit 5, which is your stratigraphic locator, I'll call
7 it --

8 A. Um-hum.

9 Q. -- prior to the pilot then, did you examine
10 the existing population of Mesaverde wells within the
11 Rosa Unit?

12 A. Prior to the --

13 Q. Yeah, prior to the pilot.

14 A. No, I did not.

15 Q. Do you know from your knowledge if the wells,
16 prior to the pilot, had penetrated all these members of
17 the Mesaverde?

18 A. I don't know if all of the ones -- yes, very
19 many of them did.

20 Q. So the exploration geology within the Rosa
21 Unit historically has been to try to access all three of
22 these intervals of Mesaverde?

23 A. Yes. And all of the wells that I looked at in
24 the entire Rosa Unit, they've all been penetrated. And I
25 can't say that I know for a fact that all of them have

1 been completed, but a great majority of those.

2 Q. But that was the generalized methodology for
3 the unit operator at that time?

4 A. Um-hum.

5 Q. If you turn to Exhibit 3 for me. This is the
6 color map that locates the pilot wells. Do you have
7 that?

8 A. Yes, I do.

9 Q. Did you play any part in the selection of
10 which of these locations would be the population of pilot
11 wells?

12 A. No, I did not.

13 Q. As a geologist, you obtained, I assume, log
14 data from the pilot wells?

15 A. Yes.

16 Q. Is there any other type of geologic data that
17 you obtained from the pilot wells?

18 A. No, not in terms of geologic data. For
19 example, we didn't get any cores or cuttings or anything
20 like that.

21 Q. What kind of log data was obtained from these?

22 A. Triple combo, gamma ray, resistivity, density
23 neutron and gas, total gas from mud logs.

24 Q. Part of that data then forms the basis for
25 your exhibit sets under Exhibit 9. Would you turn to

1 those for me? That starts your analysis of the log
2 curves?

3 A. Yes.

4 Q. If you turn past the cover sheet on Exhibit
5 9 --

6 A. Okay.

7 Q. -- if you turn past the summary sheet, there's
8 a line of cross-sections that you've selected?

9 A. Yes.

10 Q. In looking at this, it appears that you've
11 selected certain of the pilot wells and a couple of
12 existing wells that were not pilot wells.

13 A. Correct.

14 Q. What was your general methodology or strategy
15 for this selection?

16 A. I tried to get the best sweep of logs that I
17 could for analysis. Many of the older wells didn't have
18 a full sweep of logs through that, and I had a
19 combination of older wells and younger wells. Again, a
20 lot of that was to be able to identify the coals with all
21 those curves.

22 Q. As part of your geologic study, was any of
23 your data used with the assistance of the reservoir
24 engineer to re-calculate the gas in place for any of
25 these three intervals?

1 A. You'll have to ask --

2 Q. Let me ask if a different way. Were you asked
3 by any of the engineering staff to help them total up,
4 sum up the thickness components for the gas in place
5 calculations?

6 A. No.

7 Q. That wasn't your work?

8 A. No.

9 Q. You now have some new geologic information
10 from the pilot wells. How many pilot wells do you have?

11 A. I don't remember.

12 Q. 19 or 20?

13 A. I think 20. Is that right?

14 Q. From that general population, what is it that
15 you learned that you did not know before about this
16 project?

17 A. What I learned is only by hearsay. If you
18 really want, you know, a detail summary of the reservoir
19 components, I didn't necessarily learn anything more,
20 except what I've shown you geologically. I think
21 Mr. McQueen would be able to tell you in terms of
22 pressures and rates and so on what those pilot wells
23 showed.

24 Q. I was just curious about the -- the outline of
25 the pilot project area indicates to me in this order that

1 one of the objectives was to generate new geologic data.

2 A. Well, as I mentioned, to get more modern log
3 sweeps.

4 Q. Are you satisfied that Williams was able to
5 achieve that objective?

6 A. Yes.

7 MR. KELLAHIN: Thank you. That's all the
8 questions.

9 EXAMINER BROOKS: Thank you. I don't
10 think I have any questions. Mr. Jones?

11 EXAMINATION

12 BY EXAMINER JONES:

13 Q. I wrote a bunch of questions down. I guess,
14 basically, as a geologist, couldn't you make almost the
15 same argument all over the San Juan Basin for
16 discontinuity between the -- lateral discontinuity as a
17 justification for increased density drilling?

18 A. For all the formations?

19 Q. No. For the Menefee, Cliff House and Point
20 Lookout.

21 A. You know, I looked pretty extensively in this
22 area, and then I relied on literature from the Menefee,
23 both from outcrops to the east of the basin -- or the
24 west. And there is a lot of lateral variability. And I
25 think it has to do with the depositional environment and

1 the shifting seas. And that's sort of the stacking
2 pattern of the sands.

3 Q. Okay. This is just for the Rosa Unit. But it
4 seems like those logs are really hard to correlate
5 everywhere you go in the Mesaverde formation.

6 So these Menefee coals, those washouts, the
7 density still reads -- is still good enough --

8 A. No. I don't believe you can read a good
9 density curve when you have a spike like that in a
10 washout.

11 Q. So you just look at your resistivities and
12 your caliper coals.

13 This Menefee coals, is that -- I saw in the
14 order that was done previously that, given a lot of gas
15 in place for those coals is corresponding to the other
16 members of the Mesaverde. So is that -- are you
17 expecting the Menefee to be the major contributor here?

18 A. No. I'm not familiar with how the designation
19 of gas in place was divided between sand and coals. What
20 I can say is not all the coals give a gas indication. So
21 I think some probably are source and reservoirs, but they
22 were also -- there may be some that are a little bit
23 silty or something that doesn't give up gas as easily.
24 It's a tough thing to try to figure out.

25 Q. So you don't have any gas in place numbers for

1 the Menefee coals?

2 A. I don't have any gas in place numbers. I
3 don't have any desorption data. I don't know whether Mr.
4 McQueen will have access to that, but I don't have any.

5 Q. But your testimony is it's a lot of
6 discontinuity out here?

7 A. Um-hum.

8 Q. So that takes care of the coals.

9 But the Menefee looks like it's a thick
10 package of sands and coals.

11 A. Yes.

12 Q. And when you get down to the Point Lookout, is
13 it fighting upwards? There's a little sand sequence --
14 little sands -- does it get dirtier as you go up on the
15 gamma ray?

16 A. That's a really good question. I tried by
17 best to see if I could identify in these coals whether
18 you had fluvial finding upward sequences or marine
19 coarsening upward sequences. It's so complex that I
20 can't separate out what's exactly going on.

21 Because you have, for example, in the offshore
22 bar, you could have two bars stacked on top of one
23 another, and you would have no way of knowing what that
24 was without some core data.

25 Now, the problem with core data is you take it

1 in one place. As soon as you move to the next section,
2 the sands have changed. So I really struggle with what I
3 could do to extract additional depositional environments
4 from the these logs, and I can't do anything more, except
5 to know sort of where I am in a depositional environment
6 and to know that it's extremely complex.

7 Q. Do you guys have all your logs digitized in a
8 database?

9 A. We do.

10 Q. I think it was -- Burlington came a couple
11 years ago for a pilot, but it included the Dakota and
12 members of the Dakota and Mesaverde. But you're not
13 looking at that here?

14 A. No.

15 Q. Because the major downhole commingling would
16 be between the Mesaverde and Mancos sands and the Mancos?

17 A. No. As I understand it, it is a three-way
18 completion that includes the Dakota. But my
19 understanding is that both the Mancos and the Dakota,
20 where these increased density wells would be drilled if
21 this is approved, are within the spacing units already
22 established for the Mancos and the Dakota. So we're not
23 seeking increased density for those formations.

24 Q. Okay. So you, basically -- instead of
25 tackling the whole sequence, you're just coming from the

1 Mesaverde in this case?

2 A. Correct.

3 Q. I know the Piceance Basin was drilled pretty
4 densely now in the last 10 years or so. Does this have
5 any correlation to the Piceance basin here? Are you
6 taking any analogy from that as far as --

7 A. Not for this formation. You'll recall the
8 cross-section that I showed that went from New Mexico all
9 the way to Colorado, you can see that -- and admittedly
10 it was the eastern part of Colorado. But the Mesaverde
11 section is not as regionally extensive. The Mancos is.

12 So we do look for comparisons in the Mancos,
13 because the Mancos Sea, as you saw in that block diagram,
14 is very laterally extensive. But when you get up to the
15 Mesaverde -- yes, there are equivalents, but not so that
16 I can correlate exactly what's going on.

17 The other issue is that the source for these
18 Mesaverde sands in the San Juan Basin comes from the
19 southwest, in now what is Arizona. If they got up to the
20 Piceance Basin, they would probably be silts because of
21 the distance of transport. So I don't think they will be
22 equivalent for what we're looking at.

23 Q. Your sand bodies here, is the total
24 porosity -- the effective porosity real close to the
25 total porosity? Do you have a lot of fines in these

1 sands? You talked about lateral discontinuity, but you
2 didn't say that this was because of clays inside the
3 sand.

4 A. If I might, let me tell you what we did. This
5 past year, we drilled four wells in which we collected
6 x-ray defraction data from the cuttings, so that would
7 tell you the percentages of quartz, carbonate, clays and
8 other minerals. Yes, there's a lot of variability
9 between the amount of quartz and the amount of clay,
10 which suggests to me that you probably have variability
11 between total porosity and effective porosity.

12 Because I don't have any sidewall cores or
13 core data, nor have I looked at any thin sections of
14 cuttings, I wouldn't be able to give you an idea of how
15 those might be distributed. But it's certainly my belief
16 that you have quite a bit of variability in the quality
17 of the sand, the percentage of the quartz in that sand,
18 and then how much of an admixture you would have of silts
19 and clays and other minerals.

20 Q. Of these source rocks that you say are from
21 Arizona, was that before the laramide?

22 A. Yes, it's before the laramide. And in that
23 source, there were a lot of volcanic and igneous source
24 materials, particularly in the Point Lookout. So in
25 these sandstones, you have lithic fragments, you have

1 volcanic fragments --

2 Q. How does that show up on or gamma ray?

3 A. I don't think you can see it.

4 Q. It's not potassium, sodium or uranium?

5 A. The only way we would be able to see it,
6 again, is on our x-ray defraction. We were able to split
7 out potassium feldspars and -- orthoclase and potassium
8 feldspars so we can see it. And I haven't done the full
9 analyses to see whether I could see a pattern, but I'm
10 only looking over a very small area here, two townships,
11 so it would be a little tough to pick up a trend.

12 But that's what we were trying to do using
13 easily available cuttings data and some new on-site
14 technologies from Weatherford Laboratories.

15 Q. I guess this question is not totally -- but
16 just for my information, the top of the Mesaverde, what
17 age would that be and what age would be the bottom of the
18 Mesaverde, as far as millions of years ago?

19 A. Do you want subdivisions, like cenomanian
20 or --

21 Q. What I mean is, was this all done really
22 rapidly or --

23 A. I see what you're saying.

24 Q. -- is it lower cretaceous?

25 A. It's upper cretaceous. I mean -- no, it's not

1 a -- in the overall sequence, it's relatively fast. I
2 don't know that I even have years, that I could tell you
3 how many tens of millions of years this would represent.

4 But let me just make a comment that in the
5 southwest, where you start with deposition of the Point
6 Lookout, you have a much longer period of time that that
7 was deposited until those sands got to the northeast. So
8 that time range will vary.

9 Q. Okay. It looks like you're kind of fighting
10 the prices of natural gas here, and you're kind of, you
11 know, forging ahead with the reservoir management, but
12 your prices are against you here, as far as drilling
13 increased density wells.

14 When you met with the other people that you
15 noticed -- I'm sure you talked with other geologists
16 working in the other parts of the basin -- was there any
17 management objectives from other companies that you can
18 talk about?

19 A. No. Really, the only geologist I talked to is
20 the one from ConocoPhillips, but it was not on this
21 particular issue. It was on Dakota sandstones.

22 Q. Okay. Hopefully the prices will move and
23 you'll have a rising tide here, so to speak.

24 A. I think you'll hear from Mr. McQueen's
25 testimony, price is a big driver for our economics, and

1 that's certainly taken into consideration. But it's not
2 something that I deal with.

3 Q. Are you going to gather any more information
4 than you did with the pilot? In other words, is this
5 going to be a cookie cutter approach here as far as
6 drilling? Do you have more mud loggers? Are you going
7 to have --

8 A. My understanding is we'll have mud loggers.
9 This program will be directed by our Tulsa asset team.
10 I'm in the exploration department in Denver. And we've
11 already had a discussion about what sort of data. It's
12 not reasonable to collect core data.

13 However, I'm considering making a
14 recommendation that we do this on-site Weatherford
15 portable x-ray defraction data. We also get source rock
16 data. They give us a RockEval source rock, amount of
17 total organic carbon, what the T-max is. We have some
18 very interesting results in another area of Rosa, and I'm
19 thinking about making a recommendation that we have a
20 unit -- it's very easy to use the same cuttings that a
21 mud logger does and it's not a problem operationally at
22 all.

23 I think that would fill out some of our
24 understanding of the distribution of sands and maybe some
25 of these volcanic rock fragments, as well as give us an

1 indication of whether maturity is different. We could
2 look at maturity of the coals and see from the bottom to
3 the top of the Menefee if some of the coals might be more
4 gas bearing. It's an interesting technology and it might
5 be one we would apply.

6 Q. Are you going to drill the whole unit, or are
7 you going to focus on one side of it? Do you know yet?

8 A. I think the areas to the northwest of the
9 unit -- I don't have specific knowledge of the locations,
10 but I will know -- you know, if this hearing is approved,
11 I will certainly know where those locations are.

12 MS. MUNDS-DRY: Mr. Jones, we also have --
13 this is a federal unit. We have Mesaverde participating
14 areas. There are other considerations in terms of where
15 we drill.

16 EXAMINER JONES: Thank you very much.

17 EXAMINER BROOKS: Anything further?

18 MS. MUNDS-DRY: Nothing further for
19 Ms. Wray.

20 EXAMINER BROOKS: You may call your next
21 witness.

22 MS. MUNDS-DRY: Thank you. We call Marcia
23 Brueggjenjohann.

24 EXAMINER BROOKS: Would you spell your
25 name for me, please?

1 MS. BRUEGGENJOHANN: Seriously?

2 B-r-u-e-g-g-e-n-j-o-h-a-n-n.

3 EXAMINER BROOKS: Thank you.

4 MARCIA BRUEGGENJOHANN

5 Having been first duly sworn, testified as follows:

6 DIRECT EXAMINATION

7 BY MS. MUNDS-DRY:

8 Q. Would you please state your full name for the
9 record?

10 A. Marcia Lynn Brueggenjohann.

11 Q. And where do you reside?

12 A. In Tulsa, Oklahoma.

13 Q. By whom are you employed?

14 A. Williams Production Company, LLC.

15 Q. What is your position with Williams?

16 A. I am the reservoir engineering manager for the
17 San Juan and Green River Basins.

18 Q. Have you previously testified before the Oil
19 Conservation Division?

20 A. No, I have not.

21 Q. Would you please review for the Examiners your
22 education and work history relevant to being a reservoir
23 engineer?

24 A. I received a degree in petroleum engineering
25 from the University of Texas at Austin. My pertinent

1 work history is eleven and a half years working as a
2 petroleum engineer, three for Chevron, four for
3 Petrolight, and the last four and a half years, I've been
4 working for Williams.

5 Q. You stated you're the reservoir engineer
6 manager for the San Juan Basin and the Green River Basin;
7 is that correct?

8 A. That's correct.

9 Q. Are you familiar with the application that's
10 been filed in this case?

11 A. Yes.

12 Q. Are you familiar with the gas reservoirs that
13 are the subject here?

14 A. I am.

15 MS. MUNDS-DRY: We would tender
16 Ms. Brueggjenjohann as an expert witness in reservoir
17 engineering.

18 MR. KELLAHIN: No objection.

19 EXAMINER BROOKS: So qualified.

20 Q. (By Ms. Munds-Dry) Ms. Brueggjenjohann, we
21 have a slide here, and I believe this is also Williams
22 Exhibit Number 10. Before we get into this document, if
23 you could please give the Examiners some background of
24 how this paper came to the attention of Williams.

25 A. This paper was written by Mr. Luo and

1 Mr. Kelkar, who are at the University of Tulsa. Williams
2 has had a long history of working closely with the
3 University of Tulsa's petroleum engineering department.

4 Mr. McQueen, who will testify after me, in
5 addition to his responsibilities at Williams, also serves
6 as an adjunct professor at the University of Tulsa.

7 Approximately one year ago, while he was at
8 the University of Tulsa, he had a conversation with Dr.
9 Kelkar and found out that one of his graduate students,
10 Mr. Luo, was working on a thesis to assess the infill
11 potential in tight gas sand reservoirs. Mr. Luo was
12 looking for additional field data on which to test his
13 model, and Williams provided our data from the Pinedale
14 field in Wyoming for him to use.

15 This data was utilized along with field data
16 provided by Devon in the Wamsutter field in Wyoming, in
17 order to prove the theory behind this particular
18 technique. This paper is a modified version of Mr. Luo's
19 Master's thesis, and it was presented at the SPE annual
20 conference in October of 2010.

21 Subsequent to completing his Master's thesis,
22 Mr. Luo was hired by Williams and worked for me in order
23 to perform an evaluation on the Rosa-Mesaverde formation.

24 In order to understand how the model works,
25 I'm going to try and explain the theory behind his thesis

1 and walk through an example. Then once I go through the
2 paper, I will present the results that were obtained from
3 the study on the Mesaverde formation at the end.

4 Again, I would also like to mention that this
5 paper, this version of the paper is a shortened version
6 of the actual paper, was presented on October 13th at our
7 offices in Aztec, New Mexico, when we had the joint
8 presentation with the BLM, the OCD and the U.S. Forest
9 Service.

10 Q. If I understand correctly, then, Devon
11 submitted information on their Wamsutter field, and then
12 Williams also submitted data from their Pinedale, and
13 then Mr. Luo then used that information to validate his
14 theory?

15 A. That's correct.

16 Q. Then Williams submitted additional information
17 when they hired Williams to actually apply the method
18 that he had validated on the Rosa Unit?

19 A. That's correct.

20 Q. If you would then please take us through the
21 paper. This has been marked as Williams Exhibit Number
22 10.

23 A. The purpose of the infill analysis technique
24 was dual. First, to predict the EUR of potential infill
25 based on production data from existing wells. And

1 second, to predict the components of the infill EUR that
2 could be attributed to incremental reserves or to
3 acceleration.

4 For the purpose of this paper, incremental
5 reserves are defined as new reserves, and the
6 acceleration component of the EUR are reserves that might
7 have been produced from existing wells. Obviously, the
8 higher percentage of incremental component, the better
9 the infill potential for that particular area.

10 Two of the parameters that we're going to
11 discuss are IP performance and decline rate. These are
12 important because there are two basic models for
13 reservoirs, homogeneous and heterogeneous, and the infill
14 well performance will differ based on the reservoir type.
15 The IP or initial production rate will indicate access to
16 new reserves. So if the infill well accesses new
17 reserves, the IP will presume to be higher. If the
18 infill well is producing from the depleted reservoir,
19 then the IP rate would be lower.

20 By evaluating the IP, it's possible to know if
21 you're accessing new reserves or not. The difference in
22 decline rates from surrounding wells can also indicate
23 whether or not that there is communication. After infill
24 wells are drilled, the decline rate of the original well
25 or the parent well can be expected. Normally, the

1 decline will increase if there's communication. And if
2 the reservoir is heterogeneous, the decline rate
3 typically is not affected. This will be more obvious as
4 we walk through the paper.

5 In this representation of the homogeneous
6 reservoir, the first well drilled is in the center of the
7 reservoir, and the four infill wells are drilled
8 surrounding the well, as pictured on the left. The
9 production rate of those wells is shown on the graph. If
10 there are no infill wells, the production rate of the
11 parent well is going to be like this higher blue-dashed
12 line.

13 If, after the infill wells are drilled, the
14 decline rate of the parent well increases or becomes
15 steeper, because it's been affected by communication with
16 the infill wells. The difference in the two decline
17 rates -- so between where this would have been had no
18 infill wells been drilled, and where it is after the
19 infill wells are drilled, that difference can be
20 categorized as accelerated production.

21 I also noticed that because this reservoir is
22 homogeneous, the initial rates or IPs of the infill wells
23 are very similar to that of the parent well at the time
24 the infill wells are drilled.

25 This is an example of a heterogeneous

1 reservoir where the parent well, again, is in the center
2 and the infill wells surround it, as pictured on the
3 left. This reservoir is heterogeneous to the extent that
4 there's no communication between the wells as shown in
5 the diagram.

6 In this case, the production decline rate of
7 the first well or the parent well is not impacted by the
8 infill wells because there is no communication. It's
9 also important to note that the infill wells' IP or
10 initial production rates are similar to the first well,
11 indicating that they are accessing new reserves. These
12 infill wells would be categorized as having all
13 incremental reserves or production.

14 In a perfect world, this would be the
15 preferred type of reservoir. In reality, most reservoirs
16 behave with some combination of these two cases, so in
17 other words, some contribution of incremental reserves
18 and some component of acceleration. This is why it's
19 really important to be able to evaluate what portion of
20 the infill EUR can be attributed to incremental and what
21 portion can be attributed to acceleration.

22 Q. The next slide?

23 A. The objective of this model is to develop a
24 methodology to estimate how much gas from the parent well
25 is taken by the children to estimate the EURs of the

1 incremental wells using existing production data, and
2 finally, to calculate the portion of that EUR that is
3 attributed to the incremental reserves or to
4 acceleration.

5 The first step of this technique is to
6 determine the appropriate time function to get a linear
7 relationship with cumulative production. Having a linear
8 relationship between production and time is critical.
9 Non-linear relationships which are traditionally used in
10 decline curve analysis can be very difficult to
11 extrapolate, and also, to understand the difference
12 between before and after in infill drilling.

13 In tight gas reservoirs, frequently linear or
14 bilinear flow is observed, so these equations are going
15 to be used to try and find a linear relationship between
16 cumulative production and time. We'll see that in the
17 next two slides.

18 This a graphical representation of bilinear
19 flow in a fracture. The linear flow can be observed in
20 both the fracture direction and perpendicular to the
21 fracture. For bilinear flow the flow rate equation is
22 represented by Q . When Q is integrated with respect to
23 time, the equation becomes what is shown in the red box
24 and now represents pseudocumulative production, GCP, with
25 respect to time. In this equation, K_2 is a constant

1 shown below, so the pseudocumulative production with
2 bilinear flow is linearly related to time to the .75
3 power.

4 This is a graphical representation of linear
5 flow in a fracture, and below is an equation for linear
6 flow which, again, is represented by Q. Once again, Q is
7 integrated with respect to time in order to achieve
8 pseudocumulative production, and the resulting equation
9 is in the red box. Again, in this case, K3 is the
10 constant shown below, and the result is an equation with
11 pseudocumulative linear flow that is linearly related to
12 time to the one-half power.

13 Now that it's been established that a linear
14 relationship between cumulative production and time is
15 possible, the next step is to group the wells. The wells
16 in the evaluation area are sorted chronologically by
17 production start date and then grouped into three to four
18 groups. This is done in order to be able to predict
19 average behavior. The grouping really depends on the
20 range of start dates. With more wells in an evaluation
21 area the groups will be larger and the results naturally
22 will be more robust. The next slides will show the
23 example.

24 This slide shows some of the producing wells
25 on the Pinedale anacline in Green River, Wyoming, that

1 were provided by Williams for use in this paper. The
2 current spacing is predominantly 10-acre spacing. For
3 evaluation purposes, the well locations were provided to
4 Mr. Luo in lat-longs, and he then converted them to x/y
5 coordinates. So what you see in this graphical
6 representation are the actual x/y coordinates of the
7 bottom hole locations of these wells.

8 Due to the high density in Pinedale, it was
9 possible to use the congressional sections in the
10 evaluation. In other fields that were evaluated, it was
11 necessary to make a grid that differed from the
12 congressional sections in order to have a large enough
13 well sampling to make a robust sample.

14 For this example, we're going to use Section
15 5, shown in the red box. There are 57 producing wells in
16 Section 5. On this slide they are sorted into
17 chronological order by delivery date and then divided
18 into three groups. And most evaluation areas were
19 divided into either three or four and occasionally five
20 groups.

21 The wells in each group were then treated as
22 if they were drilled together and evaluated for any
23 impact that the subsequent group of wells might have had
24 on the prior group. I think this will be more clear as
25 we walk through.

1 The next step is to plot the cumulative
2 production for each of the wells individually, using both
3 of the equations that we saw derived earlier in order to
4 determine which equation would provide a linear
5 relationship. Then the linear plots for each of the
6 wells were examined to see if there were any inflections
7 in the line due to the subsequent wells that were
8 drilled. So again, this is an example from the Pinedale
9 field.

10 After the parent wells were drilled, there
11 were two generations of wells drilled in the field which
12 is defined by the grouping. Each generation of wells
13 typically will result in an inflection point in the
14 production data of the parent well, which is extrapolated
15 to calculate a new EUR. The difference between the
16 original EUR and the new EUR is the amount of gas that
17 were produced by the next set of wells and, therefore,
18 attributed to acceleration.

19 So what we see here is the production from the
20 first well in Group 1, and it is plotted until the time
21 that the first well in Group 2 was drilled. This line is
22 then extrapolated out to some point in time to get an
23 EUR, and that EUR represents what the EUR of this well
24 would have been if the second set of wells had never been
25 drilled. So in this case, it happens to be 5 bcf.

1 Next, the production of that well is plotted
2 until the time that the first well in Group 3 is drilled.
3 And again, that line is extrapolated to determine what
4 the EUR of that first well in Group 1 would be if the
5 third group of wells had not been drilled. This delta
6 there then represents acceleration due to the second
7 group of wells.

8 The process is then repeated for the
9 production that occurred from the beginning of the third
10 group until the end of available production. This line
11 is extrapolated and a third EUR is determined. The final
12 delta then is the acceleration due to the third group of
13 wells.

14 This is another example from the Pinedale
15 field and, again, you can see the original EUR until the
16 second group of wells is drilled. It's extrapolated,
17 more production until the third group of wells in another
18 delta. So this process was done for every single set of
19 wells within the evaluation area.

20 So in the previous slide we looked at an
21 extrapolation in order to estimate the EURs from the
22 wells using the integrated flow equations. In order to
23 be convinced that these estimated EURs were reasonable,
24 they were compared to the EURs that were reported by the
25 companies that provided the data. If the results are

1 similar, then it's possible to be more confident in the
2 ultimate results.

3 So here we see a graph of the EURs that were
4 estimated by extrapolation that are compared to the EURs
5 that were provided by Williams, and the correlation is
6 quite good. There's a confidence factor of greater than
7 90 percent. This would indicate that the procedure used
8 for extrapolating the cumulative production does indeed
9 provide a reasonable EUR since they are very close to the
10 conventional EURs.

11 Using the computed EUR for each well, the
12 incremental portion of the EUR can then be determined by
13 subtracting the amount that is attributed to acceleration
14 from the parent well.

15 So this is how the incremental and
16 acceleration components are calculated per well. You
17 calculate the average EUR for this second group of wells.
18 From the extrapolations that were done on the parent
19 wells in Group 1, the acceleration component has been
20 calculated, and the average is computed by dividing by
21 the number of wells that were in Group 2. This gives the
22 acceleration EUR per well in Group 2.

23 The difference of the average EUR for Group 2
24 and the acceleration then is the incremental EUR
25 component. The results here are the results from Section

1 5 in the Pinedale field. This process is then repeated
2 for Group 2 and Group 3, to assign an incremental
3 acceleration component for each of the groups.

4 After calculating the total EUR and the
5 components, then percentages of acceleration and
6 incremental EURs are then plotted as a function of the
7 well spacing. This is done in order to observe a
8 tendency towards either incremental acceleration as the
9 well density increases or is extrapolated.

10 This particular plot is a plot of the
11 acceleration component versus incremental reserves for a
12 section in the Wamsutter field. In this plot, the total
13 EUR is the blue line and it corresponds to the left axis
14 and has units of bcf. The red and green are percentages,
15 and they correspond to the right axis. The number of
16 points that are shown on the graph correspond to the
17 number of groups that this particular evaluation had.
18 There were four different groups.

19 The green line represents a decreasing amount
20 of incremental reserves as the well density increases,
21 which is what you would expect to see. The red line
22 shows the amount of acceleration increases also with
23 increasing well density. I think it's also important to
24 note in this case that the total EUR per well declines
25 with subsequent generations of wells.

1 The next step is to extrapolate the data to
2 some desired spacing using curve fitting. In this case,
3 it was extrapolated to 80 acres, and the resulting
4 projected EUR in this case was 1.355 bcf per well at the
5 80-acre spacing. This is done for each section in the
6 entire study area, and the next step is to compile the
7 results and determine which sections are the best
8 candidates for infill potential.

9 This happens to be a summary from the
10 Wamsutter field, and in this case, multiple sections were
11 evaluated together, and the blue lines indicate the areas
12 that in this case had the highest infill potential.
13 Based on this work, Devon has drilled seven infill wells
14 in those sections, primarily in Section 14.

15 Q. Do you know what the density is in the
16 Wamsutter field?

17 A. Not off the top of my head.

18 Q. That's okay if you don't know.

19 A. I don't know. Williams has also used the
20 results of this work in the Pinedale field to determine
21 whether our not to participate in some of the wells that
22 have been proposed by the operator in this field.

23 So now we're going to move to the results of
24 the west Rosa-Mesaverde evaluation. The size of the
25 circles on this map, which don't show up as blue as they

1 should, are representative of the EURs of the producing
2 wells in the Rosa-Mesaverde.

3 The coordinates then shown on the graph again
4 are x/y coordinates from the lat-long of the bottomhole
5 locations. The grid here is not representative of
6 congressional sections, as larger groupings were needed
7 in order to have enough wells to make the results robust.
8 So what you see here is each smaller square in the grid
9 is larger than an actual congressional section.

10 The work that was demonstrated in this paper
11 was performed across all of these wells. This graph
12 represents the average results of the field-wide
13 evaluation of the Mesaverde. The center blue line
14 represents the total EUR based on the spacing below and
15 correlates to the left axis which, again, is in bcf.

16 The upper green line is the amount of
17 incremental reserves as the density increases and as a
18 percentage and correlates to the axis on the right. And
19 the lowest red line then represents the acceleration
20 component, and, again, is with the right axis. As you
21 would expect, the overall EUR does decrease with
22 increasing density and the amount of incremental reserves
23 also decreases.

24 In the next slide here we have extrapolated
25 the existing data to predict the results of the well

1 drilled on 40-acre spacing. The result is an EUR of .73
2 bcf with 74 percent incremental reserves with 40-acre
3 spacing.

4 This is the compiled results of all the grids
5 that were shown for the Mesaverde and the Rosa. And I
6 think it's important to note that almost all of the
7 sections indicate that they would have greater than 75
8 percent incremental reserves with a very low component of
9 acceleration. We believe these results indicate that
10 increased density is required in the Mesaverde.

11 Q. Thank you, Ms. Brueggenjohann. Hopefully an
12 explanation of some of those mathematical equations --
13 hopefully they'll ask for clarification, because I
14 certainly had a hard time understanding it.

15 Was this paper that was submitted by Mr. Luo,
16 was this peer reviewed?

17 A. It was.

18 Q. And then was the information and data -- I
19 believe you said, and I just wanted to emphasize -- some
20 of this data was actually submitted by Williams?

21 A. Yes.

22 Q. Did Williams rely on this document to make its
23 business decisions, particularly in bringing this
24 application here today?

25 A. Yes, we did.

1 Q. Was part of this paper at least compiled under
2 your direct supervision?

3 A. It was.

4 MS. MUNDS-DRY: Mr. Examiner, we move the
5 admission of Williams Exhibit Number 10 into evidence.

6 MR. KELLAHIN: No objection.

7 EXAMINER BROOKS: Okay. 10 is this entire
8 paper?

9 MS. MUNDS-DRY: Yes, sir.

10 EXAMINER BROOKS: 10 is admitted.

11 Did you get the last witness's exhibits
12 admitted, Ms. Wray's?

13 (Exhibit 10 was admitted.)

14 MS. MUNDS-DRY: Yes, sir.

15 EXAMINER BROOKS: Okay. I didn't remember
16 whether they were admitted or not. I wanted to be sure
17 the record was correct. Go ahead.

18 MS. MUNDS-DRY: That concludes my direct
19 examination of Ms. Brueggenjohann.

20 EXAMINER BROOKS: Okay. Mr. Kellahin, go
21 ahead.

22 CROSS-EXAMINATION

23 BY MR. KELLAHIN:

24 Q. I'm looking at the paper here. Would you turn
25 to page 28? I'm having trouble taking page 28 and

1 finding the areas. The areas are 1 through 25. If I
2 look back to the field map on 25, I can't show the areas.

3 A. And I apologize. We have another exhibit
4 where the areas are actually numbered.

5 Q. Will that be introduced?

6 A. It will be introduced.

7 MS. MUNDS-DRY: Mr. Examiner, with Mr.
8 McQueen's exhibits and testimony, there's actually a map
9 that lists that, if that's helpful to Mr. Kellahin.

10 A. If I recall correctly, Number 1 is in the
11 upper left corner, so it's 1 through 5 across the top.

12 Q. Let me ask you this. I think it will be
13 helpful. My degree is in English literature. If I look
14 at page 28, it would be helpful I think for the Examiner
15 to have and for my client to have the population of wells
16 for each of the 25 areas. I think that would be helpful
17 to analyze your work.

18 A. Certainly. I do have, actually, the full
19 analysis of the west -- of the Rosa-Mesaverde that was
20 done. However it's a fairly substantial document, and I
21 knew you really didn't want to go through the entirety of
22 it. I'm happy to provide any --

23 Q. I'd appreciate having a copy. I have an
24 engineer that might look at that.

25 A. Absolutely.

1 MS. MUNDS-DRY: We can provide that to Mr.
2 Kellahin. And if the Division would like a copy of that,
3 we will be glad to provide it.

4 EXAMINER BROOKS: I think we probably
5 would like a copy of it. Are you passing the witness?

6 MR. KELLAHIN: No, sir.

7 EXAMINER BROOKS: Because of timing
8 sequence, if I may interject, this may be an awkward
9 time, but I would like to take a brief recess, about
10 seven minutes, and be back ready to go at 11:00.

11 (A recess was taken.)

12 MR. KELLAHIN: I moved over here because
13 the court reporter said she could not hear the witness
14 when I had her turning her head the other way. It's not
15 my intent to make things more difficult.

16 EXAMINER BROOKS: I have been doing this
17 type of work for a long time, and I found it's very good
18 to keep court reporters happy.

19 MR. KELLAHIN: A few more questions,
20 please.

21 EXAMINER BROOKS: You may proceed.

22 Q. (By Mr. Kellahin) Ms. Brueggjenjohann, we were
23 looking at Exhibit 28, and I think you satisfied my
24 interest in having information about the area to be
25 identified.

1 A. (Witness nods head.)

2 Q. In drawing the analogy between the SPE paper
3 and the Rosa Unit, as I understand that, the objective
4 that you think you have achieved is on the basis of the
5 analysis of the SPE paper, then you've applied that
6 methodology to the Rosa Unit, and using certain
7 parameters, believe that you have sufficient new reserves
8 for the increased density wells that justify that
9 project; is that about right?

10 A. That's correct. I, myself, did not do the
11 work. The work was done by Mr. Luo under Williams'
12 employ and under my supervision when he evaluated the
13 Mesaverde field.

14 The results that we presented on the previous
15 graph -- I won't be able to get there now -- but on page
16 27, I believe, show that the field-wide average is .73
17 bcf. The part that's of most interest to us is that 74
18 percent of that is incremental, according to this
19 analysis.

20 Q. What part of this process was assigned to
21 Mr. McQueen?

22 A. This particular evaluation using this
23 technique in the SPE paper?

24 Q. Yes, ma'am.

25 A. He was familiar with the work.

1 Q. I'm trying to understand what I've learned
2 from you and what I'm about to learn from Mr. McQueen,
3 how this was apportioned.

4 MS. MUNDS-DRY: I'm not sure I understand
5 the question, Mr. Examiner.

6 Are you asking for a preview of what
7 Mr. McQueen is going to testify to?

8 Q. (By Mr. Kellahin) I assume you're his
9 supervisor; are you not?

10 A. No, I am not.

11 Q. That answers that question.

12 When we make the link from Rosa to the SPE
13 paper, is this your work product?

14 A. No. This is Mr. Luo's work product.

15 Q. In applying this method to the Rosa Unit, did
16 Mr. Luo generate a pattern for the increased density
17 wells using layouts that we find in the early pages of
18 your presentation?

19 A. Yes.

20 Q. For example, using the heterogeneous reservoir
21 depiction that's on page 4.

22 A. The two equations that were shown to be
23 derived that would give a linear relationship between
24 cumulative production and time, were applied to every
25 producing well in the Mesaverde formation in the Rosa

1 Unit. One or the other of those equations would give a
2 linear relationship, and then that line was used and
3 these calculations were done.

4 Q. When I look at the wells in Area 1, for
5 example, am I going to see a depiction, when I plot
6 those, that will conform to some type of layout that
7 shows this relationship?

8 A. That particular graph is a representation of a
9 heterogeneous reservoir. That was not used during the
10 analysis. That was only used -- that particular graph
11 was used to explain the difference between a homogeneous
12 reservoir and a heterogeneous reservoir within the
13 context of understanding the technique that was used in
14 this paper.

15 Q. When we get down to the specifics of the Rosa
16 Unit, which engineering calculation is the one that
17 applies to the Rosa Unit?

18 A. Again, as I stated, the two equations of
19 pseudocumulative flow with respect to time were applied
20 to the production on every single well in the Mesaverde
21 in the Rosa Unit. So this equation in the red box there
22 for bilinear flow and that equation there were applied.

23 This is a tremendously onerous task. What
24 Mr. Luo did was right a VBA program to take the
25 production data and look at both of these curves and

1 determine which one had a linear relationship.

2 Q. In taking this information, can my engineers
3 at ConocoPhillips, then, have enough information by which
4 they can check the assumptions and values placed in each
5 of these two calculations?

6 A. I believe so. These are standard flow
7 equations.

8 Q. There's nothing unique about these flow
9 equations that they would not understand or have access
10 to?

11 A. No.

12 Q. In talking to engineers in prior hearings
13 about flow equations, there is always some range of
14 choice in the values used for each of these -- in the
15 range of numbers used for each of these values. Are any
16 of these values such that they would give you the ability
17 to manipulate the end result?

18 A. Not to my knowledge.

19 Q. In a more simple fashion in doing volumetric
20 calculations, if you have a thickness component, it would
21 change the thickness, you can change the results.

22 A. Absolutely.

23 Q. In doing that, are there any of these
24 engineering parts of the formula that have that type of
25 sensitivity to the end result?

1 A. No, there are not. The primary purpose of
2 these equations is to be able to draw a straight line and
3 to be able extrapolate out to some point in time to get
4 an estimated EUR.

5 Those EURs were then correlated to the EURs
6 that were provided by Williams to make sure that there
7 was a good correlation. That would have been the only
8 place where there might have been room for some
9 interpretation.

10 However, the correlation was greater than 90
11 percent confidence, so I don't think that Mr. Luo took
12 any liberties with his interpretation.

13 Q. You're being very responsive, and I'm trying
14 to understand. When I look at engineering plots and see
15 design curves, you depict various data points. That's --

16 A. The reason for using the linear line is that
17 it's less open to interpretation than a non-linear curve.

18 Q. Were you involved in this project from an
19 engineering perspective when the pilot order was issued?

20 A. I was not.

21 MR. KELLAHIN: Thank you, Mr. Examiner.

22 EXAMINER BROOKS: Thank you, Mr. Kellahin.
23 Ms. Brueggjenjohann, I don't believe that I can -- that I
24 have any questions. Mr. Jones?

25 EXAMINER JONES: Okay. I'll probably be

1 easy compared to Tom.

2 Okay. I think Mr. Luo is going to have a
3 thriving career as a reservoir engineer or mathematician.

4 THE WITNESS: He's currently working on
5 his Ph.D. right now.

6 EXAMINER JONES: That's a good choice.

7 EXAMINATION

8 BY EXAMINER JONES:

9 Q. I like the idea of the straight line, that
10 that factor versus the time, and that -- is that
11 revolutionary, or is this something that the CAD all
12 does, or is this something that's brand new?

13 A. I don't believe it's brand new. These are
14 pretty standard flow equations.

15 Q. He basically creates these grids of the sizes
16 in order to handle Pinedale, basically, and the Rosa
17 Unit?

18 A. (Witness nods head.)

19 Q. So it's universal, as far as you can apply it
20 to different areas of the country?

21 A. Tight gas reservoirs, yes.

22 Q. Oh, tight gas reservoirs. So hyperbolic type
23 declines and stuff would be a better representative for
24 calculation of incremental reserves this way, than would
25 be through time zero -- did you do that sort of thing?

1 A. This is simply one predictive tool to use in
2 addition to all the other standard reservoir engineering
3 tools. The advantage of this is it doesn't require any
4 pressure data. You're able to use existing production
5 data. And it's a predictive method. It's not something
6 intended to be used solely as the primary method of
7 making an engineering decision, but really to predict
8 what the results will be.

9 Q. So, basically, it kind of depends on the slope
10 change and how that -- because if you choose a different
11 slope change, you've got a vastly different number.

12 A. Yes.

13 Q. And the number of wells that you drilled for
14 pilot on the Rosa Unit, how many was that?

15 A. 20 wells.

16 Q. And it was Ms. Wray that said it was all
17 across the unit; is that right?

18 A. (Witness nods head.)

19 Q. It was pretty representative?

20 A. Yes. It was spread across the -- most of the
21 participating area.

22 Q. And those wells, were they downhole
23 commingled?

24 A. They are all commingled.

25 Q. Even the original parent wells were commingled

1 and the child wells were commingled?

2 A. Some of the parent wells I believe are
3 stand-alone Mesaverdes and are not commingled. And I
4 believe some of the original wells were not downhole
5 commingled. I would have to look at my records to give
6 you that.

7 Q. That's okay. But you're confident that the
8 percentage allocated to the Mesaverde was correct as far
9 as this prediction goes?

10 A. Yes.

11 Q. Were you the one having to get your management
12 to drill these wells?

13 A. No. I left that to Mr. McQueen.

14 Q. Okay. There's always somebody that has to do
15 it. Acceleration is almost sometimes good economics
16 also, isn't it?

17 A. It is. Depending on the current gas price and
18 the economics of drilling the well, there are times when
19 even though you're getting a component of acceleration,
20 it's still economically viable.

21 Q. Isn't that even more so if you've got
22 hyperbolic type gas?

23 A. That can be true.

24 Q. And the life of these wells as far as -- it
25 seems like it makes a big difference, you know, your

1 field-wide compression and how much you can pull these
2 wells down. But I guess this comparison is assuming the
3 same end pressure --

4 A. Yes.

5 Q. -- in the reservoir?

6 A. Um-hum.

7 Q. Does Wyoming require pressure data to be
8 turned in by operators so it's available to other
9 operators, or studies?

10 A. Our position in Wyoming is non-operated, so
11 I'm not sure I can answer that question definitively.

12 Q. Because New Mexico got rid of that a few years
13 ago. What about pressure transient analysis? Have you
14 done any of those around in -- does it help you in any
15 way as far as looking for boundaries, looking for
16 reservoir pressures and --

17 A. We have not done any of that analysis on the
18 Mesaverde.

19 Q. On the new wells that were drilled in the
20 pilots, were they completed the same way as the older
21 parent wells?

22 A. I believe so.

23 Q. Same frac jobs?

24 A. Mr. McQueen can provide you more details
25 around that.

1 EXAMINER JONES: Okay. I have no more
2 questions. Thank you very much.

3 MS. MUNDS-DRY: I have nothing further.

4 EXAMINER BROOKS: She may step down.

5 I have a question for you before we -- Ocean,
6 before we go with the next witness. In Case Number
7 14581, which is two cases down from this, Number 8 on the
8 docket, you entered an appearance. Is that a limited
9 entry of appearance or is that a contested case?

10 MS. MUNDS-DRY: That is entry of
11 appearance. I'm also here for Nearburg. I believe
12 Mr. Carr has entered that appearance.

13 EXAMINER BROOKS: I assumed that since
14 Bill had entered an appearance for Nearburg, that you
15 would represent that as well. So in effect, none of the
16 remaining cases on the docket are contested. The only
17 things that are remaining is 14587, 14581 and 14582, and
18 they're all Jim's cases, as far as I can see, and none of
19 them are contested. So if we get through with this case,
20 we will be on the home stretch.

21 MS. MUNDS-DRY: Good shape.

22 EXAMINER BROOKS: That's what I was trying
23 to figure out. Can we complete this witness in 30
24 minutes?

25 MS. MUNDS-DRY: I imagine he will be done

1 well within 30 minutes.

2 EXAMINER BROOKS: I put a premium on that,
3 because I want to take a lunch break at 11:45.

4 MS. MUNDS-DRY: I'm right there with you.

5 EXAMINER BROOKS: You may proceed.

6 KEN McQUEEN

7 Having been first duly sworn, testified as follows:

8 DIRECT EXAMINATION

9 BY MS. MUNDS-DRY:

10 Q. Would you please state your full name for the
11 record?

12 A. My full name is Ken Haywood McQueen, Jr.

13 Q. Where do you reside?

14 A. I reside in Tulsa, Oklahoma.

15 Q. By whom are you employed?

16 A. I'm employed by Williams.

17 Q. What do you do for Williams?

18 A. I'm the director for the San Juan Regional
19 Asset Team.

20 Q. Have you previously testified before the Oil
21 Conservation Division, and were your credentials made a
22 matter of record and accepted?

23 A. I have, and they were.

24 Q. Are you familiar with the application that's
25 been filed in this case?

1 A. I am.

2 Q. Have you made an engineering study of the
3 subject lands in the Rosa Unit?

4 A. I have.

5 MS. MUNDS-DRY: Mr. Examiner, we would
6 tender Mr. McQueen as expert in petroleum engineering.

7 EXAMINER BROOKS: Okay. Do you find that
8 when you introduce yourself as Mr. McQueen, people
9 occasionally start calling you Steve?

10 THE WITNESS: People of our generation,
11 that's very common, yes. People of my children's
12 generation, not so much.

13 EXAMINER BROOKS: So qualified.

14 MS. MUNDS-DRY: Thank you.

15 Q. (By Ms. Munds-Dry) Mr. McQueen, before we
16 turn to your exhibit, let's first review what Williams
17 studied during the pilot project.

18 A. On March 19th, 2009, in Case 14291, we
19 requested approval of the infill pilot in the western
20 portion of the Rosa Unit. The subject area covered all
21 26 sections in Townships 32 North and 6 West and 31 North
22 and 6 West within the Rosa Unit.

23 Our thesis, very simply, was that increased
24 well density was justified based on observed geologic
25 heterogeneous entities and gas recovery factors that were

1 calculated. If our thesis proved true, ultimate gas
2 recovery could be improved by increased well density.

3 Our infill pilot proposal requested the
4 drilling of 20 wells within this 26-section area and the
5 collection of data that would confirm or deny our thesis.
6 Today we are meeting our requirements from Case 14291 and
7 under Order 123 to record our conclusions from that data
8 gathering.

9 You've heard from my colleague, Laura Wray,
10 that the openhole logging data gathered from these 20
11 infill wells was integrated with our previous data and
12 geologically confirms a highly heterogeneous reservoir,
13 one comprised of many lenticular sand bodies with
14 multiple reservoir compartments.

15 You've also heard from my colleague, Marcia
16 Brueggjenjohann, on how newly-developed peer reviewed
17 technologies from SPE was developed from the University
18 of Tulsa. I'll show you and re-review the results of
19 that technology to identify well interference, rate
20 acceleration and incremental recovery in the
21 Rosa-Mesaverde.

22 We also attempted to conduct a minimum of four
23 DFIT in each of the 20 infill wells to confirm or deny
24 zonal pressure variations, and I'll show you those
25 results, as well. We have painstakingly re-examined our

1 original assumptions related to gas in place information
2 and have revised and updated those numbers. And finally,
3 we have prepared and inspected our production plots for
4 evidence of interference.

5 Q. Let's turn to Williams Exhibit Number 11, and
6 if you'll identify and review this set of documents for
7 the Examiners.

8 A. The first chart of Exhibit 11 graphically
9 demonstrates the end results of the application of SPE
10 13249. And, basically, the technique is used to quantify
11 what portion of the production can be related to
12 incremental that is recovered by this well and what
13 portion is acceleration that would be gas that would be
14 recovered by other wells had the 100B not been drilled.

15 And for this particular well, we see that the
16 total EUR is 1 bcf and .85 bcsf can be attributed to
17 incremental reserves, and .15 bcf that is acceleration
18 reserves. The second page of Exhibit 11 is a bubble map
19 of the Rosa-Mesaverde. The size of the bubbles is simply
20 representative of the estimated ultimate recovery.

21 Q. This is the same map that, I believe,
22 Ms. Brueggjenjohann, with the exception that you listed,
23 the numbers, the area numbers on there?

24 A. That's right. This reservoir for the purpose
25 of this SPE technique has been developed for the last 55

1 years, so some of the bubbles are large simply due to the
2 longevity of the well. Other bubbles are large because
3 they are in better parts of the reservoir.

4 For the purposes of the SPE analysis, the map
5 is laid on an x/y coordinate plain, and those coordinates
6 were calculated from the wells' latitude/longitude
7 coordinates. The Rosa-Mesaverde producers were then
8 divided into 25 like-sized rectangles.

9 In the Pinedale example, the well density was
10 10 acres and the wells were grouped into three
11 chronological groups. So there were enough wells in
12 every 640-acre section to make this analysis
13 statistically significant.

14 In Rosa, with 80-acre well densities and four
15 chronological groups, a larger area must be utilized in
16 order to have enough wells to analyze in four
17 chronological groups. Each of the 25 rectangles was
18 analyzed independently for its unique split between
19 incremental and acceleration production.

20 The next page shows the analysis that results
21 in quantifying the split between incremental and
22 acceleration, again, as a reminder, the top line
23 annotated with triangles and shown in green is the
24 incremental data, and the bottom line annotated with the
25 squares and shown in red is the acceleration data. And

1 both of those lines are associated with the right access.

2 The blue line annotated with the diamond in
3 the middle and labeled "sum" is really the average EUR
4 for each chronological grouping and is associated with
5 the left axis. As you would expect, the first
6 chronological group shows zero acceleration and 100
7 percent incremental.

8 As more wells are drilled, which creates more
9 chronological groupings, the corresponding EURs decrease
10 and the acceleration component increases. Again, in
11 Rosa, the analysis used four chronological groupings.

12 To determine the acceleration impact at some
13 predetermined well density, 40 acres in this case, the
14 data is curve fit to produce an equation that can
15 calculate these parameters.

16 Q. That's shown on the next page titled "Area 1
17 Extrapolation"?

18 A. Correct.

19 Q. The next page shows the curve fit and the
20 equation for each grid so that you can see in Area 1
21 40-acre well density would result and predicted 16
22 percent acceleration. So 84 of the production would be
23 gas production that would not be produced with the
24 current well spacing. The identical process is repeated
25 25 times so that each rectangle is analyzed for its

1 unique results.

2 If we look at the next page, we see the
3 field-wide averages, and the following pages show the
4 extrapolation back to 40-acre well density, indicating
5 that on a field average, infill drilling the entire field
6 to a 40-acre well density would result in an average 26
7 percent acceleration component.

8 In practice, the field-wide average is only
9 useful as a high-level screening tool to determine
10 whether or not the field might be a candidate for
11 increased density. The real value of this methodology is
12 determining geographically within a producing field where
13 the optimal plays with increased density exists.

14 If you look at the last page of Exhibit 11, we
15 show the results for each of the 25 geographic areas in
16 analyzing Rosa. The table clearly indicates that the
17 best places to consider infill drilling is Areas 2, 6, 7
18 and 9, all of which have acceleration components less
19 than 15 percent. The worst places to infill drill would
20 be Areas 13 to 24, which have acceleration components in
21 excess of 45 percent.

22 Q. Let's turn, then, to what's been marked as
23 Williams Exhibit Number 12. Please identify and review
24 this document?

25 A. This document reflects the DFITs that we did

1 in all 20 of our wells. Diagnostic fracture injection
2 tests, commonly known by the acronym DFIT, is a procedure
3 by which fluid is pumped into the formation. When the
4 parting pressure is reached, fluid injection stops, the
5 pressure response is recorded during the entire process
6 and can be analyzed for certain information.

7 The DFIT can be thought of as a pre-frac
8 breakdown. The pre-closure pressure history can be used
9 to discern unique fracturing characteristics, such as
10 near well stress, pressure dependent leak-off, fracture
11 height recession, leak-off and fracture complexity.

12 More importantly, the post-closure pressure
13 history can be analyzed as a fall-off test with
14 traditional pressure transient techniques. This analysis
15 can provide different leak-off types, namely normal,
16 pressure dependent, fracture hyperextension and fracture
17 tip extension. More importantly, can be used to provide
18 closure stress estimate for pressure from which we can
19 derive an average reservoir pressure.

20 In our case, we shot one hole into the porous
21 interval, conveyed a bridge plug to just above that
22 perforation by wireline with a pressure recording device
23 hung underneath the bridge plug. We started pumping
24 fluid into the formation while monitoring pressure on the
25 surface. When the formation parted, the pumping ceased,

1 the bridge plug was set. And after four days, the bridge
2 plug was recovered with the pressure bomb and the
3 fall-off data was downloaded from the pressure bomb.

4 Our goal was to conduct four DFITs in each of
5 our 20 infill wells. Because of some bridge plug
6 failures and other mechanical issues, we were not able to
7 collect all four DFITs in all wells. So looking at
8 Exhibit 12, if everything went according to plan, we
9 should have four bars for each well representing the
10 reservoir pressure and each zone tests.

11 Those wells that have missing bars are those
12 where we experienced mechanical issues. The data
13 gathered was an additional cost component, as it
14 represented 16 days on each well or 320 days to our
15 entire program, where other downhole operations had to be
16 delayed.

17 Nevertheless, we believe that the data here
18 provides insight into untapped potential in the Mesaverde
19 and supports our case. Incidentally, all of our DFIT
20 data was captured and analyzed independently by
21 Halliburton.

22 For consistency, the zones included one test
23 in the Cliff House, one in the Menefee and two in the
24 Point Lookout due to its much greater thickness. The
25 shallower test in the Point Lookout is labeled as upper

1 Point Lookout on Exhibit 12 and corresponds to what many
2 geologists refer to as the massive Point Lookout. This
3 is where most of the Rosa-Mesaverde production
4 originates.

5 The deeper point Lookout test is labeled --
6 excuse me -- the lower Point Lookout on Exhibit 12, and
7 corresponds to the more heterogeneous sands found in the
8 lower section of the Point Lookout. These sands have not
9 historically received the degree of stimulation as the
10 upper sands.

11 The reservoir pressure as determined by
12 Halliburton indicates significant variation from zone to
13 zone and from well to well. This indicates that
14 differential depletion is occurring across the interval
15 due to variations in permeability.

16 So we can surmise that the reservoir
17 connectivity is highly variable as a result of this
18 reservoir heterogeneity. The data also suggests that
19 there are significant reserves remaining in some of the
20 less connected reservoir components, and additional
21 reserves could be recovered by more wellbores.

22 Q. In particular, if I understand this correctly,
23 Mr. McQueen, the yellow, the lower Point Lookout,
24 indicates higher pressures --

25 A. Correct.

1 Q. -- which would seem to confirm --

2 A. -- less drainage.

3 Q. That's an untapped --

4 A. Untapped resource.

5 Q. Let's turn to Williams Exhibit Number 12. You
6 have a series of production plots here?

7 A. Um-hum. The production plot is a collection
8 of 20 rate/time semi log production plots showing the
9 production history for the first well that was drilled
10 and every proration unit where a subsequent 40-acre pilot
11 infill well was drilled. At the bottom of the plot are a
12 number of annotations and some are labeled "FDD." This
13 stands for the first delivery date. For these oldest
14 producers in each proration unit --

15 EXAMINER BROOKS: Excuse me. You said
16 Exhibit 12. Do you mean Exhibit 13; do you not?

17 MS. MUNDS-DRY: I'm sorry. 13. I
18 apologize.

19 A. So we've annotated the first delivery of every
20 subsequent offset with this name and the distance from
21 that well to this initial producer. Based on the
22 previous description from SPE 13249, we expect to see a
23 change of slope in the original well's production history
24 after subsequent wells are drilled if the reservoir was
25 homogeneous.

1 In 19 out of 20 of these production plots, we
2 see no change in exponential decline, except for the
3 occasional mechanical issues. In reviewing the
4 production plots, we actually see an increase in
5 production trend which resulted from gathering system
6 optimizations.

7 The only production plot that has fallen from
8 established trend is the Rosa 160. That well was shut in
9 for drilling of the 160D. They share the same surface
10 pay. The Rosa 160 Mesaverde is also commingled with the
11 Pictured Cliffs, and since its extended shut-in, we've
12 been unable to get the water block removed and this well
13 restored to production.

14 Q. I believe that's the third page to the back of
15 this packet?

16 A. Correct. So these observations again confirm
17 our thesis of a heterogeneous reservoir, rather than a
18 homogeneous reservoir with minimal interference between
19 wells.

20 Q. Okay. You said that you also re-examined the
21 gas in place numbers for the Mesaverde. If you could
22 explain what you did and what you estimated for new gas
23 in place numbers?

24 A. We have spent a fair amount of time examining
25 volumetrics in the Rosa-Mesaverde. Our current estimate

1 of gas in place is 505 bcf. Our current recovery as of
2 today is 132 bcf. That's roughly 27 percent of this gas
3 in place. And our projected ultimate recovery is 262
4 bcf. That works out to 52 percent of the gas in place.
5 Our hopes with infill drilling would be a recovery of
6 perhaps 50 or 65 percent gas in place or another 4265 bcf
7 of gas production above current projections.

8 Q. That percentage increase is based on our
9 request for 80 wells per 320, that you think you can get
10 that additional percentage?

11 A. Correct. We have decreased our estimate of
12 gas in place from what we recorded in our infill pilot
13 hearing. We have analyzed 21 months' of additional
14 production volumes plus log data from these 20 wells.
15 And collectively, we now believe that the cutoff
16 parameters utilized last time were probably too
17 optimistic. Nevertheless, the revised GIP still leaves a
18 significant target for increased density drilling.

19 Q. Getting sort of to Mr. Jones' point about
20 prices, you're still optimistic, even with these reduced
21 GIP numbers, even with pricing the way it is, to explore
22 increased density in the Mesaverde?

23 A. We are.

24 Q. Okay. Mr. McQueen, if you could then --
25 you've gone through a number of different factors that we

1 looked at in our study. If you could summarize your
2 conclusions in support of our application today?

3 A. In summary, we believe that we have offered
4 conclusive evidence that our Rosa-Mesaverde is a very
5 heterogeneous reservoir and additional drilling beyond
6 the current 80-acre well density is warranted and will
7 result in gas production that would otherwise be left in
8 the ground.

9 Our conclusions are confirmed by the data we
10 gathered from the 20 wells previously drilled in our
11 pilot project. We've presented geologic testimony that
12 confirms that our reservoir is a lenticular sand with
13 multiple reservoir compartments of varying size and
14 connectivity.

15 We have presented engineering testimony using
16 the latest SPE peer review paper to quantify the amount
17 of acceleration versus incremental recovery that could
18 result with additional drilling.

19 We've conducted multiple DFITs and confirmed
20 zonal pressure variations which suggest that additional
21 drilling could drain additional reserves in these higher
22 pressure intervals.

23 We have re-examined our original assumptions
24 related to gas in place, and our updated numbers still
25 leave room to achieve a higher recovery factor with

1 additional drilling.

2 Finally, we have prepared and inspected our
3 production plots for evidence of interference and
4 conclude they support our conclusion of a heterogeneous
5 reservoir that would benefit from additional drilling.

6 Q. Why is this application important to Williams,
7 Mr. McQueen?

8 A. The Rosa-Mesaverde is almost fully developed
9 under current 80-acre well density. There are about 30
10 locations remaining at that spacing. Additionally, we
11 believe that somewhere between 40 and 65 bcf of gas would
12 be left behind in the ground without this additional
13 drilling.

14 Q. You mentioned there are approximately 30 well
15 spots left in the Rosa Unit for infill drilling under
16 current rules. Of those 30 spots, are all of them
17 suitable for drilling a successful well, in your
18 estimate?

19 A. We actually believe that some of the 40-acre
20 locations would provide higher EUR recovery than some of
21 the 80-acre locations. Because a lot of the remaining
22 80-acre locations are located on the east side of the
23 field, and that's where productive Mesaverde tends to
24 shale out.

25 Q. Will the approval of this application be in

1 the best interest of conservation, the prevention of
2 waste and the protection of correlative rights?

3 A. Yes, we believe it will.

4 Q. Were Exhibits 11 through 13 either prepared by
5 you or compiled under your direct supervision?

6 A. Yes.

7 MS. MUNDS-DRY: Mr. Examiner, we move the
8 admission of Exhibits 11 through 13 into evidence.

9 EXAMINER BROOKS: 11 through 13 are
10 admitted.

11 (Exhibits 11 through 13 were admitted.)

12 MS. MUNDS-DRY: I have nothing further.

13 EXAMINER BROOKS: Mr. Kellahin?

14 MR. KELLAHIN: Thank you.

15 I have just a few questions for clarification.

16 CROSS-EXAMINATION

17 BY MR. KELLAHIN:

18 Q. Would you go back to a copy of the pilot
19 order, if you have the pilot project order? It's Exhibit
20 2 in the package of documents. If you'll turn to the
21 bottom of page 2 from the pilot approval hearing, there
22 was adopted in the order some findings concerning the
23 calculation of gas in place.

24 A. Yes.

25 Q. I got part of your testimony a while ago about

1 some of the changes in those numbers. Would you give
2 them to me again, and let's do them by Cliff House,
3 Menefee and upper Point Lookout? Can you do that,
4 separate them out by zone?

5 A. I don't have the zonal splits with me.

6 Q. Can you provide that to me?

7 A. Yes.

8 Q. In re-analyzing the gas in place numbers, what
9 did you find that caused you to change any of the
10 components in the volumetric calculations?

11 A. The reservoir cutoffs that were used, in
12 particular in the Cliff House last time, calculated more
13 reservoir volume than what we really believe is there.
14 This is a very important aspect to me personally, because
15 I'm the guy in the organization that's on the hook for
16 spending our capital dollars, and certainly I want to be
17 able to apprise management that we have analyzed, as
18 carefully as possible, what we think the remaining gas in
19 place is, because that has a big impact on whether these
20 infill wells will produce economic quantities of gas or
21 not.

22 Q. I understand that. My question was with the
23 cutoffs, do you use different cutoffs for each of the
24 zones? Is it not your engineering methodology to use a
25 different cutoff when your calculating the gas in place

1 for the Cliff House as opposed to the Menefee?

2 A. I believe we did use some different cutoff
3 parameters, but I'll be happy to document and supply all
4 of that.

5 One of the big complications in calculating
6 gas in place numbers for the Mesaverde infill comes with
7 regard to the Menefee was the presence of the coals, and
8 we've spent a fair amount of time debating what that
9 contribution component might be from the Menefee coals.

10 Q. Did you analyze the geology to come up with
11 values for thickness and porosity in doing the volumetric
12 calculation?

13 A. An engineer under my direction utilized that.
14 And, basically, our process was to use our inventory of
15 log data and apply a variation of cutoff parameters to
16 that data to come up with these numbers.

17 And I will say it was not necessarily an
18 application of a specific cutoff, but this has been a
19 very iterative process to look at sensitivities of how
20 the various cutoffs impact our gas in place calculations.

21 Q. Let me see if I can focus my question on what
22 I'm interested in. You have historical data on your
23 wells and the ability to get net thickness numbers for
24 the volumetrics?

25 A. Um-hum.

1 Q. Did any of the new log data appreciably change
2 how you came up with the numbers selected for that value
3 when you're looking at thickness?

4 A. I don't think the logs changed our view of the
5 thickness, but they added additional data points for
6 analysis, 20 additional data points that we had not
7 previously had.

8 Q. From the order, one of the things that you
9 were seeking to achieve with the pilot was the zonal
10 specific pressure data. As I understand it, there's a
11 summary on page 12 of your presentation. This is the
12 depiction of that effort; is it not?

13 A. Yes, sir.

14 Q. Some of the other things that you're seeking
15 to achieve with the pilot project was to demonstrate
16 wellbore interference. Were you able to achieve any of
17 that?

18 A. We believe that we demonstrated that by the
19 quantification of acceleration versus incremental through
20 the SPE paper.

21 Q. That would be how you link that to this issue?

22 A. Yes.

23 Q. In the classic sense, though, these pilot
24 wells have not been produced long enough where you could
25 demonstrate interference between wells to the pilot well?

1 A. Because we are in a heterogeneous reservoir, I
2 do not expect to see a big impact of these 20 40-acre
3 spaced wells to the parent wells, and I base that
4 conclusion on the same 20 production plots that I had
5 provided.

6 Since we started drilling here in the mid
7 '50s, we have a number of subsequent offsets that have
8 been drilled to the parent well. And as I demonstrated
9 in these plots, we don't see any slope change in the
10 exponential fit of those wells for, basically, any of the
11 infill wells that have been drilled. So that suggests to
12 me that the reservoir is heterogeneous, and you just
13 don't see that pronounced degree of interference from
14 these subsequent wells.

15 Q. In selecting the 19 or 20 pilot wells, did you
16 have someone or did you attempt to conduct any pressure
17 transient analysis on those wells?

18 A. On which wells?

19 Q. The 20 pilot wells.

20 A. The pressure -- the PTA that we did on the 20
21 pilot wells revolved around our DFIT data and the
22 analysis of the fall-off trend that we recorded post
23 closure, yes.

24 Q. Would you finally turn to Exhibit 11, which is
25 your tabulation of multiple pages on the rate

1 acceleration EUR calculation?

2 A. Yes.

3 Q. Would you turn to page 2 for me?

4 A. (Witness complies.)

5 Q. In looking at the bubble map -- and go to
6 bottom of the map. For example, in section -- I guess
7 Section Number 24, 24 and 23 on the bottom.

8 A. Yes. If I could --

9 Q. My point is there's a large drainage bubble,
10 and those bubbles are overlapping by other drainage
11 bubbles from other wells. What explains that?

12 A. This map does not represent drainage. This
13 map -- the size of the bubbles simply reflect EUR. So
14 you -- it's simply a graphical representation so that you
15 can compare one well adjacent to the next well of what we
16 think the estimated ultimate recovery will be.

17 Q. Aren't each of those wells competing for the
18 same gas to the extent that you're using the same EUR?
19 I'm having trouble understanding the visualization of a
20 bubble map that overlies bubbles. Explain it to me.

21 A. The intent of this exhibit is really designed
22 to show how we split the field up into 25 areas for
23 analysis by the SPE paper. The size of the bubbles
24 should not be interpreted as showing interference between
25 wells. It's simply a graphical representation, one well

1 relative to another well, of what the EUR for that well
2 was.

3 So it basically gives us a quick look of which
4 wells in the field will have a higher EUR and which wells
5 have a lower EUR. But it's basically nothing different
6 than taking these 300 wells and putting them in an Excel
7 spreadsheet and just having the EUR data adjacent to
8 that, and then normalizing that circle size according to
9 some EUR and plotting them on the map.

10 So you really can't discern interference
11 between wellbores from this map, because that's not the
12 purpose of the map. The purpose of the map is simply to
13 show the relative EUR, one well to another.

14 Q. So this map, in your opinion, should not be
15 used to show well densities? I would look at this and
16 say you've got your wells too close.

17 A. The exhibit that should be used to determine
18 whether our well densities are correct, is the last page
19 of this exhibit, the chart.

20 Q. The one that's done by areas?

21 A. Yes, sir. So if you look in the areas that
22 have the smaller acceleration components, it would be our
23 view that those are the optimal places to choose infill
24 drilling, because in some places of the field, as I
25 mentioned in my testimony, it's clear that the existing

1 wells there are going to do a pretty adequate job of
2 drilling the field.

3 And just so I might clarify, our intent here
4 today is not to drill eight additional wells in every
5 proration unit. Our purpose is to have that latitude,
6 but to allow the operator, in our best analysis, to make
7 judgments on where additional wells make economic sense.

8 Q. My last question, Mr. McQueen, in the pilot
9 order under paragraph finding 6(K), one of the other
10 issues you were exploring was the orientation. Do you
11 have any comments about that topic?

12 A. I had hoped that this would be a
13 straightforward process. And as we delved into this and
14 consulted with our geologist, we found that it was a much
15 more complex process than what we anticipated.

16 If you survey the literature, most of the
17 literature suggests that there is a preferred drainage
18 direction that ranges, depending on the author, somewhere
19 between 10 and 30 degrees east of north. But as we look
20 at the particular geologies zone by zone, we found that
21 it was not clear cut that you could assume a uniform
22 direction for these drainage ellipses across the
23 wellbore.

24 So, in fact, in reality, what we suspect that
25 we have is, in Cliff House, for example, we may have a

1 drainage ellipse oriented in one direction, and the
2 Menefee, because it's a very different geological
3 deposition, might be slightly different, and in the Point
4 Lookout it may be different again.

5 And if ascertaining the direction of the
6 predominant -- the major axes of the ellipse wasn't tough
7 enough, then there's also this big debate of what the
8 ratios between the major axis and the minor axis of the
9 ellipse are. Obviously, if those are the same, you have
10 a circular drainage area. But I think everyone believes
11 there is a preferential direction present in the
12 reservoir, and I think that is open, really, to a lot of
13 debate.

14 Q. So after the pilot study, we still can't
15 answer that question about the orientations?

16 A. I can answer it and I can generate lots of
17 drainage of ellipses. Whether I have confidence that
18 that really represents what is going on to the reservoir,
19 I'm not so sure.

20 MR. KELLAHIN: Thank you, Mr. McQueen.
21 We'll save that for another day.

22 Thank you, Mr. Examiner.

23 MS. MUNDS-DRY: I have nothing further for
24 Mr. McQueen.

25 EXAMINER BROOKS: Okay. I have no

1 questions.

2 EXAMINER JONES: I'd like to thank you
3 guys for showing up here and showing us this.

4 EXAMINER BROOKS: I do have a question
5 that I addressed to Mr. Hansen and he referred me to
6 another witness. I'm not sure which one. But maybe you,
7 Ocean, are the person who can answer.

8 What exactly are you asking for in terms of
9 the eight wells per unit? Are you asking for eight
10 wells? I asked this because it's my understanding the
11 present rule governing the Mesaverde is that there can be
12 up to four wells per unit, no two of which can be in any
13 one quarter/quarter section, and no more than two of
14 which can be in any one quarter section. I think I've
15 stated it correctly.

16 THE WITNESS: That's correct.

17 EXAMINER BROOKS: Okay. Do you want to
18 get rid of all those rules about the well location and
19 just allow eight wells per 320 unit, or what are you
20 asking that --

21 MS. MUNDSD-DRY: That's not something we
22 would really detail out. I think that's right. I think
23 we want to have the flexibility to put eight wells where
24 it makes most geologic and engineering sense.

25 Is that fair, Mr. McQueen?

1 THE WITNESS: Yes.

2 MS. MUNDS-DRY: I've got my boss right
3 here.

4 THE WITNESS: Yes, yes.

5 EXAMINER BROOKS: Okay. Then you are the
6 person to ask the question. Thank you. The hearings
7 will be adjourned until -- first of all, we'll take Case
8 Number --

9 MS. MUNDS-DRY: Mr. Brooks, we need to
10 admit the stipulation as Williams Exhibit Number 14.

11 EXAMINER BROOKS: Okay. Williams Exhibit
12 Number 14 is admitted. We will take Case Number 14586
13 under advisement. The hearings will be adjourned until
14 1:30.

15 (Exhibit 14 was admitted.)

16 * * *

17

18

19

20

21

22

23

24

25

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. _____,
heard by me on _____.


_____, Examiner
Oil Conservation Division

REPORTER'S CERTIFICATE

I, JACQUELINE R. LUJAN, New Mexico CCR #91, DO
HEREBY CERTIFY that on January 6, 2011, proceedings in
the above captioned case were taken before me and that I
did report in stenographic shorthand the proceedings set
forth herein, and the foregoing pages are a true and
correct transcription to the best of my ability.

I FURTHER CERTIFY that I am neither employed by
nor related to nor contracted with any of the parties or
attorneys in this case and that I have no interest
whatsoever in the final disposition of this case in any
court.

WITNESS MY HAND this 18th day of January, 2011.


Jacqueline R. Lujan, CCR #91
Expires: 12/31/2011