

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)

) CASE NO. 12,940

APPLICATION OF MEWBOURNE OIL COMPANY TO)
REOPEN CASE NUMBER 12,940 TO AMEND AND)
MAKE PERMANENT THE SPECIAL RULES AND)
REGULATIONS FOR THE SHUGART-STRAWN POOL)
AND FOR A DISCOVERY ALLOWABLE, EDDY)
COUNTY, NEW MEXICO)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

November 20th, 2003

Santa Fe, New Mexico

RECEIVED

DEC 4 2003

Oil Conservation Division
1220 S. St. Francis Drive
Santa Fe, NM 87505

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, November 20th, 2003, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

STEVEN T. BRENNER, CCR
(505) 989-9317

I N D E X

November 20th, 2003
 Examiner Hearing
 CASE NO. 12,940

	PAGE
EXHIBITS	4
APPEARANCES	5
OPENING STATEMENTS	
By Mr. Feldewert	7
By Mr. Bruce	9
APPLICANT'S WITNESSES:	
<u>RALPH L. NELSON</u> (Geologist)	
Direct Examination by Mr. Bruce	10
Cross-Examination by Mr. Feldewert	17
Examination by Examiner Catanach	23
Further Examination by Mr. Feldewert	26
Further Examination by Mr. Bruce	27
Further Examination by Mr. Feldewert	28
<u>BRYAN M. MONTGOMERY</u> (Engineer)	
Direct Examination by Mr. Bruce	29
Cross-Examination by Mr. Feldewert	66
Examination by Examiner Catanach	84
Further Examination by Mr. Bruce	91
Further Examination by Mr. Feldewert	94
GRUY/HEYCO WITNESSES:	
<u>MARK HAWKINS</u> (Geologist)	
Direct Examination by Mr. Feldewert	99
Voir Dire Examination by Mr. Bruce	115
Cross-Examination by Mr. Bruce	117
Redirect Examination by Mr. Feldewert	130
Examination by Examiner Catanach	130

(Continued...)

GRUY/HEYCO WITNESSES (Continued):

AARON DOVER (Reservoir Engineer)

Direct Examination by Mr. Feldewert	132
Cross-Examination by Mr. Bruce	151
Examination by Examiner Catanach	158
Further Examination by Mr. Feldewert	161
Further Examination by Mr. Bruce	162

BILLY JUROSKA (Engineer)

Direct Examination by Mr. Feldewert	163
Cross-Examination by Mr. Bruce	186

APPLICANT'S WITNESS (Recalled):

RALPH L. NELSON (Geologist)

Direct Examination by Mr. Bruce	197
Cross-Examination by Mr. Feldewert	

CLOSING STATEMENTS

By Mr. Feldewert	202
By Mr. Bruce	205

REPORTER'S CERTIFICATE

208

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	11	17
Exhibit 2	12	17
Exhibit 3	12	17
Exhibit 4	12	17
Exhibit 5	16	17
Exhibit 6	17	17
Exhibit 7	36	66
Exhibit 8	38	66
Exhibit 9	38	66
Exhibit 10	47	66
Exhibit 11	51	66
Exhibit 12	59	66
Exhibit 13	197	202
Exhibit 14	198	202
Exhibit 15	200	202

* * *

Opposition	Identified	Admitted
Exhibit 1	101	116
Exhibit 2	104	116
Exhibit 3	107	116
Exhibit 4	111	116
Exhibit 5	112	116
Exhibit 6	135	151
Exhibit 7	137	151
Exhibit 8	138	151
Exhibit 9	140	151
Exhibit 10	165	186
Exhibit 11	167	186
Exhibit 12	169	186

(Continued...)

E X H I B I T S (Continued)

Opposition	Identified	Admitted
Exhibit 13	172	186
Exhibit 14	174	186
Exhibit 15	176	18
Exhibit 16	177	186
Exhibit 17	179	186
Exhibit 18	179	186

* * *

A P P E A R A N C E S

FOR THE APPLICANT:

JAMES G. BRUCE
 Attorney at Law
 P.O. Box 1056
 Santa Fe, New Mexico 87504

FOR GRUY PETROLEUM MANAGEMENT COMPANY
 and HARVEY E. YATES COMPANY:

HOLLAND & HART, L.L.P., and CAMPBELL & CARR
 110 N. Guadalupe, Suite 1
 P.O. Box 2208
 Santa Fe, New Mexico 87504-2208
 By: MICHAEL H. FELDEWERT

* * *

ALSO PRESENT:

Gordon Yahney
 Heyco

* * *

1 WHEREUPON, the following proceedings were had at
2 9:50 a.m.:

3 EXAMINER CATANACH: At this time I'll call Case
4 12,940, the Application of Mewbourne Oil Company to reopen
5 Case Number 12,940 to amend and make permanent the special
6 rules and regulations for the Shugart-Strawn Pool and for a
7 discovery allowable, Eddy County, New Mexico.

8 Call for appearances in this case.

9 MR. BRUCE: Mr. Examiner, Jim Bruce of Santa Fe,
10 representing Mewbourne Oil Company. I have two witnesses
11 to be sworn.

12 MR. FELDEWERT: May it please the Examiner,
13 Michael Feldewert with the Santa Fe office of the law firm
14 of Holland and Hart. I'm appearing on behalf of the
15 remaining two operators in this pool, Gruy Petroleum
16 Management Company and Harvey E. Yates Company. I'm also
17 appearing on behalf of a working interest owner in this
18 pool, Pecos Production Company.

19 And we have -- Mr. Examiner, we have three
20 witnesses today.

21 I also have a preliminary issue that may assist
22 in streamlining some of the testimony. It's my
23 understanding that they are seeking a discovery allowable
24 for this pool. I'd like to, as a preliminary matter,
25 address that issue, because the way I read Rule 509 this

1 pool does not qualify for a discovery allowable, because it
2 already receives a special allowable by virtue of the
3 Division's order that was entered back in October.

4 EXAMINER CATANACH: We'll take that into
5 consideration, Mr. Feldewert.

6 Will the witnesses please stand to be sworn in?

7 (Thereupon, the witnesses were sworn.)

8 MR. FELDEWERT: Mr. Examiner, with respect to the
9 request for a discovery allowable, we ask that that be
10 dismissed on the grounds that under Rule 509 a discovery
11 allowable is assigned to the discovery well. It is well-
12 specific, it does not extend to the proration unit.

13 One of the proration units at issue here, the
14 Mewbourne proration unit, already has three wells within
15 it, and it is subject -- as you know, this pool is subject
16 to a special allowable that was entered by the Division
17 back in October of 2002.

18 If you look at 509.A -- that's where I'm focusing
19 -- it says, In addition to the normally assigned allowable,
20 an oil-discovery allowable may -- so it's discretionary --
21 be assigned to a well completed as a bona fide discovery
22 well and a new common source of supply.

23 So the allowable, Mr. Examiner, you have to
24 qualify as a discovery well, you have to be capable of
25 producing in excess of the normally assigned allowable, so

1 you have to have the -- first, the capacity of producing
2 the normally assigned allowable, and then the Division has
3 the option of granting an additional allowable to that well
4 if it qualifies as a discovery allowable.

5 Again, it's well-specific under this language.
6 You can't bank a discovery allowable after your initial
7 well and then hope to add some additional development wells
8 and then come in later and say, Oh, now we want a discovery
9 well, want to spread it out over the production unit. You
10 can't do that.

11 Also, I think -- it exists in a situation where
12 you have a normally assigned depth bracket allowable, which
13 would be under Rule 505.A. In this case, back in October,
14 Mewbourne made the election to come before this Division
15 and seek a special depth bracket allowable. They replaced
16 the normal allowable with a special one, they were
17 successful in obtaining that change. And as a result, the
18 discover well in this pool no longer qualifies under the
19 language of the rule for a discovery allowable.

20 We think that since they have made their election
21 this portion of their Application should be dismissed and
22 we don't need to spend time and effort today on testimony
23 addressing them meeting the qualifications for a discovery
24 well.

25 EXAMINER CATANACH: Mr. Bruce, would you like to

1 respond.

2 MR. BRUCE: Yes, Mr. Examiner, a couple of
3 things. The primary criterion for a discovery allowable is
4 that a well discovers a new common source of supply. And
5 Finding Paragraph 10 in Order Number R-11,856 states that
6 Mewbourne demonstrates that the Mewbourne demonstrates that
7 the Federal -- the Fren 8 Federal Com wells Number 2 and 3
8 have discovered a new common source of supply in the Strawn
9 formation. So the Division made the finding that the
10 discovery was by both wells.

11 Moreover, in addition to the normally-assigned
12 allowable -- it doesn't say the Rule-505 allowable, it says
13 normally assigned. I think this allowable was normally
14 assigned, the 1120 barrels a day, by a normally entered
15 order.

16 Furthermore Division Rules provide, even without
17 special pool rules, that four wells can be drilled on a
18 spacing and proration unit, and the allowable can be
19 produced by one or more of the wells on that spacing and
20 proration unit.

21 And finally I would point out that although we
22 did not -- and for the life of me, I do not know why we did
23 not apply for this discovery allowable. Originally, there
24 is no time limit on applying for the discovery allowable,
25 and Mewbourne has provided, in the original hearing, all

1 data in the original hearing under 509.C. So I believe
2 that a discovery allowable is proper in this case. And
3 furthermore, since the data has been provided it is not
4 going to take additional time to present this issue today.

5 EXAMINER CATANACH: Mr. Feldewert, Mr. Bruce, I
6 think I'll accept testimony on this issue today, and I'll
7 take that into consideration when I enter an order in this
8 case, whether to approve or deny that request.

9 Mr. Bruce, you may proceed.

10 RALPH L. NELSON,
11 the witness herein, after having been first duly sworn upon
12 his oath, was examined and testified as follows:

13 DIRECT EXAMINATION

14 BY MR. BRUCE:

15 Q. Would you please state your name for the record?

16 A. My name is Ralph Nelson.

17 Q. Where do you reside?

18 A. Midland, Texas.

19 Q. Who do you work for and in what capacity?

20 A. Mewbourne Oil Company, as a geologist.

21 Q. Have you previously testified before the Division
22 as a petroleum geologist?

23 A. I have.

24 Q. And were your expert credentials accepted as a
25 matter of record?

1 A. Yes.

2 Q. And are you familiar with the Strawn geology
3 involved in this prospect?

4 A. I am.

5 MR. BRUCE: Mr. Examiner, I would tender Mr.
6 Nelson as an expert petroleum geologist.

7 EXAMINER CATANACH: Any objection?

8 MR. FELDEWERT: No, Mr. Examiner.

9 EXAMINER CATANACH: Mr. Nelson is so qualified.

10 Q. (By Mr. Bruce) Very briefly, Mr. Nelson, would
11 you identify Exhibit 1 for the Examiner?

12 A. Exhibit 1 is a land plat showing all the wells
13 drilled in Section 8 and Section 5 of 18 South, 31 East.
14 And the second page denotes the Strawn completions in the
15 Shugart-Strawn Pool.

16 Q. And it also identifies the three operators in the
17 pool; is that correct?

18 A. That is correct.

19 Q. Okay. Let's talk about the geology of this pool,
20 Mr. Nelson.

21 Mr. Examiner, perhaps what you should do is take
22 Exhibits 2 and 3, which are a structure map and a Strawn
23 isopach map. If you could leave those out in front of you
24 Mr. Nelson will refer to these, but what he is primarily
25 going to refer to is the cross-section which is marked as

1 Exhibit 4.

2 Now, Mr. Nelson, could you just identify for the
3 record your Exhibits 2 and 3 and make your preliminary
4 comments, and then go to your cross-section and describe
5 the pool that we're here for today.

6 A. Exhibit 2 is a structure map made on the top of
7 the Strawn with a contour interval of 50 feet.

8 Exhibit 3 is an isopach, gross-isopach, of the
9 Strawn lime, also with a contour interval of 50 feet.

10 Also on Exhibit 3 I show all the pertinent well
11 information as to completion date, perforations, treatment
12 and initial potential.

13 On the cross-section, which is shown and denoted
14 on Exhibit 2, which wells in which order, it starts with
15 well number 1, which is the Fren 8 Federal Com Number 1, a
16 Morrow well currently producing in the Morrow.

17 Number 2 is the Heyco Number 3 Parker Deep 5
18 Federal Com, completed as a Strawn well, although to my
19 knowledge official papers have not been filed with the OCD.

20 Number 3 is the Fren 8 Federal Com Number 5,
21 completed as a Strawn well.

22 Number 4 is the first well completed in the
23 Strawn Pool.

24 And subsequent to that, immediately after, well
25 number 5 was completed also.

1 Wells 5 and 7 were originally drilled as Morrow
2 completions and made as Morrow completions with the Strawn
3 behind pipe.

4 Q. You said 5 and 7.

5 A. Excuse me, wells 5 and 7 on the cross-section --

6 Q. Okay.

7 A. -- I'm sorry, were completed originally as
8 Morrow completions and then recompleted as Strawn wells.

9 Q. Okay.

10 A. Then moving on, well number 6 on the cross-
11 section is the Mewbourne Well Number 6.

12 Number 7 is the Gruy Number 2 Magnum Federal 5
13 Com.

14 And Number 8, excuse me, is the Gruy Number 3
15 Magnum 5 -- excuse me, the Magnum Federal 5 Com.

16 These wells, wells 2 through 8 on the cross-
17 section, comprise the wells within the Shugart-Strawn Pool.

18 One thing, the cross-section is hung
19 stratigraphically on the base of the mound. The
20 perforations are shown in the depth track and colored green
21 for highlight.

22 And also colored is the porosity above 3-percent
23 density. You'll notice we used a light, light green to
24 color between 3 and 6 percent, and then we used a darker
25 green from 6 to 9 percent, and everything else above 9

1 percent is in dark green.

2 And one thing that you can see, that the interior
3 wells in the mound, that being wells 5 and 6, have the most
4 amount and the highest amount of porosity in the pool, and
5 that the wells along the fringe, wells 2, 3, 7 and 8, are
6 much lower in porosity.

7 Q. In looking at this -- well, let's stay on the --
8 First of all, is this a new source of supply, separate from
9 other Strawn pools in this area?

10 A. Yes, it is.

11 Q. And then a couple of features. Looking at the
12 Well Number 5 on the cross-section, which is the Fren 8
13 Number 2 over on the --

14 A. Uh-huh.

15 Q. -- density-porosity log where you highlight the
16 porosity, uphole from the green you mentioned there appear
17 to be some features that you haven't highlighted. Why is
18 that?

19 A. They exhibit severe washout on caliper. Again, I
20 say Number 5 as well as Number 7 were drilled as Morrow
21 tests, open longer. I can't speak as to the samples in the
22 Gruy well, but that was a chalky interval in our well, and
23 we believe that was a less competent bed that washed out.
24 And as a result, the pad contact of the density log lost
25 contact and shows -- the bulk density has quite a bit of

1 correction to it, and therefore we don't believe that's
2 valid porosity.

3 Q. And as a result, you did not complete in that
4 interval, perforate in that interval?

5 A. We did not complete in that interval, and I did
6 not highlight intervals like that in both wells 5 and 7 on
7 the cross-section.

8 Q. Also in looking at this and comparing with the
9 prior two exhibits, is the bulk of the reservoir on Section
10 8?

11 A. The bulk of the reservoir appears from these logs
12 to be located in both wells 5 and 6, the Fren 8 Number 2
13 and the Fren 8 Number 6.

14 Q. Now, Mr. Nelson, you've had a fair amount of
15 experience with other Strawn reservoirs in this state, have
16 you not?

17 A. Yes, I have.

18 Q. You were involved -- I almost dread to mention
19 this, but in the West Lovington-Strawn hearings for a
20 number of years, were you not?

21 A. Yes, I was.

22 Q. And you've also had experience outside the West
23 Lovington-Strawn --

24 A. Yes.

25 Q. -- with Strawn production?

1 How does this reservoir compare to other Strawn
2 reservoirs that you've experienced or looked at over the
3 years?

4 A. Those Strawn wells in the Lovington area don't
5 show as overall thickness as these do. In this area that
6 the Shugart-Strawn is in, there are other wells that have
7 these thick mound sections like we see in well number 4 on
8 the cross-section, that being the Fren 8 Number 3. And
9 like the Fren 8 Number 3, all the other wells that are
10 thick are generally tight.

11 The two unique wells, from what I've been able to
12 find in my research, are the wells number 5 and 6, the Fren
13 8 Number 2 and the Fren 8 Number 6, that are thick as well
14 as having a great deal of ϕ h.

15 Q. Just from a productivity standpoint, do those two
16 wells also stand out?

17 A. They -- The 8 Number 2 exhibited high flow rates,
18 which I believe Mr. Montgomery will testify to, and the 8
19 Number 6 is also -- is capable of high flow rates.

20 Q. Do you have anything else on these exhibits, Mr.
21 Nelson?

22 A. No, I don't.

23 Q. Okay. Just very briefly, then, what is Mewbourne
24 Exhibit 5?

25 A. Exhibit 5 are letters from other working interest

1 owners in Section 8 that agree with our Application.

2 Q. Okay. And was notice of this Application given
3 to the operators in this pool?

4 A. Yes.

5 Q. Okay. And Mr. Examiner, that notice exhibit is
6 submitted as Exhibit 6.

7 Mr. Nelson, were Exhibits 1 through 6 prepared by
8 you or under your supervision or compiled from company
9 business records?

10 A. That's correct.

11 Q. And in your opinion is the granting of
12 Mewbourne's Application in the interests of conservation
13 and the prevention of waste?

14 A. Yes, it is.

15 MR. BRUCE: Mr. Examiner, I'd move the admission
16 of Mewbourne Exhibits 1 through 6.

17 EXAMINER CATANACH: Any objection?

18 MR. FELDEWERT: No objection.

19 EXAMINER CATANACH: Exhibits 1 through 6 will be
20 admitted.

21 Mr. Feldewert?

22 CROSS-EXAMINATION

23 BY MR. FELDEWERT:

24 Q. Mr. Nelson, in your Exhibit Number 3 up in the
25 right-hand corner you show another blue dot. That's a

1 Strawn completion?

2 A. Yes.

3 Q. And in what -- do you know what pool that's in?

4 A. The Mesquite Pool, I believe.

5 Q. Mesquite?

6 A. Mesquite.

7 Q. Okay. And do you know what the pool rules are
8 for the Mesquite Pool in terms of the GOR and the oil
9 allowable?

10 A. I think they're just on statewide 40s. I don't
11 know that for a fact.

12 Q. Which -- What was the first well that was
13 completed in this Strawn Pool? Was it the Fren 8-2 or the
14 Fren 8-3?

15 A. As I previously said, it was the Fren 8-3.

16 Q. Okay, so that was the -- Fren 8-3 was the
17 discovery well for this pool?

18 A. Yes.

19 Q. Okay. Now, can you tell me the cutoff point that
20 you used for your porosity in generating your isopach map?

21 A. I did not use a porosity cutoff in generating the
22 isopach map.

23 Q. Okay, so it's just a gross isopach?

24 A. Yes.

25 Q. All right. Your cross-section on Well Number

1 9 --

2 A. Yes.

3 Q. -- you labeled the -- on there is the intermound
4 facies, right?

5 A. That's correct.

6 Q. Can you explain how you determined that, please?

7 A. The intermound facies is one that I identified
8 and classified based on the cherty nature of the limestone.
9 If you'll notice that the density neutron exhibits some,
10 quote, gas-effect crossover. However, from the literature
11 and from samples I believe that to be a silicious, cherty
12 limestone with some sponge spicules noted in other wells in
13 similar rock.

14 Q. What other wells?

15 A. We noted that -- The sponge spicules were noted
16 in samples from the Fren 8 Number 1.

17 Q. Any other wells?

18 A. None come to mind.

19 Q. Okay. Now, you determined that that was separate
20 from the Magnum Fed -- 5 Fed Com Well Number 3; is that
21 right?

22 A. Separate in what ways?

23 Q. Well, let me strike that question.

24 Now, you talked a little bit about your Fren 8-2,
25 right? That's the one that's completed a little deeper in

1 the reef?

2 A. Sure, the perforations are shown on the cross-
3 section.

4 Q. Do you have any -- Does Mewbourne have any
5 current plans to perforate that well in the upper portion
6 of the reef?

7 A. I know of no current plans to do that.

8 Q. Now, you talked about -- your Exhibit Number 5
9 lists some letters from Marbob, Pitch Energy and
10 Occidental?

11 A. That's correct.

12 Q. And I apologize, I'm just reading through it real
13 quick.

14 Can you tell me -- they have -- Now, these
15 working interest owners have an interest in all of Section
16 8, or do you know where their interests extend?

17 A. I believe the Marbob interest is contractual and
18 is only in the east half of Section 8.

19 Q. Okay, so that would include just your northeast
20 -- well, the east half, okay, and the northeast quarter,
21 all right?

22 A. And I believe the OXY interest is in the north
23 half of Section 8.

24 Q. Okay.

25 A. But then also split contractually through all of

1 Section 8.

2 Q. All right. And what about Pitch Energy?

3 A. Only in the east half of Section 8.

4 Q. Same as Marbob?

5 A. Yes.

6 Q. Okay. Do you know whether these companies have a
7 working interest in any other sections that are involved in
8 this pool?

9 A. I don't have that knowledge.

10 Q. Now, I want to talk about your isopach map which
11 has been marked as Exhibit Number 3. Did you develop this
12 map, Mr. Nelson?

13 A. I did.

14 Q. Did you contour this map?

15 A. Pardon me?

16 Q. Did you do the contouring on this map?

17 A. I did.

18 Q. All right. Did you do this strictly based on
19 well control?

20 A. I did.

21 Q. Does Mewbourne have 3-D seismic in this area?

22 A. Yes.

23 Q. Have you ever looked at that seismic for this
24 particular area?

25 A. I have.

1 Q. So at the time you did this map you had, in your
2 mind at least, the well-control data and then the
3 information from the 3-D seismic; is that right?

4 A. The map was generated, contoured based on the
5 subsurface data only.

6 Q. Okay, but you also have reviewed the 3-D seismic
7 that you have in this area?

8 A. That's correct.

9 Q. And you were familiar with that?

10 A. Yes.

11 Q. All right. And that's the 3-D seismic that
12 Mewbourne did not provide to Gruy and the other objectors
13 here in response to a subpoena?

14 A. That's correct.

15 Q. Your 3-D seismic, does it extend into Section 5?

16 A. Yes.

17 Q. It does?

18 A. It does.

19 Q. Okay. Did you use that seismic information at
20 all in stopping your contouring into Section 5?

21 A. No, I did not. As I said earlier, this is based
22 on subsurface data.

23 MR. FELDEWERT: Okay. I think that is -- That's
24 all the questions I've got at this time. Thank you.

25 THE WITNESS: Okay.

1 EXAMINER CATANACH: Thank you, Mr. Feldewert.

2 EXAMINATION

3 BY EXAMINER CATANACH:

4 Q. Mr. Nelson, there appear to be seven producing
5 wells in this Strawn pod?

6 A. Yes, that's correct.

7 Q. And according to your geologic data they are all
8 -- all seven wells are within this one common source of
9 supply?

10 A. Yes.

11 Q. And are they in -- How's the communication in
12 this pool? Is it --

13 A. Pressure communication is good.

14 Q. And the two best wells would be the Number -- I'm
15 sorry, the Number 2 and Number -- I'm sorry, Number 2 and
16 Number 6?

17 A. That is correct.

18 Q. The Fren 8 Number 2 and Number 6?

19 A. Yes.

20 Q. 2 and 6. Okay. And the discovery well was the
21 Fren 8 Number 3?

22 A. Yes.

23 Q. Now, the 200-foot gross contour line, is it your
24 opinion that that defines the extent of the reservoir?

25 A. It may and it may not. In other Strawn pools in

1 this area, the reservoir can extend out in the thinner
2 areas, but to date none of the wells below 200 feet have
3 had any reservoir rock in them.

4 Q. So did you look at wells outside of the 200-foot
5 contour interval, did you look at the logs on any of the --

6 A. Yes, I did --

7 Q. -- wells outside?

8 A. -- and none of them show any evidence of
9 reservoir rock in them.

10 Q. Okay.

11 A. You may note on the isopach map that the numbers
12 in purple are the net porosities over 3 percent, and
13 they're all zeroes surrounding it.

14 Q. So is it true that the wells that are
15 structurally higher are typically the better producers in
16 this pond, or does that have any effect?

17 A. The structurally highest well is the Fren 8
18 Number 3 --

19 Q. Uh-huh.

20 A. -- and as you can see, it's quite thick, and
21 there is definitely a relationship, a partial relationship,
22 between structure and mound buildup. However, the 8 Number
23 3 is not a significant producer in any way compared to the
24 Fren 8 Number 2 or Fren 8 Number 6.

25 Q. Okay. Is there any water associated with this

1 reservoir?

2 A. None that we've noticed, none on the logs.

3 EXAMINER CATANACH: Okay. Mr. Bruce, with
4 regards to the notice issue, notice was provided to Harvey
5 E. Yates and Gruy; is that correct?

6 MR. BRUCE: That is correct, the Division-
7 designated operators in the pool. Since we weren't seeking
8 at this time to expand spacing, thereby altering any
9 interest in any well units, we did not notify other working
10 interest owners or overrides, et cetera.

11 EXAMINER CATANACH: How about any operators
12 outside the existing pool boundaries?

13 MR. BRUCE: To the best of my knowledge, there
14 are none within a mile.

15 EXAMINER CATANACH: There are no different
16 operators?

17 MR. BRUCE: No different Strawn operators within
18 a mile.

19 EXAMINER CATANACH: Okay.

20 MR. BRUCE: I mean, there was a question about
21 the Mesquite-Strawn Pool. That well appears to be plugged
22 and abandoned, and that's about a mile away. But that
23 would be in a different pool, so we wouldn't have to notify
24 them.

25 EXAMINER CATANACH: Okay, I believe that's all I

1 have right now.

2 MR. FELDEWERT: Mr. Examiner, if I may --

3 EXAMINER CATANACH: Go ahead.

4 MR. FELDEWERT: -- and I don't know who to direct
5 this question to, but I guess the question I have, did
6 anyone examine and give notice to all Division-designated
7 operators of wells within the same formation, which would
8 be the Strawn formation, as is pooled within one mile of
9 this pool boundary? Do you know that, Mr. Nelson?

10 MR. BRUCE: I don't think Mr. Nelson would know
11 that. I looked at the Division well files, and I did not
12 notice any other Strawn operators within a mile.

13 FURTHER EXAMINATION

14 BY MR. FELDEWERT:

15 Q. Mr. Nelson, that Strawn well that's shown up here
16 in the top right-hand corner of your Exhibit Number 3 --

17 A. Uh-huh, yes.

18 Q. -- do you know the status of that well?

19 A. It's P-and-A'd.

20 Q. Do you know who the operator is?

21 A. No, I don't. The well is P-and-A'd as to the
22 Strawn. It may be currently operated by Heyco as a Bone
23 Spring well. I don't know that.

24 Q. Okay. But to your knowledge -- you don't have
25 anyone here to testify today that they examined the --

1 whether there were any Division-designated operators within
2 the same formation as this pool, within one mile of this
3 pool?

4 A. I don't know that.

5 MR. FELDEWERT: Okay, that's all the questions I
6 have.

7 EXAMINER CATANACH: I believe -- Did you answer
8 that question, Mr. Bruce?

9 MR. BRUCE: Yeah, I did look at Division records,
10 Mr. Examiner.

11 EXAMINER CATANACH: Okay.

12 MR. BRUCE: I just had one follow-up question for
13 Mr. Nelson.

14 FURTHER EXAMINATION

15 BY MR. BRUCE:

16 Q. The Fren 8 Number 3 was the first well completed,
17 actually completed, in this pool?

18 A. That's correct.

19 Q. But the Fren 8 Number 2 was drilled before the
20 Number 3?

21 A. It was drilled before.

22 Q. And it was drilled to and produced from the
23 Morrow?

24 A. From the Morrow, yes.

25 Q. And when you drilled the 8 Number 3, you drilled

1 it with the knowledge of what was in the logs of the 8
2 Number 2?

3 A. Absolutely.

4 Q. And so you knew the Straw was present when you
5 drilled the 8 Number 3?

6 A. Yes, we did. We had excellent oil shows in the 8
7 Number 2.

8 Q. Just -- I don't know whether to ask this question
9 or not, but as far as the seismic data, any seismic out
10 there was done and paid for solely by Mewbourne, was it
11 not?

12 A. That is correct.

13 Q. Thank you.

14 FURTHER EXAMINATION

15 BY MR. FELDEWERT:

16 Q. Mr. Nelson, was the Mag 5-3 -- I'm sorry, the Mag
17 5-2, which is in the southwest quarter of Section 5 --
18 wasn't that drilled and completed in the Strawn before your
19 Fren 8-2? I'm sorry, in the Morrow?

20 A. No. Oh, say that again, I'm sorry.

21 Q. Wasn't the Mag 5-2 in the southwest quarter of
22 Section 5, wasn't that drilled down to the Morrow before
23 the Fren 8-2?

24 A. I don't believe -- You didn't drill it in the
25 southwest quarter.

1 Q. I'm sorry, southeast quarter?

2 A. It was drilled first.

3 Q. Okay, that was drilled before your Fren 8-2?

4 A. That is correct.

5 MR. FELDEWERT: All right, thank you.

6 EXAMINER CATANACH: This witness may be excused.

7 BRYAN M. MONTGOMERY,

8 the witness herein, after having been first duly sworn upon
9 his oath, was examined and testified as follows:

10 DIRECT EXAMINATION

11 BY MR. BRUCE:

12 Q. Would you please state your name for the record?

13 A. My name is Bryan Montgomery.

14 Q. Where do you reside, Mr. Montgomery?

15 A. I live in Tyler, Texas.

16 Q. Who do you work for?

17 A. I work for Mewbourne Oil Company as manager of
18 evaluations and reservoir engineering.

19 Q. Have you previously testified before the
20 Division?

21 A. Yes, I have.

22 Q. And were your credentials as an expert engineer
23 accepted as a matter of record?

24 A. Yes, they were.

25 Q. And are you familiar with engineering matters

1 related to this pool?

2 A. Very much so.

3 Q. Did you also testify at the original hearing in
4 this matter?

5 A. Yes, I did.

6 MR. BRUCE: Mr. Examiner, I tender Mr. Montgomery
7 as an expert petroleum engineer.

8 EXAMINER CATANACH: Any objections?

9 MR. FELDEWERT: No objection.

10 EXAMINER CATANACH: Mr. Montgomery is so
11 qualified.

12 Q. (By Mr. Bruce) Mr. Montgomery, you have a number
13 of exhibits to go through, but first why don't we address
14 perhaps your conclusions and main points. First of all, do
15 you view this as a correlative-rights issue?

16 A. Yes, yes, we do.

17 Q. Could you discuss that issue?

18 A. Well, this -- I don't think we would be here, all
19 of us, if we didn't all believe that to a great degree,
20 that this is an area where there's very, very high
21 productivity and competition for reserves between wells.
22 And so any restriction on one operator for their production
23 rates will directly benefit the offset wells to the
24 detriment of the restricted wells, and we'll go through and
25 show several points to point that out.

1 Q. With respect to restricted wells, what wells are
2 restricted in production at this time?

3 A. At this time only the northeast quarter of
4 Section 8 have wells that can produce over the temporary
5 allowables. That would be the Fren 8-2 and the recently
6 drilled Fren 8-6 in conjunction. I believe either/or of
7 those wells individually can produce in excess of the
8 current allowables and -- oil allowables and gas-limiting
9 allowables.

10 Q. Okay.

11 A. None of the other wells in the pool have ever
12 been restricted. They've all been produced aggressively by
13 all parties.

14 Q. And is this reservoir in pressure communication,
15 in your opinion?

16 A. Absolutely.

17 Q. Another issue that the Division needs to address
18 is, by granting the Mewbourne request today, would there be
19 any damage to the reservoir? What is your opinion on that?

20 A. I don't believe there would be if we are able to
21 increase rates to protect our correlative rights. This
22 will be evidenced as I go through my exhibits, but a lot of
23 it has to do with the type of fluid we're talking about
24 here.

25 This is a volatile oil fluid that below the

1 bubble point exhibits more gaslike qualities. And what
2 we'll find is, it's just a pressure depletion with the
3 condensate coming out of the gas, being the bulk of the
4 liquid recoveries.

5 And so the allowable rules that work with this
6 oil reservoirs -- and this started out as an oil reservoir,
7 above the bubble point -- are difficult to apply here.

8 Q. Okay. So in your opinion, limiting production
9 would not increase recoveries?

10 A. No, it would just shift recoveries from one
11 operator's account to another.

12 Q. Okay. Now, we'll get to this in a little bit
13 more detail later, but the current allowable is 1120
14 barrels a day, and what do you seek an increase to?

15 A. We seek an oil increase to 1350, one thousand
16 three hundred and fifty, barrels of oil per day per
17 proration unit.

18 Q. Even at that level, will production from the
19 northeast quarter of Section 8 still be restricted?

20 A. Yes, it will. We believe that currently we have
21 three wells in that quarter section. The 8 Number 3, the
22 poorest well, has the ability to produce about 100 barrels
23 a day against line pressure, or compression sometimes, as
24 that well struggles. The other two wells are quite
25 prolific, and they probably each can produce a thousand

1 barrels a day against line pressure.

2 So over 2000 barrels a day is the capacity of
3 this quarter section, in my opinion.

4 Q. So you're not here seeking to produce the wells
5 at capacity, you're just seeking to slightly increase the
6 daily allowable?

7 A. That's correct.

8 Q. And will you go through other pools that will
9 show that increasing the rates will not damage recoveries?

10 A. Yes, I will.

11 Q. One lake in particular [sic], the Cedar Lake Reef
12 Pool, have you looked at that?

13 A. Yes, that is a very prolific pool consisting of
14 two wells we'll get to in a minute, dominated by one well
15 that EOG drilled, produced over a thousand barrels a day,
16 shows no sign of damage.

17 Q. Secondly, you've already mentioned the good wells
18 on Mewbourne's acreage. Whether they're producing at a low
19 rate or a high rate, do you note any change in the GOR?

20 A. No, the change in GOR happens over time with
21 cumulative production, as you'd expect a volatile reservoir
22 to react. In any short period of time, as we change the
23 rates on our big wells, the GOR just stays constant.

24 Q. The second item we're here for today is the GOR.
25 The statewide, of course, is 2000 to 1, and when the

1 hearing was done previously that was increased to 4000 to
2 1; is that correct?

3 A. That's correct, these wells basically came on at
4 GORs above 2000 to 1 initially. That's one of the
5 indications of a volatile oil, initial GORs in that range,
6 2500, 3500, some of these wells. 3000 would be a good
7 average number for the initial GOR for this pool.

8 So we were already limited at that point, and we
9 asked for 4000 so that we could test wells for a period of
10 time and then determine the proper field rules in the
11 future.

12 Q. Okay, and what are you requesting today?

13 A. We're now requesting an increase to 10,000 to 1
14 on a limiting GOR allowable.

15 Q. And does that number seem to fit in with what the
16 other pools in this general area end up producing at?

17 A. That's correct, almost every pool that we'll
18 show, without fail, progresses from around 3000 GOR to
19 10,000 GOR in a natural trend of depletion over time.

20 We have current wells in our current pool,
21 including the Mewbourne and the Gruy wells, that are 6000,
22 7000, 8000, 9000 GOR already. Whether you pinch the wells
23 back or not, they still produce that GOR.

24 Q. Okay. So the GORs won't go down regardless?

25 A. That's correct.

1 Q. Okay. Now, you've studied this pool for quite
2 some time, have you not, and the offsetting pools?

3 A. Yes. Yes, I've been intimately familiar with
4 this pool for about a year.

5 Q. And besides looking at offset pools, has
6 Mewbourne gathered additional testing and PVT data?

7 A. We have. When we saw the nature of the
8 productivity of this reservoir and the potential, we began
9 to take pressure-test measurements, fluid samples that we
10 went on to have high-dollar evaluations, PVT sampling
11 analysis done, extensive pressure testing over time to
12 determine the proper development and recoveries for this
13 reservoir.

14 Q. Now I asked this question from a geologic
15 standpoint of Mr. Nelson, but from an engineering
16 standpoint, is the vast bulk of the reservoir and the
17 reserves on the Mewbourne acreage?

18 A. Yes, it is. We've got production for all the
19 wells to go through here in a minute, and it's obvious that
20 the significant producers are in the northeast quarter of
21 Section 8 on the Mewbourne acreage.

22 Q. And since you will be restricted regardless, are
23 you simply trying to protect your correlative rights by
24 increasing the allowable slightly?

25 A. Yes, we are.

1 Q. Let's move on to your exhibits, Mr. Montgomery.
2 Let's start with your Exhibit 7. What is this?

3 A. Exhibit 7 is a cover sheet to the PVT analysis
4 that I mentioned earlier, performed by FESCO, a company
5 that normally performs this type of analysis.

6 Early on in the life of the reservoir, we
7 captured a fluid sample to determine characteristics of the
8 fluid to aid in our develop strategies and calculations,
9 and I'd like to point out just a couple things on this
10 study.

11 If you'll look at the second paragraph, in bold
12 letters it says, "A bubble point was observed at 4583
13 p.s.i.g. and 155 degrees Fahrenheit." And that means they
14 took the sample which was all liquid above that pressure,
15 and as they reduced the pressure they saw gas evolving at
16 that point. That's where we determined the bubble-point
17 pressure.

18 The actual static reservoir pressure, in the next
19 sentence, is greater than 5500 p.s.i.g. And so we believe
20 initially this was an oil reservoir, undersaturated above
21 the bubble point, but it was a volatile reservoir, as we'll
22 see.

23 If we turn the page over and look at the second
24 paragraph where it starts, "The reservoir fluid was
25 identified as a volatile oil" and then moves on, through

1 extensive testing that was their determination.

2 There are some simple tests that you can use in
3 reservoir engineering to determine whether you have a
4 volatile oil. We typically talk about fluids, we start
5 with a black oil that has low gas-oil ratios and low
6 gravities. We move into volatile oils which have higher
7 gas-oil ratios initially, like the 3000 that we'll be
8 talking about, and higher initial API gravities, which in
9 this case we started at 55 degrees and is now up to 50
10 degrees API.

11 And what happens is, you move beyond that, you
12 get into gas reservoirs and you start out with a very wet
13 gas with high yields, but it's existing in a gaseous state
14 initially, which this was not, then all the way to dry
15 gases that have very little yields.

16 And what I think has happened is, below the
17 bubble point -- which we've gone through already -- there's
18 been a serious flashing of gas in this reservoir. It's a
19 natural occurrence. And what happens is, from there
20 forward it seems to be more about gas reserves and the
21 associated condensate that's trapped in that gas. And
22 that's why by restricting rates you don't help the GOR any,
23 you don't preserve, you don't limit damage. It's not as
24 applicable as it is to a black-oil reservoir.

25 The last page shows a little bit of that, and

1 this is a long report, I just didn't bring the whole
2 report. It's been provided to the other parties. And this
3 last page shows one of the plots that is typical for a
4 volatile oil.

5 You see at the bottom a pressure scale from zero
6 to 8000, and on the vertical scale the absolute liquid
7 volume during their test. It's starting at 1. At over --
8 at 7000 [sic] pounds when they hit the bubble point at
9 about 4600 pounds, there's an extreme shrinkage in oil,
10 which is caused by the release of large amounts of gas.
11 Remember, that gas has heavy, heavy condensates in it.

12 And typically over time, from this point forward,
13 you start flowing more and more gas in the reservoir and
14 less and less liquid until you finally do just simply have
15 gas reserves, and most calculations you make will be based
16 on gas calculations, including the liquid, the equivalents.

17 Q. Mr. Montgomery, and I know you'll address this
18 later, but in fact is this reservoir acting more like a gas
19 reservoir now than an oil reservoir?

20 A. Yes, a very rich condensate gas reservoir.

21 Q. Let's discuss the pools that you have looked at
22 in this area, Mr. Montgomery, and if you'd take out your
23 Exhibits 8 and 9 together, could you just first identify 8
24 and 9 and then run through some of these offsetting pools?

25 A. Okay. 8 and 9 are exhibits that were prepared by

1 myself to do a field study of other fields in the area.
2 We've heard discussion about the Mesquite field, a single-
3 well field. You see that on the map. Our Shugart field is
4 highlighted in blue in the center. The other fields we'll
5 talk about in a minute, represent other fields that are in
6 the Strawn. In this area they're all at similar depths,
7 similar initial pressures, I believe originally similar
8 temperatures. We found, when we looked at our reservoir,
9 we had virgin pressures and determined we'd found a new
10 pool.

11 Along with that is a box next to each pool to
12 help us with a few things that also are on the table you
13 see in Exhibit 9, so we can go back and forth. The box
14 includes the pool name, the pool rules. A couple of them
15 were older that I think are just statewide, I don't have in
16 there. Then the initial production date, the initial
17 producing gas-oil ratio, the current producing gas-oil
18 ratio.

19 As we move through the table, I think it's
20 simplest to show what I'm trying to show -- in a nutshell
21 what I'm trying to show is, these are all volatile oil
22 reservoirs. They all have GORs initially around 3000, they
23 all progress through a GOR increase over time. Whether
24 they're high rate or low rate, there's no damage noticed
25 when the rate -- when the wells are just more prolific than

1 when the wells are a little more modest.

2 And as I go through this, I'll just point out a
3 few of those to highlight this is the type of animal, the
4 type of reservoir fluid we're talking about.

5 Starting with the first pool, alphabetically is
6 how I did this, the Cedar Lake Pool is a Mewbourne-operated
7 pool to the most part. There are four wells in that pool.
8 I actually believe there's a well just north of us there in
9 the Cedar Lake Reef Pool that really should be in our pool,
10 but let's -- these are from the Commission records, so
11 these pools are associated with certain designations by the
12 Commission.

13 The Cedar Lake Pool, if you'll flip to the first
14 curve, you see the oil rates in green. Over time, a couple
15 wells come on and the rates kick up. But in general the
16 oil rates decline and the gas rates decline and the GOR
17 trend at the bottom, in a bluish color, starts at 2500 or
18 3000 and drifts upward over time through the natural
19 depletion of this reservoir in a typical volatile oil
20 fashion, up to currently about 8000 to 1. It looks like
21 it's continuing to go up and will so until it's no longer
22 economic to produce this reservoir.

23 Interestingly enough also, we did a PVT study on
24 that reservoir years ago and found the exact same results.
25 I don't have that with me, but it's a volatile oil with a

1 similar bubble point and a similar initial pressure above
2 the bubble point.

3 The next one on the -- And by the way, the field
4 rules on that particular one are special. They're 160
5 acres; 560, as you can see, barrels of oil per day; and a
6 4000 GOR. The wells there never got so prolific that the
7 limiting GOR became a factor. And so as the wells
8 declined, that top allowable, the way the math is done in
9 the OCD Rules, you just take the top allowable times the
10 limiting GOR, and that's your magic gas cap. It never
11 became effective.

12 The next field is the Cedar Lake North field.
13 It's a 40-acre field, it's got two wells I mentioned. One
14 of those -- no, I did not mention. They're on the map,
15 though, you see, just north of the one I did mention. It's
16 a much less prolific field on 40-acre spacing. But if you
17 look at the curve, you see similar natural progression from
18 a lower GOR around 3000, maybe 4000, up to 9000 or 10,000
19 at this point, indicating a similar fluid there also, a
20 volatile oil going through depletion.

21 Interestingly enough, it's a 40-acre pool and
22 there are just two wells, but if you add those two together
23 they would be allowed 640 barrels per day at 2000 GOR. And
24 if there were four drilled on a 160, the allowable would
25 be, I guess, 1280 per day. And I know -- I would remind

1 you, we're now at 1120 and asking for 1350.

2 The next pool we alluded to a little earlier.
3 It's a very prolific, the Cedar Lake Reef Pool, and it's
4 interesting, because even though the wells -- There are
5 just two, and it's dominated by this Big Oak Lake EOG well.
6 There are two wells, but the production is really from the
7 one well.

8 Even though that well was produced at very high
9 rates, a thousand barrels a day -- and it took a special
10 hearing to get that also, the pool rules there, 160 acres
11 -- 1120 and 4000 were necessary because the GOR started at
12 3000. So it was already above 2000, typical again of the
13 GOR that we're going to see in all these fields, and has
14 now increased up to just under 10,000 and is certainly
15 going above 10,000 in the future.

16 But I see no damage in any of the curves here. I
17 see a natural progression, even though high rates were
18 taken out of this well.

19 Q. So Mr. Montgomery, even just with the first three
20 charts you have, as these wells -- these pools progress in
21 age, the oil production decreases slowly, the GOR
22 increases?

23 A. That's correct.

24 Q. You don't reach a certain GOR where all of a
25 sudden the oil or condensate production just takes a

1 nosedive?

2 A. No, not at all.

3 Q. Go ahead.

4 A. There are really just two more I want to touch
5 on, because -- in view of time. But they all show the same
6 GOR trend if you flip through them.

7 But if we go to -- the next one I want to talk
8 about is Lusk North. Now, Lusk North -- Mr. Feldewert may
9 be familiar with -- is a pool that is on special rules, 160
10 acres, 1120 barrels per day -- I'm sorry, three -- strike
11 that, I just got off track. Lusk North is a 40-acre pool,
12 365 barrels of oil per day and a 2000 GOR.

13 And if you look at the curve, you notice some
14 additional wells getting drilled and the curves jumping
15 around, but the general trend there also is from a lower
16 GOR, around 2000, to a GOR above 10,000 to 1. And I say
17 it's interesting in that if you look at a 40-acre basis and
18 multiply that by 4, 365 times 4 is over 1400 barrels a day.

19 In addition, the GOR on this field has gotten so
20 high that Chevron has asked for special field rules to be
21 changed to 20,000 to 1 GOR in order that they can continue
22 to produce this effectively.

23 Q. And that was just two or four weeks ago, that
24 that hearing was held?

25 A. Yes. Yes, the hearing was just held.

1 Then the last one I want to look at before the
2 Shugart is the Sand Tank field. That's on the far western
3 side of the map. It represents four wells. It is actually
4 designated as a gas pool, yet the GORs start very similar,
5 trend very similar, and it's easy to mistake these for gas
6 pools. They make a lot of gas. These wells, you're going
7 to see rates making a lot of gas when you see the
8 testimony. So it's easy to mistake these. And in fact,
9 they're sort of in between gas and oil in their nature.

10 But again I would point out, the initial GOR is
11 around 3800, moving up to over 10,000 up to 11,000, still
12 producing, nothing strange about it, no damage seen, just
13 the natural progression of GOR.

14 Q. So since that's a gas pool, that one is actually
15 spaced on 320 acres, is it not?

16 A. It is, I believe so, and wouldn't have oil
17 allowables, it would just be compete as you will for
18 reserves. And you know, gas moves so much easier through
19 rock than oil does and it's so much more competitive.

20 The last one is the Shugart Pool, and we're going
21 to get into more detail on another exhibit, but I would
22 just point out here that the Shugart Pool is a new pool,
23 just a year old. You see the seven wells we've talked
24 about on the geologic testimony. The pool rules here were
25 temporarily established last year at 160 acres, 1120

1 barrels of oil per day, and 4000 GOR.

2 If you look at the GOR trend, we started around
3 2000. That was probably more like 2500 when we look at it
4 on a daily basis. It has progressed up to 6000 or 7000
5 GOR. As of the last month I have it again, we have some
6 additional data on a well-by-well basis that shows GORs
7 even higher than that as the last month or two have gone
8 by, and on an individual well basis they vary throughout
9 this pool to some degree.

10 Q. Okay. So just in general, then, the GORs in
11 these pools were initially in excess of 2000 to 1?

12 A. That's correct.

13 Q. And they have over the life of the pool naturally
14 increased?

15 A. That's correct.

16 Q. In each and every pool?

17 A. As was expected.

18 Q. And again, there has been -- This has been a
19 natural progression?

20 A. Absolutely.

21 Q. And as a result you see no damage to the
22 reservoir by, number one, increasing the allowable in the
23 Shugart Pool or increasing the GOR?

24 A. That is correct.

25 Q. There won't be any precipitous drop in oil

1 production if the GOR is increased?

2 A. That's correct.

3 One last thing on this, I'd like to point out, is
4 that you see a decline in production on the Shugart field
5 the last three or four months, and that's basically related
6 to one particular well that we pinched back to rectify an
7 over-allowable problem that we developed this year. The
8 northeast quarter, as I can tell you, is the only quarter
9 section that's ever been choked back out here, and our 1120
10 barrels of oil per day allowable is what we were focusing
11 on, and we basically left the well at that rate.

12 But as the GOR climbed above 4000 we got out of
13 balance with respect to allowables. And so the reduction
14 there is an artificial reduction, a pinching back to half
15 rate.

16 Subsequent to finding this out, we worked with
17 Artesia OCD and the offset operators and put a plan in
18 place to produce that quarter section at half gas rate. So
19 instead of 1120 times 4, which is 4480 per day, we're
20 basically at 2.2 million a day and began proceedings to get
21 this allowable worked out with the Commission and this
22 hearing.

23 We are now almost back in balance as to gas. We
24 were back in balance as to oil within the first week or so
25 of curtailing, we were just barely out of kilter on oil. I

1 believe we'll be back in balance around mid-December of
2 this year as to gas, and then we'll be able to go back to
3 the 4.4 million a day, pending the outcome of the new field
4 rules that we're applying for here.

5 But that's the drop you see there. It's not a
6 depletion or a damaged thing, it's simply a choking back of
7 wells that we'll see again on the well-by-well data on my
8 next exhibit.

9 Q. Let's move on to your Exhibit 10, which contains
10 pressure data. And before you run through this exhibit,
11 what are you -- Can you summarize what you're trying to
12 show on this exhibit?

13 A. Yes. It's hard to read, I apologize, it's small.
14 And what I'm trying to show is that initial pressure in the
15 reservoir was determined, and we believe a new discovery
16 was found by the 8 Number 3, and I guess we had the 8
17 Number 2 log all ready with a DST in the 8 Number 3 of 5849
18 pounds.

19 Additional pressures below that time period
20 existed and began showing up in individual wells, such that
21 when a new well came on, they would take a pressure --
22 "they" being Mewbourne or Gruy -- and it would be less than
23 virgin, which was the indication in my mind that said this
24 is one tank, not just geologically but productivitywise.
25 There's going to be a very high degree of competition for

1 reserves, a very high degree of pressure communication.

2 There will be pressure differences, depending on
3 how hard you pull your wells, but if you leave them shut in
4 long enough -- and we're talking about just maybe a few
5 weeks -- they would all probably stabilize to similar
6 pressures.

7 So as we walk through this, you see the wells up
8 at the top, the Fren 8-3, -2, -5, 8-6, Magnum 5-2, 5-3 and
9 Parker Deep, and then the dates down the left-hand side
10 chronologically to help show the pressure drop over time.

11 And then interestingly enough, in May, all the
12 wells, basically, that were drilled -- except, I think, the
13 Parker Deep that was -- had just been drilled -- were shut
14 into pipeline, and we took the advantage to take some
15 pressures, as did Gruy, and you find some of them still
16 building, as I tried to note there, but you find the Fren
17 8-2, which is a very productive well, which would build
18 quite quickly and probably represent a good pressure at
19 3619 after 55 hours shut-in, building only a half a pound
20 an hour, it was about done, so the reservoir pressure was
21 around there in that well.

22 But in the Gruy wells, 2900 pounds, 2650, not
23 sure how much they were building. I'm sure they were still
24 building. But they had not been choked back, as the Fren 8
25 Number 2 had been. And when I show some daily plots and

1 you see the flowing tubing pressures that we had to choke
2 back to, they're quite high. At 1000 barrels a day, our
3 flowing tubing pressures were still quite high. So our
4 bottomhole flowing pressures were quite high. In other
5 words, the Gruy wells were aggressively pulling the
6 reservoir pressure down, as were some of the other
7 Mewbourne wells that we did not have to curtail.

8 And then lastly, in September of '03, just
9 recently, and then in October when we drilled the new well,
10 we found a high degree of pressure communication in the
11 Mewbourne wells, around 3100 to 3200 pounds, and that's
12 where we're at today.

13 And from here forward, when you get to that point
14 with a volatile oil, then you flash this much gas and you
15 have the gravities that we have and you have the gas-oil
16 ratios that we have, you're really just talking about gas
17 reservoir competing for depletion reserves.

18 Q. So in short, you started out at something over
19 5800 p.s.i. in August 19, 2002?

20 A. That's correct.

21 Q. Four months later, the 8-2 is recompleted and
22 you're at about what, 4900?

23 A. That's correct.

24 Q. Then you get down toward April of 2003 and the
25 DST in the Magnum-Hunter 5-3 is about 4100, and --

1 A. Yes.

2 Q. -- and now after the most recent well, in October
3 the Fren 8-6, you're down to about 3200?

4 A. That's correct.

5 Q. And that's what you'd expect with this --

6 A. That's right. You can kind of see where we went
7 through the bubble point there, and it will be apparent on
8 a curve I'll show later.

9 Q. But again, this is clear evidence of competition
10 among the wells in the --

11 A. Yes.

12 Q. -- in the reservoir?

13 A. Yes, the high degree of consistency in the
14 pressures and the high flow rates lead me to believe that
15 correlative rights is a key issue here, and there's a high
16 degree of competition for reserve between wells.

17 Q. Okay. And then looking at just, say, the May,
18 2003, and the September -- Yeah, let's look at the May,
19 2003, dates. Again, because the 8-2 well is an exceptional
20 well, that came to its pressure quite easily, didn't it?

21 A. Quite rapidly, right, it would build up.

22 Q. And of course at times this summer, that well has
23 been restricted, has it not?

24 A. The whole summer it was restricted. Every day
25 from the beginning of -- when we first tested the well, it

1 has never flowed against line pressure.

2 Q. Let's go on to your Exhibit 11. Now, this
3 exhibit just has to do with wells in the pool we're here
4 for today; is that correct?

5 A. That's correct, right, the individual data that
6 we really get down to the meat of the information between
7 wells in the same pool and how they're acting, and you'll
8 see some of the same things we've talked about, of course,
9 show up, and I'll try to go through this and make those
10 same points again.

11 Q. Now, on the first page of it, it's organized by
12 chronological date of completion; is that correct?

13 A. That's correct, you see the Fren 8-3 at August of
14 '02 and the Fren 8-2 of September of '02 and thereafter.

15 Q. Okay. Well, why don't you run through this --

16 A. Okay.

17 Q. -- Mr. Montgomery?

18 A. This is a similar table that we've seen before,
19 just a few different columns. The well names, of course,
20 the initial production date, then the initial daily rates,
21 based on our estimates of the very first few days, first
22 weeks, then the initial gas-oil ratio corresponding to
23 those daily rates, then the cumulative oil, the cumulative
24 gas, the cumulative GOR, which is just dividing those two
25 numbers, and then the current GOR, which is the

1 instantaneous GOR that we find ourself today in these wells
2 and on a well-by-well basis.

3 What I'd like to do is just sort of go through
4 these one by one.

5 The 8-3, if you turn the page, you see it was the
6 first well that produced. It represents, actually, the
7 discovery well in the proration unit of the northeast
8 quarter. Remember the DST discussed earlier. It had
9 virgin pressure. But this one did have lower productivity
10 overall, compared to these very productive wells we're
11 going to see. It just didn't have the porosity and the
12 permeability. But you note the normal GOR trend from 2000
13 or greater up to 9000 or so today, over time as the well is
14 produced.

15 The next well is the Fren 8-2. This is the one
16 that's so prolific and was curtailed recently, but if you
17 look at that curve you see it's flat at about 30,000
18 barrels a month for the life of the well, basically, until
19 the last three or four months where we have cut the well
20 back even more. And again, I've got one more exhibit on
21 this well that we'll discuss some of that daily
22 information. You'll see some tubing pressures and some
23 GOR's. But in general, the GOR was started at just under
24 3000 and then has gotten up to just over 6000.

25 Interestingly enough, you see about in January

1 the GOR began to increase from previously being flat, and
2 that's because, if you'll remember the pressure
3 information, that's when all these other wells began to
4 show with initial pressures near the bubble point, and I
5 believe that helps confirm the bubble point. And at that
6 time gas began to evolve in the reservoir very rapidly, and
7 so the GORs began to go up. And this well is sort of a
8 nice barometer for that, because it's so productive and it
9 did begin above the bubble point.

10 One thing to remember is that, you know, this
11 well has been restricted the whole year. I think we
12 mentioned that before.

13 Q. Well, and one reason for that is that the 8
14 Number 3 was produced at capacity, was it not?

15 A. That's correct, the 8- --

16 Q. It had always been produced at capacity?

17 A. Right, they share an allowable. And the 8-2 was
18 sort of a 100-barrel-a-day, 200-barrel-a-day well, and we
19 continued to -- until just recently -- produce that at full
20 capacity, picking up the rest of the allowable with the 8
21 Number 2.

22 And then when we began curtailing, even though
23 Mewbourne owns a bigger interest in the 8-3, we completely
24 shut in the 8-3 and produced the 8-2. But by that time we
25 had offset producers 660 off our north line competing for

1 reserves, and we felt like leaving the 8-2 would help
2 compete better with those and also would be the fair thing
3 to do, even though we own a smaller interest in that well.

4 Q. And you know, as an aside, the 8-3 is in the
5 southwest of the northeast of Section 8, is it not?

6 A. That's correct, you can see it on my map, sort
7 of, and of course on our geologic maps. The 8-3 is the
8 furthest south well in that blue square.

9 Q. And then the 8-2 well, although it is in the
10 northeast of the northeast, it is -- I'm not sure of the
11 footage, but it's not 660 from the north line, it's quite a
12 bit further south, is it not?

13 A. That's correct, right, it's sort of crowding the
14 south.

15 Q. Okay. Go ahead with the next well --

16 A. Okay --

17 Q. -- Mr. Montgomery.

18 A. -- the next well that produced was the 8-5.
19 Mewbourne -- We kept waiting for Gruy to produce their well
20 and we didn't see a move, so we were sort of happy there.
21 But we drilled the 8-5 and we came on at, as you can see,
22 over 10,000 barrels a month, and the GOR was a little under
23 3000. It began to increase up to the current GOR, close to
24 5500, probably 6000 now. And when we brought it on we saw
25 a slightly lower pressure again, close to the bubble point.

1 And we took a few other pressures. As you can see on these
2 curves, I try to note some of the pressure data that was on
3 the other table.

4 But this also confirms the typical trend of a
5 volatile oil.

6 Then the Magnum 5-2 finally got recompleted. It
7 had been shut in in the Morrow for some time. And
8 interestingly enough, when we saw their OCD filing it said
9 we'd like to recomplete this well, there's an offset
10 operator to the south producing a thousand barrels a day
11 and we need to protect correlative rights. And they did,
12 they have a very fine well there. It came on at 20,000
13 barrels a month or so, as you can see. Never really had to
14 be worried about the allowable at those rates, neither oil
15 nor gas. But the GOR was slightly higher at maybe 3500 and
16 has crept up now to 8000 or so.

17 Then the Magnum 5-3 was drilled. They pursued
18 the development of this reservoir, found productive well in
19 the 5-3, as was shown on the cross-section, and this was
20 just a short time later in May, I believe, of '03. But
21 again the initial reservoir pressure was lower when they
22 tested it. The GOR was higher when they brought it on,
23 just like we would expect as this reservoir is in
24 communication and has begun its trend upward to 8000 or so
25 at this time.

1 It's also 660 from the line. Both -- of course,
2 their Morrow well was already 660 from the line.

3 And then the Heyco Parker Deep well began
4 producing a couple months -- well, maybe a month later, in
5 June. Now, it's a little different. It probably doesn't
6 have the geologic capacity, the permeability, the
7 thickness. It's on pump. They've just recently acidized
8 it again. I don't think it's that significant to the
9 picture, but it came on at about 30 barrels a day and has
10 decreased on down.

11 Then came the 8 Number 6, which I don't have a
12 plot for on this exhibit -- this will finish it up -- but I
13 do have a daily plot. It was just drilled. And Mr.
14 Examiner, I'd like to bring that in a minute so that we can
15 see the development of the 8-6.

16 But it was drilled to protect drainage from the
17 north, basically. We knew it had a lot of competition and
18 we were going to be sharing reserves with ourselves and
19 operators from the north, but we didn't have a 660 well,
20 and we felt like we needed to do that. Indications were
21 that we would make a very good well in between two very
22 productive wells, the Gruy well to the north and the
23 Mewbourne well to the south, and we did go in and make a
24 fine well as you saw on the logs. It may be the best well,
25 it may be where the highest porosity is of all the logs

1 we've seen.

2 And it came on as expected, it had initial
3 pressures of 3200 pounds, very similar to the current
4 pressures of the other wells. Actually, when we had this
5 allowable problem, we took the time to have some -- just
6 some shut-in time for all the wells, and then we could make
7 it back up to get to half rate. And so we left the 8-3
8 shut in for two weeks, since it was so tight. The 8-2 and
9 the 8-5 we left shut in.

10 And as you saw on the pressure data, everything
11 settled in around 3100 pounds. This well, when we drilled
12 it, we tested the pressure at 3200 pounds and then began
13 producing it under this restricted allowable condition that
14 we're under until December 15th or so.

15 Q. Okay. Now, going back to the first page of this
16 exhibit, there's basically four well units that are
17 productive in this pool, Mr. Montgomery. What, the
18 southwest of 5, the southeast of 5, the northwest of 8 and
19 the northeast of 8?

20 A. That's correct.

21 Q. Now, if you look at this, then the southeast of
22 5, which is where Magnum-Hunter has its wells, or Gruy has
23 its wells, they're producing at about an 8000-to-1 GOR?

24 A. That's correct.

25 Q. Now, they're not limited because their oil

1 production doesn't match up to --

2 A. They're not able to produce the top allowable, so
3 there's no limiting cap for them.

4 Q. Okay.

5 A. It's an extreme limiting cap for us.

6 Q. And then the Fren 8-5, that is in the northwest
7 quarter of 8?

8 A. That's correct.

9 Q. So that one's producing at a somewhat lower GOR?

10 A. Right, but it's not able to do its top allowable
11 either, and the GOR is not as effective there.

12 Q. And then there's, now, three wells in the
13 northeast quarter of Section 8, and if you look at the
14 GORs, they average out to about 8000 to 1?

15 A. Right, that's correct. The Fren 8-2 that hasn't
16 been produced very hard doesn't have that low of a
17 pressure. I believe it has a little lower GOR because of
18 that.

19 Q. Because it hasn't been pulled at full --

20 A. That's right.

21 Q. -- top rate?

22 A. That's right, the bottomhole pressures aren't
23 quite as low.

24 Q. Perhaps if you had been producing it or been able
25 to produce it at 1400, 1500 barrels a day over the last

1 year, year and a half -- or year, I should say -- it might
2 have that higher GOR?

3 A. That's correct. I believe we could have sped up
4 the recovery of this and captured reserves that we believe
5 are under our leases.

6 Q. But it has been, in essence, restricted either
7 voluntarily by -- just to make up the overage from the 8-3
8 well, so it has been restricted all this time?

9 A. Yes, the whole time it's been restricted.

10 Q. Well, let's just move on to your final exhibit,
11 Exhibit 12. You've got a couple of daily plots here. I
12 think they're for the wells that you said are the best in
13 the pool. Could you describe how those wells are
14 performing?

15 A. Okay. The first one is the 8-2, and as you can
16 see, there's several lines on here, and I apologize, it's
17 very busy. But down on the bottom are dates. These are
18 daily estimates of the production from our records. On the
19 right-hand side is simply the GOR plot, scale and the choke
20 size times 100, and on the left side are the oil and gas
21 and flowing tubing pressures on a per-day basis for those
22 days.

23 So as you see, when we started out with this
24 well, the green curve initially was over 1000. It actually
25 got up to around 1350. And the GOR right up above it,

1 which is the burnt orange, was bouncing around from 2500
2 finally to 3000.

3 Then we curtailed the well before we had our
4 hearing to see what would the GOR do? Would it make the
5 GOR go up or down, or what would happen? And we felt like
6 it basically just rocked along at around 3000.

7 Then we opened the well back up in 11 -- November
8 of '02, back to a thousand barrels a day, and again the GOR
9 just stayed right there at 3000.

10 We got our order, basically, effective back in
11 about November of '02, and by the time the Gruy wells were
12 starting to be drilled and the pressure we saw was at the
13 bubble point in early January of '03, you see our GOR go
14 up. Nothing else was happening, we're just producing at a
15 thousand barrels a day, but gas is beginning to evolve out
16 of the bubble-point -- below the bubble-point pressure in
17 this volatile oil system.

18 Much of the oil that we are getting from that
19 point forward is high-gravity condensate, and our API
20 gravity is beginning to increase over time. They started
21 at about 45 degrees in the early months with the DST and
22 the production, and they're now over 50 degrees. And
23 that's an example of a shift from flowing oil and
24 liberating gas in the reservoir to really flowing gas and
25 condensing that oil in the tubing and in the production

1 equipment.

2 You see the choke, which is the purple line, jump
3 around. We tried a few things to see what kind of rates we
4 could get as we started to determine how would we come back
5 to the Commission for new pool rules? And with the GOR
6 going up and -- like I say, it's just -- I apologize for an
7 inadvertent error, that's when we got out of whack on the
8 gas allowable. We began to accumulate an overage, and for
9 a few months that was undetected. And then we began to
10 rectify it.

11 And you see that happen in August of '03, you see
12 the green line start to drop as the choke size is being
13 closed. And of course, the gas drops precipitously. But
14 look at the GOR. It was at about 5500, and it -- other
15 than just readjusting, it basically stayed at 5500. Even
16 though we had a dramatic drop in pinching the oil back, it
17 didn't lower the GOR, other than just for a very short
18 period of time, and it's now on its natural trend upward.

19 Also I wanted to point out, the last thing, is
20 the flowing tubing pressure line, the blue line. It starts
21 out at 2700 pounds. We were flowing this well over 2500
22 pounds initially and 1350 barrels of oil per day. Very
23 prolific. No other well has matched that in this
24 reservoir, save maybe the 8-6 that we just drilled.

25 And you see that slow decline in flowing tubing

1 pressure? That's just the decline in the reservoir
2 pressure from our own production and offset production,
3 which yet we are nowhere near 500 pounds, which is with all
4 the other wells, Gruy wells, some of the Mewbourne wells,
5 that are able to flow without restriction because there are
6 no allowable problems against pipeline.

7 Right now, before we completely shut the well in,
8 when the 8-6 came on, we're flowing at 1500 pounds flowing
9 tubing pressure and about 500 barrels a day. So still
10 restricted. Recently we shut the well in.

11 And if you'll flip the page over, we shut it in
12 because we wanted to leave it at half rate for the quarter
13 section. This well came on. We were very happy when we
14 drilled it. The porosity is tremendous, and the production
15 is pinched back, basically. You see it finally kind of
16 stabilized. There's two choke sizes that we had it set on,
17 and the final choke ended up at around 1600 pounds flowing
18 tubing pressure with 250 barrels a day, which is not too
19 far from what we were doing in the 8 Number 2.

20 And the porosity in this well and the flowing
21 characteristics of this well lead us to believe that it
22 also has tremendous capabilities of producing today, if not
23 choked back by allowable, at somewhere near 1000 barrels a
24 day. And the associated gas, 6 to 1, 7 to 1, that's 6 or 7
25 million a day. If we don't get that gas by opening these

1 wells up, it's just going to go to the other producers that
2 are able to produce without restriction.

3 Q. You mentioned something earlier, Mr. Montgomery,
4 regarding these wells now produce more like gas wells. Do
5 you have any type of data, like fluid gradient tests, that
6 would indicate that?

7 A. Actually, I do, I'm glad you mentioned that. I
8 forgot to say that when we looked at the pressure data
9 exhibit, there was a fluid static gradient taken. When we
10 do these, we'll go in there for -- after 48 hours or 36
11 hours or 72 hours, we'll drop in there and get a pressure.
12 Well, we'll leave it on the bottom for a while, see if it's
13 still building. And then we'll come out of the hole every
14 2000 feet and take a pressure to see if we see a fluid
15 level.

16 In the September pressures, there was no fluid
17 level. Pure gas from top to bottom, with a bottomhole
18 pressure at 3200 pounds and the surface pressure at --
19 whatever that would be, the gas gradient. There wasn't a
20 drop of liquid in the tubing, even after being shut in for
21 72 hours.

22 Q. And once again, that indicates, as you said, it's
23 almost like gas production?

24 A. It is, yeah, we -- reservoir engineers would
25 treat this like a wet gas production from here forward.

1 Q. Okay. So again, you're here today for 10,000 to
2 1 GOR. The current GORs are about 8000 to 1. Why not ask
3 for just 8000 to 1?

4 A. Well, we chose 10,000 to 1 because we saw all the
5 other fields moving and surpassing 10,000 to 1 under their
6 natural trend. We're already at, say, 7000 or 8000 or 9000
7 to 1, and if we're curtailed -- we feel like we're
8 curtailed under the oil rate we're asking for, we're trying
9 to be reasonable, and so the gas limit will just hit us
10 again in a couple months if we don't get some room for that
11 GOR to grow from the 8000 now to the 10,000 that we're
12 asking for.

13 Q. And again, increasing the GOR is not going to
14 damage the reservoir?

15 A. No, I think we've shown that on the 8-2, as the
16 GOR increased -- we changed the rates, the GOR didn't move
17 at all. It only moved with respect to natural depletion
18 from pressure depletion and production.

19 Q. Okay. And for the allowable of 1350, that's
20 approximately four times what the statewide allowables are
21 out here?

22 A. That's correct.

23 Q. Some of them are at 320 barrels a day for 40
24 acres, some of them are at 365, so it's approximately four
25 times that?

1 A. We think that's very reasonable. We asked for
2 that before we knew what the 8-6 would do. In hindsight, I
3 wish I'd asked for 2000 barrels a day, and I think we could
4 defend it here today.

5 Q. And again, even if Mewbourne gets what it asks
6 for, it will still be allowable-limited in the northeast
7 quarter of Section 8?

8 A. Yes, absolutely.

9 Q. By quite a bit?

10 A. By quite a bit.

11 Q. Just one final matter. We've requested the
12 discovery allowable. Have you calculated what that amount
13 is or would be per day?

14 A. Yes, we basically take five barrels for every
15 foot from surface to the top perf, and we believe that even
16 though we had the 8-2 logged first and knew what we had,
17 the 8-3's top perf was 10,452. Multiplying that times 5 is
18 52,260 barrels. The Commission spreads that over two
19 years, which would be approximately 72 barrels of oil per
20 day for two years for that quarter section, in addition to
21 the 1350 that we're asking for.

22 Q. Were Exhibits 7 through 12 prepared by you or
23 under your supervision or compiled from company records?

24 A. Yes, they were.

25 Q. And in your opinion, is the granting of

1 Mewbourne's Application in the interests of conservation
2 and the prevention of waste?

3 A. Yes, it is.

4 MR. BRUCE: Mr. Examiner, I'd move the admission
5 of Mewbourne Exhibits 7 through 12.

6 EXAMINER CATANACH: Any objection.

7 MR. FELDEWERT: No objection.

8 EXAMINER CATANACH: Exhibits 7 through 12 will be
9 admitted.

10 Any questions, Mr. Feldewert?

11 MR. FELDEWERT: Yes, sir.

12 CROSS-EXAMINATION

13 BY MR. FELDEWERT:

14 Q. Since you were on the discovery allowable, you
15 talked about 72 barrels of oil per day, and I think you
16 said you were going to -- it would be for that quarter
17 section. Is that how you intend to -- would produce that
18 discovery allowable? You would spread it out over your
19 quarter section?

20 A. The way I interpret the Rules, with allowables,
21 based on the spacing that you have, you're supposed to
22 share allowables. And that, in my mind, would be a shared
23 allowable. I guess we could allocate the whole 72 to one
24 well and then throw the others, but it seems a moot point,
25 works either way.

1 Q. Well, how do you intend to produce the -- If you
2 get a discovery allowable, how do you intend to produce it?

3 A. We intend to produce it in conjunction with any
4 other allowable that we have, by competing with the Gruy
5 wells to the north and leaving the 8-6 on production as
6 best as we can -- as high as it will go. If it gets it
7 all, we'll just shut the other two in, or we may produce
8 the 8-2 a little bit, because it's got a little bit of
9 position potential.

10 We just think it's so competitive here that even
11 though we're restricted we've got to protect our
12 correlative rights across lease-line competition.

13 Q. So if you get a -- as I understood your
14 testimony, if you get a discovery allowable and the 8-6 is
15 able to produce the special allowable plus the discovery
16 allowable, you intend to produce it out of the 8-6?

17 A. That's correct. And that -- I'm not sure. The
18 bulk of it, I think, would be at the 8-6. There probably
19 would have to be some out of the 8-2.

20 Q. And the 8-6 is drilled -- well that you just
21 recently drilled?

22 A. That's correct.

23 Q. Okay. You talked about correlative rights, and
24 that was -- I understood to be the focus your testimony,
25 and I believe you indicated that you thought any

1 restriction out here would, in essence, hurt Mewbourne and
2 help the other operators?

3 A. That's correct.

4 Q. And that you don't want to see that -- what you
5 call the gas in this area, go to the other operators; you
6 want the ability to produce that gas yourselves?

7 A. We want to be able to take care of our
8 correlative rights.

9 Q. Okay. Now, you recognize, though, do you not,
10 Mr. Montgomery, that allowables exist in order to protect
11 the reservoir energy and allow all operators to produce
12 their fair share of the recoverable reserves?

13 A. Yes.

14 Q. Okay, and that would include the gas as well,
15 does it not?

16 A. Absolutely.

17 Q. Everybody gets their opportunity to produce their
18 fair share of the reservoir energy and the oil underneath
19 their acreage?

20 A. I think the Commission is bound to try to protect
21 correlative rights for both oil and gas, absolutely.

22 Q. Did you do any kind of oil-in-place calculations
23 for the -- for this area?

24 A. Yes.

25 Q. You did.

1 A. Yes.

2 Q. But you didn't present any of that today?

3 A. No.

4 Q. Okay. Why did you pick 1350 barrels of oil per
5 day, plus a 10,000 GOR, which amounts to, as I understand
6 it, and correct me if my math is wrong, but about thirteen
7 million five hundred thousand million [sic] cubic feet of
8 gas a day, right?

9 A. Right.

10 Q. Why did you pick those numbers?

11 A. Well, from the performance of our wells, it was
12 prior to drilling the 8 Number 6. We were currently
13 producing about 100 barrels a day out of the 8 Number 3, in
14 excess of 1000 barrels a day out of the 8 Number 2, and we
15 thought we could open that well up and get to 1350 a day.
16 We also thought that the 8-6 would produce, hopefully,
17 somewhere between the Gruy wells and the Mewbourne wells.

18 So by sort of adding that up and also, you know,
19 looking at a 40-acre field -- fields, times four, we
20 thought it would be prudent and reasonable to ask for 1350
21 a day.

22 Q. That's the amount you want to produce from your
23 8-6 -- You're assuming the 8-6 and the 8-2 can produce that
24 amount?

25 A. I don't know that they can produce that much.

1 I'm hoping they can each produce a thousand barrels a day,
2 each, maximum.

3 Q. Okay.

4 A. That's difficult to know absolutely.

5 Q. So you want the ability to open them up?

6 A. Absolutely, yeah, that's what we're here for
7 today.

8 Q. Okay. You talked about several kinds of -- about
9 flashing gas. Do you believe that there's a free gas cap
10 forming in this reservoir?

11 A. No, there's not enough structure. Typically --
12 We believe, first of all, there was no initial gas cap,
13 because we were above the bubble point. Gas is certainly
14 evolving, in tremendous quantities, in the reservoir, and
15 being produced into the wellbores.

16 You know, I typically think of a secondary gas
17 cap, we have a hundred oil wells with 2000 GOR, connected
18 geologically a mile or two or three away from pure gas
19 wells at 100,000 GOR, and there may be some benefit to
20 keeping those gas wells from taking all the pressure off so
21 that the oil wells don't lose reservoir energy. But here I
22 picture it much more like just one gas reservoir with
23 condensate production associated.

24 Q. And that's based on existing information?

25 A. Yes.

1 Q. Okay. Now, you have plans, do you not, to drill
2 an additional well in the northwest quarter of Section 8?

3 A. That's correct.

4 Q. Okay. And are you aware that there's also plans
5 to drill wells in the southeast quarter of Section 5, as
6 well as the northwest quarter of Section 9?

7 A. I've heard rumors, I don't have any exact
8 knowledge.

9 Q. Okay, but you all are at least -- have plans to
10 drill an additional well in the --

11 A. That's correct.

12 Q. -- in your proration unit, which -- in the
13 northwest quarter of Section 8?

14 A. That's correct.

15 Q. Which would then provide some additional data on
16 this reef, would it not?

17 A. Sure, yes.

18 Q. Okay. Now, the original order that was entered
19 in this case at your request, that applied the -- that
20 allowed a special allowable for this pool has a timetable
21 in it to revisit this issue in March of 2004?

22 A. That's correct.

23 Q. Okay, and what you're trying to do is accelerate
24 that timetable, as I understand it?

25 A. We feel we're being drained, and have been

1 drained, all summer. We cannot wait till March, 2004.

2 Q. Okay.

3 A. We would love to have a very rapid turnaround
4 here.

5 Q. And you feel that you're being drained unfairly?

6 A. Yes.

7 Q. Okay. But you haven't produced any information
8 to demonstrate that today, have you?

9 A. Oh, yes, I have.

10 Q. You have?

11 A. The pressure communication between these wells,
12 there's no doubt that --

13 Q. But you haven't produced any information on the
14 oil in place --

15 A. No.

16 Q. -- to substantiate that statement?

17 A. No. We've got logs to show where all the oil in
18 place is. We have 660 lease lines to help protect against
19 correlative rights, but with -- one operator's curtailed,
20 another operator will benefit. That's what they're here
21 for today.

22 Q. Aren't you aware of pools out there, Strawn pools
23 out there, in which operators are curtailed?

24 A. Yes.

25 Q. Okay, and they're curtailed to protect reservoir

1 energy, are they not?

2 A. I don't know. I'm not intimately familiar with
3 why they're curtailed.

4 Q. Okay.

5 A. I know that you have a case pending to try to
6 increase 1-to-20,000 GOR.

7 Q. Let's talk about that.

8 A. Okay.

9 Q. Are you familiar with that pool?

10 A. Yes.

11 Q. How many operators are in that pool?

12 A. I'm not intimately familiar with, but I know
13 Chevron is in the pool, and I believe they're maybe the
14 only operator.

15 Q. They're the only operator. So we don't have a
16 pool there where there's other operators? In this case we
17 have a pool with other operators, correct?

18 A. Right.

19 Q. So we have correlative-rights issues here that we
20 don't have --

21 A. That's right.

22 Q. -- in that pool?

23 A. Exactly.

24 Q. And were you also aware that Chevron -- under the
25 existing pool rules, Chevron, being the only operator under

1 the existing pool rules, had to shut in its wells because
2 of the circumstances associated with that GOR cap?

3 A. Were they overproduced?

4 Q. They were overproduced and had to shut in their
5 wells. You weren't aware of that?

6 A. No.

7 Q. Okay. You don't have that situation here,
8 correct?

9 A. No, we tried to get that testimony, it wasn't
10 available, so I'm not -- All I know is that they were
11 seeking a 20,000 GOR, so I'm very limited in the facts of
12 that case.

13 Q. Okay. Now, in August of this past year you were
14 alerted to the fact that you were violating the liberal
15 allowables for this oil and gas pool that you obtained back
16 in October, were you not?

17 MR. BRUCE: Can you define "liberal", Mr.
18 Feldewert?

19 Q. (By Mr. Feldewert) Twice what the state rules
20 presently allow.

21 A. We got a letter for a hearing, we got no
22 information from Gruy, nobody ever contacted us and said,
23 hey, you're over your allowable. We got a letter from the
24 Commission. I guess Gruy approached Ms. Wrotenbery and
25 tried to get a hearing put together, and we knew we had

1 problems already, prior to that, and we had begun pinching
2 back prior to that, to try to rectify that. But yes, we
3 did get an application for a hearing, I believe.

4 Q. You also got a letter from Gruy, did you not, or
5 were copied on their letter?

6 A. We got a copy of a letter a month or two later.

7 Q. Okay, so it was Gruy that brought to your
8 attention the fact that you were in violation of the pool
9 rules?

10 A. No, that's not correct, we knew it already.

11 Q. Okay, what did you do about it?

12 A. We began choking the well back.

13 Q. When did you start choking?

14 A. Early August of '03.

15 Q. Okay, and that was after Gruy alerted the
16 Division, was it not?

17 A. I don't know about that. I'm not sure when they
18 alerted the Division, but it was before I heard about it
19 from the Division or from Gruy.

20 Q. Okay. Now, according to your chart, which is
21 marked as Exhibit Number 12, if I'm reading it correctly,
22 your overproduction of gas started in March of 2003, did it
23 not?

24 A. Wait a second, let me check on that. That sounds
25 about right, maybe the very first bit of overproduction.

1 Q. So it was almost six months before you undertook
2 any effort to deal with that overproduction?

3 A. That's correct.

4 Q. Who was in charge, in your company, of modifying
5 your production within these pools to ensure that you stay
6 within the pool rules?

7 A. Well, that would be -- I will take full
8 responsibility for that. I was intimately aware about the
9 pool rules, and I was more focused on the oil rate and many
10 other things in my company, and I inadvertently missed
11 getting over.

12 Q. What is -- Can you tell us today what your cutoff
13 point is for oil production, in terms of the GOR?

14 A. Can you explain that question a little more?

15 Q. I mean, are you able to produce oil at a GOR of
16 4000 to 1?

17 A. No. No well, that I know of can -- that we have,
18 will even produce at 4000 to 1.

19 Q. Well --

20 A. Pinching it back, it will stay at 8000 to 1, no
21 matter what you pinch it --

22 Q. You're right that's a bad question.

23 A. -- because of the way these rules --

24 Q. Under the present pool rules, how much oil are
25 you able to produce out of the northwest quarter of Section

1 8?

2 A. The present pool rules are 1120 times 4, so 4480
3 gas, 4,480,000 a day gas --

4 Q. And you're able to that, right?

5 A. Absolutely.

6 Q. And how much oil are you able to produce at that
7 gas rate?

8 A. At that gas rate? Well, I'd have to divide by 7
9 or so, whatever that number is.

10 Q. Well, I'm just trying to get an understanding,
11 under the present pool rules, how much oil on a daily basis
12 is Mewbourne able to produce out of those four --

13 A. Okay, just a second, I'll tell you approximately.
14 640 barrels a day, approximately, at the current producing
15 GORs that we think we have in that quarter section.

16 Q. Is there any other proration unit out there that
17 is producing 640 barrels of oil a day?

18 A. I don't believe so anymore.

19 Q. Okay.

20 A. The Gruy, southeast quarter of 5, looks like
21 they're at about 7000 plus 9000, 16,000 a month. So
22 they're at about 533 barrels of oil per day, but that's a
23 rough estimate.

24 Q. Okay. But under the present pool rules, you're
25 producing more oil than any other spacing unit out there?

1 A. Except, say, for the fact that we're restricted
2 to half-rate by being overproduced, and are rectifying
3 that, that's correct.

4 Q. Okay. Now, just briefly, I want to take a look
5 at the other Strawn pools that you have identified on
6 Exhibit Number 9. Do you have that in front of you?

7 A. Yes, go ahead.

8 Q. What would you consider to be the most analogous
9 Strawn pool to the Shugart-Strawn Pool?

10 A. Well, in different senses they're all very
11 analogous, they all have very similar GOR trends, the
12 fluids are very, very analogous.

13 As far as productivity, maybe the Cedar Lake Reef
14 field was the most analogous because of its higher flow
15 rates initially. The Lusk North would also have some high
16 flow rates. But, you know, there's variability in all
17 these fields and -- pools, excuse me, but they're all very,
18 very similar to ours, I believe.

19 Q. Do you know -- In terms of the Cedar Lake Reef
20 Pool, do you know how many operators are in that pool?

21 A. I can find out. I know EOG is producing in 25.
22 And in 36 just give me a minute, I think I have that
23 somewhere.

24 Q. Well, let me ask -- you know, let me ask you --
25 let me ask you --

1 A. Do you have it?

2 Q. -- let me ask you a better --

3 A. I may have it in my notes.

4 Q. -- maybe a better question.

5 A. Okay.

6 Q. There's more than one operator in the Cedar Lake

7 Reef Pool, is there not?

8 A. I don't know.

9 Q. Do you know whether there's more than one
10 operator in the Lusk North Pool?

11 A. I think you told me already that Chevron is the
12 only operator.

13 Q. That's right. Now, in terms of these other
14 pools, can you identify the ones that have multiple
15 operators?

16 A. Yes, it'll just take me some time to go through
17 it.

18 Q. You mean you have to go through the data?

19 A. Right. Yeah, my notes.

20 Q. You don't know off the top of your head?

21 A. No.

22 Q. Okay.

23 A. No.

24 Q. But none of these what you call analogous pools
25 have anything close to the allowables that you are

1 requesting here today, do they?

2 A. The Cedar Lake Reef was granted 1120 barrels per
3 day, and we're asking for 1350, so I would consider that
4 very similar.

5 Q. Okay, the Cedar Lake Reef has exactly the
6 allowables that you are presently operating under in the
7 Shugart Pool?

8 A. That's correct.

9 Q. Okay.

10 A. They were never really ever to produce in excess
11 of that. They started at that point and began declining
12 immediately, so it didn't become important for them to seek
13 any new pool rules, even though their GORs got way up above
14 4000, which was their limiting factor. The top allowable
15 was never obtained, except for that first month or so.

16 Q. Now, didn't you testify before this Division in
17 October of 2002 that those rules for the Cedar Lake Reef
18 Pool were adequate to equitably drain the area?

19 A. I don't remember saying that.

20 Q. Turn to page 29.

21 A. Okay.

22 Q. Would you just read for the record your answer,
23 beginning on line 14, on page 29?

24 A. "What we found as we developed this reservoir was
25 something we think is very similar to other reservoirs in

1 the area, both geologically, as we've heard, and fluid- and
2 permeability-, porositywise, and that those other
3 reservoirs are producing in such a manner that these field
4 rules are adequately put together to drain these
5 reservoirs."

6 Q. Go ahead.

7 A. "There's -- We've talked about the Oak Lake well
8 in the Cedar Lake Reef Pool. It's on 160-acre spacing with
9 an increased oil allowable of 1120 barrels of oil per day
10 and 4000 GOR, and I'm going to show that those are proper
11 spacing rules for good recovery of what's there
12 volumetrically.

13 "Also, there are other pools we've seen that are
14 spaced at 160 and with a special GOR of 4000."

15 Q. Okay. Now, you don't have any evidence here
16 today that the pool rules that are in effect are going to
17 result in an unequitable drainage of this Shugart-Strawn
18 Pool, do you?

19 A. Yes, I do. I think I've shown that evidence.

20 Q. Okay, other than the fact that your wells could
21 produce more, you haven't done any kind of oil in place or
22 any kind of allocation of the oil in place or the reservoir
23 energy to make a determination as to whether there's going
24 to be an equitable drainage in this pool?

25 A. What I said, I think, through geologic testimony

1 and my own testimony, is that the porosity exists under our
2 quarter section that's tremendous compared to other quarter
3 sections, the productivity of our quarter section is
4 tremendous, and that since this is a volatile fluid and
5 much of what's moving is simply gas with the reservoir
6 condensing oil -- or condensate out of that gas, that any
7 restriction put on by the Commission to one set of wells
8 will directly benefit the others, because there's a high
9 competition for reserves between wells, and the only
10 ability we have is to drill 660 off the lease line and be
11 able to commit production rates similar to other operators
12 with respect to flowing it against line pressure in an
13 unrestricted manner. Otherwise drainage will occur.

14 Q. You just want to get as much as you can grab in
15 an unrestricted basis?

16 A. We want to get the oil and gas reserves that we
17 feel were under Section 8, the northeast quarter, without
18 being restricted so that those reserves aren't produced
19 into other wellbores --

20 Q. I understand.

21 A. -- and sold in other bank accounts.

22 Q. But we don't have any indication of how much of
23 those reserves within the pool are under your acreage, do
24 we?

25 A. No, not an exact figure.

1 Q. Now, didn't you also testify back in October that
2 the GOR for these Strawn reefs generally start at about
3 3000 and naturally move to about 5000 or 6000 GOR?

4 A. I may have, I don't remember that.

5 Q. Okay, and you testified that that was normal for
6 a solution gas drive reservoir?

7 A. I may have, I don't remember that.

8 Q. Isn't that your -- is that your -- is that -- Is
9 it still your statement that a 5000 to 6000 GOR is
10 generally normal for a solution gas drive reservoir?

11 A. I guess what I would say today is that it's
12 obvious from these offset fields these GORs are getting
13 above 5000 or 6000 -- most of them were 8000 or 10,000 --
14 and that this is more of a volatile oil reservoir with
15 properties that exist that -- that's a natural increase in
16 GOR and that we expect the GOR, as we've already seen in
17 this reservoir, to go past 5000 or 6000 and continue on to
18 maybe 20,000 or greater.

19 Q. Now, if I look at your Exhibit Number 12 --

20 A. Okay.

21 Q. -- you're showing a leveling off of the GOR,
22 beginning in April or May, of about 5000 to 6000, are you
23 not, for your Fren 8-2 well?

24 A. Just a minute, let me catch up to you. Yes,
25 that's correct.

1 Q. Okay, now...

2 A. "Leveling off" is probably a poor word. It's
3 still increasing, but there was a dramatic or a more rapid
4 increase prior to that, I believe in sort of a transition
5 phase as the bubble point was reached and gas came out of
6 solution, and then a slow increase from that point forward
7 that would more model these offset analogies that we saw in
8 other wells in this Shugart-Strawn Pool.

9 Q. At least for your Fren 8-2, before you -- or even
10 after you curtailed in August, you had some leveling out of
11 the GOR at 5000 to 6000, did you not?

12 A. Yes, yes, the slope changed. "Leveling out"
13 would just be your term. Mine would be a lesser increase.

14 MR. FELDEWERT: That's all the questions I have.
15 Thank you.

16 EXAMINATION

17 BY EXAMINER CATANACH:

18 Q. Mr. Montgomery, the wells that Section 5, the --
19 I assume there's two different proration units in Section
20 5, in the southwest and southeast quarters. Do you know
21 what those wells are producing at, like in the southeast
22 quarter, the two wells?

23 A. Yes, I do. The exhibit -- I forget the exhibit
24 it is, but it's -- Number 11, I guess, here it is -- show
25 curves that are accurate through -- I think estimates and

1 daily information through October and actual through
2 September of this year, so I don't have it up to the last
3 minute like I do our own wells.

4 But the Magnum 5 Federal Com Number 2 is
5 producing at an approximate oil rate of 900 barrels per
6 month -- I'm sorry, 9000 barrels per month, and 60 to 70
7 million per month, or 300 barrels per day, and over 2
8 million cubic feet of gas per day. That's the 5 Number 2.
9 That works out to a gas-oil ratio around 8000 to 1.

10 The 5 Number 3 in that same time period, October
11 of '03, is producing approximately 7000 barrels of oil per
12 month or just under 250 barrels of oil per day, and
13 approximately 50 million cubic feet of gas per month, or
14 just under 2 million cubic feet of gas per day, for a gas-
15 oil ratio of about 7000 or 8000.

16 Q. Okay, so that's 550 barrels per day, oil, total.
17 And what was the total on the gas?

18 A. Let's see. Maybe a total of 120 million a month.
19 So on a daily basis it's at 4 million a day. So they're
20 right -- They're just pretty close to the allowable at 4.4
21 million a day, is their limiting cap.

22 Q. Okay. So under the current rules, that proration
23 unit is producing about the same as what you're allowed to
24 produce in the northeast quarter? Is that -- Because I
25 believe you testified you're currently able to produce 640

1 barrels of oil per day?

2 A. If we are restricted by allowable under the
3 current 4000 GOR --

4 Q. Uh-huh.

5 A. -- and yet we're producing at about 7000,
6 effective, there's no way for us to change that, I can do
7 the math and yes, that's where it comes out to six hundred
8 and something barrels of oil per day, that's correct.

9 Q. So under the rules that's what you're able to
10 produce now?

11 A. Yes, and it would diminish every day. We would
12 have to continue to cut our well back -- They would never
13 have to touch their choke, we will continue to cut our well
14 back month after month, it would just get worse and worse,
15 and our oil would go down, because the GORs are going up,
16 and we're limited to a gas cap, we're applying oil rules to
17 what's really a gas reservoir, in effect.

18 But that would deteriorate -- whereas those
19 wouldn't, theirs wouldn't, they would just naturally
20 decline both oil and gas, never seeing a cap. The would
21 have us believe that that's the proper allowable, when
22 that's -- it only affects Mewbourne. You know, it's saving
23 energy only just above their ability to produce.

24 Q. Okay. So under your proposal, you'd be able to
25 produce from that northeast quarter 1422 barrels a day, and

1 there would essentially be no restriction on gas, right? --

2 A. You'd multiply --

3 Q. -- that 10,000?

4 A. That's correct, because we're at 8000. We --
5 Just like in their situation now, we would not have that
6 limit until such time where -- it may be a few months down
7 the road, where we would naturally increase to 10,000, then
8 we'd have to start cutting the well back to leave it at 14-
9 whatever-million-a-day that number works out to be.

10 Q. Okay. So you believe that you're being drained
11 at this point because your wells are restricted because of
12 the allowable?

13 A. Exactly, and it's such a highly competitive
14 reservoir. It's more like gas where we know drainage
15 occurs. We show on our logs our superior -- production
16 rates are superior. The reservoir energy is just going to
17 decline with respect to cumulative production, no matter
18 who produces it. We're not going to get any more oil or
19 gas. It's just going to be if we restrict the Mewbourne
20 wells, they're going to end up with more oil and gas in
21 their bank accounts, and at the detriment to the
22 Mewbourne --

23 Q. Okay.

24 A. -- recoveries.

25 Q. So if you go to 1422 a day oil allowable, and

1 whatever gas that works out to be, how do you know that
2 that's the rate that would be fair to the operators in the
3 pool? How do you know that at that point you're not
4 starting to drain from Section 8 -- or, I'm sorry, from
5 Section 5?

6 A. Well, Section 5 has two wells 660 feet off the
7 lease line. They have the porosity and the permeability,
8 whatever was underneath that ground, they've got it, and
9 they're restricted -- unrestricted producing. So we don't
10 believe that the Commission needs to worry about, you know,
11 protecting them in that case when it's sort of like gas
12 reserves being produced.

13 They -- Whatever reserves they are able to
14 capture at full rate should be their equitable share. They
15 can drill more wells and share allowables within the rules
16 of the Commission, but these allowable rules are only
17 hurting Mewbourne and not the Gruy. And we know that -- We
18 feel that's just not fair.

19 Q. Well, if your wells are producing at a rate of
20 1422 barrels a day, how do you know that you're not
21 starting to drain reserves from Section 5?

22 A. I think that you never know where the underground
23 reserves are going. But I feel like if you have no-flow
24 boundary at half the distance between the wells -- We have
25 one well that's 660 off the line, they have two wells.

1 We're not asking for the full deliverability of what those
2 wells will do, but in proportion to those logs that we saw,
3 it's not unusual for Mewbourne to be producing at much
4 higher rates instead of equal rates. That just doesn't
5 seem equitable.

6 It's hard to pin down the exact number. I don't
7 have a good question -- answer to your question. You know,
8 you can do all the modeling, all the pore volume, we've
9 done it all, and you can make it look any way you want.
10 But you've got those wellbore penetrations to make those
11 models with, and that's what it boils down to. Put contour
12 lines anywhere, draw your no-flow boundaries anywhere,
13 create boundaries you want to create out of the clear blue.
14 But if you just let people have 660 lease line competition
15 and there's no damage to producing at these high rates,
16 then you're simply allowing everybody to get what their
17 wellbores in their sections have underneath their leases.

18 Q. Well, they're not at unorthodox locations.

19 A. No, nobody is, right. Yeah, we're competing --
20 That's fair. There's no encroachment.

21 Q. You say you did do original oil-in-place
22 calculations?

23 A. Yes.

24 Q. Why did you choose not to present that data?

25 A. Well, we feel like this is an issue that has to

1 do with correlative rights and waste and that the bulk of
2 the information we've put out here is sufficient to have
3 our case won.

4 We -- It's difficult to do volumetric estimates,
5 especially with volatile oils. We did take a stab at it in
6 many different ways. We used material balance above the
7 bubble point. You need relative permeability estimates,
8 which nobody has core data from, to calculate recoveries
9 below the bubble point. It's a very complex exercise, and
10 there are some simple and basic facts here and data that
11 is, I think, irrefutable that shows where the pore volume
12 is under Section 8, the deliverability of our well, the
13 pore volume in the logs.

14 And so it was -- it seemed -- would only be
15 confusing and would be hard to say between two models, two
16 volumetric estimates, well the pore volume is on our side
17 or your side, how that would work out. This didn't seem to
18 be an equity hearing if we were trying to unitize, but more
19 simply how to best develop this reservoir, letting two
20 operators compete on an even playing field.

21 Q. If we increased the GOR in this pool to 10,000 to
22 1 and left the oil allowable the same, would that provide
23 sufficient relief for Mewbourne? That would give you --

24 A. That would be -- that would -- you know, I think
25 preferably to Mewbourne is the GOR problem, because we do

1 believe this is a gas. I believe that it's still fair for
2 us to -- but -- to get the oil. But yes, that would be
3 something that we would weigh more heavily the GOR than the
4 oil rate.

5 Q. And the GOR issue in these Strawn reservoirs,
6 it's not -- it's fairly common to these Strawn
7 reservoirs --

8 A. Yes.

9 Q. -- the GOR issue?

10 A. Right, this comes up at the Commission all the
11 time. It's typical for volatile reservoirs, and the Strawn
12 is -- in this particular area is sort of a volatile oil
13 part of the country. It will turn more to gas if you go
14 several miles west, or more to oil several miles east.

15 EXAMINER CATANACH: Okay, any further questions?

16 MR. BRUCE: I've just got a few follow-up, Mr.
17 Examiner.

18 FURTHER EXAMINATION

19 BY MR. BRUCE:

20 Q. First on the overproduction, I just want to
21 clarify this, Mr. Montgomery. Mewbourne started
22 restricting production before it knew that Gruy had written
23 to the Division about overproduction?

24 A. Yes, that's correct, about a week or two before.

25 Q. Secondly, Mr. Feldewert asked you questions about

1 opening up the wells or unrestricted production. You're
2 still going to be restricted?

3 A. Yes, the only wells that are unrestricted are the
4 wells outside that northeast quarter including the Gruy
5 wells.

6 Q. So whatever the oil and gas allowable is,
7 Mewbourne will be restricted, nonetheless, either on oil or
8 on gas or on both?

9 A. That's correct.

10 Q. And Mr. Feldewert asked you some questions about
11 the hearing last year on this issue. There's a lot more
12 data in this pool since last year, is there not?

13 A. That's correct.

14 Q. There were only two wells at the time, before?
15 Maybe just one?

16 A. There were two producers.

17 Q. Two producers.

18 A. That's correct.

19 Q. Now there's seven?

20 A. That's correct.

21 Q. And you've conducted additional analysis, PVT
22 data, and you've determined a lot of other data since that
23 time?

24 A. We've taken pressure data, we've produced wells,
25 drilled wells, yes, a lot of data has come in since then.

1 Q. Now, Mr. Feldewert also asked you questions, you
2 know, about the Lusk North Pool. He says, Well, there's
3 only one operator and therefore there's no correlative-
4 rights issues. But it doesn't have to do with who's
5 operating a well, it has to do with who the interest owners
6 are in wells, does it not?

7 A. Right, and he didn't mention waste. If it's
8 wasteful there, it's wasteful --

9 Q. And there are five wells, by your count, in the
10 North Lusk Pool. We don't know who all the interest owners
11 are in those wells, do we?

12 A. No, I just simply took the production from the
13 Division and looked at the whole total package.

14 Q. Even if -- in this pool, if Gruy operated all the
15 wells or Mewbourne operated all the wells, there'd still be
16 correlative-rights issues?

17 A. Absolutely, ownership would still be important.

18 Q. And finally, about, you know, allowing you to
19 produce what Gruy is producing, by the same token, should
20 everybody be limited to what Heyco is producing?

21 A. No. Heyco produces 30 barrels per day, and I
22 don't think anybody wants to limit to some operator just
23 arbitrarily because it's the -- you know, that's equitable,
24 you know, that doesn't make sense.

25 MR. YAHNEY: I'll go for that.

1 (Laughter)

2 MR. BRUCE: I think we've heard from Heyco.

3 (Laughter)

4 MR. BRUCE: That's all I have, Mr. Examiner.

5 EXAMINER CATANACH: Anything further?

6 FURTHER EXAMINATION

7 BY MR. FELDEWERT:

8 Q. Mr. Montgomery, you talked about -- You have some
9 additional data now that you may have not had back in
10 October. There's still active drilling going on in this
11 pool, is there not?

12 A. That's correct.

13 Q. Okay, so --

14 A. We're getting ready to drill, we haven't spudded
15 yet.

16 Q. Right. So we're going to have some more -- So
17 we're going to have some drilling that's going on, and it's
18 going to provide some additional data, particularly data
19 that we'll have in March of 2004, will we not?

20 A. I'm not sure how that will all pan out, but it
21 could be such that we have additional wellbores and
22 obviously production between now and March.

23 Q. And that would help everybody in trying to set
24 field rules, would it not?

25 A. I believe I've got all I need at this point.

1 Q. Okay. Now, your northeast quarter -- you know,
2 and correct me if I'm wrong here -- you're producing more
3 gas -- you're producing more oil than any other spacing
4 unit out there?

5 A. Not so, we're restricted -- right now we're
6 producing -- we have the much more prolific wells and have
7 the capability to produce much more than other quarter
8 sections.

9 Q. Well, I understand that, but you're producing
10 more oil now than any other spacing unit out there?

11 A. Well, maybe I'm wrong, let me look. We have zero
12 at the 8 Number 3, zero at the 8 Number 3 --

13 Q. Is that because you're curtailing to make up the
14 overproduction?

15 A. That's my point, yes.

16 Q. Okay, well, let's back up then --

17 A. Back up.

18 Q. -- re-frame my question.

19 A. Okay.

20 Q. Once you get back into balance and deal with your
21 overproduction that occurred for about six months --

22 A. Yes.

23 Q. -- and finally caught notice --

24 A. Yes.

25 Q. -- once you deal with that and you begin

1 producing your wells at the present -- under the present
2 pool rules, you're going to produce more oil than any other
3 spacing unit out there?

4 A. What we're going to do is be limited by the gas-
5 oil ratio limit, so we won't be able to produce 1120, even
6 though our wells are capable of that. And I'm assuming a
7 7000 GOR, let's say, which gets us close to 640. If our
8 GOR is 8000, that will be lower, and that will be similar
9 to what the Gruy wells are currently producing across the
10 lease line right now.

11 Q. There's 640 barrels of oil per day --

12 A. Okay.

13 Q. -- which you said is what you'd be allowed under
14 the current rules?

15 A. That's correct, once we get back in balance.
16 Except every day the GOR goes up we've to pinch that oil
17 back. It would only be instantaneously that number.

18 Q. Okay, at --

19 A. Month by month it would be less and less.

20 Q. At 640 barrels of oil per day, you're producing
21 more oil than any other spacing unit out there?

22 A. I think so, barely more than the Gruy would --

23 Q. And everybody else is doing -- producing what
24 they can --

25 A. They're --

1 Q. -- they just can't match what you're able to
2 produce?

3 A. Right, they don't have the capability in their
4 wellbores to produce any more than they can. They've
5 always produced wide open, never been restricted.

6 Q. Because you've got -- your 8-2 and your 8-6 have
7 more porosity than any other well out there?

8 A. I believe so.

9 Q. Okay.

10 A. I think that's obvious by the flow rates and the
11 logs.

12 Q. Okay. Are you aware that the oil production in
13 the other wells out there in the non-Mewbourne spacing
14 units are on a decline?

15 A. Yes.

16 Q. Okay.

17 A. Yeah, just like our tubing pressure is on a
18 decline. The whole field is on a decline. That's why the
19 field GOR is going up.

20 MR. FELDEWERT: That's all I have. Thank you.

21 EXAMINER CATANACH: Okay.

22 MR. BRUCE: That concludes my direct case, Mr.
23 Examiner.

24 EXAMINER CATANACH: Mr. Feldewert, you have three
25 witnesses?

1 MR. FELDEWERT: I do.

2 EXAMINER CATANACH: Can you give me a reasonable
3 estimate of your direct case?

4 MR. FELDEWERT: I think between the three
5 witnesses, Mr. Catanach, we would probably take, depending
6 upon the cross-examination, an hour would be my guess. I
7 think we've been here what, two hours on this -- on two
8 witnesses. Our case is, I think, a little quicker, but I
9 think we'll take an hour.

10 EXAMINER CATANACH: On direct --

11 MR. FELDEWERT: Yes.

12 EXAMINER CATANACH: -- for all three?

13 MR. FELDEWERT: I think so.

14 EXAMINER CATANACH: Well, let's go ahead and take
15 a lunch break at this point and come back at 1:00.

16 MR. FELDEWERT: Do you want me to try to call Mr.
17 Kellahin?

18 EXAMINER CATANACH: I think he's -- Well, if you
19 want. He's supposed to show up at 1:00, but we're not
20 going to start that case at 1:00, obviously, so --

21 MR. FELDEWERT: I'm wondering if we can -- maybe
22 Jim and I can get ahold of him, you know, and tell him --

23 EXAMINER CATANACH: It's going to be a long day.

24 MR. FELDEWERT: -- two o'clock.

25 (Thereupon, a recess was taken at 11:55 a.m.)

1 (The following proceedings had at 1:04 p.m.)

2 EXAMINER CATANACH: Okay, call the hearing back
3 to order, and at this time I'll turn it over to Mr.
4 Feldewert.

5 MR. FELDEWERT: We call our first witness, Mr.
6 Examiner. Mr. Mark Hawkins is going to testify about --
7 briefly about the -- he's got some isopachs of the area --
8 about some future development in the field.

9 Our next witness is going to be Aaron Dover, and
10 he's going to talk about the correlative-rights issues that
11 Mr. Montgomery identified as an important point in this
12 case.

13 And our third witness is going to be Billy
14 Juroska, who's going to talk about his concerns about waste
15 and his opinion that it appears to be a gas cap forming out
16 there.

17 So with that introduction we'll call Mr. Hawkins.

18 MARK HAWKINS,
19 the witness herein, after having been first duly sworn upon
20 his oath, was examined and testified as follows:

21 DIRECT EXAMINATION

22 BY MR. FELDEWERT:

23 Q. Could you please state your full name and address
24 for the record?

25 A. My name is Mark Hawkins, and I live in Midland,

1 Texas.

2 Q. And by whom are you employed and in what
3 capacity?

4 A. Vice president of exploration for Pecos
5 Production Company.

6 Q. Is Pecos Production Company -- are they an
7 operator in this pool?

8 A. At the current time we're not an operator. We
9 will be shortly. But I think it's safe to say we're the
10 largest working interest owner in the pool.

11 Q. Do you have a working interest throughout this
12 pool?

13 A. We have a working interest in all of the three
14 160-acre proration units that are currently in the pool,
15 and we have a working interest in the southwest of 5, which
16 Heyco operates, which I understand is -- they've applied or
17 will apply to be part of this pool.

18 Q. Okay. Have you previously testified before this
19 Division?

20 A. I have.

21 Q. Okay, have your credentials as an expert witness
22 in petroleum geology been accepted and made a matter of
23 record?

24 A. Yes, they have.

25 Q. Now, are you familiar with the Application filed

1 by Mewbourne in this case?

2 A. I am.

3 Q. And have you conducted a geologic study of the
4 area, and in particular the Strawn reef, that is the
5 subject of this Application?

6 A. Yes, I have.

7 MR. FELDEWERT: Mr. Examiner, I would tender Mr.
8 Hawkins as an expert witness in petroleum geology.

9 MR. BRUCE: No objection.

10 EXAMINER CATANACH: Mr. Hawkins is so qualified.

11 Q. (By Mr. Feldewert) Would you turn to what's been
12 marked as Opposition Exhibit Number 1? Would you identify
13 that for the Examiner and please review it? And it's
14 contained within the notebook, I believe.

15 A. Okay, Exhibit 1 is a land plat, and I think it --
16 it's a simple exhibit but it shows some very important
17 points. And it's a 1-to-2000 map, it shows the North
18 Shugart-Strawn field, it shows the existing 160-acre
19 proration units, and the Strawn reef producers are colored
20 in green. It also shows the Heyco 160-acre proration unit
21 in the southwest of 5, which will be part of the pool.

22 But probably the most important thing about this
23 map is, you'll see there are three new locations
24 highlighted in yellow, and those are all locations that
25 will be drilled before year end. And the reason why I make

1 that point is, to me it seems -- it's almost preliminary to
2 try to set permanent field rules at this time when we have
3 active development going on in that field. And again, all
4 of these -- each of these wells will be drilled by year
5 end.

6 Q. The proposed well that you see in the northwest
7 quarter of Section 9, is that going to be drilled by Pecos?

8 A. Yes, that was a Bone Spring well that we have
9 already started. In fact, I think today or tomorrow we'll
10 deepen that well to the Strawn, the Baish Fed Number 6.

11 And then Gruy Petroleum will drill another
12 location in the north half of the southeast quarter of 5.
13 That will be their Magnum 5 Fed Com Number 4.

14 And then Mewbourne before year end will drill the
15 Fren 8 Fed Com Number 7, over in the northwest quarter of
16 8, so...

17 I heard in the testimony earlier today that we've
18 learned a great deal about this field since the first
19 hearing. Well, in a very short amount of time we're going
20 to learn a lot more. We'll have new logs, more pressure
21 data.

22 So I think it's very important that we note that
23 it is an ongoing field development.

24 And one of the other points I want to make is, in
25 many large fields you'll set field rules before the fields

1 are fully developed. In this case, this thing is about to
2 be fully developed, because we know where the reef is not
3 present, and so it's not going to go on forever. By March,
4 which was the original time that we were going to revisit
5 these temporary rules, we'll pretty much know the extent of
6 this field. And so that's a very important reason why I
7 think now is not the time to try to increase the temporary
8 field rules, the allowables, or to set permanent field
9 rules.

10 Q. In your opinion as a petroleum geologist, would
11 it be more prudent to wait until sometime in the first
12 quarter of next year before we make any decision about
13 changing these pool rules?

14 A. Oh, sure. I mean one thing is for certain, as
15 much as we've proposed to know the geology and the
16 engineering, every time a well is drilled we learn
17 something new. And we're not going to have to wait very
18 long to get three new data points.

19 So I think it makes a lot of sense to let these
20 wells get down and completed and see what they do.

21 Q. Okay. Having said that, I want to turn, though,
22 to what geologic information we have now about this --

23 A. Before I leave that --

24 Q. Sure.

25 A. -- plat, let me make one other point, and -- to

1 note, is that in the northeast of 8 we've got a 25-percent
2 working interest, in the southeast of 5 Pecos has a 37.5
3 percent, over in the southwest of 5 we've got almost 50
4 percent, and then in the northwest of 8 we've got 50
5 percent. So we do have an interest in all of those
6 proration units.

7 Q. And as a working interest in all these proration
8 units, are you here in opposition to Mewbourne's request to
9 change the pool rules at this time?

10 A. Yes, we are. In fact, all of the operators in
11 the pool, with the exception of Mewbourne, are opposed to
12 what they're wanting to do.

13 Q. Shall we turn to what we know about the geology
14 now?

15 A. Sure.

16 Q. Okay, why don't you in this notebook turn to the
17 next exhibit, which has been marked as Opposition Exhibit
18 Number 2? Or, let me back up. I guess we ought to move to
19 the cross-section, which should be in the inside cover of
20 this --

21 A. Correct.

22 Q. -- of this notebook, which has been marked as
23 Opposition Exhibit Number 2. Would you go over that and
24 review that for the Examiner, please?

25 A. Yeah, this cross-section is not a great deal

1 different from the one that Mewbourne showed. It starts on
2 the -- It's hung structurally. It starts on the northwest
3 side of the field in a non-reef or, I would agree with Mr.
4 Nelson's testimony, intermound well. It proceeds to make
5 its way through all of the existing Strawn producers in the
6 field and finally ends up on the south side in another well
7 that, what I would interpret, does not have reef
8 development.

9 And let me just make a few points from this
10 cross-section.

11 Number 1, I think it's pretty obvious where the
12 reef is and where it isn't. You have a real clean gamma-
13 ray throughout the reef, where the reef is present, as
14 opposed to the intermound or non-reef facies in the Strawn,
15 which has a more erratic gamma-ray signature.

16 And the -- on each of these wells I've
17 highlighted in green where those wells are currently
18 perforated.

19 And let me make a point here, is that in the Gruy
20 Petroleum Magnum 5 Fed Com Number 2, which is the fourth
21 well from the left on the cross-section, they did perforate
22 the washout zone. And we do -- they agree -- they believe
23 and we agree that that is pay. And so when I look at the
24 Mewbourne Fren 8 Fed Com 2 that has a significant washout
25 zone in the upper portion, I would look at that and say I

1 believe that that has the potential to be pay as well.

2 And from what I heard this morning, although
3 there may not be any plans currently to perforate that
4 zone, I did not hear that they were never going to
5 perforate that. So I think that will come into play later
6 on, that there is additional height to perforate in that
7 well at some point in the future, and it will come into
8 play with the discussion with the GORs and things like
9 that.

10 Let me see. What I've shown in blue is what I
11 interpret to be the top and the base of the reef. And on
12 the maps that I'll go through in a minute, my structure map
13 and my isopach map, the structure is not on the top of the
14 Strawn formation, it's on the top of the Strawn reef
15 reservoir. The isopach is not of the overall Strawn
16 formation, it is of the Strawn reef which again is
17 reservoir.

18 So it's a pretty straightforward cross-section
19 just to demonstrate where the reef is, where the wells are
20 perforated, and I think that's the only points I need to
21 make. And as we look at the map you can refer back to the
22 cross-section.

23 Q. Okay, why don't we move on, then, to what's been
24 marked as Opposition Exhibit Number 3? Would you please
25 identify that for the record and then review that for the

1 Examiner?

2 A. Okay, Exhibit Number 3 is my interpretation of
3 the structure of the Strawn reef. And it's a 1-to-2000-
4 scale map. Again, the existing Strawn producers are shown
5 in green. Again, the new locations that will be drilled
6 before year end are highlighted in yellow.

7 One of the things you may note is that wells that
8 surround the reef have a -- they're designated RNP. That
9 means the reef is not present. So again, I think we have a
10 pretty good feel for the ultimate extent of the reef.

11 There are a couple areas we're not sure. Let me
12 back up and say this. My map was constructed from both the
13 well control and the 2-D data that I was able to purchase,
14 that's available off the shelf, that I bought a license
15 for.

16 And so let me clarify that from the outset, that
17 when I purchased the 2-D, had a geophysicist make a depth
18 conversion and make a structure on this reef. As we
19 drilled additional wells, as will always happen, the
20 structural tops don't come in exactly like you expect.

21 But what I did note is that I can use the 2-D
22 to -- How should I put this? Not determine -- It gives me
23 an indication where the reef is. I didn't -- As far as
24 absolute subsea depth to the top of the reef, as far as
25 absolute isopach thickness, there's a little -- there's

1 some error built in there, in the depth conversion in the
2 velocity model. But I have only contoured this reef to be
3 present where they have well control or where I see that
4 reef on those 2-D lines.

5 The question may come up, am I going to show the
6 2-D? I cannot, that's not proprietary data like
7 Mewbourne's 3-D which they own. This is data that I bought
8 a license to, and I'm not -- legally, I cannot enter that
9 into the record, I can't give copies to anybody. I can
10 just show it. I don't own it, I just have a license to it.

11 Q. Now, the -- one of the differences I see between
12 your structure map and then what has been marked as your
13 isopach map is this north-plunging nose into Section 5.
14 Did you develop that nose as a result of what you saw on
15 the 2-D seismic?

16 A. Correct. As you can see, the lines that I
17 purchased pass through the reef, and so I was able to image
18 the reef character, and I see the reef on that line and I
19 believe it enough that we're going to risk the capital to
20 drill a well here by year end. So it's not just an attempt
21 to map the reef onto our acreage. I feel like it's there,
22 and we're going to drill a well there to find out. And by
23 March we may know it may not be. But at this point in time
24 I believe that it has a very strong chance of being present
25 as it plunges to the north.

1 Q. Now, you made a point of pointing out that you
2 only did the contouring where you had -- the well-control
3 data and 2-D seismic indicated the structure. Is that a
4 fairly conservative approach or a liberal approach, or how
5 would you characterize your approach to this mapping?

6 A. I would say that it was as accurate as I could
7 make it. I don't think it was liberal. Again, it's --
8 this reef is fairly tightly controlled by wells that are on
9 the map where the reef is not present. So you know, it's
10 not like you can use your geologic license to put it
11 everywhere. You know where it's not.

12 Really, probably the main area or the main part
13 of the map where there is some question is what happens on
14 the east half of Section 5. And again, my interpretation
15 was based on the 2-D data that I purchased to determine if
16 the reef was present there.

17 Q. Now, is this map and the other maps, the isopach
18 maps, were they used -- have they been used by the
19 opposition in this case to construct calculations of the
20 oil in place and to try to allocate the percentage of oil
21 in place among the various spacing units?

22 A. Oh, yeah, that's exactly why we did it. And
23 although -- I heard earlier this morning that it is
24 difficult to make volumetric calculation, and there can
25 be -- there obviously is some error, we didn't shy away

1 from the attempt to do that, because -- and I think this is
2 a point that was not made earlier, that the issue of
3 correlative rights really doesn't have anything to do with
4 what your well is capable of producing. It has to do with
5 what share of the reservoir that you have under your
6 leases.

7 And although Mewbourne made a case that they feel
8 like they should get a higher allowable, we didn't see any
9 information or any data that would try -- that attempted to
10 do a volumetric calculation as to where that reef sits.
11 And again, by March we may find -- my maps may prove to be
12 wrong, but at least we took the existing data and made the
13 maps to try to determine what the share of the reef --
14 where it lies under the leases and the units that are out
15 there.

16 Q. Okay, and is this map based on the best geologic
17 information that we have available, both well-control data
18 and your seismic?

19 A. Right, right. That is the existing 2-D data. I
20 bought the lines that were there, and that's -- used the
21 well control. So I don't have any other data that I could
22 use to try to change that at this point in time. But I
23 will here in about a month.

24 Q. All right, let's turn to what's been marked as
25 Opposition Exhibit Number 4. Would you just go through

1 that, what the -- identify it for the record and then go
2 through that with the Examiner, please.

3 A. Okay, 4 is a Strawn reef isopach. And like
4 Mewbourne's, that's a gross isopach, thickness of the reef,
5 just the overall clean carbonate. And let me back up and
6 say that I think this map is important in leading to the
7 volumetric calculations. The structure map is just to get
8 a feel for the structural position of the existing wells.

9 And I neglected to mention on that map, as you
10 can see, the northeast quarter of Section 8 is the highest
11 structural position, and I think that's going to come up
12 later in my colleagues' testimony. Again, that map has
13 nothing to do with volume or share of the reef. It's just
14 simply a structure map.

15 Now I move to Exhibit 4, which is the isopach,
16 and I took the existing well control, contoured it. Based
17 on the 2-D data, I was led to believe -- or I believe that
18 the reef extends into the east half of Section 5. And so I
19 took the same contour interval, the same spacing of
20 contours, and just wrapped it up around into the Section 5.

21 And again, we're going to drill a well there. We
22 think it's there, and we're going to drill a well to find
23 out.

24 And I don't mean to belabor the point, but I do
25 think that the correlative-rights issue is not an issue of

1 what your wells are capable of producing; it has to do with
2 what share of the reservoir and the hydrocarbon that you
3 have. And that's what we're to do here, we're trying to
4 get to that point, make a volumetric calculation.

5 And let me say something else -- this will come
6 up -- that we made a volumetric calculation based on these
7 maps and then approached it from a completely different
8 direction. Our reservoir engineer, Aaron, will testify
9 that he did a material-balance calculation, and it was
10 amazing how close they were. They could both be wrong, but
11 they were close. And that's pretty unusual, that the
12 volumetric calculation matches very closely with the
13 material-balance calculation.

14 So I think we're taking engineering data, the
15 geologic data, and doing -- to the best of our knowledge,
16 trying to determine where that reef exists.

17 Q. Okay. Now, let me have you then turn to what's
18 been marked as Opposition Exhibit Number 5, and just
19 briefly identify this for the record, and how is it
20 different from the prior exhibit?

21 A. Okay, the next step in making that volumetric
22 calculation was to -- you know, you can take a gross
23 isopach and apply a uniform porosity. But it would be more
24 accurate to do a ϕh map, and that's what Exhibit 5 is, is
25 the ϕh map.

1 Aaron Dover, the reservoir engineer, gave me the
2 values for ϕh , and then I contoured those based on the
3 overall gross isopach. In other words, I used the gross
4 isopach as a guide to contour that ϕh . And let me make a
5 few points. I'll let Aaron discuss that map, but I'll make
6 a few points there.

7 From the values that we have, you can see that
8 there is an axis that projects into the east half of 5.
9 Okay? You can also see that I didn't put additional
10 reservoir volume north of the Magnum 5 Fed Number 2,
11 because I don't have the data there. I'll have it when I
12 drill the 4. So I don't think this is an optimistic map at
13 all. It just honors the existing data.

14 And I guess there's really -- I'll let Aaron
15 discuss that map, but just to -- I did contour it and I did
16 use the overall Strawn reef isopach as a guide, and I used
17 the values that he supplied me from his calculations of ϕh
18 from the lots.

19 Q. So is -- Your porosity height there shown on the
20 Magnum Number 2 is 9.5. Does that support the extension of
21 this nose out to the north?

22 A. Yeah, clearly you see that it's greater than the
23 wells to the east and to the west. So that would make me
24 think -- it would indicate that there is an extension to
25 the north. And again, we're fixing to find out here --

1 Q. Okay.

2 A. -- within a month.

3 Q. I think you've pretty much discussed your
4 conclusions that you drew from this map as a working
5 interest owner, Mr. Hawkins. In all of the spacing units
6 in this pool, what is Pecos' position with respect to
7 Mewbourne's Application?

8 A. We've -- There are a number of points to make
9 here, and I guess first of all, from a correlative-rights
10 standpoint, we don't think that they're being curtailed
11 unfavorably. And my colleagues will make a stronger case
12 for that point.

13 From the waste issue, we do think there is the
14 potential -- you know, no one knows for sure, but we do
15 think there is the potential that the increased allowable
16 could cause waste.

17 And so probably most important point that I see
18 is that why would you change the rules or set permanent
19 rules when you know -- it's not a question of "if" -- these
20 three wells will be drilled by year end, and you will have
21 logs, you'll have structural points, thicknesses,
22 porosities, you'll have pressure data.

23 And the Mewbourne engineer testified this morning
24 that a great deal has been learned about this field since
25 the first hearing. We went from two wells to seven. Well,

1 we're fixing to go to 10. And you know, we're not going to
2 have to wait a very long time. So why would you make that
3 decision now?

4 Q. Okay, were Opposition Exhibits 1 through 5
5 prepared by you or compiled under your direction or
6 supervision?

7 A. Yes, they were.

8 MR. FELDEWERT: Mr. Examiner, at this time I move
9 the admission into evidence of Opposition Exhibits 1
10 through 5.

11 EXAMINER CATANACH: Any objection?

12 MR. BRUCE: Mr. Examiner, I would like to ask a
13 couple of questions.

14 VOIR DIRE EXAMINATION

15 BY MR. BRUCE:

16 Q. Mr. Hawkins, your Exhibits 3, 4 and 5
17 incorporated seismic data, did they not?

18 A. Yes, they did.

19 Q. Is any of that backup data being presented today?

20 A. No, it is not. And just -- the point that I made
21 earlier was, I'm not -- I legally cannot bring that. It is
22 data that I license. I don't own it, I didn't purchase it,
23 it's just -- I bought a license to it.

24 I have offered to share that -- to show that to
25 Mewbourne. I can show it, but --

1 Q. So you don't have any background data, and you're
2 not presenting a geophysicist to testify about that data,
3 are you?

4 A. I do have background data. I am not presenting a
5 geophysicist to testify about that data, that is correct.
6 But I do have it and I have looked at it and I did use it
7 to make the map. And they're welcome to come over to our
8 shop to look at it at any time.

9 MR. BRUCE: Well, Mr. Examiner, since there's no
10 backup, I can't ask any cross-examination questions on the
11 seismic, I'd ask to strike Exhibits 3 through 5. Exhibits
12 1 and 2 are fine.

13 EXAMINER CATANACH: These exhibits were prepared
14 with seismic data and well control; is that correct?

15 THE WITNESS: Correct. I think it's pretty
16 common in the industry that people use purchased data,
17 which is licensed, and --

18 MR. BRUCE: Mr. Hawkins is correct, it is common.
19 It's just that we don't have that and we can't see what he
20 put into this mapping.

21 EXAMINER CATANACH: Mr. Bruce, I believe that
22 your witness this morning had access to 3-D seismic data
23 that he did not produce, and I don't know the extent that
24 he used that data to construct his map, but I'm going to go
25 ahead and let these maps be admitted.

1 MR. BRUCE: Well, just for the record, Mr.
2 Examiner, I would state that Mr. Nelson testified he did
3 not use it.

4 MR. FELDEWERT: That concludes our examination of
5 the witness.

6 THE WITNESS: Do you have any more questions?

7 MR. BRUCE: Yeah, I've got a few more.

8 CROSS-EXAMINATION

9 BY MR. BRUCE:

10 Q. Let's move to your Exhibit 1.

11 A. The land map?

12 Q. Just the land map.

13 A. Okay.

14 Q. There's a couple of other sections here I want to
15 make sure of. Do you have that?

16 A. Yeah, right here.

17 Q. Pecos also owns interest in the southwest quarter
18 of Section 4, does it not?

19 A. Yes, we do.

20 Q. And do you have an idea of what the rough
21 percentage working interest is there?

22 A. Oh, boy, we may have -- we may have a hundred
23 percent, but I'm not positive of that.

24 Q. Okay. Did Pecos ever permit a well in the
25 southwest southwest of 4, Strawn test?

1 A. We have not, and I think you can see from the
2 isopach map, which is Exhibit -- I get it mixed up -- 4,
3 that based on the 2-D, the east-west line, the EOG line,
4 and the northwest-southeast line lose the reef signature.
5 So I would consider that a very risky location to drill.

6 I will say this, that when we do drill the Baish
7 Fed Number 6 and 9, depending on what we encounter, then
8 that will give me more confidence, or loss of confidence in
9 the data. So not to say that we would never drill a well
10 in the southwest of 4, but we have not permitted one and
11 don't at this point in time have any plans to.

12 Q. Okay. Now in the northwest quarter of Section 9,
13 that is Pecos acreage. What is your working interest
14 there?

15 A. Let's see, I believe that we've got 87.5 percent.
16 I think Gruy's got 12.5, I believe, in that west half of 9.

17 Q. Okay. Now that Number 6 well, that's a re-entry,
18 is it not?

19 A. Yes, it is.

20 Q. I'm not sure, was it originally a Bone Spring?

21 A. Correct.

22 Q. So it just needs to be re-entered and deepened?

23 A. And we're doing it. I mean, it's -- yeah.

24 Q. As we speak, or shortly?

25 A. I believe that -- Well, the mudlogger was

1 supposed to be on location, rigged up, today. So we've cut
2 out a -- we've cut a window. We ought to be cutting new
3 formation today.

4 Q. Okay. When did you -- Now, Pecos acquired its
5 interest from Anadarko?

6 A. Correct.

7 Q. Roughly when?

8 A. We bought the Anadarko deal in January of this
9 year.

10 Q. Okay. And when did you permit the re-entry of
11 the Number 6 well?

12 A. We -- I'm going to tell you outright, I'm not
13 positive, but it was -- We must have just received the
14 permit back, we're just now starting on it. So it was
15 probably not that long ago.

16 Let me make a point here. You can see from the
17 isopach map that that's a risky location. I won't be
18 surprised if we don't have any reef there. But because
19 it's a re-entry, and because I have some indication that
20 the reef projects there, we felt like it was a risk worth
21 taking, because of the lower cost to do so. We kept
22 hearing that sucking sound over on the other side of the
23 section. We felt like we had --

24 Q. You bought your interest in January, 2003, and
25 you know you had a direct offset to a thousand-barrel-a-day

1 well?

2 A. Yes.

3 Q. And you waited until November, 2003, to do
4 anything?

5 A. Correct, because we were not aware that we had a
6 Bone Spring well that was at a low enough production level
7 to leave the remaining Bone Spring and go to the Strawn.
8 I'll say this, and again, I don't know what's -- I asked
9 Mewbourne specifically whether they felt like I had a
10 location in 4 and 9 based on their 3-D, and they said no.
11 That's -- you know, we discussed it. I was never able to
12 look at the 3-D but they said, You don't have a location
13 over there.

14 Because of the opportunity to re-enter a well we
15 thought, You know what, it's worth the chance, let's take
16 it and see, because we may not encounter the reef, we may
17 encounter reef detritus, as you see in many of the Strawn
18 fields down around Querecho Plains. There sometimes are
19 some reef detritus built up next to a tall, tight reef.

20 So that location, the Baish Fed Number 6,
21 deepening, is certainly -- we're moving forward with it,
22 based on the lower cost and -- Well, that's the primary
23 reason we thought, let's just go -- Let's just try it and
24 see.

25 Q. When you look at your Exhibit Number 2, what are

1 the best-looking logs on that exhibit?

2 A. That's the cross-section?

3 Q. The cross-section, yes, sir.

4 A. Well, the best-looking logs, I would say, are the
5 8 Fed Com 5 is the -- no, the -- Let me stand up here.
6 Well, the 8 Fed Com 2 is very good. The new well is good,
7 the 8 Fed Com 6. And I think that Gruy has a -- the 5 Fed
8 Com 2 is a good-looking well.

9 And let me further state here, because I don't
10 think this point has been made, the correlative-rights
11 issue is about how much of the reef and reservoir is
12 beneath our leases -- Mewbourne's, ours, Gruy's. It's not
13 about deliverability. And I think that just because you
14 have a well that's capable of producing -- There are a lot
15 of wells in the Lovington -- We mentioned there was one
16 Strawn field that could have produced a lot more than the
17 allowable, but they didn't all go get a higher allowable.
18 It has to do with where you believe the reservoir is
19 beneath those lands.

20 And so what I heard this morning was that
21 Mewbourne felt like they had a bigger share, and they
22 weren't able to produce at rates to allow them to produce
23 their share, but yet they showed no volumetrics to support
24 that they had a larger share. I think that's a real key
25 point. If that's -- It's not just about deliverability,

1 it's about who owns where that oil is.

2 And so if you really believe that you've got more
3 and you should have a higher allowable, then you should
4 show the calculations that say that you do.

5 Q. Well, let's talk about correlative rights, Mr.
6 Hawkins. Let's say Mewbourne drilled a well or two in the
7 northeast quarter of Section 8, and you and Gruy in the
8 east half of Section 5 decided, Well, we just don't want to
9 spend the money right now. Should Mewbourne then be
10 restricted in production because you guys don't want to
11 drill?

12 A. Maybe I can answer that by saying this: This
13 field is overdrilled, and it's overdrilled because of
14 Mewbourne. We're being forced to -- we were forced to
15 participate in the 6, and we were forced to -- we forced
16 Mewbourne to drill the Number 7 well, because -- The race
17 is on. I think Bryan made that point earlier, that it's
18 highly competitive. That's being driven by the three wells
19 in 8. And we feel like we've got to drill additional
20 wells.

21 Q. Well, by that same token, why did you drill the
22 Gruy 2 and 3 wells as close to the south line of that well
23 unit as possible? Why don't you move them further north so
24 that there wouldn't be that impetus to protect correlative
25 rights?

1 A. Well, because at the time -- You know, you kind
2 of work out from existing well control. And although I do
3 believe that the reef extends up into 5, I'm certainly
4 going to work my way out. In other words, those are the
5 most logical -- those are the two smartest locations to
6 drill, because you know where the reef is. And as you can
7 see, the three wells have been proposed that are going to
8 be drilled this month -- we're starting to step out.

9 Some of those are not going to find the reef, you
10 know, it's going to -- we're beginning to define the limits
11 of that field, so... I hope that I answered your question,
12 but -- Those are closer to where the known reef is.

13 Q. Okay. But those Number 2 and 3 wells in the
14 southeast of 5 were drilled before the Fren 8 Number 6 was
15 drilled, offsetting them.

16 A. Okay, so I've -- I've forgotten what your
17 question -- yeah, what your question was. Say that again.

18 Q. Well, why did you need to drill two wells --

19 A. Oh, in 5?

20 Q. -- in Section 5, if you were so concerned about
21 this competitive --

22 A. Well, because they already had the 2 and the 3 --

23 Q. And they're located quite a ways from the lease
24 line, are they not?

25 A. Yeah, but we're within -- We're no closer than

1 660. That's -- I guess, to answer, what we're doing is
2 drilling wells where we're allowed to drill them and where
3 I think the reef is. It was not an attempt to drain
4 hydrocarbon off Mewbourne's lease, it's -- That's where the
5 reef is, and --

6 Q. And Mewbourne is drilling wells where they're
7 allowed to drill them?

8 A. Yes, they -- yeah, they have, uh-huh. But I'm
9 not sure what -- where you're going on that deal.

10 Q. Well, are you aware that correlative rights is --
11 you're not entitled to everything under your property, it's
12 the opportunity to produce what's under your property?

13 A. Okay, so -- but again, I'm not sure --

14 Q. Well, if you have 500,000 barrels of oil under
15 your property --

16 A. Right, hypothetically.

17 Q. -- you're not entitled to 500,000 barrels,
18 despite what anybody else offsetting you does?

19 A. Okay, I agree with that.

20 Q. Okay, so you would agree with that?

21 A. Yeah. And I think that that's -- I mean, I think
22 that point supports what we're saying, is that we made an
23 attempt to estimate where the oil is, and when we look at
24 the current allowables, we don't see it as an inequitable
25 position for Mewbourne. And as we look into the future,

1 which -- I mean, there's pitfalls with that too. We don't
2 see that as a problem. We think that the existing
3 allowable rules are sufficient.

4 I'm not going to get into the GORs and all the
5 engineering, I'll let the engineers talk about that, but --

6 Q. Well, let's move on to your -- some of your
7 exhibits, 3, 4 and 5. How do you -- what is your -- You
8 mentioned the reef. What is your definition? How is that
9 determined?

10 A. If you look back at Exhibit 2, I based my
11 interpretation of where the Strawn reef is -- well, I've
12 marked it on those wells. You see the top and the base,
13 and it's the -- it stands out from all the other -- from
14 the surrounding wells. It's a very, very clean, unusually
15 thick development. And that's what I've made those maps
16 based on.

17 Q. No, in the -- Perhaps you can't answer this, but
18 since seismic was used in these maps, what is "sideswipe",
19 as it's used by geophysicists?

20 A. Sideswipe is -- It's one of the pitfalls of 2-D
21 lines that you may image a feature, but it may not be
22 beneath the line. It could be -- heck, it could be -- I
23 could be seeing the reef on the south, but it could be on
24 the north as well. There could be another reef pod on the
25 north, just as easily as the south --

1 Q. Okay.

2 A. -- when you're talking about sideswipe.

3 Q. Okay. So what you're projecting, even though
4 you've got -- Let's look at your Exhibit 3.

5 A. Which is the --

6 Q. -- the structure map.

7 A. Okay.

8 Q. And I don't think it matters which one we look at
9 here.

10 A. Okay.

11 Q. You've got the wells where there was -- the
12 reef's not present.

13 A. Correct.

14 Q. And you extrude an elbow of reef present to the
15 north. How do you justify that?

16 A. Okay, when I look at the lines that I have, that
17 I purchased, over where I know the reef is, where I see the
18 reef in existing well control, I see what I would term a
19 reef character. I see a thickening on the seismic, and --
20 so that I'm able to take that analogy and look at the other
21 lines I've purchased -- and that line was purchased
22 specifically to try and determine whether or not we felt we
23 had a location. And that's going to be -- what? The north
24 half of the southeast of 5.

25 And when I purchased that line, I saw that same

1 character there. And again, I don't think that -- I think
2 that issue gets lost in the fact that if you'll just wait a
3 month, we'll know. It may not be there. Why would you do
4 this now, when we're fixing to find out? So whether I'm
5 right or wrong is not the issue. Let's get the hard data.

6 Q. Why do you not propose a similar extension of the
7 reservoir -- or of the reef, to the southwest like you do
8 to the northeast?

9 A. Instead of going into --

10 Q. Southwest quarter of Section 8.

11 A. Eight? Okay, two reasons. The first reason is,
12 on Line 6, which is the north-south line, I lose the reef
13 character at shotpoint 795. So where I've stopped
14 contouring I lose that character. Again, I'll be the first
15 to admit that there is some error there, but I did not
16 contour past where I saw reef character.

17 But even more importantly than that, if you
18 remember from the original testimony, whenever that was,
19 Mewbourne had a pod projected to the southwest. It's not
20 on their map today, and I was told by Mewbourne that they
21 don't think it's there. And they've got the 3-D. So
22 that's why I didn't do it.

23 Q. And the 3-D is preferable to the 2-D?

24 A. I think that's a -- that's one of those trick
25 questions. It's -- obviously, 3-D has advantage over 2-D.

1 But again, even though I asked to see it, to purchase it,
2 to participate -- you know, it was already shot -- I was
3 told no. And I understand that it's proprietary data. So
4 I had to rely on what I could get my hands on, and that was
5 2-D data. So yes, 3-D data is -- That's why we shoot 3-D.

6 Q. In your mapping of the Strawn, did you make any
7 shallower maps to help confirm these seismic-assisted maps?

8 A. Oh, yeah, I mapped from the Yates down, you know.
9 I had to. The original depth conversion on the structure
10 map, I had to map -- I mapped Bone Spring, I've mapped
11 Wolf- -- I've mapped every horizon out there, to try to --
12 The problem is, as you can see, that there is a -- You've
13 got lots of shallow well control but down to a certain
14 point. Once you get below, say, the Bone Spring, then
15 you're just dealing with wells that went either to the
16 Morrow or the Strawn. So you don't gain a lot by mapping
17 below that, you know.

18 And I think that a map on the Bone Spring horizon
19 is not a real good indicator of what happened at the
20 Strawn, because by the time the Bone Spring sediments are
21 deposited, you've infilled and masked a lot of that
22 stratigraphic -- I call it stratigraphic structure, in the
23 Strawn.

24 Q. What about the base of the Wolfcamp? Would that
25 be indicative?

1 A. It's getting closer, yeah.

2 Q. Did you map that?

3 A. Yeah, I did.

4 Q. Do you have those with you today?

5 A. No, I do not, because I don't think they're --
6 What's the word? I don't think -- know that they're -- add
7 a great deal to my testimony. I -- Again, from the outset,
8 I've maintained that there are -- I don't know that the 2-D
9 is always going to be right. Clearly, it's not always
10 going to be right. But I used what I had, and I do see the
11 reef character on that line. And that's why we're going to
12 drill a well. I mean, we're going to drill -- Gruy and us
13 are going to spend the dollars to go find out.

14 Q. Just a couple more questions. On your Exhibit
15 5 --

16 A. Which is -- the ϕ h map?

17 Q. Did you calculate these ϕ h numbers?

18 A. I did not. Aaron Dover, who will testify -- It's
19 not so much a calculation as just a looking at the log and
20 -- I guess you'd call it calculation. It's just reading
21 the log. And he gave me those numbers and I contoured it
22 for him. So he can testify as to how he arrived at those
23 numbers.

24 Q. Based on your testimony, it seems to me you
25 believe that the reservoir is highly competitive for

1 reserves between wells. Is that a fair statement?

2 A. Yeah, that's true.

3 MR. BRUCE: That's all I have, Mr. Examiner.

4 EXAMINER CATANACH: Anything else?

5 MR. FELDEWERT: I just -- one thing.

6 REDIRECT EXAMINATION

7 BY MR. FELDEWERT:

8 Q. You asked Mewbourne to -- whether you could --
9 whether they would share the 3-D seismic data with you?

10 A. Yes, uh-huh.

11 Q. Did you offer to pay for that?

12 A. Yes.

13 Q. And they refused?

14 A. It was verbal, it's not written. Yes. But I --
15 And again, I understand: It's proprietary data that they
16 shot, and so that's just -- that's part of the business.
17 And that's why I went out and purchased the 2-D.

18 Q. But you made an effort and they said no?

19 A. Yeah.

20 MR. FELDEWERT: Okay, that's all the questions I
21 have.

22 EXAMINER CATANACH: Just a couple.

23 EXAMINATION

24 BY EXAMINER CATANACH:

25 Q. The structure you've got mapped going into the

1 northeast quarter of Section 5, was that primarily based
2 upon the 2-D seismic data, that you extended that?

3 A. Yes, it is. Uh-huh. Because when you've got
4 wells like that you want to know, where does this thing go?
5 And that's the only data that I could get my hands on to
6 try and make a determination as to whether or not that reef
7 is there.

8 Q. And on the porosity-feet map, do you know what
9 porosity was used? What the cutoff --

10 A. Well, it's not a cutoff as much as it is the
11 actual porosity multiplied times the foot. In other words,
12 he takes the porosity value for that foot, multiplies it
13 and gets the value. It's not a cutoff situation. It's --
14 Let's just say, with the existing data, we did the best job
15 we could to make as accurate a volumetric calculation as we
16 could.

17 Q. The Number 6 well is currently being re-entered?

18 A. Yes, the Baish Fed 6 in Section 9.

19 Q. The Number 4 well, when do you plan on commencing
20 that?

21 A. The Mewbourne guy can probably address that
22 better than me. I know it's going to be -- Last I remember
23 was December the 15th. Is that still the case? Do you --
24 Yeah, the --

25 MR. JUROSKA: In the next two weeks.

1 THE WITNESS: Yeah. And then Mewbourne can
2 address the Number 7 well -- I don't know, I guess it's
3 still scheduled for this month?

4 EXAMINER CATANACH: Well, we'll just drop that.

5 THE WITNESS: Okay, all right.

6 EXAMINER CATANACH: I have nothing further of
7 this witness.

8 MR. FELDEWERT: That concludes our examination of
9 this witness.

10 AARON DOVER,
11 the witness herein, after having been first duly sworn upon
12 his oath, was examined and testified as follows:

13 DIRECT EXAMINATION

14 BY MR. FELDEWERT:

15 Q. Mr. Dover, would you please state your name and
16 place of residence?

17 A. My name is Aaron Dover and I live in Midland,
18 Texas.

19 Q. And you're a petroleum engineer with Pecos
20 Petroleum?

21 A. Yes, that's correct.

22 Q. Okay. Have you previously testified before this
23 Division?

24 A. No, I have not.

25 Q. Would you just briefly outline your educational

1 background, please?

2 A. I have a bachelor of science degree from Texas
3 Tech in chemical engineering and began working in 1980 for
4 ARCO, worked in the Permian Basin. And 1985 I began
5 working for Parker and Parsley/Pioneer, 13 years, and then
6 worked for CMS for two years, and have just most recently
7 begun working for Pecos Production. All of that in the
8 Permian Basin, experience.

9 Q. So for the last, what, 23 years --

10 A. Yes.

11 Q. -- you've been working as a petroleum engineer in
12 the Permian Basin?

13 A. Twenty-two.

14 Q. Twenty-two, I'm sorry.

15 Are you a certified professional drilling
16 engineer?

17 A. Yes, I am.

18 Q. Are you familiar with the Application filed by
19 Mewbourne in this case?

20 A. Yes, I am.

21 Q. Have you conducted a study of the area and the
22 Strawn reef that is the subject of this Application?

23 A. Yes, I have.

24 MR. FELDEWERT: Mr. Examiner, I would offer Mr.
25 Dover as an expert witness in petroleum engineering.

1 EXAMINER CATANACH: Any objection?

2 MR. BRUCE: Just one question. When did you
3 start working for Pecos?

4 THE WITNESS: Pecos in February of this year.

5 MR. BRUCE: I have no objection.

6 EXAMINER CATANACH: Mr. Dover is so qualified.

7 Q. (By Mr. Feldewert) Mr. Dover, did you conduct an
8 examination and study of the Strawn reef that is relevant
9 to Mewbourne's Application?

10 A. Yes, I have.

11 Q. Before you get to that work, would you just
12 briefly summarize what you did and what your conclusions
13 are?

14 A. Yes, I'd be happy to do that. I have made a
15 study of the Strawn reef and -- both by volumetric analysis
16 and by material balance, attempting to calculate the oil in
17 place in the pool, and have studied that, by those two
18 independent methods have come up with a very agreeable,
19 close estimate on both basis.

20 And I've also studied the cumulative production
21 in the Mewbourne-operated northeast quarter of Section 8,
22 and under the current rules believe that the cumulative
23 production to date has been equitable in terms of that oil
24 in place that I calculated. And I believe that this
25 request by Mewbourne to increase an allowable will be

1 inequitable in terms of correlative rights.

2 Q. In your opinion, will increasing the gas and oil
3 allowables as proposed by Mewbourne negatively impact the
4 correlative rights of the other operators in this pool?

5 A. Yes, I do.

6 Q. Why don't you start with Opposition Exhibit
7 Number 6, identify it, and please explain the basis for
8 your opinion?

9 A. Exhibit Number 6 actually flows from Exhibit
10 Number 5 where I performed the ϕh calculations that Mr.
11 Hawkins referred to earlier in this testimony, and that was
12 done on a foot-by-foot -- or actually a two-foot interval
13 of porosity times the crossplot, the density and the
14 neutron curves, in each of the logs, in each of the wells
15 in the field, to calculate the total porosity-feet in each
16 well.

17 We then took that map that Mr. Hawkins contoured,
18 and we calculated the areas under each proration unit and
19 thickness, and calculated the oil in place for those
20 proration units, as well as the total field, to come up
21 with an estimate of oil in place in the field, based on the
22 trapezoid rule of volumetric calculation, which is
23 displayed up there in the far left corner --

24 Q. Of Exhibit 6?

25 A. -- the formula is displayed for you.

1 Q. Of Exhibit 6?

2 A. In Exhibit Number 6, yes --

3 Q. Okay.

4 A. -- that's correct.

5 Q. And what did you calculate as the original oil in
6 place for the field as a whole?

7 A. My conclusion I came to was that the oil in
8 place, volumetrically, was about 7.15 million barrels of
9 oil in place for the pool.

10 Q. And then on this exhibit were you able to
11 allocate it to the four proration units out there?

12 A. Yes, I was.

13 Q. Okay, and those numbers are reflected at the
14 bottom of this exhibit?

15 A. They are reflected there in the following columns
16 under each of those four proration units.

17 Q. And just to orient ourself to the land plat, the
18 -- what you identify as the Fren 8-2 and 8-3, that would be
19 the --

20 A. -- the northeast quarter of Section 8.

21 Q. Okay, and then the Fren 8-5?

22 A. Would be the northwest quarter of Section 8.

23 Q. And then what's the Mag 5, Fed 5?

24 A. That would be the southeast of Section 5.

25 Q. Okay. And then you have Heyco's there?

1 A. Yes, and that would be the southwest quarter of
2 Section 5.

3 Q. Is there anything else you want to cover on this
4 Exhibit?

5 A. No.

6 Q. Okay, why don't you then turn to what's been
7 marked as Opposition Exhibit Number 7? Please first
8 identify that, orient us, and then explain what it shows.

9 A. Number 7 is just a display of the pressure
10 history in the Shugart-Strawn Pool, associated with each
11 attempt to measure bottomhole pressure. And then I've
12 converted that bottomhole pressure to a datum, a common
13 datum in the entire field, to a minus 6900-foot subsea
14 level, and related those pressure points to a point in time
15 and also a cumulative production point in the field.

16 Q. What is that yellow line on the left-hand side?
17 What does that represent?

18 A. The yellow line indicates that October production
19 is an estimate from the daily production numbers; it is not
20 an official number that's been filed yet with the State.

21 Q. Okay. Is this -- What is the significance of
22 this exhibit with respect to the remainder of your
23 testimony?

24 A. This exhibit just indicates the number of
25 attempts that were made to take pressure points, the type

1 of measurement that was attempted, whether it was a DST or
2 a static or a buildup, and then the quality of that data
3 point as to whether it was a good point, or it was still
4 building, or irrelevant because it was not a good point.

5 Q. So is that what all the colors are on the right-
6 hand --

7 A. Yes, uh-huh.

8 Q. -- side of this exhibit? Okay.

9 Is there anything else you want to cover on this
10 exhibit, Mr. Dover?

11 A. No.

12 Q. Okay. Let's turn to, then, Opposition Exhibit --
13 what's been marked as Opposition Exhibit Number 8. Would
14 you please identify that and explain what it shows?

15 A. Yes, this is a calculation of oil in place by
16 volumetric method -- I mean by -- I'm sorry, I'm going the
17 wrong way -- by material-balance method below the bubble
18 point, which flows from the previous exhibit of the
19 pressure history versus cumulative production.

20 And what I've attempted to do here is take the
21 cumulative oil to bubble point and then calculate the oil
22 in place as calculated by the given formulas there for a
23 reservoir with no water influx and no gas cap -- originally
24 this was an under-saturated reservoir -- and take three
25 pressure points through three cumulative points in the

1 history of the field and then, as you work across those
2 rows, plug in the numbers in the calculation for the fluid
3 data that was provided by the PVT analysis that we have,
4 and calculate an oil-in-place number.

5 The resulting oil in place, by material balance,
6 that was calculated on those three points ranges from about
7 6.8 million to 7.2 million, which are in further relative
8 agreement, I believe, in my opinion.

9 And I took an average, then, of those three
10 points to come up with a 7-million-barrel estimate. And
11 that also is in close agreement with the volumetric
12 calculation that we've already presented.

13 Q. Which would have been shown on Exhibit Number --

14 A. On Exhibit 5 -- no, 6.

15 Q. Six, okay. So how did your material-balance
16 calculations square up with your volumetric calculation, as
17 shown on Exhibit Number 6?

18 A. They're in close agreement --

19 Q. As that --

20 A. -- and therefore I believe that lends some
21 credibility to both analyses, that they are, in fact, in
22 close agreement.

23 Q. Does that -- What does that indicate with respect
24 to the accuracy of the isopach that is marked as Exhibit
25 Number 5?

1 A. I think that that lends even more credibility
2 that it, in fact, is accurate.

3 Q. Okay. Anything else you want to cover on this
4 exhibit?

5 A. No, I believe that's it.

6 Q. Okay, then let's turn to Opposition Exhibit
7 Number 9, and would you please first identify that for the
8 record and then walk us through, I guess first, the top
9 portion of this exhibit?

10 A. Okay, this exhibit has a lot of information on
11 it, and I apologize, and I'll try to work my way through
12 the table first.

13 It is an attempt to show, first of all, a
14 comparison of the oil in place under each -- actually under
15 the northeast quarter of Section 8 proration unit, which is
16 operated by Mewbourne, with the volumetric oil in place in
17 the rest of the pool, both on an absolute value and a
18 percentage, and then also to show the current production
19 rates in values and percentage under the current pool
20 rules.

21 Q. Okay, let me stop you there. If I'm looking at
22 this exhibit here at the top, and you have a line, Fren
23 8-2, 8-3 and 8-6, is that the northeast quarter of Section
24 8?

25 A. That is the northeast quarter of Section 8.

1 Q. And then "Other" represents all of the other --

2 A. All of the other --

3 Q. -- proration units.

4 A. -- proration units.

5 Q. As we move right across this exhibit, you've got
6 original oil in place, and you show some percentages there.
7 Is that your calculation of the original oil in place under
8 the northeast quarter spacing unit, as compared to all of
9 the spacing units in this pool?

10 A. Yes.

11 Q. Okay. And then what -- as we move across the
12 right, what does that next table show us, the one that's
13 labeled "Current Production"? What does that indicate?

14 A. Okay, that is attempting to show the current
15 production under the northeast quarter of 8, both oil and
16 gas, and their percentages to the other proration units
17 under the current pool rules.

18 Q. Okay. And then you have the next column -- or
19 the next table is "Cumulative Production". What is that,
20 and how is that different from the prior?

21 A. It is a BOE cumulative number through October,
22 and that -- barrels of oil equivalent calculation is done
23 by dividing the gas by six and adding to the oil. So it's
24 a six-to-one ratio. It's just an estimate to -- attempt to
25 show the relative production from their proration unit to

1 date, compared to the rest of the field.

2 Q. Okay, now if I stop you right there, what does --
3 how do the -- your calculations with respect to -- if you
4 look at it from the cumulative-production standpoint, how
5 does the allocation of production to date compare to what
6 you calculate to be the original oil in place under the
7 northeast quarter versus the other spacing units?

8 A. They're very close, which I think is a point that
9 I began with, is that the cumulative production to date, I
10 calculate, has been very equitable in this pool.

11 Q. Okay. Now, when we look at current production,
12 however, to be fair here, the numbers change slightly, do
13 they not?

14 A. That's correct.

15 Q. Okay. Now, why is that, do you know?

16 A. The current production -- of course, Mewbourne is
17 in the northeast quarter of 8. They have been restricted
18 under the current pool rules. And we don't disagree with
19 that, that their current percentages on a current rate are
20 slightly lower than the oil in place and the cumulative
21 production percentages.

22 However, we'd like to make the point that their
23 proration unit is on a flat decline, as opposed to every
24 other proration unit in the field is on a very steep
25 decline. And so this percentage -- as time goes on, that

1 margin begins to grow so that their percentage continually
2 increases with time.

3 Q. So is it your opinion that if we stay under the
4 current pool rules, because of this change in the rate of
5 production and this flattening out by Mewbourne and this
6 decline by everybody else, if we continue under the current
7 pool rules, are those percentages going to become more in
8 line with the --

9 A. They will, yes.

10 Q. -- original oil in place?

11 A. Yes, those bars, those red and green bars under
12 their proration unit will grow taller, to approach lining
13 up with their percentages of oil in place and cum
14 production to date.

15 Q. Okay. Now, we just looked at these two charts
16 that -- One's labeled "Current Production" and one labeled
17 "Cumulative Production". Does that compare to the bar
18 chart down on the left-hand side of this exhibit --

19 A. Yes.

20 Q. -- the Mewbourne colors there?

21 A. Those numbers in the current production box and
22 the cum production box relate to the bar chart on the
23 bottom left.

24 Q. Okay, would you just walk me through -- walk us
25 through that, please, those colors and what they represent?

1 A. Okay, in the bar chart to the bottom left, the
2 black colors represent the -- my calculated percentage of
3 oil in place under the northeast quarter of Section 8, as
4 compared to the rest of the pool.

5 The magenta colored bar represents my calculation
6 of cumulative production on a BOE basis under the northeast
7 quarter of Section 8, compared to the rest of the pool.

8 And then the green and red bars represent the
9 current production percentages of the northeast quarter of
10 8, compared to the rest of the pool.

11 Q. So the black line is our benchmark?

12 A. I believe so, yes.

13 Q. Okay. All right. Now, if we go back to the top,
14 the next box over is labeled "Mewbourne's Proposed
15 Production". Do you see that?

16 A. Yes.

17 Q. What does that represent?

18 A. The middle graph, labeled "Mewbourne's Proposal",
19 are the same percentages, then, of production related to
20 the proposal that Mewbourne has made in their proposed
21 field rules with a 1350-barrel-a-day oil allowable and a
22 10,000 GOR.

23 Q. Okay, and what does that show with respect to the
24 equitable nature or the correlative-rights effect of
25 Mewbourne's proposal?

1 A. Well, it swings their relative percentage of
2 production above their relative percentage of oil in place
3 on a current-rate basis. And as I said before, going
4 forward with their wells being flat and everyone else's
5 being on a steep decline, as you go forward in time, that
6 percentage just continues to get wider and further apart.

7 Q. Okay. Now, does that chart correspond with the
8 graph in the middle of this exhibit, the colored graph in
9 this exhibit?

10 A. Yes, that's the middle graph.

11 Q. And so if we -- the black line is the original
12 oil in place, the green line, then, would show the oil that
13 they would produce, compared to the original oil in place,
14 under their proposal?

15 A. I'm sorry, repeat that question again?

16 Q. The green line would demonstrate the oil that
17 they would produce --

18 A. Yes.

19 Q. -- as compared to the black line, which is the
20 original oil in place?

21 A. Right.

22 Q. And that's not -- That's out of whack there,
23 right?

24 A. Yes.

25 Q. Okay. Now, the red line reflects gas, right?

1 A. That's correct?

2 Q. What happens to the gas line under their
3 proposal?

4 A. Well, the gas just grows even more
5 disproportionate. The 10,000 GOR allows them to produce
6 13.5 million a day. And we don't know what those wells
7 will make.

8 And I might make the point that was made earlier
9 in Mr. Hawkins' testimony, is that the Fren 8-2, we
10 believe, is productive up higher in that wellbore, and
11 there's nothing to say that they can't go back and
12 recomplete that porosity indicated in the upper part of
13 that well, and produce even more than that well is
14 currently able to produce.

15 Q. Let me ask you about that. There was some
16 testimony from Mewbourne that they didn't think that that
17 upper portion was productive. Do you recall that?

18 A. Yes.

19 Q. Okay. In your graphs here, in determining
20 original oil in place, did you give them credit for that
21 section that they say is not productive?

22 A. I did, I calculated the total porosity feet in
23 every log that I believed was productive, and that included
24 more porosity feet than they believe is productive, which
25 means that I actually gave them credit, volumetrically for

1 more than they think is there.

2 Q. So if I understand you correctly, if they're
3 correct that that interval is not producible, then the
4 original oil in place percentage allocated to their
5 northeast proration unit in your first column would
6 actually be less --

7 A. That's correct.

8 Q. -- than 57.8 percent, correct?

9 A. Yes.

10 Q. Okay. Okay, now you have then -- and if I
11 understand these graphs correctly, where you should end up
12 is a situation where the black line and the green line and
13 the red line are all level, right?

14 A. That's the ideal goal.

15 Q. Okay, that would be the optimum performance level
16 with respect to correlative rights?

17 A. Yes.

18 Q. All right, and the production of their original
19 oil in place under each acreage?

20 A. Yes, that's correct.

21 Q. Okay. Now can you then go to the last chart and
22 the last graph and explain what you were doing there?

23 A. I have calculated, then, the relative production
24 percentages for the northeast quarter of Section 8 relative
25 to the other wells in the field, under another possible

1 scenario of an allowable situation where we could leave the
2 oil allowable at 1120 barrels a day and increase the GOR
3 limit to 6000. And by doing that, not only do we make
4 those bars on the graph align more closely and more
5 equitably, but as we have testimony coming later, and I
6 think has been testified previously, the GORs seem to level
7 out for a period of time at around 6000 in the field.

8 Q. Is that why you chose --

9 A. And so 6000, although it does calculate, in my
10 opinion, to be more equitable, it also lends itself some
11 credibility from the standpoint that the field has
12 exhibited that GOR, at a level rate for a period of time.

13 Q. In your opinion, would raising the GOR to 6000
14 and keeping the oil allowable where it presently stands --
15 is that necessary to protect the correlative rights of all
16 operators in this field?

17 A. My first -- as has been alluded before by Mr.
18 Hawkins, my first preference would be to wait until we have
19 more data and can more accurately determine what this field
20 really needs in terms of field rules.

21 But if, in fact, that is not the case, we can't
22 do that, my second preference, I guess, would be to propose
23 this 1120 and 6000 GOR as a possible alternative,

24 Q. And just to be clear for the record, I know you
25 are employed by Heyco's Production Company, but have you --

1 is this the position of all of the Objectors that are
2 appearing here today, based on your discussions with them?

3 A. Yes, it is.

4 Q. If we're looking at that middle graph under
5 Mewbourne's proposal, is it your opinion that Mewbourne,
6 based on your calculations, would be afforded an
7 opportunity to use more than their just and fair share of
8 the reservoir energy, particularly when we look at the red
9 gas line?

10 A. Yes, I do.

11 Q. Okay. I know there's been some discussion here
12 today about Mewbourne's effort to -- you know, on top of
13 their changing the pool rules, to also get a discovery
14 allowable. What effect does their request to be granted an
15 additional discovery allowable have on the analysis
16 reflected on Exhibit Number 9?

17 A. Well, as you can see from the middle graph, you
18 know, the proposal before us is already inequitable, in my
19 opinion, and in the opinion of all of the other companies
20 appearing here today against Mewbourne. But an additional
21 discovery allowable on top of the request that Mewbourne
22 has made just simply exacerbates that situation and makes
23 an inequitable proposal even worse.

24 Q. As a -- In your opinion, will increasing the
25 allowables as proposed by Mewbourne result in Mewbourne

1 recovering a higher percentage of the recoverable oil and
2 gas in place than that which exists under their acreage?

3 A. Yes. They have the capability to produce it, but
4 as we've said before, just because you can produce at a
5 certain rate doesn't mean that you can produce the
6 equitable share of oil under your lease.

7 Q. And do you agree with their observation that the
8 northeast quarter of Section 8 is the only proration unit
9 out there that would benefit from any increase in the
10 allowable?

11 A. Yes, it is. No other well can increase their
12 current production capability. And so that is the only
13 proration unit that will benefit.

14 Q. Okay, so there's no other proration unit out
15 there that can match the productivity that they have with
16 their structural position --

17 A. Yes.

18 Q. -- and porosity in the northeast quarter of
19 Section 8?

20 A. Yes.

21 Q. Okay. In your opinion, will the -- is
22 Mewbourne's proposal -- is that in the best interest of
23 conservation, the prevention of waste and the protection of
24 correlative rights?

25 A. No, it is not.

1 Q. Were Opposition Exhibits 6 through 9 prepared by
2 you or compiled under your direction and supervision?

3 A. Yes, they were.

4 MR. FELDEWERT: Mr. Examiner, at this time I
5 would move the admission into evidence of Opposition
6 Exhibits 6 through 9.

7 MR. BRUCE: No objection.

8 EXAMINER CATANACH: Exhibits 6 through 9 will be
9 admitted.

10 MR. FELDEWERT: And that concludes our
11 examination of this witness.

12 EXAMINER CATANACH: Mr. Bruce?

13 CROSS-EXAMINATION

14 BY MR. BRUCE:

15 Q. Mr. Dover, Gruy's got two wells and -- Is the
16 next witness from Gruy?

17 A. Yes.

18 Q. Okay. But you're an interest owner, and you've
19 looked at the data on those wells, haven't you?

20 A. At what data?

21 Q. The production data --

22 A. The production data, yes.

23 Q. -- for the wells.

24 Roughly, what are -- This question came up. What
25 are they producing, each of those two wells, today?

1 A. Currently, I think they're making about 400
2 barrels a day, between the two of them.

3 Q. You don't have any idea on the -- how that's
4 allocated between the two wells?

5 A. One, I'm thinking, is about 150, and the other
6 one is about 250.

7 Q. Okay, which one is 150 a day?

8 A. That would be the Mag 5-3.

9 Q. Okay, so that's 150 barrels a day of oil
10 producing at 8000-to-1 GOR?

11 A. Well, I think I better defer that to the Gruy
12 engineer's testimony.

13 Q. Okay. Did you study the production at all?

14 A. Yes, I did. But I don't remember that, and I
15 don't have those numbers in front of me.

16 Q. All right. I'm trying to winnow these out a
17 little bit, Mr. Dover. Let's start with Exhibit 5, which
18 is the ϕ h map. You calculated those numbers?

19 A. Yes, I did.

20 Q. Okay, so you used the cross-section, Exhibit 2,
21 that was prepared by Mr. Hawkins?

22 A. I used the logs themselves --

23 Q. The logs.

24 A. -- from the wells, yes.

25 Q. Okay, okay. And you calculated it -- How did you

1 calculate it?

2 A. I took a two-foot reading of porosity --

3 Q. Okay.

4 A. -- off the crossplot between the density neutron
5 porosities, multiplied that by two, added it up in each
6 two-foot interval greater than 2 percent.

7 Q. Okay, greater than 2 percent. And you calculated
8 the washout zones?

9 A. There were a couple places where I did not
10 include washout, but most of the time I did go ahead and
11 include a washout as a porosity number, realizing that it
12 may or may not be accurate in that particular --

13 Q. Now, in which -- You said you did in some cases
14 and you didn't in others. Can you tell me which wells you
15 did and which wells you didn't?

16 A. Where the caliper reading was obviously spreading
17 out too far, I took the nearby porosity reading and used
18 that as an estimate for porosity.

19 Q. But you can't tell me which wells you favored
20 over others, or --

21 A. I have those calculations here in my file.

22 Q. I mean, did you calculate all the porosity feet
23 in the washout zones in the Gruy wells, not in any of the
24 others?

25 A. No, I did not.

1 Q. Fren 8-6, I used the entire section, Parker Deep
2 5 Fed Com 3.

3 Q. Were there any washouts in the 8-6?

4 A. There were some slight hole enlargements in the
5 8-6, but none that I calculated as a washout.

6 Q. Okay.

7 A. In the Parker Deep 5 Fed Com 3, there is no
8 porosity over 2 percent.

9 Q. Okay.

10 A. In the Mag 5 Fed 3, I did -- I took 3 -- no, I
11 did not leave out any porosity.

12 But in the Fren 8-5, I did eliminate a 2-foot
13 portion where there was a ledge there, and it appeared to
14 me that the caliper left the side of the hole.

15 And the Mag 5 Fed Com 2, there was a six-foot
16 interval in the very middle -- you may be familiar with
17 that massive porosity interval -- and I cut that porosity
18 back somewhat in that interval at about 10,800.

19 Q. You cut it back, you didn't eliminate it?

20 A. Yes, I reduced it in those six feet there where
21 the caliper peaked.

22 And in the Fren 8-3 I did not -- I gave it the
23 full benefit of the doubt in the Fren 8-3, which is the
24 Mewbourne well.

25 And then in the Fren 8-2 I did in two intervals

1 where there were washouts in the upper portion that
2 Mewbourne testified that they didn't believe that was pay.
3 I did take three foot in one interval and reduce the
4 porosity, and another two-foot interval where it appeared
5 that there was a spike in the caliper and reduced the
6 porosity slightly in that one to average the nearby
7 adjacent porosities in the intervals.

8 Q. Okay, thank you, Mr. Dover.

9 Let's move on to your Exhibit 8, Mr. Dover. In
10 your calculations, your various calculations here -- First
11 of all, do you agree this is a volatile oil reservoir?

12 A. Yes, I do.

13 Q. And aren't volatile oil reservoirs typically
14 underestimated with respect to oil recovery calculations
15 like this?

16 A. That's a possibility. I'm not saying that that's
17 the possibility here. I guess that's a possibility. But I
18 took it to mean that since my volumetrics and my material
19 balance both came so close, that I believe that I have some
20 basis for saying that it was an accurate estimate of oil in
21 place.

22 Q. Did you use the PVT study that Mewbourne provided
23 to you?

24 A. Yes, I did. After we discovered that they had
25 that, we used that.

1 Q. Okay. But these numbers are based on Exhibit 5,
2 are they not, ultimately?

3 A. They are based on -- Which numbers are based on
4 Exhibit 5?

5 Q. Aren't your Exhibit -- excuse me, Exhibit 6
6 numbers -- I mean, don't your exhibits on your calculations
7 on whether -- original oil in place, et cetera, follow from
8 Exhibit 5?

9 A. The volumetric calculation of oil in place
10 follows from Exhibit 5, yes.

11 Q. Okay. So if this lobe heading up to the north of
12 the reservoir isn't there, then your numbers would be --
13 have to be revised?

14 A. They would be revised, yes, and we'll find out
15 soon enough here in another month or two.

16 Q. Okay. Moving to your Exhibit 9, Mr. Dover, now,
17 the only proration unit out there that has been limited
18 insofar as production goes is the northeast quarter of
19 Section 8; is that correct?

20 A. Yes, under current field rules.

21 Q. So on Exhibit 9, when you draw your first block
22 down in the lower left-hand corner, that's artificially --
23 the Mewbourne acreage for the 8-2, 8-3 and 8-6 wells,
24 that's skewed because that unit has never been able to
25 produce at top allowable -- at capacity, correct?

1 A. What is skewed?

2 Q. Well, you're talking about current production.

3 A. That current production is an estimate of the --
4 if you'll look in the table there, the 4.48 million top
5 allowable gas rate, and the -- at a GOR of about 5500,
6 which was the GOR back in July, I believe. It's actually
7 an interpolation of that GOR --

8 Q. Okay.

9 A. -- to get to the oil rate.

10 Q. But the Gruy wells have never been production-
11 limited?

12 A. No, they haven't.

13 Q. You have produced those at capacity?

14 A. Uh-huh.

15 Q. Regardless of the GOR?

16 A. That's correct.

17 Q. And did the Gruy wells ever have a GOR level out
18 at 6000 to 1?

19 A. I think I'd have to defer that to the next
20 witness who's going to talk about GORs and...

21 Q. And I think Mr. Hawkins agreed that there is a
22 high degree of competition and connectivity between these
23 wells in this reservoir?

24 A. Sure.

25 Q. Now, I think in response to a question from Mr.

1 Feldewert you agreed that no other proration unit can match
2 the productivity of the northeast quarter of Section 8?

3 A. That's true.

4 Q. So you don't anticipate the Magnum Fed Com Number
5 4 to boost production up above the current allowable?

6 A. Can't say what it'll make.

7 Q. You have no idea?

8 A. No, not at this point.

9 Q. Do you have any expectation whatsoever -- has
10 anybody at Pecos or Gruy made an estimate?

11 A. No, we haven't.

12 MR. BRUCE: That's all I have, Mr. Examiner.

13 EXAMINATION

14 BY EXAMINER CATANACH:

15 Q. Mr. Dover, is it -- do you believe that
16 increasing the GOR for the pool to 6000 or 8000 or possibly
17 even 10,000 would have a detrimental effect on the
18 reservoir?

19 A. As my calculations -- well, from a correlative-
20 rights standpoint, I don't -- I think that as my graph
21 shows, the 6000 GOR would be a more equitable situation.

22 As far as detriment to the reservoir and a waste
23 issue, I think I'd need to defer that to the next witness.
24 who's going to address waste. And my testimony was more
25 focused on correlative rights, trying to determine oil in

1 place and how all the oil is divided up among all the
2 parties.

3 Q. Okay. On your Exhibit Number 9, on your last
4 graph, you seem to have indicated there that by increasing
5 the GOR to 6000, that you believe that would be the most
6 equitable solution. Is that your testimony?

7 A. If we have to make a decision now, I think that
8 would be a more equitable solution. Of course, again, my
9 first preference would be to defer until next March when we
10 have more data and see what actually -- how the reservoir
11 continues to behave.

12 But yes, if we have to make a decision, that to
13 me is a more equitable allowable situation.

14 Q. Okay. Now, that assumption there shows that
15 Mewbourne would be allowed to produce 1120 barrels of oil a
16 day from that northeast quarter; is that what that assumes?

17 A. Yes.

18 Q. But in fact, if we increase the GOR to 6000 they
19 would not be able to produce 1120 barrels a day?

20 A. Well, if they produce at 6000 GOR, they could
21 produce 1120. And again, I would defer to the next
22 testimony about GORs, that we can show that the GOR did
23 level at 6000 for a period of time.

24 Now, obviously it probably won't stay there, I'll
25 have to admit. Eventually, the GOR will rise.

1 And again, you know, let me emphasize that this
2 would be only on a current basis, but going forward with
3 their proration being able to produce on a flat, limited
4 basis and everybody else on a declining basis, their
5 proportionate share just continues to grow.

6 Q. Now, in terms of your equitable solution here, is
7 this basically saying that this would allow Mewbourne to
8 recover approximately 57 percent of the original oil in
9 place in this reservoir?

10 A. Actually, it just says that they would be able to
11 produce about 57 percent of the current production rate and
12 that as their -- through time, I think their percentage
13 will grow. But it also tries to exhibit that to date they
14 have produced a percentage of the cumulative production
15 that closely matches my calculation of the oil in place
16 under their proration unit.

17 Q. What period of time elapsed between the date of
18 first production from one of the Mewbourne wells and the
19 date that either Gruy or the other companies drilled a well
20 and started producing? Was that a period of months?

21 A. Well, what was still discovery was back last year
22 sometime, but I don't know exactly the dates.

23 MR. HAWKINS: The dates are on the cross-section.

24 THE WITNESS: Are they on the cross-section? So
25 the discovery well, being the Fren 8 Fed Com 3, in --

1 MR. FELDEWERT: Let me interrupt just real quick,
2 Mr. Examiner. I think that Mewbourne's Exhibit Number 11
3 gives you the initial production dates from the Strawn for
4 each of the existing wells in the pool.

5 EXAMINER CATANACH: Okay, I don't have that
6 handy, Mr. Feldewert.

7 MR. FELDEWERT: Here.

8 EXAMINER CATANACH: Okay, so it was a period of a
9 few months, probably, between those dates. Okay.

10 I think that's all I have at this point.

11 Anything else of this witness?

12 MR. BRUCE: (Shakes head)

13 MR. FELDEWERT: I just have one question.

14 FURTHER EXAMINATION

15 BY MR. FELDEWERT:

16 Q. I want to make sure I understand in terms of the
17 correlative rights, which everybody admits is an important
18 issue. There's the correlative rights associated with the
19 production of oil and the correlative rights associated
20 with the use of the reservoir energy, correct?

21 A. Yes, that's true.

22 Q. In this case the reservoir energy is solution
23 gas; is that right?

24 A. Yes.

25 Q. Okay, and what your graphs -- what Exhibit 9

1 indicates is that under Mewbourne's proposal, that a 10,000
2 GOR -- the red line indicates that their percentage
3 production of the reservoir energy would exceed what you
4 estimate to be the percentage of the original oil in place;
5 is that right?

6 A. That's correct.

7 Q. Okay. And is it your opinion that they would
8 then be using a disproportionate share of the reservoir
9 energy to produce their oil?

10 A. That is correct. So by -- I guess what we can
11 infer or deduct from that is that not only do you get into
12 a correlative-rights issue where you're trying to protect
13 correlative rights, but you also inequably drain reservoir
14 energy, and all of those wells downdip, then, are not able
15 to produce the ultimate recovery that they normally would,
16 had the GOR been limited.

17 Q. Okay, and is our next witness going to address
18 that point?

19 A. Yes.

20 MR. FELDEWERT: Okay, that's all.

21 MR. BRUCE: I've got a follow-up on that.

22 FURTHER EXAMINATION

23 BY MR. BRUCE:

24 Q. Are you saying that the wells that are downdip or
25 in poorer positions should be allowed to produce as much as

1 the heart of the reservoir?

2 A. They should be allowed to produce their
3 proportionate share of the oil in place.

4 Q. And just one follow-up question, on your Exhibit
5 -- on your 6000-to-1 GOR, would the Gruy wells be
6 restricted or limited in production in any way?

7 A. No.

8 Q. Would the Mewbourne wells be restricted?

9 A. Yes, the northeast quarter of Section 8 would be
10 restricted.

11 Q. And would it be able to produce 1120 barrels a
12 day?

13 A. Not currently.

14 MR. BRUCE: Okay, thank you.

15 EXAMINER CATANACH: This witness may be excused.

16 MR. FELDEWERT: We then call our last witness.

17 BILLY JUROSKA,

18 the witness herein, after having been first duly sworn upon
19 his oath, was examined and testified as follows:

20 DIRECT EXAMINATION

21 BY MR. FELDEWERT:

22 Q. Would you please state your name and place of
23 residence for the record?

24 A. Yeah, my name is Billy Juroska, I live in Forth
25 Worth, Texas.

1 Q. By whom are you employed and in what capacity?

2 A. I'm employed by Gruy Petroleum Management
3 Company, and I'm the reservoir manager for the Permian
4 Basin.

5 Q. Have you previously testified before this
6 Division?

7 A. No, I have not.

8 Q. Okay, would you just briefly outline your
9 educational background?

10 A. Yes, I got a B.S. in petroleum engineering at
11 Texas A&M University in 1994. Since then I've worked --
12 the first six years' experience was with Burlington
13 Resources, two of which I was the reservoir engineer for
14 southeast New Mexico. Four years of that was a production
15 and facility engineer in North Dakota, Rocky Mountain area.
16 And the last three years, I've worked a year and a half
17 with XTO Energy as a reservoir engineer, and the last year
18 and a half I've been employed with Gruy as the reservoir
19 manager, for the Permian Basin in both of those cases.

20 Q. Now, your last three years, have you been
21 involved in the -- has your responsibilities included the
22 Permian Basin?

23 A. Yes.

24 Q. Okay. And are you familiar with the Application
25 filed by Mewbourne in this case?

1 A. Yes, I am.

2 Q. And have you conducted a study of the area in the
3 Strawn reef and a production history of the existing wells
4 that is the subject of this Application?

5 A. Yes, I have.

6 MR. FELDEWERT: I would offer Mr. Juroska as an
7 expert in petroleum engineering.

8 MR. BRUCE: No objection.

9 EXAMINER CATANACH: Mr. Juroska is so qualified.

10 MR. FELDEWERT: Mr. Juroska, I want you to turn
11 to what's been marked as Opposition Exhibit Number 10. It
12 is a page out of the Division's Rules, and I want to read
13 to you Rule 505.F, just the first sentence, and it says,
14 "Assignment of a greater than regular depth bracket
15 allowable shall be made only after sufficient reservoir
16 information is available to ensure that said allowable can
17 be produced without damage to the reservoir and without
18 causing surface or underground waste."

19 Did you conduct a study, Mr. Juroska, that is
20 relevant to this determination?

21 A. Yes, I have.

22 Q. Would you please summarize what you did and your
23 conclusions?

24 A. Yes, I'm going to present a number of exhibits
25 that basically have two conclusions that I've come up with,

1 and one of them is that waste may be created with the
2 increased allowable that Mewbourne is proposing. And I'm
3 going to show a graph that shows that there is a
4 relationship between the subsea depth of where the wells
5 are perforated in this reef and the producing gas-oil
6 ratio.

7 And I also will show on those exhibits that it
8 appears that there has been a gas cap that's been forming,
9 or is starting to form, in the reef.

10 And I'm also going to show that the gas-oil ratio
11 does appear to be rate-sensitive. I'm going to be looking
12 at the production charts and pointing out some things
13 there.

14 We're also going to note -- and it's been noted
15 heavily in this case -- that the northeast quarter section
16 of Section 8 is the only proration unit that's capable of
17 producing the current allowable, and it will be the only
18 proration unit that will benefit from an increased
19 allowable.

20 Mewbourne's proration unit is located on the top
21 of the reef structure, as shown by Mark, Mr. Hawkins, and
22 they will have the majority control of the gas cap or the
23 reservoir energy for this reef if they are allowed to be
24 able to produce at the proposed 1350 barrels a day with the
25 associated 13.5 million a day in gas. No other proration

1 unit out here is able to produce anywhere close to that
2 amount of gas or that oil.

3 And the other three proration units in this pool,
4 again, are producing below the current allowable. And it's
5 also to note that they are on a high rate of decline. So
6 if Mewbourne's production is flat and everything else is
7 declining, they're going to get more and more percentage of
8 the production as time goes on.

9 Q. Okay, I want you to then turn to what's been
10 marked as Opposition Exhibit Number 11. Would you please
11 identify that and review that for the Examiner, please?

12 A. Yeah, this is a graph that shows where the top
13 perforation is from a subsea depth perspective. And as you
14 could see on the left-hand side, you see the subsea depth.
15 And on the X axis you see the producing gas-oil ratio.

16 And for this graph -- I'm going to show another
17 one that's similar to this -- for this graph I used the
18 July of 2003 gas-oil ratio. And the reason that I used the
19 July, 2003, gas-oil ratio is, that is prior to Mewbourne
20 having to curtail their well for noncompliance. And I'll
21 show you from the production graphs how that affected the
22 gas-oil ratio.

23 Q. Okay, what does this graph show you?

24 A. Well, as you can see from the trend of the data,
25 the wells that are perforated in the upper portion of the

1 reef tend to have a higher producing gas-oil ratio than the
2 wells that are perforated in the lower portion of the reef
3 from a structural position. This also implies that there
4 may be a gas cap forming in this reservoir.

5 And I also -- even though this is the July of
6 2003 gas-oil ratio for all the other wells, I went ahead
7 and added in the brand-new point, which is from the Fren
8 8-6. I took the first 15-day average and went ahead and
9 plotted it to see how it would fit with this data, and it
10 does fit the trend. But that gas-oil ratio is increasing
11 quickly in that well.

12 Again, the northeast quarter proration unit has
13 the largest control over how the free gas cap in this
14 reservoir is produced, which is the reservoir energy for
15 this solution gas drive reservoir. I'll show you some
16 production charts that show that there's virtually no water
17 production, and so it doesn't appear that the reservoir is
18 a water drive reservoir, so it does appear that it is a
19 solution gas drive reservoir.

20 And I believe that curtailment is necessary in
21 order to not lose that reservoir energy for the other
22 proration units.

23 Q. Okay. Would you then turn to Opposition Exhibit
24 Number 12?

25 A. I want to make one other point --

1 Q. I'm sorry.

2 A. -- on this, I'm sorry.

3 The -- As you can see, I've drawn a line. The
4 dark red line represents the top of the reef porosity as
5 you refer back to the cross-section. We believe that the
6 porosity in the upper portion of the reef would be
7 productive in Mewbourne's 8-2 well, and what I tried to
8 show there is that there's 208 feet of reef that is not
9 open.

10 That 8-2 well, which is the most prolific well in
11 this reservoir -- the 8-6 may have a little competition
12 with how productive it is, but it shows that if Mewbourne
13 is granted this Application for 13.5 million a day, there
14 would really be nothing stopping them from going and
15 perforating that part of the reef, and that could
16 potentially greatly increase the gas-oil ratio for that
17 well, and I'll show that on the next slide.

18 Q. Okay, why don't you turn to what's been marked as
19 Opposition Exhibit Number 12, identify that and review that
20 for the Examiner, please?

21 A. Okay, Exhibit Number 12 is essentially the same
22 graph. It has the same information on there, with the
23 exception that what I've tried to do here is show how the
24 gas-oil ratio has changed over time for the different wells
25 in the reef.

1 And so what you've got is the first point is the
2 first month's production for each well, and I've notated
3 the first month of production that was used.

4 And then the second point is the -- July of this
5 year, which was on the previous graph.

6 And then the third point represents the estimate
7 from daily production for October of this year, which is
8 essentially the current GOR.

9 And as you can see from this graph, again, all
10 the wells started in about a 3000 to 4000 gas-oil ratio,
11 with the exception of the Mag 5-3, which was drilled later
12 in -- or completed later in the life, which you would
13 expect it to have a higher gas-oil ratio because of
14 depletion and the gas cap forming.

15 This to me also shows that the wells that are on
16 the top part of the reef, structural position, have had a
17 higher increase in gas-oil ratio than the wells in the
18 lower portion of the reef. This to me also indicates that
19 there may be a gas cap forming in this reservoir.

20 And I also put a red arrow and notated it, that
21 if the Fren 8-2 is perforated in the upper portion, which
22 we believe is productive and we've included in our oil-in-
23 place calculations that Mr. Dover testified to, there is a
24 good possibility that that well will increase to at least a
25 9000 gas-oil ratio, based on this current trend.

1 And again, that well has very high productivity,
2 and so that would allow them to have majority control over
3 the -- from a total gas reservoir energy standpoint, they
4 would have the majority control, a very large portion of
5 the control, of how the gas cap is produced.

6 Q. Are the Mewbourne wells in the northeast quarter
7 of Section 8, are they only wells that are capable and have
8 the porosity and the structural position to produce at a
9 10,000 GOR?

10 A. Well, the -- As you can see from the graph, the
11 Fren 8-3 is producing at a little over a 9000 gas-oil ratio
12 now. The Mag 5-2 and -3 do produce at about a 7000 to 7500
13 gas-oil ratio. But the -- It's my opinion that the 8-2,
14 which is a very high-productivity well, would be about 9000
15 gas-oil ratio.

16 And really, when we're looking at gas-oil ratio
17 out here, what we're really talking about is the gas
18 allowable, if you want to look at it that way, because if
19 you allow them to have a 10,000 gas-oil ratio coupled with
20 1350, that gives them 13.5 million a day productivity for
21 that proration unit.

22 There is -- every other proration unit -- the
23 closest one is the Mag 5-2 and -3 proration unit, and it's
24 only capable of producing around 3.5 million a day. So
25 you're giving them three to four times more gas rate,

1 which, in my opinion, this is the reservoir energy. And
2 that's really what's detrimental to the downdip part or
3 downdip proration units.

4 Q. And from an operator in other proration units out
5 here, are you concerned about the potential loss of
6 reservoir energy if they are allowed the opportunity to
7 produce at that level of gas?

8 A. Yes, I believe that that would be a
9 disproportionate -- they would have a disproportionate
10 control over the reservoir energy.

11 Q. Did you want to say anything else about
12 Opposition Exhibit Number 12?

13 A. No.

14 Q. Okay, let's turn to Opposition Exhibit Number 13,
15 please. Identify that first and review that for the
16 Examiner.

17 A. Okay, Exhibit Number 13 is a semi-log graph of
18 the gas-oil ratio over time. And I have plotted the daily
19 rates for -- or the daily gas-oil ratio for every well in
20 the pool. And as you can see, the dark, bold brown line
21 represents the gas-oil ratio for the entire reef. In other
22 words, you take the total production for the reef, and you
23 determine the gas-oil ratio from that.

24 As you can see, the gas-oil ratio for this reef
25 started at about a 3000 gas-oil ratio. I would agree with

1 the previous testimony that it appears that this is a
2 volatile oil reservoir that was confirmed by the PVT study.

3 You can see that around January the gas-oil ratio
4 for the reef started to increase, and that's approximately
5 where we believe bubble point was hit. And as you can see,
6 the gas-oil ratio inclined to about 6000 GOR in about May
7 of this year. And in my opinion, for the last six months,
8 the gas-oil ratio for this entire reef has been relatively
9 flat.

10 Q. And it's relatively flat at what level?

11 A. It's relatively flat at a 6000 GOR.

12 Q. Okay, and if you're looking at the pool as a
13 whole, what does that mean with respect to -- this leveling
14 of the 6000 GOR, what does that mean for the pool as a
15 whole?

16 A. Well, at this time, again, we're kind of early in
17 the life of this pool. Waiting till March would give us
18 more production data to allow us to determine whether or
19 not the gas-oil ratio is going higher than this. And
20 again, it appears that it has flattened out at about a 6000
21 gas-oil ratio. So at this point all of the opposition
22 companies are recommending that if there is gas-oil ratio
23 relief, that it only goes to 6000.

24 Q. Is that the level that the pool as a whole is
25 operating under --

1 A. Yes.

2 Q. -- in essence?

3 A. Yes.

4 Q. Okay. Why don't you turn to Opposition Exhibit
5 Number 14? Identify that and review that for the Examiner,
6 please.

7 A. Okay, what this graph is --

8 Q. And I'd start with -- would you please explain
9 what these lines are across the graph?

10 A. Yes, this is a graph of the total reef production
11 with the current and proposed allowables.

12 The dark green line, as you can see at about 4500
13 barrels a day, represents the current allowable for all the
14 proration units, for the entire reef.

15 And as you can see, the magenta curve represents
16 the total gas allowable, which is at about 18 million a
17 day. And again, that's a summation of all the proration
18 units.

19 So as you -- And then what we've got in the red
20 and blue lines at 5400 barrels and 54 million a day in gas
21 is what Mewbourne is proposing that this reef goes to in
22 their current Application.

23 So what you see with the -- the green line with
24 the triangles represents the current oil production from
25 the entire reef. So as you can see, the entire reef is

1 making about 1200 barrels of oil a day, and the total
2 allowable for the reef is 4480. So we're well under that.

3 And the red-square line is the daily production
4 for the gas for the entire reef. And so the entire reef is
5 making about -- Let me orient you on the axis. The oil and
6 water is oriented on the left-hand side. That's the scale
7 for the oil and water. And then the gas-oil ratio and the
8 gas production is on the right-handed scale.

9 So as you can see, we're making about 9 million a
10 day, 8 or 9 million a day in gas, and we've got an
11 allowable of 18 million a day for the reef.

12 The gas-oil ratio, again, is in the brown curve,
13 and that's the gas-oil ratio for the entire reef.

14 So as you can see from this, the entire reef as a
15 whole does not need an increase in the allowables. And
16 really, as I'll show in the following exhibits, there is
17 only one proration unit that's going to benefit from an
18 increase.

19 Q. Okay. Now we're going to go into another set of
20 exhibits, but before we get there, what conclusions do you
21 draw from this set of exhibits?

22 A. Again, with little to no water production from
23 this reef, it's my opinion that this is a solution gas
24 drive reservoir. With the gas-oil ratio going above -- or
25 increasing, and the high-GOR exhibited in the wells on top

1 of the structure, it appears that a free gas cap is
2 forming.

3 The northeast quarter of Section 8 will have the
4 majority control of the gas cap if Mewbourne's Application
5 is granted. And it does need to be curtailed at some point
6 to avoid blowing down that gas cap and -- in order to
7 conserve reservoir energy.

8 In the last exhibit I show that the current rules
9 are sufficient for the entire reef as a whole, and a large
10 increase in the oil and gas allowables is not warranted,
11 compared to the deliverability of the entire reef.

12 Q. Okay. Now you have, in the next set of exhibits,
13 production graphs for each of the proration units; is that
14 correct?

15 A. That's correct.

16 Q. All right. Now, I just want to quickly go -- if
17 we can, go through these. Start with Opposition Exhibit
18 Number 15, identify the location and then orient us to the
19 Exhibit, please.

20 A. Okay, the Exhibit Number 15 is a production graph
21 for the northwest quarter of Section 8, that proration
22 unit. The only well producing in that is the Fren 8 Number
23 5. Again, the oil and water scale is on the left hand --
24 it's out of the graph -- and the gas-oil ratio and the gas
25 scale is on the right-hand side of the graph.

1 The dark green line, again, represents the
2 current allowable for this proration unit, and the magenta
3 line that's flat represents the gas-oil ratio -- or the gas
4 limitation at 4480 for this proration unit. Again, as you
5 can see, the oil production is well below the current
6 allowable, which is the green triangles. And then the red
7 square, the gas line, is well below the gas allowable.

8 And again it's good to note on this that the gas-
9 oil ratio is relatively flat and has only climbed to about
10 a 5000 to 5500 gas-oil ratio, and this is one of the wells
11 that's perforated lower in the reef from a structural
12 position.

13 Q. Okay. Now just for the record, what are the --
14 briefly, what do the brown -- the big spikes indicate? Do
15 you have any idea?

16 A. Yeah, the spikes are basically -- This is raw
17 daily production data. Again, it's uncorrected for BS&W,
18 and there may be a day or two that there was some gas
19 reported with very little oil, and that's the spikes you
20 see in the gas-oil ratio, gas-oil-ratio curve. And so
21 you've really got to kind of look at the trend of the data
22 and, again, take it as the daily production data. I wanted
23 to show that instead of the monthly data, because it shows
24 more detail.

25 Q. Okay, let's turn to Opposition Exhibit Number 16.

1 Identify that for the record and explain it, please.

2 A. This is the production for the Magnum 5 Federal
3 Number 2 and Number 3 combined. Those reside in the
4 southeast quarter of Section 5, that proration unit.

5 Again what you can see here is, the Mag 5-3 came
6 on in March of 2003, and it exhibited a high initial
7 decline. It was well below the allowable on both the oil
8 and the gas.

9 And then the Mag 5-3 was drilled in June of 2003.
10 And as you can see, that increased the production from this
11 proration unit. But this proration unit, that has -- it's
12 been noted before, has really not been affected by the
13 current allowables, and an increase in gas -- or increased
14 allowable will not benefit this proration unit as the
15 production stands today.

16 Q. Okay. Now let me ask you real quick, is this the
17 one that's operated by Gruy?

18 A. This is the section that's operated by Gruy. And
19 I do want to note that these wells are on about an 85-
20 percent decline rate.

21 Q. Now, you're planning on drilling a third well up
22 in the northern half of this quarter section; is that
23 right?

24 A. That is correct.

25 Q. Okay. When do you plan on commencing -- When do

1 you plan to commence drilling on that well?

2 A. We plan on spudding that well sometime around the
3 middle of December.

4 Q. Okay. And if you're successful and you hit a
5 bonanza well, are you content to proceed under the current
6 pool rules?

7 A. We are. We would be curtailed at that point.

8 Q. All right. Let me have you turn, then, to
9 Opposition Exhibit Number 17, and I think you can just
10 briefly go through this one. Is this the same type of
11 exhibit for the southwest quarter of Section 5?

12 A. That's correct, it's the production from the
13 Heyco well, the Parker Deep 5 Federal Number 3. Again, as
14 you could see, it's making about 30 barrels a day and very
15 little associated gas.

16 Again the thing to point out here is that the
17 gas-oil ratio is between 3000 and 4000. It's drilled later
18 in the life of the reservoir, but it was in the lower
19 structural position, and so therefore it has a lower gas-
20 oil ratio, which also supports that trend of lower wells
21 have lower gas-oil ratios.

22 Q. Anything else about this exhibit?

23 A. That's it.

24 Q. Okay, let's turn to Opposition Exhibit Number 18.

25 A. Okay, this -- Exhibit Number 18 is a production

1 plot for the combined Fren 8 Federal Number 2, 3 and
2 recently drilled Number 6.

3 Q. Okay, this is Mewbourne's proration unit?

4 A. This is Mewbourne's proration unit in the
5 northeast quarter of Section 8, and this is the proration
6 unit that will -- the only proration unit that will benefit
7 from an increased allowable.

8 As you can see, the Fren 8-3 came on first in
9 August of 2002, and in September of '02 the Fren 8 Number 2
10 well was recompleted into the Strawn interval and, as you
11 can see, had really high productive rates initially. They
12 were -- Mewbourne was doing that to test the well for the
13 hearing, and again shut that well back in in October until
14 they got the order, the temporary field rules, in November
15 of '02, when they opened it back up.

16 And as you can see from the brown gas-oil ratio
17 curve, this proration unit was producing flat at about a
18 3000 gas-oil ratio, until about January of this year. At
19 that point it went on an incline to 6000 GOR in May of this
20 year.

21 And as you can see, the daily numbers -- they
22 spike up and down. There were several times when they were
23 above the 1120-barrel-a-day rate, but it's important to
24 note that it was basically the beginning of March. As you
25 can see, the red-square line which represents the gas

1 production, went well above the 4480 allowable for this
2 proration unit.

3 And so -- One thing I want to note also is that
4 these wells were producing at a pretty high rate during
5 March and April of this year on the oil production. And as
6 you see that oil production decline down from about 1300
7 barrels a day to more in line with the 1100 barrels a day,
8 that's about when the gas-oil ratio started to flatten out
9 for this proration unit.

10 And then when Gruy obtained the production
11 information from public data and noticed that Mewbourne was
12 in violation of the pool rules, that's when we wrote a
13 letter to the OCD.

14 OCD sent it to Mewbourne -- and this is my
15 understanding of the events -- Mewbourne agreed that they
16 would curtail their proration unit and they agreed to cut
17 it in, as Bryan Montgomery testified, to half the gas
18 allowable, which is 4480 divided by 2.

19 So you can see that they cut it down to about 2.3
20 million a day or 2.2 million a day. And when they did
21 that, the oil dropped from 1100 barrels a day down to about
22 450 barrels a day.

23 Q. Okay, here at the point where it says
24 "Curtailement due to non-compliance"?

25 A. That is correct.

1 Q. Okay, and what's significant about that event?

2 A. The significance to me from this graph is that
3 the gas-oil ratio, that had been flat at about 6000 GOR,
4 for about four months declined down to 5000 GOR. And so
5 you had -- whenever you reduce the rate and you quit
6 pulling on this thing as hard as they were, the gas-oil
7 ratio declined.

8 And so this, to me, makes it -- in my opinion,
9 the gas-oil ratio is rate-sensitive for this reservoir.
10 And again what you see in October is, there's a spike in
11 gas there. That's when they turned the Fren 8-3 back on,
12 which is the 9000- to 1000-GOR well, and so that's what
13 attributes that spike there.

14 And then the Fren 8-6 was drilled in this
15 proration unit while they were still -- and they're still
16 at this point in a noncompliant situation.

17 Mr. Montgomery testified that he thinks it will
18 be about the middle of December before they become even on
19 this proration unit. But they did choose to drill a third
20 well in an already overproduced proration unit, and I do
21 not have much production data on this graph.

22 And again, you know, that's going to be another
23 good data point that's going to give us some production and
24 producing capabilities of this reservoir, if we do wait
25 till March of next year.

1 Q. Okay. Could you just summarize the conclusions,
2 then, that you draw from these production charts?

3 A. Again, the northeast quarter of Section 8 is
4 really the only proration unit that is able to meet the
5 existing allowables under the current producing scenarios.
6 Increase in the oil and gas allowables will only benefit
7 this one proration unit.

8 It appears that whenever the production was
9 decreased in the northeast quarter of Section 8, that the
10 gas-oil ratio went down, so it makes me feel like the gas-
11 oil ratio is rate-sensitive.

12 And I believe that curtailing the gas production
13 out here will conserve reservoir energy and increase the
14 ultimate recovery from this reef.

15 Q. Now, I want to just briefly address the timing of
16 this request, Mr. Juroska. Is it your opinion that the
17 Division ought to stick to its original timetable and
18 revisit these pool rules in March of 2004, as was
19 envisioned under the initial order?

20 A. Yes.

21 Q. Okay. Will you have more data available at that
22 point?

23 A. Yes, we will. There's going to be three
24 additional data points that will give us reservoir
25 pressures, producing capabilities, and also delineation for

1 our determination of how large this reef really is.

2 Q. In your opinion, is there sufficient reservoir
3 information available today to ensure that increasing the
4 oil and gas allowable will not damage the reservoir or
5 cause waste?

6 A. No, I do not believe that we have sufficient
7 reservoir information.

8 Remember that this Application represents a 20-
9 percent increase in the oil production, coupled with a 150-
10 percent increase in the gas-oil ratio. And again, it's
11 only going to benefit that one proration unit, to the
12 detriment of the other proration units.

13 And again, the structural map shows that
14 Mewbourne's northeast-quarter wells are on the highest
15 structural position of this reef, and the proposed
16 allowable will allow, in my opinion, Mewbourne to perforate
17 the 8 Number 2 well and will give them a higher producing
18 capability, 13.5 million a day, and that's going to give
19 them a very disproportionate share of the control of the
20 reservoir energy, which is the gas cap production.

21 And they could blow the gas cap down. With, you
22 know, with high gas prices over the winter they could blow
23 it down, to the detriment of the downdip proration units.

24 Q. Based on the information that we presently have,
25 is it -- in your opinion, will increasing the oil and gas

1 allowables as proposed by Mewbourne result in the
2 inefficient, excessive or improper use or dissipation of
3 reservoir energy?

4 A. Yes, I believe that it will.

5 Q. In your opinion, will increasing the oil and gas
6 allowables as proposed by Mewbourne reduce or tend to
7 reduce the total quantity of oil that can ultimately be
8 recovered from this pool and result in waste?

9 A. In my opinion, yes.

10 Q. Again, based on the information that we presently
11 have available?

12 A. That's correct.

13 Q. All right. In your opinion, will the granting of
14 this Application be in the best interests of conservation,
15 the prevention of waste and the protection of correlative
16 rights?

17 A. No, it will not.

18 Q. Were Opposition Exhibits 10 through 18 prepared
19 by you or compiled under your direction and supervision?

20 A. Yes, they were.

21 MR. FELDEWERT: Mr. Examiner, at this time I
22 would move the admission into evidence of Opposition
23 Exhibits 10 to 18.

24 EXAMINER CATANACH: Any objection?

25 MR. BRUCE: No, sir.

1 EXAMINER CATANACH: Exhibits 10 through 18 will
2 be admitted.

3 MR. FELDEWERT: And that concludes my examination
4 of this witness.

5 EXAMINER CATANACH: Mr. Bruce?

6 CROSS-EXAMINATION

7 BY MR. BRUCE:

8 Q. Let's go through your production charts, starting
9 with Exhibit 13, Mr. Juroska.

10 A. Okay.

11 Q. Actually, let's start with -- try and cut this
12 short a little bit -- your Exhibit 15.

13 A. Okay.

14 Q. Just briefly, do you agree that the GOR is slowly
15 increasing on the Fren 8 Number 5?

16 A. Yes.

17 Q. Move on to your next exhibit, the Magnum -- the
18 Gruy -- two Gruy wells. I don't see any leveling out
19 there. It appears to me the GOR has been increasing
20 consistently since the first well was completed. Am I
21 incorrect?

22 A. No, that's correct.

23 Q. And won't you be at a -- based on just a simple
24 extrapolation, you'll be at about 9000 to 1, oh, with the
25 next -- by January 1 or so?

1 A. Somewhere in the 8000 to 9000 range, yes.

2 Q. What are these two wells producing at? I asked
3 that of a prior witness.

4 A. Okay, the Mag 5-2 and -3 both combined are
5 producing a little under 500 barrels a day, and that is
6 split out at about -- the best I can recall is a little
7 over 200 barrels a day for the Mag 5-3 and right under 300
8 barrels a day for the Mag 5-2.

9 Q. And what are the gas rates?

10 A. The gas rates for the Mag 5-3 are approximately 2
11 million a day, and then I think it's -- I think both wells
12 are making about 1.8 million a day, 1.9.

13 Q. Okay. So then actually one of them would have a
14 substantially higher GOR than the other?

15 A. Let me double-check those -- that information
16 here. The Magnum 5 Federal Number 2 is producing about 290
17 barrels a day, with about 2.1 million a day --

18 Q. That was the Number 2, excuse me?

19 A. It's 290 barrels of oil a day.

20 Q. I'm sorry, I didn't mean to --

21 A. The Mag 5-2, I'm sorry.

22 Q. Yeah, okay. Thank you. 290.

23 A. And about 2.1 million a day. And that represents
24 a gas-oil ratio of about 7500.

25 Q. Okay.

1 A. Okay, the Mag 5.3 is producing at about 200
2 barrels of oil per day and about 1.5 million a day, and
3 that represents about a 7500 GOR.

4 Q. What months was that production?

5 A. That's the estimate on October of this year.
6 It's the last month.

7 Q. Okay. And these wells are declining, are they
8 not?

9 A. They're declining at a rate of about 85 percent.

10 Q. Well, if that's the case, if they're declining
11 that rapidly, how can there be a good-sized reservoir to
12 the north of these wells?

13 A. Well, I don't know. I mean, when you look at the
14 wells -- if you look at the decline curve for both of the
15 wells, they did -- you know, both of them did have
16 communication with each other, these two wells did. Okay,
17 every well out here, with the exception of the Fren wells,
18 are on a decline of 60 to 85 percent.

19 Q. Doesn't that indicate that the superior reservoir
20 is on the Mewbourne acreage in the northeast quarter of
21 Section 8?

22 A. It does. As Mr. Dover testified, they have
23 approximately 58 percent of the oil in place. And I think
24 that's a very good point -- or 58 percent of the oil in
25 place. I think it's a very good point that you're making,

1 is that they do have -- they are curtailed in the northeast
2 quarter. And if they are allowed to produce at 13.5
3 million a day, none of the other proration units can even
4 produce the current allowable.

5 And so if they're allowed to produce 13.5 million
6 a day, they're going to be at a much greater production
7 rate than what their proportionate share of the reservoir
8 is, in my opinion.

9 Q. And they will still be restricted in production,
10 will they not?

11 A. That's correct, and that's a very good point,
12 because they're going to be producing flat while we're
13 declining at 60 to 80 percent, so it's going to get even
14 more inequitable over time, from the downdip proration unit
15 perspective.

16 Q. Well, once again indicating that they really do
17 have the best part of the reservoir, and perhaps the
18 calculations of original oil in place as allocated by the
19 prior witness are incorrect.

20 A. I can't testify to his calculations.

21 Q. As an aside, what is the footage of the proposed
22 Gruy Fed Com Number 4?

23 A. Off the top of my head, I'm not sure.

24 Q. You don't know?

25 A. No.

1 Q. Let's move on to the next exhibit --

2 A. Okay.

3 Q. -- Exhibit 17. Do you agree that this well
4 doesn't have much potential?

5 A. Potential -- Well, it's producing at a very low
6 rate compared to the other wells.

7 Q. And it's on pump?

8 A. It is on pump, yes.

9 Q. Okay.

10 A. As are a couple of other wells out there.

11 Q. And moving on to your Exhibit 18, now let me get
12 this straight. Starting with the initial production, the
13 green triangles --

14 A. Yes.

15 Q. -- the higher numbers, are the oil production?

16 A. That is correct.

17 Q. Okay. And then the brown line is the GOR?

18 A. That is correct.

19 Q. And starting August, approximately --

20 A. Uh-huh.

21 Q. -- this proration unit was restricted. And so
22 it's producing, if you look at the green line, somewhere
23 between 400 and 500 barrels of oil a day?

24 A. That is correct, they --

25 Q. August of --

1 A. -- produced --

2 Q. -- August of '03, excuse me.

3 A. Oh, well, that's only the production from the
4 8-3, which it doesn't have the productivity to meet the
5 allowable, and that's why it's down there.

6 Q. Wait a minute, we're on Exhibit 18.

7 A. Exhibit 18, August of 2003.

8 Q. August of 2003.

9 A. Oh, I'm sorry, I was back in -- a year back. I'm
10 sorry. In August of 2003 -- Repeat your question?

11 Q. From August, 2003, to now or to your latest
12 available data, the oil production has been somewhere -- it
13 has been relatively flat at around 400 to 500 barrels of
14 oil a day?

15 A. That is correct.

16 Q. Now, looking at your brown line, during that same
17 period the GOR has been increasing substantially?

18 A. It has increased from about -- it dropped at
19 first curtailment from 6000 GOR down to 5000 GOR, and it
20 increased back up to about 5500 to 6000 before October came
21 around. And that's when you start seeing the Fren 8-3 come
22 back on, which has the higher gas-oil ratio, and that's why
23 that gas jumps like that.

24 And that's, in my opinion, why the gas-oil ratio
25 jumps like that.

1 Q. I believe Mewbourne testified that the Fren 8
2 Number 3 has been shut in.

3 A. Okay, well, the data that they provided me -- Let
4 me just double-check my individual --

5 Q. While you're looking for that --

6 A. It did come back on in October, according to the
7 data that Mr. Montgomery provided.

8 Q. But that is -- that well doesn't contribute much
9 to the production of this proration unit, does it?

10 A. No, when it came back on it was producing about a
11 million a day, so it did.

12 Q. Just a few follow-up questions, and go to your
13 Exhibit 11.

14 A. Okay.

15 Q. And you're making a point about wells that are
16 perforated high, have a higher GOR. If that's the case,
17 why did Magnum-Hunter perforate its wells, based on the
18 logs, at the top of the Strawn?

19 A. Why did we perforate it on initial completion?

20 Q. Yes, sir.

21 A. We perforated the entire reef interval to try to
22 maximize the recovery for our proration unit.

23 Q. Okay, so you didn't care about GOR?

24 A. At that point we were real close to -- it was
25 January when we were completing that well, and at that

1 point the production data we had showed that the well was
2 still under the bubble point -- or pressure was above the
3 bubble point.

4 Q. Well, should all wells in this pool be restricted
5 to perforations below a certain subsea depth?

6 A. In my opinion, no.

7 Q. So it's okay for Magnum-Hunter -- You're
8 complaining about waste and a gas cap, et cetera, but you
9 want to perforate at the top of your wells?

10 A. Every well out there has been perforated at the
11 top with the exception of the Fren 8-2.

12 And what we're worried about is that if the Fren
13 8-2 is perforated in the upper portion, which we believe is
14 productive with very high porosity and permeability, then
15 it's going to have -- the thing that we're worried about is
16 Mewbourne having -- the northeast quarter of Section 8
17 having a disproportionate share or a disproportionate
18 control over the reservoir energy, which is the gas cap.

19 And if you produce it at 13.5 million a day, then
20 I do think that you are going to see some waste. And that
21 is why we need to have lower gas production rates for this
22 reservoir.

23 Q. The Fren 8-6 is not perforated at the top, is it?

24 A. That is correct, they've got one porosity lobe,
25 according to the cross-section, Exhibit Number 2, there is

1 one porosity lobe at approximately 10,560 or 10,570 to
2 10,580.

3 And that's another good point, that if they're
4 allowed to have 13.5 million a day, nothing from having
5 them go out and perforate that upper portion of the reef.

6 I want to also note that this well -- according
7 to the stuff that Mewbourne gave us, this well has not been
8 stimulated, and it is producing natural. We did see an
9 increase in production upon stimulation, so there's really
10 nothing to keep them from going out and putting a good acid
11 job on this well too.

12 Q. That's a good point. Have any of the Mewbourne
13 wells been stimulated?

14 A. To my knowledge, every well that Mewbourne
15 operates has been stimulated, with the exception of the
16 8-6.

17 Q. Have both Magnum-Hunter wells been stimulated?

18 A. They have.

19 Q. You mentioned a gas cap. What evidence do you
20 have of that?

21 A. I do not have any physical evidence, and that's
22 why I testified to that there *may be* a gas cap forming in
23 this reservoir.

24 Q. The well at the top, which is the Fren 8-3 --

25 A. Uh-huh.

1 Q. -- I mean, if there was a gas cap wouldn't that
2 be producing at substantially higher GOR than -- It's
3 producing at essentially the same GOR as the other wells.

4 A. The Fren 8-3?

5 Q. 8-2.

6 A. 8-2.

7 Q. Or no, excuse me, 8-3, 8-3.

8 A. Okay. Well, as you can see from Exhibit Number
9 12 -- or 11, whichever one you want to look at -- the gas-
10 oil ratio is the highest in the Fren 8 Number 3, and it is
11 the highest well perforated in this Strawn reef.

12 Q. Well, let's get Exhibit 11 again --

13 A. Okay.

14 Q. -- since you mentioned it.

15 A. Okay.

16 Q. On your data here --

17 A. Uh-huh.

18 Q. -- I mean, I think Mr. Montgomery did testify
19 that the Fren 8-3 is still currently at about 9000 to 1,
20 but your two wells are now approaching 8000 to 1, are they
21 not?

22 A. That's correct, and that fits --

23 Q. They're almost at the same level as the Fren 8-3?

24 A. That's correct, and that's why this is such an
25 effective chart, because it shows that the wells that are

1 perforated in the lower portion of the reef have a lower
2 producing gas-oil ratio. And that's what leads me to
3 believe that there may be a gas cap forming, because the
4 higher you're producing from the reef, the more gas you're
5 bringing out of the reservoir, and that's your reservoir
6 energy.

7 Q. And the Fren 8-2 is still producing at about 6000
8 to 1, right?

9 A. That's correct, it's because it's perforated in a
10 lower portion of the reef, in my opinion.

11 Q. But you have no evidence of a gas cap?

12 A. No physical evidence for sure, no.

13 MR. BRUCE: That's all I have, Mr. Examiner.

14 EXAMINER CATANACH: Any follow-up, Mr. Feldewert?

15 MR. FELDEWERT: No.

16 EXAMINER CATANACH: I have no questions of this
17 witness.

18 Do you have anything further?

19 MR. FELDEWERT: Just briefly, I -- No, not in
20 terms of evidence, Mr. Examiner.

21 EXAMINER CATANACH: Okay.

22 MR. BRUCE: Mr. Examiner, I do want to put Mr.
23 Nelson back on for about five minutes.

24 EXAMINER CATANACH: All right.

25 MR. BRUCE: Mr. Examiner, I recall Mr. Nelson to

1 the stand, and let the record reflect that he was sworn and
2 qualified.

3 EXAMINER CATANACH: The record shall so reflect,
4 Mr. Bruce.

5 RALPH L. NELSON (Recalled),
6 the witness herein, having been previously duly sworn upon
7 his oath, was examined and testified as follows:

8 DIRECT EXAMINATION

9 BY MR. BRUCE:

10 Q. Mr. Nelson, I've handed you what I've marked as
11 Mewbourne Exhibit 13, and there's been some talk about
12 structure and its effect on various things. Could you
13 identify your Exhibit 13 and describe what that shows?

14 A. Exhibit 13 is a structural cross-section hung on
15 a subsea datum of 7000 feet. Mr. Hawkins also submitted
16 one.

17 The reason to submit this, I have the -- like Mr.
18 Hawkins, I have the completion dates, the perforations, but
19 I also have the treatments for the various wells.

20 I believe the previous witness said that the Fren
21 8 Number 2 was acidized. It was not, it was a natural
22 completion, as was the Fren 8 Number 6.

23 Like my previous cross-section, I've highlighted
24 the porosity in a similar manner as I did on that
25 stratigraphic cross-section, and again did not count those

1 washed-out areas.

2 Q. And what does that show?

3 A. Well, in the next exhibit it will -- We'll take
4 into account the ϕh map that I have constructed for the
5 pool and the reasons why my numbers differ to some degree
6 to those from the other -- to the opposition.

7 Q. Would you identify Exhibit 14, the ϕh map, Mr.
8 Nelson?

9 A. Exhibit 14 is a ϕh map contoured on a one-foot
10 interval. Also -- The ϕh numbers are in blue. Also shown
11 are HPV numbers, hydrocarbon pore feet numbers, excuse me,
12 in green.

13 Q. Now, I think with respect to the map that was
14 previously presented by the other side, their numbers show
15 that the thicker reservoir is on Mewbourne acreage, does it
16 not?

17 A. But they also show some high numbers for the Gruy
18 5 Number 2.

19 Q. And you disagree with that?

20 A. I do. From previous experience in these
21 hearings, I believe it was Mr. Kellahin who taught me that
22 we need to be fairly precise about our log calculations.
23 And to that degree, we went to a study to determine which
24 might be the fairest porosity cutoff.

25 And in doing so, we consulted with Dr. George

1 Asquith, the Texas Tech University professor of geology and
2 AAPG Distinguished Lecturer on log analysis. And some of
3 the points that he made concern the caliper and the washout
4 effects that were so noted in both the Gruy Number 2 and
5 the Fren 8 Number 2.

6 Once the caliper exceeds a certain limit and the
7 delta well correction exceeds .15, the porosity becomes
8 invalid. There is no estimate for it; it's invalid.
9 There's no reading for it. We so use that.

10 According to Baker-Hughes, the washouts that
11 exceed 18 inches, from their caliper, their arms can't
12 extent past 18 inches. Therefore automatically, whether
13 there's pad contact, partial pad contact or no pad contact,
14 the reading is invalid. To use any estimate for that
15 porosity is suspect interpretation.

16 Q. So their particular map of the ϕh you do not
17 think is correct?

18 A. Well, their map was generated, as it was
19 testified to, a two-foot average.

20 I have the half-foot by half-foot calculations
21 and corrections with me, if we'd like to go through them on
22 every half foot -- I don't think so -- but I can support
23 how we went about doing this in a scientific way, in
24 accordance with the way Dr. Asquith instructed us to do.

25 Q. Does it support the contention that the heart of

1 the reservoir is on the northeast quarter of Section 8?

2 A. Absolutely. The highest ϕ h well, without any
3 question, and higher than, really, any other well is the
4 Fren 8 Number 6. And the second highest, by almost twice
5 the number of the others, is the Fren 8 Number 2. And the
6 8 Number 6 is twice as thick as the 8 Number 2.

7 Q. Do you have anything further on that exhibit?

8 A. No.

9 Q. Finally, what is Exhibit 15, and what would it
10 indicate regarding the extent of the Strawn?

11 A. There was testimony given as to the extent of the
12 mound to the northeast. We also have greatly studied this
13 area, this reservoir. We found this reservoir.

14 As Mr. -- I believe Mr. Hawkins testified to, the
15 Bone Spring map, even the Wolfcamp map -- I'm not sure he
16 said that, but he did say Bone Spring -- showed little
17 evidence of the mound below us.

18 And the reason for that is, we're very close to
19 the shelf edge for the -- the Abo shelf edge, and you have
20 a lot of sediments being shed off of the big shelf-edge
21 complexes into the Basin that mask and cover up and fill in
22 any evidence of deeper structure. However, at the Basin
23 Wolfcamp evidence of the deeper reef, I believe, starts to
24 show up.

25 One thing I would point out on this map. No well

1 below a subsea of 6200 feet has any mound rock in it. And
2 the well in the I location in Section 5 is at a subsea of
3 6237.

4 We're unsure where they intend to drill their
5 well. I believe Mr. Bruce asked for the footage calls.
6 Their well would look like, to me anyway, that it would be
7 in danger of missing the reef.

8 The fact that the -- and also, to me, if there
9 were substantial reef to the north, you would see that in a
10 production anomaly in the Gruy wells.

11 Q. And that would indicate that there is no
12 reservoir, say, in the northeast of the southeast of
13 Section 5, or to the north of there in the Strawn
14 formation?

15 A. That's what I believe, yes.

16 Q. And that would, then, impact adversely their
17 figures with respect to the amount of reservoir under their
18 acreage?

19 A. Yes.

20 Q. Thank you. Were Exhibits 13, 14 and 15 prepared
21 by you or under your supervision? Mr. Nelson? Were they
22 prepared by you or under your supervision?

23 A. Yes, I'm sorry. Yes, they were.

24 MR. BRUCE: Thank you.

25 Mr. Examiner, I'd move the admission of Exhibits

1 13, 14 and 15.

2 EXAMINER CATANACH: Any objection?

3 MR. FELDEWERT: No.

4 EXAMINER CATANACH: Exhibits 13, 14 and 15 will
5 be admitted.

6 Any cross-examination.

7 MR. FELDEWERT: No.

8 EXAMINER CATANACH: This witness may be excused.

9 MR. BRUCE: I'll quit.

10 EXAMINER CATANACH: Is that all you have, Mr.
11 Feldewert?

12 MR. FELDEWERT: Presentation? Yes. I have one
13 short statement.

14 EXAMINER CATANACH: And that's all you have, Mr.
15 Bruce?

16 MR. BRUCE: (Waves hand)

17 EXAMINER CATANACH: Okay. Go ahead, Mr.
18 Feldewert.

19 MR. FELDEWERT: Mr. Examiner, I think this boils
20 down to burden of proof. We have raised -- We have
21 presented evidence that there are concerns out there over
22 waste. The have presented nothing.

23 Rule 505.F is a very high threshold, and that's
24 why I put it within our exhibit file. They have presented
25 nothing for you to try to address the issue of waste or

1 their concerns over waste and have not presented evidence
2 to ensure that what they are proposing is not going to
3 result in waste and the dissipation of reservoir energy.

4 What they have said in this hearing is that the
5 most important thing is correlative rights. Yet when it
6 comes to correlative rights they offer you no evidence
7 about the oil in place, they offer no allocation of the oil
8 in place, nor to determine what the correlative-rights
9 issues -- how they should shake out. And they do
10 absolutely nothing other than to sit here and say, Well,
11 maybe our projections are wrong. Okay?

12 The most telling exhibit that has been presented
13 today is Mr. Dover's Exhibit Number 9, and the evidence,
14 based on what we have today, indicates that if you look at
15 correlative rights, what they say is the most important
16 issue, the adjustment that is appropriate, if any, based on
17 the information that we have, is to keep the oil where it
18 is and increase the GOR to 6000 to 1.

19 Now, the issue here is not the level of GOR. The
20 issue here is how much oil are they going to be allowed to
21 produce, and how much gas are they going to be allowed to
22 produce? And the determination of the gas, and the amount,
23 is a function of the oil and the GOR. So they play
24 together. What's of concern here is the volume, not so
25 much the ratios, and that's what we have tried to indicate

1 here today.

2 The bottom line is, Mr. Montgomery -- when you
3 asked him, How do they know that their proposal is not
4 going to harm correlative rights, he couldn't give you an
5 answer. All he said was, Well, we can make it look -- the
6 data, look any way you want to and come up with something.

7 Well, they didn't come up with anything. And I
8 don't agree with him that you can take the data and make it
9 look any way you want to. But the bottom line is, they
10 didn't come up with anything to indicate to you that what
11 they are proposing is going to have -- is going to not have
12 an adverse impact on correlative rights, their most
13 important issue. We have presented evidence to indicate
14 that it is. All they've done is attack our information,
15 say maybe we're wrong.

16 But the bottom line is, Gruy is willing to put
17 their money where their mouth is when it comes to their
18 interpretation of the isopach map and extent of this
19 reservoir. And in the end, I'd submit that when you're
20 willing to put your money where your mouth is, that is the
21 most telling as to how confident you are in your
22 projections.

23 So I would submit to you today that they have not
24 met their burden, they have provided you no information on
25 which to change these pool rules. There's going to be

1 development out there. Let's wait and see what that
2 evidence shows before we go tinkering with these existing
3 rules.

4 EXAMINER CATANACH: Thank you, Mr. Feldewert.
5 Mr. Bruce, anything?

6 MR. BRUCE: I think I was at a different hearing
7 than Mr. Feldewert, Mr. Examiner.

8 Yes, correlative rights is the issue. All the
9 evidence, even the evidence presented by them, shows that
10 the vast bulk of the reservoir and the reserves are on
11 Mewbourne Oil Company acreage. Mewbourne Oil Company is
12 the only party restricted currently, and it will still be
13 restricted severely, even if the request of Mewbourne is
14 granted.

15 Secondly, as far as waste or damage to the
16 reservoir, they have shown nothing. They theorize a gas
17 cap. There's no evidence of one. The evidence shows that
18 virtually every Strawn pool within a two- or three-township
19 or a four-township area, has generally declining production
20 and generally increasing GOR. What does that show? It
21 shows that it's natural, it shows that nothing is going to
22 be harmed by increasing both the allowable and the gas-oil
23 ratio.

24 You know, as far as production, who gets what,
25 I've raised it once before and I'll raise it again: The

1 West Lovington-Strawn Unit, when you look at how production
2 was allocated there, it was allocated on HPV, and tract
3 that had substantial HPV got a lot more production
4 allocated to it than a tract on the fringe of the unit that
5 didn't have that HPV.

6 In essence, we're looking at the same thing here.
7 Instead of production allocated to it, we're looking at
8 producing rates. But the fact of the matter is, under the
9 same theory there's no problem with Mewbourne producing
10 more than any other tract, because it has a multiple --
11 three, four, five times more reservoir and reserves on its
12 acreage than any other tract does.

13 As far as waiting until March, when the initial
14 hearing was done there were two wells. Gruy took part in
15 the case. Now there's seven wells. One of the witnesses
16 said the reservoir is overdeveloped, but then they say,
17 Well, we've got to do more development before we can do
18 additional pool rules. That doesn't make sense.

19 We think there's sufficient evidence to establish
20 the pool rules at a higher GOR and at a higher production.
21 No damage will come to the reservoir. Some people have
22 better tracts than other people, that's life, and we'd ask
23 you to grant the Application.

24 EXAMINER CATANACH: Thank you, Mr. Bruce.

25 Gentlemen, draft orders?

1 MR. BRUCE: (Nods)

2 MR. FELDEWERT: (Nods)

3 EXAMINER CATANACH: Okay, there being nothing
4 further -- anything further? -- this case, 12,940, will be
5 taken under advisement.

6 We'll stand in recess for about 20 minutes.

7 (Thereupon, these proceedings were concluded at
8 3:40 p.m.)

9 * * *

10
11
12
13 I do hereby certify that the foregoing is
14 a complete record of the proceedings in
15 the examiner hearing of Case No. _____
16 heard on _____
17 Oil Conservation Division, Examiner
18
19
20
21
22
23
24
25


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL November 28th, 2003.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 16th, 2006