


STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION



IN THE MATTER OF THE HEARING)
CALLED BY THE OIL CONSERVATION)
DIVISION FOR THE PURPOSE OF)
CONSIDERING:)
CASE 11,040 (REOPENED))
_____)

CASE NO. 11,040

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

September 21, 1995

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, September 21st, 1995, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

STEVEN T. BRENNER, CCR
(505) 989-9317

I N D E X

September 21st, 1995
Examiner Hearing
CASE NO. 11,040

	PAGE
EXHIBITS	3
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>JOHN THOMA</u> (Geologist)	
Direct Examination by Mr. Kellahin	5
Examination by Examiner Catanach	16
<u>RICHARD GILL</u> (Engineer)	
Direct Examination by Mr. Kellahin	24
Examination by Examiner Catanach	30
REPORTER'S CERTIFICATE	35

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	6	16
Exhibit 2	13	16
Exhibit 3	26	30
Exhibit 4	27	30
Exhibit 5	27	30
Exhibit 6	28	30
Exhibit 7	29	30

* * *

A P P E A R A N C E S

FOR MARALO, INC.:

KELLAHIN & KELLAHIN
 117 N. Guadalupe
 P.O. Box 2265
 Santa Fe, New Mexico 87504-2265
 By: W. THOMAS KELLAHIN

FOR EXXON CORPORATION:

HINKLE, COX, EATON, COFFIELD & HENSLEY
 218 Montezuma
 P.O. Box 2068
 Santa Fe, New Mexico 87504-2068
 By: JAMES G. BRUCE

* * *

1 WHEREUPON, the following proceedings were had at
2 9:05 a.m.:

3 EXAMINER CATANACH: At this time we'll call Case
4 11,040, which is in the matter of Case Number 11,040 being
5 reopened pursuant to the provisions of Division Order
6 Number R-5353-O, which order created the Burton Flat-Bone
7 Spring Associated Pool in Eddy County, New Mexico, and
8 promulgated special pool rules therefor.

9 Are there appearances in this case?

10 MR. KELLAHIN: Mr. Examiner, my name is Tom
11 Kellahin. I'm with the Santa Fe law firm of Kellahin and
12 Kellahin. I'm appearing today on behalf of Maralo, Inc.

13 We are the original applicants for the special
14 pool rules for this associated pool, and I have two
15 witnesses to be sworn.

16 EXAMINER CATANACH: Additional appearances?

17 MR. BRUCE: Mr. Examiner, Jim Bruce from the
18 Hinkle law firm in Santa Fe, representing Exxon
19 Corporation.

20 We have no witnesses.

21 EXAMINER CATANACH: Any additional appearances?
22 Will the two witnesses please stand to be sworn
23 in?

24 (Thereupon, the witnesses were sworn.)

25 MR. KELLAHIN: Mr. Examiner, the two witnesses

1 I'm about to present are the same two witnesses that
2 appeared before Examiner Morrow back in July of 1994, upon
3 which the technical evidence was presented to justify the
4 establishment of this Bone Springs associated pool. It's
5 been identified as the Burton Flat-Bone Springs Associated
6 Pool.

7 As a result of the order entered, a copy of which
8 I've just supplied you, in August of 1994 the Division
9 established for the associated pool 80-acre oil spacing,
10 160-acre gas spacing. There's a special limiting gas-oil
11 ratio of 5000 to 1 and a depth bracket oil allowable of 222
12 barrels of oil a day.

13 We are back before you today to ask for a two-
14 year extension of these rules on a temporary basis,
15 principally to allow additional data to be gathered,
16 additional wells to be drilled, so that we can decide upon
17 permanent rules at a later date.

18 My first witness is Mr. John Thoma. Mr. Thoma is
19 a geologist.

20 JOHN THOMA,
21 the witness herein, after having been first duly sworn upon
22 his oath, was examined and testified as follows:

23 DIRECT EXAMINATION

24 BY MR. KELLAHIN:

25 Q. Mr. Thoma, for the record would you please state

1 your name and occupation?

2 A. My name is John Thoma and I'm a geologist for
3 Maralo.

4 Q. On prior occasions, Mr. Thoma, have you qualified
5 as an expert in the field of petroleum geology before the
6 Division?

7 A. Yes, I have.

8 Q. And you made the geologic presentation to
9 Examiner Morrow back in July of 1994 when this case was
10 first heard?

11 A. Yes.

12 Q. Subsequent to then, have you continued to be
13 involved in the geology in those aspects of that discipline
14 with regards to this particular pool and reservoir?

15 A. Yes.

16 Q. And as a result of that continuing study, do you
17 now hold conclusions and opinions concerning the special
18 rules for this pool?

19 A. Yes.

20 MR. KELLAHIN: We tender Mr. Thoma as an expert
21 petroleum geologist.

22 EXAMINER CATANACH: Mr. Thoma is so qualified.

23 Q. (By Mr. Kellahin) Let's turn to Exhibit 1, Mr.
24 Thoma, and let's take a moment to use that display to
25 orient the Examiner as to the wells involved in the pool,

1 and then we'll talk about your scientific conclusions.

2 First of all, let's look at the display and
3 identify for us the stippled yellow area. What's the
4 significance of that?

5 A. That is Maralo leasehold on the prospect in the
6 field area.

7 The map, Exhibit 1, is an isopach of porosity in
8 the First Bone Springs Sand greater than 12 percent. The
9 contour interval is 25 feet, and you can see that there are
10 a number of penetrations through that reservoir section.
11 The -- Each well which penetrated the measured section of
12 porosity has a value beside it.

13 The green markers on the map are wells currently
14 producing from the first Bone Springs sand. There is one
15 well in the southwest of the northwest of Section 32 which
16 has a half-moon marker on it. That is a show, a recorded
17 show from the first Bone Springs sand. That well has not
18 produced as yet from that sand.

19 Q. Let's look in Section 32. The acreage in Section
20 32 is subject to the Burton Flat associated rules we have
21 for this pool?

22 A. That's correct.

23 Q. Within Section 32, by your display, we show four
24 wells currently capable of production?

25 A. That is correct.

1 Q. Under the associated rules for classifying wells
2 as gas or oil, are any of those wells currently classified
3 as gas wells?

4 A. No.

5 Q. So each one would be subject, then, to 80-acre
6 oil spacing?

7 A. That's -- That is correct.

8 Q. Under that spacing pattern, are there still
9 available to you and your company satisfactory locations
10 for additional wells to be developed in Section 32 for this
11 production?

12 A. Yes.

13 Q. In addition to Section 32, when we look down in
14 Section 4, is there a portion of Section 4 that's also
15 included within the pool rules for this pool?

16 A. Yes, the well in the southeast of the northeast.

17 Q. The one that's shown with the 87 feet?

18 A. That's correct.

19 Q. And who operates that well?

20 A. Merit.

21 Q. Do you have a geologic conclusion about whether
22 or not all these wells are contained within the same common
23 source of supply?

24 A. Yes, I believe they are.

25 Q. Are the wells in this common source of supply

1 separated from any other pool as we move to the east?

2 A. Yes, I believe they are by termination of
3 porosity.

4 Q. When we go to the east, what is the next Bone
5 Springs pool that we encounter as we move in that
6 direction?

7 A. Due east, approximately two miles, is Avalon-Bone
8 Spring Pool.

9 Q. It will be East Avalon-Bone Springs Pool, I think
10 it is, or is it the Avalon?

11 A. To the east is Avalon.

12 Q. Okay. Now, when we look in Section 29 just to
13 the north of the existing pool, there is a Yates well in
14 the south half of 29 that has the same colored symbol as
15 your wells. What's the status of that well?

16 A. That well is producing from the first Bone Spring
17 sand.

18 Q. Geologically, are you in the same reservoir as
19 the Yates well in the south half of 29?

20 A. I believe we are.

21 Q. Currently under the Division's designation
22 procedure, in what pool is that well currently placed?

23 A. East Avalon-Bone Spring.

24 Q. So it's in the East Avalon-Bone Springs, which is
25 a gas pool, is it not?

1 A. That is correct.

2 Q. Do you have an opinion as to whether or not this
3 pool should continue to be managed as a separate source of
4 supply from the other pools designated by the Division?

5 A. I believe it should be.

6 Q. Okay. Let's talk about the pool rules
7 themselves.

8 The pool rules that we are currently operating
9 with have 80-acre oil spacing, 160 gas spacing. In terms
10 of your geologic exploration of the reservoir, is that an
11 appropriate spacing pattern to continue for the next two
12 years?

13 A. I believe it is.

14 Q. Will it provide you and other operators in the
15 pool the opportunity to further develop the reservoir?

16 A. Yes.

17 Q. Describe for us what has occurred since the last
18 hearing. When we were before the Examiner in the first
19 hearing, describe for us what wells were in the pool.

20 A. When we came to the Commission for temporary
21 rules, there was at that time one well -- There were two
22 wells that were completed in the reservoir, those being the
23 Yates Number 2 DS Stonewall in the northwest of the
24 southeast of Section 29 and the Keystone Number 1, operated
25 by Maralo, in the southwest of the northeast of Section 32.

1 Since that time, Maralo has drilled three development
2 wells.

3 Q. Let's put some numbers on the wells so that the
4 Examiner can keep track of where we are.

5 If we look within Section 32, the well that's got
6 the 165 feet of thickness in the Bone Springs, that was the
7 Number 1 well?

8 A. That's correct.

9 Q. And that's the well that we brought to hearing in
10 1994?

11 A. That's correct.

12 Q. Where is the Number 2 well?

13 A. The Number 2 Keystone is located in the northwest
14 of the southeast quarter of Section 32.

15 Q. It's got the 74 feet next to it?

16 A. That's correct.

17 Q. Number 3 was never drilled?

18 A. Number 3 was never drilled.

19 Q. Number 4 is which one?

20 A. It has 128 feet, and it is located in the
21 southeast of the northwest quarter of Section 32.

22 Q. And then finally the Number 5 well is where?

23 A. Located in the northwest of the northeast of
24 Section 32. It has 76 feet of reservoir.

25 Q. When you examine the logs of the additional wells

1 that were drilled, do you find that they're all connected
2 or can be correlated into the same reservoir?

3 A. They can be correlated as one reservoir.

4 Q. Describe for us the deposition and the
5 characteristics you see as a geologist for this reservoir.
6 What are we looking at?

7 A. We're looking at a reservoir section of about 200
8 gross feet. Within that reservoir section there are a
9 large number of lenticular reservoirs, which alternately
10 produce oil, gas and water. They mixed and not -- Those
11 fluids are mixed vertically and not segregated vertically.
12 And so when completions are made in this section, typically
13 the entire section is perforated and fracture-treated,
14 resulting in oil, gas and water production.

15 Q. Is it appropriate, then, to continue managing
16 this reservoir as an associated pool?

17 A. Yes, sir.

18 Q. And why is that true?

19 A. Because we believe as we continue to drill
20 upstructure, which is to the north -- the northwest --
21 we'll continue to see higher GOR -- gas-oil ratios in the
22 first Bone Springs sand. We do have some evidence of that,
23 that will be presented by our engineer.

24 The Exhibit 2, if I could jump to that --

25 Q. Sure, let's do that. First of all identify it,

1 and then let's talk about it.

2 A. Exhibit 2 is a structure map on top of the first
3 Bone Springs sand.

4 Q. Both Exhibit 1 and 2 are your work product?

5 A. Yes.

6 Q. Describe for us the conclusions from Exhibit 2
7 that you want to share.

8 A. Well, it simply shows the direction of depth
9 across Section 32, which is -- We're gaining structure to
10 the north, the northwest. And that is the basis for my
11 opinion that the GORs will continue to increase as we move
12 to the northwest, along with what we are seeing in our
13 producing wells.

14 Q. In Exhibit 1 and 2 there are some red triangles.
15 You have not identified those yet. What's their purpose?

16 A. Those are either staked or potential locations.
17 The two locations in Section 4 in the northeast quarter are
18 staked locations by Merit. They have intentions to drill
19 at least one of those two locations in 1995.

20 The two locations in Section 32 -- one being in
21 the southeast-southeast, the other being in the northwest-
22 northwest -- are locations available to Maralo, which I
23 believe are in positions which would encounter the maximum
24 reservoir section available to us on the acreage that we
25 own.

1 Q. Can --

2 A. Those two locations, Maralo has plans to drill
3 either in late 1995 or 1996.

4 Q. Can this further development continue under the
5 existing rules?

6 A. Yes.

7 Q. Have you been in contact with representatives of
8 Merit to determine their position with regards to
9 continuing these rules?

10 A. Yes, I have.

11 Q. And what position do they have?

12 A. They are in agreement.

13 Q. Are you aware of any opposition with regards to
14 continuing the rules on a temporary basis for another two
15 years?

16 A. No.

17 Q. Describe for us if there are any other analogies
18 in this are, Mr. Thoma, with regards to Bone Springs
19 production.

20 A. Old Millman Ranch field, which is a first Bone
21 Springs sand field, is located approximately four miles
22 northeast of the Burton Flat field. It produces from the
23 same reservoir section, although it is, I believe, a
24 separate reservoir, a separate accumulation.

25 Q. Is it being managed under rules that are similar

1 to those that you propose to continue in your reservoir?

2 A. Yes.

3 Q. It's an associated pool, is it not?

4 A. It is an associated pool.

5 Q. Can you give us an indication of information by
6 which you have inferred the permeability of the reservoir
7 that you're managing?

8 A. Yes, in the Old Millman Ranch field a full core,
9 a full-diameter core, was cut through the entire thickness
10 of the Bone Spring -- first Bone Springs sand, in the
11 Remington Number 3, Remington Federal Number 3. There were
12 also sidewall cores taken in a second well.

13 Both of these pieces of evidence indicate that
14 the average permeability of the first Bone Springs sand
15 reservoir is a half a millidarcy.

16 Q. That would be a tight reservoir for production
17 out of the Bone Springs, would it not?

18 A. Yes.

19 Q. How would that low-permeability reservoir affect
20 or exhibit itself in terms of rate or productivity of the
21 wells in your pool?

22 A. It would create the condition of rapid declines
23 and potentially low productivity from wells which
24 encountered lower thicknesses, lesser thicknesses of
25 reservoir.

1 And from my work in the pools, both of these
2 pools, an empirical value which we've generated for the
3 better wells is 100 feet of reservoir section, 100 feet of
4 12-percent reservoir. Wells which penetrate in excess of
5 100 feet typically yield reserves in excess of 100,000
6 barrels of oil, gross ultimate. Wells with less than 100
7 feet have GORs -- GURs -- which are much less than that, in
8 the range of 50,000 to 60,000 barrels per well.

9 Q. In order to obtain the most efficient development
10 and exploration of the pool you're in, do you see any
11 reason to change the spacing in the pool at this time?

12 A. No.

13 MR. KELLAHIN: That concludes my examination of
14 Mr. Thoma.

15 We move the introduction of his Exhibits 1 and 2.

16 EXAMINER CATANACH: Exhibits 1 and 2 will be
17 admitted as evidence.

18 EXAMINATION

19 BY EXAMINER CATANACH:

20 Q. Mr. Thoma, this Bone Spring interval consists of
21 several different, distinct reservoirs; is that correct?

22 A. Yes.

23 Q. And they're not in vertical communication?

24 A. Some of them are, through vertical fracturing.
25 Some of them are not. It's extremely difficult to

1 determine which are and which are not, because the bedding
2 -- you're looking at, as I said, approximately a 200-foot
3 gross interval, and the individual productive beds will
4 range anywhere from 2 feet up to 15 feet thick. And they
5 are segregated by very thin, 2- to 3-foot, tight siltstone,
6 nonporous siltstone rock.

7 Q. Is it generally the procedure of Maralo to
8 perforate all these different reservoirs?

9 A. Yes --

10 Q. Is -- Go ahead.

11 A. I was going to say, that is the general practice
12 in Millman Ranch also.

13 Q. Okay. Are there some of these sand lenses that
14 are just gas productive, or can you tell that?

15 A. From production testing, we have not determined
16 that. You can infer from log profiles neutron density
17 crossover and associated resistivities which you believe
18 are prone to be gas.

19 As I said, though, they are not vertically -- the
20 fluids in the reservoir are not vertically segregated in
21 terms of being gas on top, oil and water on the bottom.
22 You can have gas zones below oil zones, water zones above
23 oil zones, or water above gas.

24 And it's virtually because of the required
25 completion technique, which is a fracture treatment -- The

1 reservoir, being tight, requires a very aggressive fracture
2 treatment to produce. Because of that treatment, it is
3 impossible to segregate these reservoirs, from a completion
4 standpoint.

5 Q. Is it likely that, say, the well that you're
6 going to drill in the northwest-northwest -- Could that be
7 a gas well?

8 A. It could be. But we don't believe that those
9 reserves will be drained by existing wellbores because of
10 the low permeability of the reservoir.

11 Q. The well that you show to have a first Bone
12 Spring sand show in Section 32, what's the status of that
13 well?

14 A. It is producing -- Well, right now I think it's
15 shut in, in the Morrow. Exxon, to my understanding, has
16 plans to recomplete that wellbore from the Atoka. Maralo
17 owns the -- all rights -- Well, no, Maralo owns from the
18 base of the Delaware to the base of the Bone Springs
19 section, in the west half of Section 32, and Exxon owns the
20 balance of the rights, the Delaware in the section below
21 the base of the Bone Springs. And so they have plans to
22 rework the deep section in that well. Maralo does not own
23 that wellbore.

24 Q. Where is the location of the East Avalon-Bone
25 Spring Pool?

1 A. The well --

2 MR. KELLAHIN: I've got them plotted out, Mr.
3 Examiner. Let me show you my copy. I've taken on the
4 original exhibit that was presented in 1994 and outlined in
5 pink the boundary of the Avalon Oil Pool to the east. And
6 then the gas pool is shown in the green.

7 Q. (By Examiner Catanach) Okay, so the south half
8 of Section 29 where that Yates well is located, we did put
9 that in the East Avalon-Bone Spring Gas Pool; is that your
10 understanding?

11 A. The Yates DS well?

12 Q. Yeah, in the south half of 29.

13 A. Right, that's in the East Avalon Gas Pool.

14 Q. What separates the Burton Flat from the East
15 Avalon-Bone Spring Gas Pool?

16 A. In my opinion, nothing. I believe they're the
17 same pool.

18 Q. Do you know what that's spaced on, the East
19 Avalon?

20 A. It's statewide.

21 Q. 320?

22 A. 160, I think.

23 Q. 160. So as you move northwest in the Burton
24 Flat, you encounter the East Avalon, which -- Does that
25 continue to go upstructure to the northwest?

1 A. I believe it does, yes.

2 Q. That's why you have the gas wells in that area?

3 A. That's correct.

4 Q. Mr. Thoma, you talked about the permeability. Is
5 that -- How was that arrived at?

6 A. Full-core analysis.

7 Q. From the entire producing interval?

8 A. Yes, it was -- it was -- Core was cut from the
9 top to the base of the Bone Spring, or two or three cores
10 cut, and the entire core, full core diameter analysis was
11 run, and they generated permeabilities by foot.

12 Now, there are, within individual lenses in the
13 Bone Spring section in those wells, that particular well,
14 permeabilities as high as 4 millidarcies. But the average
15 perm for that entire core, the arithmetic average was a
16 half a millidarcy.

17 Q. What does that do to your oil drainage areas? Do
18 you have any idea how that affects it? Do you believe
19 these wells will ultimately drain 80 acres?

20 A. No.

21 Q. Why leave them on 80 acres for two more years?

22 A. Well, the main reason is that under the current
23 rules we can -- we need more data in the reservoir to
24 determine whether or not it's going to be an economic
25 project.

1 We've drilled -- As I said, we've drilled three
2 development wells. Two of those three right now are
3 marginally economic, and we really don't know yet whether
4 they will ultimately be economic.

5 The Number 1 -- The Keystone Number 1 and the
6 Keystone Number 5 are being put on pump as we speak.

7 The Keystone Number 2 still flows, although it
8 has declined significantly, and I think Mr. Gill will go
9 through some of these -- this information in more detail.

10 As of this point, we would like to see some of
11 the offset operators drill wells in the offsetting sections
12 to help us define the extent of the pool. We have not had
13 tremendous success extending the limits of this pool. We
14 have confirmed hydrocarbon presence in the first Bone
15 Springs sand. But in terms of commercial production and
16 viability of the reservoir, we're still a long way from
17 achieving that.

18 We think that the spacing we have right now will
19 enable us to continue our development. We feel that we
20 will be prudently developing the pool, continuing to
21 develop the pool, under the existing rules with the current
22 spacing, for the next 12 to 24 months.

23 It may be in 24 months, if we drill some wells,
24 particularly downdip in the south -- well, in the east half
25 of Section 32, in the southeast-southeast, if we can

1 encounter the kind of reservoir section that I'm
2 anticipating, that data point will give us much better
3 information as to not only GOR, what the ultimate GOR is
4 going to be in the good reservoir section where we feel we
5 will be draining a reasonable area, but it will also help
6 us to define further development of the pool in the east
7 half. And at that time I think we'll be much better
8 prepared to present drainage information.

9 Q. At this point, Maralo plans to drill only the two
10 additional wells in Section 32?

11 A. That's correct.

12 Q. And Merit -- You understand Merit is proposing to
13 drill one of two wells in Section 4 this next year?

14 A. Well, they've staked both of the wells in Section
15 4, and both of those wells as of this date are in their
16 drilling plans. One of those two will be drilled in 1995,
17 the other will be drilled in 1996.

18 And if those are successful, I am told that they
19 will continue developing in the northeast quarter of
20 Section 4.

21 Q. What's your understanding of the Exxon well? Are
22 they going to recomplete that, or do you know?

23 A. Yes, I've been told by Exxon that they do have
24 plans to recomplete that well in the Atoka.

25 Q. In the Atoka?

1 A. In the Atoka.

2 Q. They're not going to recomplete to the Bone
3 Spring?

4 A. They do not have Bone Spring rights. We have the
5 Bone Spring rights.

6 Q. Oh, okay.

7 A. We have attempted to get -- acquire that wellbore
8 from Exxon, and they have declined our offers because of
9 their plans to recomplete in the Atoka.

10 Q. You say the Old Millman Ranch, it exhibits
11 similar reservoir characteristics?

12 A. Yes.

13 Q. Multiple producing intervals?

14 A. That is correct.

15 Q. It's spaced on 80s and 160s, to your knowledge?

16 A. It was originally spaced on 80s and 160s. It has
17 since been downspaced to 40s and 80s with a 5000-to-1 GOR.
18 The GOR did not change in the transition from temporary to
19 permanent field rules, but the field was downspaced.

20 EXAMINER CATANACH: Okay, I think that's all the
21 questions I have, Mr. Kellahin.

22 MR. KELLAHIN: For reference, Mr. Examiner, the
23 oil pool immediately east of the pool we're talking about,
24 which is the East Avalon-Bone Springs Oil Pool, it's got a
25 5000-to-1 GOR, and that's subject to Division Order R-8897,

1 issued in April of 1989.

2 Call our next witness, Mr. Richard Gill.

3 RICHARD GILL,

4 the witness herein, after having been first duly sworn upon
5 his oath, was examined and testified as follows:

6 DIRECT EXAMINATION

7 BY MR. KELLAHIN:

8 Q. Mr. Gill, for the record, sir, would you please
9 state your name and occupation?

10 A. My name is Richard Gill. I'm a petroleum
11 engineer for Maralo, Incorporated.

12 Q. And where do you reside, sir?

13 A. In Midland, Texas.

14 Q. On prior occasions have you testified and
15 qualified before the Division as an expert petroleum
16 engineer?

17 A. Yes, I have.

18 Q. Have you conducted engineering analysis on the
19 production from the Bone Springs pool that we're talking
20 about here today?

21 A. Yes, I have.

22 Q. And have you taken that information and generated
23 some exhibits for discussion?

24 A. Yes, I have.

25 MR. KELLAHIN: We tender Mr. Gill as an expert

1 petroleum engineer.

2 EXAMINER CATANACH: Mr. Gill is so qualified.

3 Q. (By Mr. Kellahin) As part of your work, Mr.
4 Gill, have you prepared for the Examiner production plots
5 on the four wells that Maralo operates in Section 32 of the
6 pool?

7 A. Yes, I have. They're --

8 Q. Let's talk about generally what you see in terms
9 of the performance of the wells in the pool.

10 A. Okay.

11 Q. When we look at a typical performance of one of
12 these Bone Springs oil pool wells, what are we seeing for
13 the oil well?

14 A. The oil well -- Most of these wells will come
15 in -- They've all come in flowing at pretty reasonable
16 rates but the production drops off rather quickly.

17 Q. Do you have any of your oil wells that are still
18 capable of production on a flowing basis?

19 A. Yes, we do. The Keystone Number 2 is still
20 flowing.

21 Q. As to the other two oil wells, what are your
22 plans for continuing the production of those wells?

23 A. Both wells are set to be put on pump. We have
24 pumping units and rods in the well. We're just waiting on
25 the electricity right now.

1 Q. Okay. Would the continuation of the current
2 rules for an additional two-year period allow you as an
3 engineer to gather additional reservoir and production
4 data?

5 A. Yes, it would.

6 Q. From that additional data, will you be able to
7 more appropriately determine drainage areas for the wells
8 and the appropriate spacing patterns for the pool?

9 A. Yes, I will.

10 Q. Are you able to conduct those calculations now to
11 your satisfaction?

12 A. No.

13 Q. There's simply not enough data from which you can
14 accurately perform drainage calculations?

15 A. That's correct.

16 Q. Can you give us some sense of the difficulties
17 that you're having?

18 A. There's just not enough production data, and the
19 fact that the wells are flowing. I'd like to see them on
20 pump for a while and see what they can do.

21 Q. All right, let's go through the production plots
22 then. If you'll start with 3, Exhibit 3, that is the
23 Keystone 1 well.

24 A. Exhibit 3 is the Keystone 1, production curve.
25 The curves are signified -- green is oil, red is gas, the

1 yellow is the GOR. And as you can see, the oil production
2 has taken a nosedive to where it is today. It's shut in,
3 no longer capable of flowing..

4 Q. Okay, and what are your plans for this well,
5 then?

6 A. It will be put on pump just -- anytime.

7 Q. All right. Let's look now at Exhibit 4, which is
8 the Keystone 2. Describe for us what you see on that well.

9 A. The Keystone 2, again, you see a pretty steep
10 decline in the oil rate, although here in the last six
11 months it looks like it is leveling off a little bit.

12 Q. And what are the plans for this well?

13 A. We'll continue to flow it as long as it will
14 flow. And once it dies, we'll put it on pump.

15 Q. Okay. What's the current rate on this well? Do
16 you remember?

17 A. The current rate is about to -- I believe it's
18 about 25 barrels a day.

19 Q. Okay. Going to Exhibit 5, let's look at the
20 Keystone 4. Describe the performance of that well for us.

21 A. The Keystone 4 is still flowing. The oil
22 production has dropped some, the gas production seems to be
23 holding pretty steady. It's our largest gas producer.

24 Q. In terms of the gas allowable for the associated
25 pool, under the formula by which you're allowed to produce

1 the well the maximum allowable is what? Just over 2.2
2 million a day?

3 A. That's correct, right.

4 Q. And what is this well capable of doing?

5 A. We're producing just almost a million a day.

6 Q. Do you see any adverse consequence in this
7 associated pool to maintaining the 5000-to-1 GOR for the
8 next two years?

9 A. No.

10 Q. You don't see any impact of gas withdrawals on
11 oil production?

12 A. No, I don't believe so.

13 Q. Okay. Let's turn to Exhibit 6 and look at the
14 Keystone 5. Describe the performance of that well.

15 A. The Keystone 5 came on, began production in
16 April, and it has dropped to the point now it's no longer
17 capable of flowing either.

18 Q. And the plans for this well?

19 A. It will be put on pump immediately.

20 Q. Okay. Have you taken this information and put it
21 together in the terms of a tabulation --

22 A. Right.

23 Q. -- by month of the various production levels?

24 A. That's correct, Exhibit 7 is a tabulation of just
25 the numbers that are on these graphs.

1 Q. All right, let's do that, let's look at Exhibit
2 7. Tell us how you've organized the spreadsheet.

3 A. Exhibit 7 shows columns across the top, the four
4 wells we have producing, the Keystone 1, 2, 4 and 5, and
5 then broken out underneath each of those wells are the oil,
6 gas and the GOR rates.

7 Q. Number 4 is going to be the high-GOR well?

8 A. That's correct.

9 Q. Has it reached the point where it could be
10 classified as a gas well under the associated rules?

11 A. Probably not quite. It runs close to 30,000 GOR,
12 but not quite.

13 Q. So you're still under the 30,000 benchmark for
14 identification?

15 A. That's correct.

16 Q. Let's set that aside because of its high GOR.
17 Let's look at the 1, 2 and 5 wells. When you compare oil
18 to gas and calculate the monthly producing GOR, do you see
19 any adverse consequence to continuing to produce these
20 wells under the current rules?

21 A. No, I don't. The Keystone, particularly the
22 Keystone 2 and 4, the GORS in those wells have remained
23 relatively constant through their life, the Keystone 2
24 probably averaging somewhere in the 13,000, 14,000 GOR
25 range. The Keystone 5 is running about 10,000 GOR. The

1 Keystone 1 has seen an increase in GOR, but that's due to
2 the drop in the oil production.

3 Q. Okay. As best you can see as an engineer, you
4 don't see any adverse consequence from any of the
5 components of the current rules?

6 A. No, sir, I do not.

7 Q. What's your position with regard to continuing
8 these rules for another two years?

9 A. I think to be able to continue for another couple
10 years will give us just that much more data points on
11 production, get the wells on pump and see what they'll do
12 while they're pumping. Plus, as Mr. Thoma mentioned, the
13 fact that we can drill a couple more wells and see what
14 kind of performance we get out of those wells. All that
15 data combined would be able to give us a lot better handle
16 on what we would need on a permanent basis.

17 MR. KELLAHIN: That concludes my examination of
18 Mr. Gill.

19 We move the introduction of his Exhibits 3
20 through 7.

21 EXAMINER CATANACH: Exhibits 3 through 7 will be
22 admitted as evidence.

23 EXAMINATION

24 BY EXAMINER CATANACH:

25 Q. Mr. Gill, these wells have not established a

1 decline yet?

2 A. No, sir, I don't think they've reached a point
3 where they'll level off. I think, as Mr. Thoma was talking
4 earlier, the nature of this kind of reservoir is, you'll
5 see a fast decline initially, but then they'll begin to
6 level out at some point, and I don't think we've found that
7 point yet.

8 And once they reach that point, they should stay
9 relatively flat for a long period of time.

10 Q. How close do you anticipate being to that point
11 where they start?

12 A. I'm hoping by putting the Number 1 and the Number
13 5 on pump in the next couple of weeks, you know, certainly
14 within, you know, a year's period of time on those wells,
15 we might have a good idea.

16 I would also anticipate that probably within that
17 period of time, the Number 2 will probably have to be put
18 on pump. Again, all those factors should guide us toward a
19 reasonable decline curve that we could accept for the
20 field.

21 Q. With this type of reservoir, are you going to be
22 able to calculate volumetrically oil in place?

23 A. I haven't done that because I'm not real
24 confident that the numbers will mean a whole lot. But I'm
25 sure we'll attempt it. You know, again, the way the -- The

1 thin layers of the different reservoirs, it will be pretty
2 hard to come up with a real good handle just how much pay
3 thickness is really contributing.

4 Q. The gas allowable for these wells is 2.2 million
5 a day?

6 A. I believe that's correct.

7 Q. 5000-to-1 GOR. What's the oil allowable? Do you
8 know?

9 A. 222.

10 Q. Mr. Kellahin asked you whether or not high gas
11 withdrawals will affect the reservoir. You said no. What
12 do you base that on, Mr. Gill?

13 A. The fact that the -- based on our production to
14 date, we're not seeing any, you know, marked increase in
15 GOR on the other producing wells, again with the exception
16 of the Keystone Number 1, but again that's a factor that --
17 the oil production dropping down to nothing.

18 Again, I think when we put the wells on pump we
19 should get a better handle on what our oil rates will be
20 and also what our GORs will be. I'm not quite sure exactly
21 what will happen there. I would anticipate an increase in
22 gas production, along with the increase in oil production.
23 But to date I don't see -- The production decline is, in my
24 opinion, a reflection of the reservoir, of the tightness of
25 the reservoir, and not due to any withdrawal of the gas.

1 Q. What's the significance of a two-year period for
2 the continuation of the wells?

3 A. Just an effort to gain as much data as we can.
4 Plus again, to get some more wells drilled. Like I say, I
5 know that our wells will be drilled probably within the
6 next year. And if Merit gets theirs drilled in the next
7 year, that would give us at least four more wells plus some
8 time to see some production from those wells.

9 I would point out that on Exhibit 1, our Keystone
10 Number 1 well had the highest thickness, 165 feet, but yet
11 it's one of our poorer producers. I just wanted to point
12 out to you the mechanical problems we had in completing
13 that well.

14 We're hoping that if we can get another well, a
15 new-drilled well -- That well was a wrench of an old well
16 that had been there a long time, had no cement across the
17 zone. We had trouble cementing it. We also had trouble
18 frac'ing it. We're anticipating that if we can drill a new
19 well, get that kind of thickness, we could obtain
20 considerably different kind of production rates out of it.

21 Q. With the data you've seen so far, do you have an
22 opinion as to whether these wells at this point in time
23 will drain 80 acres?

24 A. With the data I have right now, I would venture
25 to say they won't drain 80 acres.

1 Q. Do you think the additional data gathered in this
2 two-year period might change that?

3 A. I think so. If -- Again, if we drill a well to
4 the east side that encounters the thick sand and get -- you
5 know, and produces more like what we'd anticipate, then
6 that might change our opinion.

7 EXAMINER CATANACH: I have nothing further, Mr.
8 Kellahin.

9 MR. KELLAHIN: That concludes our presentation,
10 Mr. Examiner.

11 EXAMINER CATANACH: Okay, there being nothing
12 further in this case, Case Number 11,040 will be taken
13 under advisement.

14 (Thereupon, these proceedings were concluded at
15 9:52 a.m.)

16 * * *

17
18
19
20
21 I do hereby certify that the foregoing is
22 a complete record of the proceedings in
23 the hearing and reading of Case No. 11040,
heard by me on 9/21 1995.

24 David L. Catanch, Examiner
25 Oil Conservation Division


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
 COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL September 25th, 1995.



STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 14, 1998