

NEW MEXICO OIL CONSERVATION COMMISSION

COMMISSION HEARING

SANTA FE, NEW MEXICO

Hearing Date SEPTEMBER 22, 1994 Time: 9:00 A.M.

NAME	REPRESENTING	LOCATION
Muriel Turner	Rocky Mountain	S.F.
Jan F...		Fortington
Carl...		Bellevue
Mr.
Samuel ...	Lower ...	Albuquerque
Robert S. Fant		...
DAVE BONEAC	Nation ...	Albuquerque
Tonya Trujillo	Compton ...	S.F.
Nancy Roth
...
James
Elizabeth
Glenn
Victor T.	Santa Fe
Jerry Hoover	...	Midland, TX
Mark	Midland TX

NEW MEXICO OIL CONSERVATION COMMISSION

COMMISSION HEARINGSANTA FE, NEW MEXICOHearing Date SEPTEMBER 22, 1994 Time: 9:00 A.M.

NAME	REPRESENTING	LOCATION
Wayne Bailey	Bass Enterprises	Ft. Worth
Bill Duncan	Exxon	
Gregg A. Hillis	Bass Enterprises	Ft. Worth.
James Bruce	Arnhle Law Firm	Santa Fe
V. Ronald Platt	Bass Enterprises	Ft. Worth, TX
J. H. ...		

STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION COMMISSION


IN THE MATTER OF THE HEARING)
 CALLED BY THE OIL CONSERVATION)
 COMMISSION FOR THE PURPOSE OF)
 CONSIDERING:)

CASE NO. 11,102

APPLICATION OF THE OIL)
 CONSERVATION DIVISION ON)
 ITS OWN MOTION)

ORIGINALREPORTER'S TRANSCRIPT OF PROCEEDINGSCOMMISSION HEARING

BEFORE: WILLIAM J. LEMAY, CHAIRMAN
 WILLIAM WEISS, COMMISSIONER
 GARY CARLSON, COMMISSIONER



September 22nd, 1994

Santa Fe, New Mexico

This matter came on for hearing before the Oil
 Conservation Commission on Thursday, September 22nd, 1994,
 at Morgan Hall, State Land Office Building, 310 Old Santa
 Fe Trail, Santa Fe, New Mexico, before Steven T. Brenner,
 Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

September 22nd, 1994
Commission Hearing
CASE NO. 11,102

PAGE

EXHIBITS

4

APPEARANCES

5

APPLICANT'S WITNESSES:

JIM MORROW

Direct Examination by Mr. Carroll	8
Examination by Commissioner Carlson	15
Examination by Chairman LeMay	16

CHRIS WILLIAMS

Direct Examination by Mr. Carroll	18
Examination by Commissioner Weiss	23
Examination by Commissioner Carlson	24

EXXON WITNESS:

WILLIAM T. DUNCAN, JR.

Direct Examination by Mr. Bruce	27
Examination by Commissioner Weiss	40
Examination by Commissioner Carlson	42
Examination by Chairman LeMay	44
Further Examination by Commissioner Weiss	47

CONOCO WITNESS:

MARK McCLELLAND

Direct Examination by Mr. Kellahin	48
Examination by Commissioner Weiss	55

ORYX WITNESS:

MARK A. PEAHEY

Direct Examination by Mr. Kellahin	56
Examination by Commissioner Carlson	63

I N D E X (Continued)

	Page
STATEMENTS READ BY MS. TRUJILLO:	
On behalf of Amerada Hess	
Re: Eumont Gas Pool	64
On behalf of Chevron USA Production Company	
Re: Eumont Gas Pool	65
On behalf of Chevron USA Production Company	
Re: Indian Basin Upper Penn Gas Pool	67
STATEMENT BY MR. KELLAHIN:	
On Behalf of Marathon Oil Company	
Re: Blinebry Oil Pool	68
Re: Eumont Gas Pool	68
Re: Indian Basin Upper Penn Pool	68
MERIDIAN WITNESS:	
<u>JAMES FRASER</u>	
Direct Examination by Mr. Kellahin	69
Examination by Chairman LeMay	74
STATEMENT BY MS. TRUJILLO:	
On behalf of Amoco Production Company	76
STATEMENT BY MR. KELLAHIN:	
On Behalf of Phillips Petroleum Company	76
REPORTER'S CERTIFICATE	78

* * *

1	E X H I B I T S		
2		Identified	Admitted
3	OCD Exhibits:		
4	Exhibit 1	9	15
5	Exhibit 2	9	15
6	Exhibit 3	20	23
7	Exhibit 4	20	23
8	Exhibit 5	21	23
9	Exxon Exhibits:		
10	Exhibit 1	28	40
11	Exhibit 2	31	40
12	Exhibit 3	33	40
13	Exhibit 4	35	40
14	Exhibit 5	36	40
15	Conoco Exhibits:		
16	Exhibit 1	50	55
17	Exhibit 2	52	55
18	Exhibit 3	53	55
19	Oryx Exhibits:		
20	Exhibit 1	58	62
21	Exhibit 2	59	62
22	Exhibit 3	59	62
23	Exhibit 4	60	62
24	Exhibit 5	60	62
25	Exhibit 6	60	62
26	Exhibit 7	61	62
27	Exhibit 8	61	62
28	Exhibit 9	62	62
29	Meridian Exhibit:		
30	Exhibit 1	70	-
31	Exhibit 2	70	-
32	Exhibit 3	73	-

* * *

A P P E A R A N C E S

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

FOR THE OIL CONSERVATION DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
State Land Office Building
Santa Fe, New Mexico 87504

FOR EXXON CORPORATION:

HINKLE, COX, EATON, COFFIELD & HENSLEY
218 Montezuma
P.O. Box 2068
Santa Fe, New Mexico 87504-2068
By: JAMES G. BRUCE

FOR AMOCO PRODUCTION COMPANY, AMERADA HESS,
and CHEVRON USA PRODUCTION COMPANY:

CAMPBELL, CARR, BERGE & SHERIDAN, P.A.
Suite 1 - 110 N. Guadalupe
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: TANYA M. TRUJILLO

FOR MARATHON OIL COMPANY; PHILLIPS PETROLEUM COMPANY;
CONOCO, INC.; ORYX ENERGY COMPANY; MERIDIAN OIL, INC:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

* * *

1 WHEREUPON, the following proceedings were had at
2 9:03 a.m.:

3

4 CHAIRMAN LEMAY: Good morning. This is the Oil
5 Conservation Commission hearing.

6 My name is Bill LeMay. To my left is
7 Commissioner Bill Weiss, to my right Commissioner Gary
8 Carlson representing the Commissioner of Public Lands,
9 State of New Mexico.

10 We're here today to consider first of all Case
11 Number 11,102, which is the Application of the Oil
12 Conservation Division on its own motion to consider the
13 proposed October 1994 to March 1995 gas allowables in the
14 prorated gas pools in New Mexico.

15 At this time I shall call for appearances in Case
16 Number 11,102.

17 MR. CARROLL: Mr. Chairman, Rand Carroll on
18 behalf of the Oil Conservation Division.

19 I have two witnesses.

20 CHAIRMAN LEMAY: Thank you, Mr. Carroll.
21 Additional appearances?

22 MR. BRUCE: Mr. Chairman, Jim Bruce from the
23 Hinkle law firm in Santa Fe, representing Exxon
24 Corporation.

25 I have one witness.

1 CHAIRMAN LEMAY: Thank you, Mr. Bruce.

2 MS. TRUJILLO: Mr. Chairman, I'm Tanya Trujillo
3 from the Santa Fe law firm Campbell, Carr, Berge and
4 Sheridan, here on behalf of Amoco Production Company,
5 Amerada Hess and Chevron USA Production Company.

6 I have no witnesses today, but I have some
7 statements to read.

8 CHAIRMAN LEMAY: Thank you, Ms. Trujillo.
9 Mr. Kellahin?

10 MR. KELLAHIN: Mr. Chairman, I'm Tom Kellahin of
11 the Santa Fe law firm of Kellahin and Kellahin, appearing
12 today on behalf of Marathon Oil Company; Phillips Petroleum
13 Company; Conoco, Inc.; Oryx Energy Company; Meridian Oil,
14 Inc.

15 From those companies I have three witnesses, and
16 then statements from the balance.

17 CHAIRMAN LEMAY: Thank you, Mr. Kellahin.
18 Additional appearances in the proration case?
19 Will those witnesses that will be giving
20 testimony please stand and raise your right hand?

21 (Thereupon, the witnesses were sworn.)

22 CHAIRMAN LEMAY: Thank you.

23 Mr. Carroll, we'll get the show rolling with you.

24 MR. CARROLL: Thank you.

25 I call Jim Morrow to the stand.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

JIM MORROW,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. CARROLL:

Q. Mr. Morrow, will you please state your name and your residence?

A. Yes, my name is Jim Morrow. I reside in Santa Fe.

Q. And Mr. Morrow, who are you employed by and in what position are you employed?

A. By the Oil Conservation Division as Chief Petroleum Engineer.

Q. Have you testified before the Oil Conservation Commission before and had your qualifications accepted as an expert?

A. Yes.

Q. And do your duties as a petroleum engineer include managing gas proration and the Application of proration rules and regulations to operators in New Mexico?

A. Yes.

Q. And for today's hearing, have you prepared exhibits regarding gas proration?

A. Yes.

Q. And Mr. Morrow, I'll direct you to what is marked

1 as OCD Exhibit Number 1. Could you explain what is
2 contained on this exhibit?

3 A. Yes, sir. I might go ahead and talk about
4 Exhibits 1 and 2 together. They're very similar.

5 Q. All right.

6 A. And they are the allowable determination
7 schedules which we've been using for the last several
8 allocation periods as a starting place in determining
9 allowables for the prorated pools in New Mexico.

10 These schedules start with pool production for
11 the previous winter period and assume that the allowable
12 for the next similar period should be very similar to last
13 year's production for that six-month period.

14 Marginal production is then subtracted from total
15 pool production to come up with an amount to be divided up
16 among the nonmarginal wells or gas proration units in each
17 pool.

18 For the upcoming period, October through March,
19 the production information which is usually available to us
20 was not this time. That was because of delays in getting
21 the 1994 C-115 information into the new ONGARD system. So
22 most of the numbers on these two schedules are the best
23 estimates we could make using the production data which was
24 available.

25 We did look at October through December, 1993,

1 and that was available for most of the pools, so we just
2 doubled that and assumed that that would be the production
3 for the six-month period.

4 The --

5 Q. Now, Mr. Morrow, I notice for the Blinebry and
6 the Tubb Pools there's zero production. Why is that?

7 A. Yes, sir, the totals which come out on the
8 statistical report combine both the casinghead gas and gas
9 well gas for those two pools, so it takes a program -- One
10 of the ONGARD programs is necessary to seine the gas well
11 production data out of the total pool data. So we really
12 didn't have any data there; we just used what we thought
13 would be about right from previous periods and put that in
14 the adjustment column in order to come up with a number for
15 the Tubb and the Blinebry.

16 I might point out that the number of nonmarginal
17 wells in each pool is also an estimate, and we feel like
18 this is probably high.

19 We have done some preliminary reclassifications
20 in each of the pools, and while the information that those
21 reclassifications is based on is incomplete, it does appear
22 that there will be even fewer nonmarginal wells for future
23 proration, for this coming-up proration period, than what
24 is shown here in the schedule, and what's shown in the
25 schedule is taken from last period's number of nonmarginal

1 wells.

2 Q. Mr. Morrow, taking you through the math on
3 Exhibit 1, it appears that columns 1 and 2 add up to column
4 3. If you subtract column 4 from column 3, you get column
5 5. And if you divide 5 by column 6, you wind up with the
6 number in column 7; is that correct?

7 A. That's on Exhibit 1 you're talking about?

8 Q. Yes.

9 A. Yes, sir, I believe that's correct, what you
10 said.

11 Q. And in the sixth column, the number of
12 nonmarginal acreage factors, that just doesn't refer to
13 wells, does it? It refers to gas proration units?

14 A. Yes, sir, that's right. There might be two wells
15 in some of the gas proration units, and some of the gas
16 proration units might be fractional proration units, less
17 than a full one, or maybe more than a full one.

18 Q. Now, turning to Exhibit 2, the math is a little
19 more complicated. The computations -- You add another
20 step; is that correct?

21 A. Yes, sir, the math to be assigned to the
22 nonmarginal wells in the pools in the northwest is based on
23 a two-phase allocation formula. Part of the allowable is
24 distributed based on acreage, and part of it is distributed
25 based on acreage times deliverability. So you do have two

1 factors in the northwest.

2 Q. And the pools in the northwest, there's one pool
3 governed by its own dual computation, and then the last
4 three, the Blanco Mesaverde, the Blanco P.C South, and the
5 Tapacito Pictured Cliffs, have a different --

6 A. Yes, sir, in the Basin Dakota 60 percent of the
7 allowable is distributed based on acreage, and then the
8 other three, 25 percent of the allowable is distributed
9 based on acreage, and the remainder on acreage times
10 deliverability for each well.

11 Q. So for example, in the Basin Dakota, you would
12 take the monthly nonmarginal pool allowable in Column 5 and
13 take that times 60 percent, then you divide it by 15, and
14 you'd get 11,200 for the acreage factor?

15 A. Yes, that's right.

16 Q. And then for the acreage-times-deliverability
17 factor, you would take the 280,000 times .4, divided by the
18 8000 in column 7, and you'd wind up with the 14 in the last
19 column?

20 A. Yes, sir.

21 Q. And then you would take that 14 times the
22 deliverability of the gas proration unit, if the acreage
23 factor was 1, to find out the remainder of the gas
24 allowable for that --

25 A. That's right.

1 Q. -- GPU?

2 A. That's right.

3 Q. Now, in these exhibits, Mr. Morrow, you're not
4 really making a specific recommendation as to gas
5 allowables but merely recommending a starting point from
6 which adjustments can be made if the evidence is there; is
7 that correct?

8 A. That's correct, based on what we've seen in the
9 past allowable assignments. And we've talked to Gas
10 Marketing, and they feel that there will probably be no
11 decline in the demand for New Mexico gas, at least no
12 decline. So we feel that these would approximate what the
13 allowable should be, at least.

14 Q. Mr. Morrow, do you have an opinion on the effect
15 of prorationing on gas proration units, really on the
16 ability -- Or does gas prorationing impose an artificial
17 restraint on production from prorated pools?

18 A. No, I don't think it is at this time. With the
19 high demand that New Mexico has enjoyed for its gas and the
20 allowables that we've been assigning, we've just about
21 changed all the wells in all the prorated pools from
22 nonmarginal status to marginal, so that most of the wells
23 in the prorated pools can't make the allowables that have
24 been assigned.

25 So there's very little restrictions on the wells,

1 even in the prorated pools, by the gas proration system.

2 Q. Well if -- Mr. Morrow, if gas prorationing
3 doesn't really affect hardly any wells in the State, is
4 there any reason to keep gas prorationing?

5 A. Yes, we think there is. There are some pools
6 where there's extremely high production, the Indian Basin
7 Upper Penn, for instance. Prorated wells there produce
8 around 6 million a day, and even some marginal wells
9 produce -- wells assigned marginal status produce in excess
10 of 5 million a day.

11 So I think there is. It puts a cap on
12 production, and it allows some equity which wouldn't be
13 there otherwise.

14 Also in the Eumont and the Jalmat Pool, there are
15 some small-acreage tracts which the allowable system
16 assigns much lower allowables to than it does the larger
17 acreage tracts and provides for protection of correlative
18 rights in those situations.

19 I think on some of those small-acreage tracts
20 that operators would probably work their wells over and
21 produce much more than they're producing now, if they were
22 completely unrestricted and could produce anything they
23 wanted to.

24 MR. CARROLL: Thank you, Mr. Morrow.

25 I have nothing further, Mr. Chairman, and I offer

1 OCD Exhibits Number 1 and 2 into evidence.

2 CHAIRMAN LEMAY: Without objection, Exhibits 1
3 and 2, OCD, will be admitted into the record.

4 Questions of Mr. Morrow?

5 Commissioner Weiss?

6 COMMISSIONER WEISS: I have no questions.

7 CHAIRMAN LEMAY: Commissioner Carlson?

8 EXAMINATION

9 BY COMMISSIONER CARLSON:

10 Q. Could you explain, Jim, some of the pool
11 adjustment figures, where those came from?

12 A. Yes, sir. In -- As I stated, we really didn't
13 have good production data here, so actually what we did is
14 go in and decide what we thought the allowable should be,
15 based on what we saw as production and what we had been
16 assigning in previous periods.

17 So some of those adjustments, for instance, the
18 one in the Atoka Penn, the one -- Well, let's just take the
19 one in the Atoka Penn. It was assigned in order to get the
20 allowable up to something similar to what we had been
21 assigning there. Since we didn't have good production
22 data, we didn't have -- really didn't have a good reason to
23 reduce or recommend a reduction in the allowable, so we put
24 an adjustment in there.

25 Q. So you started at the allowable and worked

1 backwards?

2 A. More or less, yeah. We just --

3 Q. And just --

4 A. -- kind of came up with something that we could
5 start with, is what we did, since we didn't have any
6 production data.

7 Q. I see.

8 A. Do you want me to go ahead and explain the
9 others, or is that --

10 Q. Well, if that's the case with all --

11 A. Yeah.

12 Q. -- whatever it is, four of them, that's fine.

13 A. Okay.

14 COMMISSIONER CARLSON: Thank you.

15 EXAMINATION

16 BY CHAIRMAN LEMAY:

17 Q. Just for my own clarification, on Exhibit 2, in
18 the average monthly allowable for the well, the nonmarginal
19 well in those pools would be the second from the right
20 column, huh? The -- Like Basin Dakota would produce -- be
21 allowed a little over 11 million a month and --

22 A. If you had a well that -- Let's say you had a
23 well that had a deliverability of a million and it had an
24 acreage factor of 1, then it would get the 11.2 million
25 assigned to it, plus an allowable equal to 14, times its

1 deliverability, times its acreage factor. So that would
2 get it another 14 million. It would get two --

3 Q. I see, so --

4 A. There would be two components to the allowable
5 assignment.

6 The first would be the monthly acreage allocation
7 factor times the acreage factor for that proration unit.
8 If it were one, it would be 11,200.

9 And then the other component of the allowable
10 would be 14, times the deliverability, times the acreage
11 factor. And those two would be added together to come to
12 the total allowable.

13 Q. So there wouldn't be an average -- Because you
14 have the deliverability factor, which would vary, if you
15 had an acreage factor of 1, you're adding the last two
16 columns, assuming a deliverability of a million?

17 A. Right. A well with better deliverability would
18 need and would get a better allowable, a higher allowable.

19 CHAIRMAN LEMAY: All Right. Yeah, I thought that
20 was it.

21 Thank you very much.

22 I have no additional questions of the witness.

23 THE WITNESS: Thank you.

24 CHAIRMAN LEMAY: You may be excused, thank you.

25 MR. CARROLL: Call Chris Williams to the stand.

1 CHRIS WILLIAMS,
2 the witness herein, after having been first duly sworn upon
3 his oath, was examined and testified as follows:

4 DIRECT EXAMINATION

5 BY MR. CARROLL:

6 Q. Mr. Williams, would you please state your name
7 and your place of residence?

8 A. Chris Williams. I live in Santa Fe.

9 Q. And Mr. Williams, where are you employed and in
10 what position are you employed?

11 A. I'm employed by the Oil Conservation Division as
12 a natural gas marketing specialist.

13 Q. Mr. Williams, have you previously testified and
14 had your qualifications accepted as a gas marketing
15 specialist?

16 A. No.

17 Q. Could you please summarize your post-high-school
18 educational background?

19 A. I have a bachelor's degree in business with
20 emphasis in petroleum land management and management, and
21 that's it.

22 Q. Would you also please summarize your professional
23 background since college?

24 A. I have about 17 years of experience in the oil
25 and gas industry, from roustabout to field engineer.

1 Q. And who were you employed by during that 17
2 years?

3 A. I was employed by Shell Oil for 10 years and
4 Hondo Oil for three years, and four years in this job.

5 Q. And what are your duties in your current
6 position?

7 A. As a gas marketing specialist, our primary duties
8 are to promote and advocate the sale of New Mexico-produced
9 natural gas at FERC, at California Public Utilities
10 Commission, to try and seek out new markets for the
11 increased production that we have.

12 Q. And in the course of your duties, do you look at
13 production trends and market trends regarding New Mexico-
14 produced natural gas?

15 A. Correct.

16 Q. And are you prepared to make opinions today
17 regarding the ability of New Mexico gas to find markets?

18 A. Yes.

19 MR. CARROLL: I offer Mr. Williams as an expert
20 gas marketing specialist.

21 CHAIRMAN LEMAY: His qualifications are
22 acceptable.

23 Q. (By Mr. Carroll) Mr. Williams, have you prepared
24 exhibits for today to support your conclusion regarding the
25 increasing ability of New Mexico gas to find markets?

1 A. Yes.

2 Q. And are they marked as OCD Exhibits 3 through 5?

3 A. Right.

4 Q. Let's look at Exhibit Number 3 first. What does
5 this show the Commission?

6 A. Basically this is a breakdown of production in
7 New Mexico by the different types of gas that we have,
8 which is coal seam gas, Permian conventional and casinghead
9 gas and San Juan conventional gas.

10 And we don't have any production numbers from
11 1994, which Mr. Morrow has already stated, but in 1993 the
12 biggest jump in natural gas production occurred in the San
13 Juan Basin due to coal seam development.

14 The Permian casinghead and conventional gas and
15 San Juan conventional are both, at the present time, just
16 holding steady. They're not declining that much.

17 Q. So all the incremental gas produced is largely
18 attributable to --

19 A. It's coal seam gas.

20 Q. -- coal seam gas. All right.

21 Let's move to Exhibit Number 4, and what does
22 this tell the Commission?

23 A. This is the exhibit of what coal seam has done in
24 New Mexico since 1989. Coal seam development actually
25 started in 1988, and this shows the general trend and rise

1 in coal seam production.

2 At the present time there's over 1900 wells that
3 are connected and producing, and on the average 25 wells
4 have been added every month for the last 48 months to coal
5 seam.

6 Q. Now, that last production figure, 730 million a
7 day, is that for 1993?

8 A. Right, 730,000 cubic feet a day, that's the
9 average for each well.

10 Q. All right. Let's move to Exhibit Number 5.

11 A. Exhibit Number 5 is a projection of actual
12 volumes that were produced in New Mexico in 1994 and what
13 we have projected as the actual volumes for those years.

14 In 1994 the projected number is 1.612 trillion
15 cubic feet of production, is what we project to be produced
16 in New Mexico this year.

17 Q. Now, is that projection different than what was
18 presented to the Commission in March?

19 A. Right, it is. We didn't have the last three
20 months' production numbers, and we were trying to just use
21 best guess.

22 Q. What was the March projection that was presented
23 to the Commission?

24 A. 1.4 -- I think it was 1.46, something like that.

25 Q. So we're looking at another 150 billion cubic

1 feet?

2 A. Correct.

3 Q. Mr. Williams, although prorated production is not
4 broken out here in these exhibits, is it your opinion that
5 nonprorated production is somehow restricting the ability
6 of prorated production to find markets?

7 A. No.

8 Q. And why is that? Is there something in market
9 trends or --

10 A. Well, only 12 percent of the total production in
11 the state comes from prorated pools. And of that, only a
12 third of it comes from the nonmarginal wells in those
13 pools, so...

14 Q. So we're looking at about four-percent statewide
15 production is from nonmarginal wells?

16 A. Right, right. It works out to about 6.9 BCF per
17 year for nonmarginal wells.

18 Q. Do you have any general observations regarding
19 market trends for New Mexico gas, maybe in California or
20 Mexico or wherever?

21 A. Okay, California has always been historically our
22 major market, and their gas usage is about 1.9 trillion
23 cubic feet a year. We supply about 1.1 trillion cubic feet
24 of that, and Canada makes up most of the rest of it.

25 There are several expansions that are ongoing

CUMBRE COURT REPORTING
(505) 984-2244

15 terms of gas on gas competition. ... eighteen up in

16 MR. CARROLL: Okay. Thanks, Mr. Williams.

17 I have nothing further, and I offer OCD Exhibits
18 3 through 5 into the record.

19 CHAIRMAN LEMAY: Without objection, OCD Exhibits
20 3 through 5 will be admitted into the record.

21 Questions of Mr. Williams?

22 Commence:

1 feet?

2 A. Correct.

3 Q. Mr. Williams, although prorated production is not
4 broken out here in these exhibits, is it your opinion that
5 nonprorated production is somehow restricting the ability
6 of prorated production to find markets?

7 A. No.

8 Q. And why is that? Is there something in market
9 trends or --

10 A. Well, only 12 percent of the total production in
11 the state comes from prorated pools. And of that, only a
12 third of it comes from the nonmarginal wells in those
13 pools, so...

14 Q. So we're looking at about four-percent statewide
15 production is from nonmarginal wells?

16 A. Right, right. It works out to about 6.9 BCF per
17 year for nonmarginal wells.

18 Q. Do you have any general observations regarding
19 market trends for New Mexico gas, maybe in California or
20 Mexico or wherever?

21 A. Okay, California has always been historically our
22 major market, and their gas usage is about 1.9 trillion
23 cubic feet a year. We supply about 1.1 trillion cubic feet
24 of that, and Canada makes up most of the rest of it.

25 There are several expansions that are ongoing

1 that will help New Mexico; the Mojave pipeline expansion

2 into northern California which should bring in an extra 400
3 million cubic feet a day of southwest gas.

4 The only problems that will be or could take
5 place within the next 10 years, it's that with all the
6 expansions that have been put on line and the ones that
7 have already been before the FERC, the total capacity
8 coming into California by the year 2000 is about 4310 --
9 That's not right. About 4-point -- I'm losing it. Right
10 now the expansions are at about -- The total demand by 2000
11 will be 3561 MMCF. The total capacity going to California
12 will be 4310 MCF by the year 2000.

13 So there's going to be 750 million cubic feet a
14 day of excess capacity, so the market will tighten up in
15 terms of gas on gas competition.

16 MR. CARROLL: Okay. Thanks, Mr. Williams.

17 I have nothing further, and I offer OCD Exhibits
18 3 through 5 into the record.

19 CHAIRMAN LEMAY: Without objection, OCD Exhibits
20 3 through 5 will be admitted into the record.

21 Questions of Mr. Williams?

22 Commissioner Weiss?

23 EXAMINATION

24 BY COMMISSIONER WEISS:

25 Q. Yes, Mr. Williams, how do you make such a

1 forecast?

2 A. This forecast is basically just a linear
3 regression off of -- from historical data. And the only
4 thing that changed this last time is, we did not have the
5 last three months' production numbers.

6 Plus, Mr. Hall, who was in this position before,
7 went in and actually added to the linear regression a
8 seasonal adjustment factor, which changed how the
9 regression looked.

10 Q. This is the year 2000?

11 A. Oh, you mean -- No, the 2000 prediction, those
12 are from the California gas utilities themselves, and those
13 are the predictions of what pipeline capacity will be and
14 what their total demand will be.

15 COMMISSIONER WEISS: Thank you.

16 CHAIRMAN LEMAY: Questions?

17 Commissioner Carlson?

18 EXAMINATION

19 BY COMMISSIONER CARLSON:

20 Q. Yeah. Chris, if I looked at your Exhibit -- If I
21 look at your Exhibit 3 and compare it to your Exhibit 4, on
22 the coal seam part of Exhibit 3 it doesn't look anything
23 like the graph in Exhibit 4.

24 A. Well, the Y axis is different.

25 Q. I understand that. But I mean, look at January

1 1989 production, for example.

2 A. Okay.

3 Q. In Exhibit 4, you have it somewhere -- it looks
4 like about 3 BCF. And Exhibit 3 it looks like about 30.

5 A. Okay.

6 Q. And it appears that -- Is there a reason for
7 that?

8 A. No, there isn't. To be honest with you, Gary, I
9 don't know. I haven't looked at them that close. Dan did
10 these projections before he left.

11 Q. Have you noticed any decline in the drilling of
12 coal seam wells after the tax credit debate for drilling
13 those under the tax credit expired?

14 A. It's slowed down some, but it hasn't slowed down
15 as much as we thought it would.

16 Q. Is this 25 wells -- That's the ones that are
17 connected, right? That's not the ones that are completed
18 drilling? They could have completed --

19 A. Yeah, that's the ones that -- That's connecting,
20 right.

21 Q. Excuse me?

22 A. That's the ones they are connecting. It doesn't
23 mean wells that are drilled and completed, that are just
24 sitting there waiting for connection.

25 COMMISSIONER CARLSON: Right, okay. That's all I

1 have.

2 CHAIRMAN LEMAY: Okay, I don't have any
3 questions. Thanks, Commissioner.

4 I think in the past what we've done is take the
5 southeast on a pool-by-pool basis, collecting the comments,
6 and then the northwest the same way, so we're not jumping
7 back and forth on pools.

8 Is that acceptable presentation?

9 MR. KELLAHIN: I'm not sure which area's turn to
10 go first.

11 CHAIRMAN LEMAY: We have alternated, haven't
12 we --

13 MR. KELLAHIN: Yes, sir.

14 CHAIRMAN LEMAY: -- in the past?

15 MR. KELLAHIN: I have one witness for the San
16 Juan Basin. My other witnesses apply to various pools in
17 the southeast.

18 CHAIRMAN LEMAY: Well, I think you're in the
19 southeast, are you, Mr. Bruce?

20 MR. BRUCE: Yeah. I mean, we can let Mr.
21 Kellahin go first if he wants. It's no big deal.

22 MR. KELLAHIN: I have no preference, Mr.
23 Chairman.

24 CHAIRMAN LEMAY: Well, we'll give the southeast
25 preference, I guess, for being first today, so -- since

1 we're ready in the southeast with Mr. Bruce.

2 I might add, does anyone have a time problem? I
3 feel sure we'll be through this morning, as far as
4 witnesses go, trying to get back to Midland or something.
5 Anyone object to going southeast first, pool by pool, and
6 then the northwest?

7 Okay, I think that's the way we'll handle it
8 then.

9 You may continue.

10 WILLIAM T. DUNCAN, JR.,

11 the witness herein, after having been first duly sworn upon
12 his oath, was examined and testified as follows:

13 DIRECT EXAMINATION

14 BY MR. BRUCE:

15 Q. Would you please state your name and city of
16 residence for the record?

17 A. My name is William Thomas Duncan, Jr., and I live
18 in Midland, Texas.

19 Q. Who do you work for and in what capacity?

20 A. I work for Exxon Company, USA, as a staff
21 engineer.

22 Q. Have you previously testified before the Division
23 or the Commission as an expert petroleum engineer?

24 A. Yes, I have.

25 Q. And were your credentials as an engineer accepted

1 as a matter of record?

2 A. They were.

3 Q. And are you familiar with the gas prorationing
4 matters at issue in this case?

5 A. Yes, I am.

6 MR. BRUCE: Mr. Chairman, I tender Mr. Duncan as
7 an expert petroleum engineer.

8 CHAIRMAN LEMAY: Mr. Duncan's qualifications are
9 acceptable.

10 Q. (By Mr. Bruce) Mr. Duncan, why is Exxon here
11 today?

12 A. Exxon is here to request an additional adjustment
13 of the allowables to be assigned in the Eumont Pool and the
14 Blinebry Pool.

15 Q. Okay, let's start with the Eumont Pool. What is
16 Exxon's request?

17 A. Exxon is requesting that the monthly acreage
18 allocation factor for the pool be increased from the
19 proposed 30 million a month to 37,772 per month.

20 Q. Okay, let's discuss that a little further. Would
21 you start with your Exhibit 1 and identify that for the
22 Commission?

23 A. Exhibit Number 1 is a chart showing several
24 things.

25 On the left axis I've plotted -- or using the

1 left axis, I've plotted monthly acreage allocation factor
2 for each of the six gas proration periods that are shown on
3 the bottom or the X axis of the chart.

4 And on the right-hand axis of the chart I've
5 shown the monthly pool allowable or sales for the given
6 proration period.

7 Now, each of the gas proration periods are shown,
8 but of course one of them has not occurred yet, and that is
9 the far right proration period, 10-94 through 3-95.

10 What is actually plotted on the chart, the bars
11 are depicting the monthly acreage allocation factor for
12 each period, and you'll note that there are two bars.

13 The left-hand bar for each period is the
14 allocation factor from Exhibit A of the Commission's
15 proration order as printed in the beginning of the gas
16 proration schedule, the first few pages of the gas
17 proration schedule, each period.

18 The right-hand side, or the right bar for each
19 proration period shows the monthly acreage allocation
20 factor as it actually occurs in the text of the proration
21 schedule when you look for a nonmarginal well.

22 Now, in most cases those are identical. You'll
23 see that they're identical for the first four gas proration
24 periods. In the most recent gas proration period they are
25 not identical for the Eumont Pool. The Exhibit A showed

1 28,928 per month, and the gas proration schedule actually
2 showed 33,401.

3 The lines shown with the either open or closed
4 squares for each point depict the monthly pool allowable
5 and sales. The allowable is shown with the closed squares,
6 the sales from each pool is shown with the open squares for
7 each proration period.

8 What you generally see here is an increasing
9 trend in allowables, which is actually running behind the
10 increasing trend in sales. It's tending to play catch-up.

11 Sales are only plotted through the 10-93 through
12 3-94 gas proration period, because they were unavailable
13 for the other two proration periods or for the most recent
14 period.

15 What is shown in yellow or highlighted on your
16 exhibit in either yellow or blue -- I started with yellow
17 and the highlighter ran out of ink so I changed to blue on
18 some of them. But what is shown highlighted is for the
19 next proration period. And on the left bar is the 30
20 million a month that is proposed in the Notice for this
21 hearing, and the right bar shows Exxon's proposal of
22 37,772.

23 Q. Now, the proposal for the next proration period
24 is actually less than what you took from the proration
25 schedule for the immediately preceding period; isn't

1 that --

2 A. That is correct, and we have been producing our
3 top allowable or nonmarginal units at the level of 33,401.
4 And in fact, they are restricted at that rate, and I'll
5 show that more on the next exhibit.

6 Q. Okay. Why don't you move on to Exhibit 2 and
7 discuss why Exxon is requesting the additional allowable?

8 A. Exxon is requesting the additional allowable for
9 the Eumont Pool because the trial allowable -- what I've
10 shown as the trial allowable here, the 30 million a month
11 -- would not provide an allowable that's sufficient to make
12 it economically justified to continue the work programs
13 that we are pursuing in this pool.

14 I've shown on this exhibit each of Exxon's
15 allowable limited gas proration limits.

16 On the left-hand column you see the leases
17 listed. I've just shown them by shorthand names, the Knox,
18 Adkins, "B" State, Eumont Gas Comm and "G" State leases.

19 The acreage for each of those proration units is
20 shown in the second column, and the acreage factor for each
21 proration unit is shown in the third column.

22 The current capability for that particular gas
23 proration unit is shown in the fourth column.

24 Our worked capability, or what we believe is the
25 capability of that should we continue our work programs, is

1 shown in the fifth column.

2 The last allowable is shown in the sixth column.

3 And our trial allowable, or what I call the trial
4 allowable, which was in the proposed Exhibit A for this
5 hearing, is shown in the third column from the right.

6 Our proposal is shown in the second column from
7 the right.

8 And what would be unusable capability under our
9 proposal is shown in the last column on the right.

10 At the bottom of the exhibit is shown the monthly
11 acreage allocation factor, which would correspond to each
12 of those columns. You can see that the last proration
13 period had an allocation factor of 33,402. The trial
14 allowable shows 30 million a month. Exxon's proposal shows
15 37,772.

16 Now, what --

17 Q. Is this -- Go ahead.

18 A. Sorry. The way that we arrived at the 37,772 is
19 simply to increase the allowable allocation factor up to
20 the point where the least capable of our nonmarginal
21 proration units has no excess unusable capability, and that
22 would allow us to continue work programs in those fields.
23 One of the things that we've been doing in all of -- Excuse
24 me, in those leases.

25 One of the things we've been doing in all of

1 these leases is trying very hard to optimize our production
2 rates and therefore optimize our profitability of these
3 leases. Profitability is extremely important now, maybe
4 more so than at other times, and it essentially determines
5 the survivability of the lease.

6 Q. Now, you mentioned workovers. What does Exxon
7 anticipate doing in -- on these leases that you've just
8 mentioned? And I'll refer you to your Exhibit 3.

9 A. The work programs are listed on Exhibit 3 for
10 each of the leases that were listed on Exhibit 2. You may
11 wish to leave Exhibit 2 out and refer to it occasionally.

12 But for the Knox gas proration unit, it currently
13 has two wells producing on it, the 1 and 3. Well Number 9
14 is on that proration unit, and we are doing work on that
15 well. Essentially, it's just stimulation and artificial
16 lift work on that well, which we believe would increase its
17 capability a million MCF per day.

18 On the Adkins lease, that is a simultaneously
19 dedicated lease also with four wells on it. We would like
20 to workover wells 2 and 9, which would add about 800,000 a
21 day.

22 The "B" State lease is currently capable of 800
23 MCF per day without any additional work, so that's actually
24 not a work program; it's a result of previous work that
25 we've done, mainly of an artificial lift nature. We've

1 installed gas lift on a lot of these wells, and we're
2 debugging that and finding that the production is
3 increasing quite nicely as we learn how to use the
4 production equipment better.

5 In the Eumont Gas Comm lease, we'd like to work
6 over an additional well, and that workover is planned for
7 next week to add an additional 600 MCF per day. With
8 additional allowable, we would also pursue work on two
9 other wells.

10 On the "G" State lease it's now allowable-
11 limited, but we would like to do additional work on two
12 additional wells on that gas proration unit.

13 Q. Why is Exxon sure that it would get these
14 approximate numbers of additional production by its
15 workovers?

16 A. Well, we have been very actively pursuing our
17 profit optimization and production optimization work in
18 this field, and in fact the allowables that have been
19 assigned in the past two periods have allowed us to go out
20 and do some of that work, and we've gone from marginal
21 proration units to nonmarginal proration units as a result
22 of that work.

23 Q. Now, if you would refer back to your Exhibit 2
24 again for a minute, Mr. Duncan, Exxon is proposing the
25 37,772 figure. You would still be limited in production

1 from some of your gas units at that figure, would you not?

2 A. That's correct, and we probably would be limited
3 on the Knox also, but that's just using the current
4 estimate of what we would be able to realize on that
5 proration unit.

6 Q. In order to have no limit on production, what
7 would the nonmarginal acreage factor have to be?

8 A. Oh, it would have to be about -- almost 48
9 million a month.

10 Q. Is that Exxon's proposal?

11 A. No, it's not. We're proposing the 37,772 as a
12 realistic adjustment that would still give us the economic
13 incentive to continue work programs on these leases.

14 Q. Now, let's move on to the Blinebry Pool. What is
15 Exxon's proposal for that pool?

16 A. For the Blinebry Pool, Exxon is proposing 42,550
17 as the acreage allocation factor.

18 Q. And referring to your Exhibit 4, would you go
19 through that for the Commission?

20 A. Exhibit 4 is the same format as Exhibit Number 1.
21 And for the proration periods shown you can see that the
22 monthly pool allowable and sales have tracked very well.
23 In fact, the sales have outpaced allowables through the
24 last complete proration period for which we have data.

25 In the Blinebry Pool, there is one less period's

1 worth of data, so we are unable to show the sales since
2 that time. But allowables have been set a little bit
3 higher in that pool, at least during the corresponding
4 period last year.

5 And as you can see by the bar, the monthly
6 acreage allocation factor in 10-93 through 3-94 was about
7 45.6 million a month. And during this most recent period
8 it was reduced substantially to either 37.9 or 38.5,
9 depending upon where you get the number, whether you get it
10 off the Exhibit A or off the text of the schedule.

11 But the proposal of 38 million a month, we
12 believe, is low, and we would like to see that increased to
13 42.5 million, initially 42,550 as shown on the right-hand
14 bar.

15 Q. How did you get to that 42,550 figure?

16 A. I would like to refer to the next exhibit.
17 Exhibit Number 5 is, again, the same format that you saw on
18 Exhibit Number 2 earlier. And using that exact format, you
19 can see that with our two allowable-limited gas proration
20 units, increasing the allowable allocation factor up to
21 42,550 would simply bring the less capable proration unit
22 up to having little unusable capability.

23 Q. So you have existing excess capacity in the
24 Blaine at this --

25 A. That's correct, and it again is a result of our

1 work programs over the past two periods.

2 Q. Again, you would still be limited at this
3 proposed 42,550 level?

4 A. That's correct. Arguably, one well might be on
5 the border and the other well would be limited.

6 In order to have both wells unlimited, that would
7 require an acreage allocation factor close to 60 million a
8 month.

9 Q. Okay. Who is Exxon's purchaser for these pools?

10 A. Exxon sells its gas to Sid Richardson Carbon.

11 Q. Is there a market for the gas if the allowables
12 are increased?

13 A. Yes, there is. I contacted Sid Richardson's
14 representative -- I don't see his name here. David -- I
15 forget his name. -- in Fort Worth, and he said that Sid
16 Richardson will be able to take anything that we can
17 produce, just absolutely had no problem saying that he
18 would be able to -- they would be able to accept and take
19 that gas.

20 Q. Okay. Have you discussed your proposals for
21 these two pools with some of the other operators in the
22 pools?

23 A. Yes, have, a few of the other operators. Exxon
24 has been working on this, I guess you'd say, kind of at the
25 last minute. And over the past two days I've been on the

1 phone to various operators in the two pools, attempting to
2 notify them and ask them for their concurrence, but I've
3 been largely unsuccessful because there is an awful lot of
4 moving going on right now between offices, I think, as a
5 result of industry reorganizations and changes.

6 But the people that I have been able to locate,
7 I'll be happy to identify.

8 Q. Please go ahead.

9 A. Okay. In the Eumont Pool I've spoken to Chevron,
10 who had no objection to increasing the allocation factor.

11 Conoco, I spoke to Conoco this morning, and they
12 again had no objection to increasing the factor.

13 Let's see, Marathon supported the increase quite
14 wholeheartedly.

15 Mobil -- I'm sorry, I didn't speak to Mobil. And
16 that's all I've been able to locate, I'm sorry.

17 Q. Amerada Hess was moving its offices, and you
18 couldn't locate anyone there?

19 A. Right. I believe it was the Tulsa office
20 referred me to Houston, and the Houston office said that
21 they're not here yet, so they are apparently in transit.

22 Q. What about the Blinebry Pool?

23 A. In the Blinebry Pool, I spoke to -- I attempted
24 Amerada Hess but was unable to locate anyone.

25 Chevron had no objection to an increase.

1 Conoco, I spoke to this morning, and voiced no
2 objection to an increase.

3 Marathon had no objection to an increase.

4 Q. Now, in these pools, do operators other than
5 Exxon also have nonmarginal wells?

6 A. Yes, they do.

7 Q. And one final question. In the Eumont, speaking
8 of nonmarginal wells, what percentage of the wells in that
9 pool are Exxon's wells, and what percentage of production?

10 A. Well, I don't have the figure for percent of
11 wells. The percent of production from the pool is about 10
12 percent.

13 Q. Okay.

14 A. From what I understand, other operators are
15 pursuing fairly similar work plans, similar to what Exxon
16 is doing in the pool, in the Eumont, and achieving
17 reasonably good results from what I understand too.

18 Q. In your opinion, is the granting of Exxon's
19 proposals in the interest of conservation and the
20 prevention of waste?

21 A. Yes, it is.

22 Q. And were Exhibits 1 through 5 prepared by you or
23 under your direction?

24 A. Yes, they were.

25 MR. BRUCE: Mr. Chairman, I would move the

1 admission of Exxon's Exhibits 1 through 5.

2 CHAIRMAN LEMAY: Without objection, Exhibits 1
3 through 5 of Exxon into the record.

4 MR. BRUCE: I have nothing further.

5 CHAIRMAN LEMAY: Questions of Mr. Duncan?
6 Commissioner Weiss?

7 EXAMINATION

8 BY COMMISSIONER WEISS:

9 Q. Yes, are your leases adjoining leases in both
10 these pools?

11 A. No, our leases do not adjoin one another.

12 Q. Did -- The people that you contacted, are they
13 offset operators to your leases?

14 A. I did not attempt to find the offset -- In fact,
15 I didn't even identify the direct offsets in my process of
16 going through this.

17 I identified the major operators in the pool, the
18 largest in terms of their wells and production in the pool,
19 and I attempted to notify them first. But no, I did not
20 attempt to notify offset operators.

21 What we're requesting, especially in the
22 Blinebry, is significantly less than was assigned a year
23 ago, and I guess I didn't think that the rates we were
24 proposing in the Eumont were excessive rates. They're
25 about 1.25 million a day. And that, again, does not appear

1 to be an excessively high rate.

2 But no, I did not contact the offsets directly.

3 Q. And the other question I had was, your workovers,
4 you say, is pretty much installing gas lift equipment?

5 A. I know it sounds kind of elemental, but that's --
6 We're installing gas lift, we're learning how to use it.
7 You can just watch the learning curve on our production
8 records.

9 In fact, I have some of those, and you can just
10 very clearly see the installation, you can see what happens
11 with increased training and increased knowledge on the part
12 of our field people in the use of the equipment. It's
13 quite gratifying, actually, to see that.

14 Q. What is the fluid you're producing?

15 A. Gas, but there is a little bit of oil -- or a
16 little bit of condensate. And water, I believe there's
17 some water too.

18 Q. I understand that. Thank you.

19 A. We're unloading the wells, keeping them unloaded,
20 and --

21 Q. That's water?

22 A. Yeah. So it keeps them producing.

23 COMMISSIONER WEISS: Thank you, I have no other
24 questions.

25 CHAIRMAN LEMAY: Commissioner Carlson?

EXAMINATION

BY COMMISSIONER CARLSON:

Q. Yeah, on -- Maybe I don't understand the graphs. On your Blinebry pool, the bar graph there, that's your -- Is that your Exhibit A allowable for last winter?

A. The bar graphs on the left side of each bar show the allowable or the monthly acreage allocation factor for -- or that was shown in the Exhibit A, as approved by the Commission, so it was the Exhibit A attached to the order.

The right side of each bar shows what was actually in the text of the proration schedule. And as you can see, they match for every period except the last one. So if you were to look in the text for a nonmarginal well, you would see what appears on the right-hand bar.

Did I misunderstand your question?

Q. No, I -- Okay, then I look at the line graph at the top, and your allowable actually went down, it says there. I'm -- Maybe I'm not understanding this graph, but --

A. I have plotted two different things on one graph, on one chart. The bars represent the monthly acreage allocation factor, which would be applicable to the nonmarginal wells in the pool. The total pool allowable is what is shown by the lines, and the total pool allowable

1 includes all the nonmarginal wells in the pool.

2 Q. Oh, okay, that's total pool, I see.

3 Okay, so -- Maybe this question should be asked
4 of Jim. Why -- If our proposed allocation factor for this
5 winter -- if you intend it to be the same as last winter,
6 why is a 38,000 one proposed instead of the 45,000 or
7 46,000, whatever it was last year?

8 MR. MORROW: Let's see, which one is that?

9 COMMISSIONER CARLSON: The Blinebry.

10 MR. MORROW: I don't have a good answer for that.
11 I don't -- It is some lower. It was much what we assigned
12 in the spring-summer period, was, as you can see, much
13 lower than that, so --

14 COMMISSIONER CARLSON: Uh-huh.

15 MR. MORROW: -- so we just -- We put something in
16 there as a starting place, and possibly we should have
17 given more consideration to the last winter period, which
18 is shown here, so...

19 COMMISSIONER CARLSON: Okay, but they were --
20 They did get an allocation factor of some 45, 46 million
21 for last winter?

22 MR. MORROW: Let me look. I have that schedule,
23 and I'll be glad to look and be sure.

24 It was 45,653, that's correct.

25 COMMISSIONER CARLSON: And the Division would not

1 have any problem with going back to at least their proposal
2 for --

3 MR. MORROW: No, sir, I wouldn't have any problem
4 with that.

5 THE WITNESS: Exxon also wouldn't have any
6 objection to going back to what the Commission assigned
7 last year, the 45,653.

8 COMMISSIONER CARLSON: That's all I have.

9 CHAIRMAN LEMAY: Thank you, Commissioner.

10 EXAMINATION

11 BY CHAIRMAN LEMAY:

12 Q. Mr. Duncan, as long as we're on the Blinebry
13 Pool, I see there are only three nonmarginal wells in that
14 pool. You have two of them. Who has the other? Do you
15 know?

16 A. Well, we have two now. Ours were nonmarginal
17 before. Excuse me, ours were marginal before, and they are
18 -- they would be nonmarginal now, because we've increased
19 the production rates from those wells. I think one
20 actually did show up as nonmarginal last time.

21 Q. So that would make four? Is that -- I'm just
22 trying to get a handle for -- There aren't many nonmarginal
23 wells. Evidently one kind of superstar that would do the
24 2 million a day, but the others are kind of in a range
25 that --

1 A. At these rates it's kind of hard to call any of
2 them a superstar. Even, you know, at 42 million a month
3 it's less than a million and a half a day.

4 CHAIRMAN LEMAY: I guess I was using that phrase
5 in comparison to the other wells.

6 MR. BRUCE: I think Marathon --

7 THE WITNESS: Yeah, I can check that very
8 quickly.

9 During the last period, Exxon was shown with no
10 nonmarginal wells or nonmarginal proration units.

11 John Hendrix was shown with one nonmarginal unit,
12 and Marathon was shown with two nonmarginal units, so Exxon
13 had no nonmarginal units, according to this past summer's
14 proration schedule.

15 So it's definitely just an increase or --

16 Q. (By Chairman LeMay) And Marathon supported your
17 proposal for an increase?

18 A. They loved it. They did support it, yes.

19 Q. Did you contact Doyle Hartman?

20 A. No, I didn't. I didn't. I probably should have,
21 but I didn't.

22 Q. I'm sorry.

23 The other question, back on Eumont. Did you say
24 those were estimated based on some previous experience, I
25 guess, those increases that -- in the workover that you

1 haven't done, I assume, but you would anticipate increasing
2 production to those levels?

3 A. That's correct. In fact, one of the workovers is
4 to be done next week, so obviously we've got great
5 confidence in our estimate, and our management has good
6 confidence in it. But yes, it's based upon recent work.

7 Q. Do you have some overproduced status in some of
8 those wells now, do you know, or --

9 A. I do not know what the actual current status of
10 each well is. I would assume that they're not
11 underproduced.

12 Q. Okay. Normally our procedure has been geared in
13 the past -- We've deviating from that somewhat, but as you
14 do the workovers, you increase the production, you get
15 overproduced, come to us, and then the allowable is raised,
16 and you work off that overproduction so that you don't get
17 in a shut-in situation.

18 But your production, by virtue of the workover,
19 gives you the production ammunition to come to us and say,
20 we need higher allowables. What you're doing is
21 anticipating the production ahead of time and asking for
22 those allowables to accommodate the anticipated increased
23 production?

24 A. Well, we're going to make investments based upon
25 the ability to see the results of these workovers, and we

1 would like to know that we're going to be able to realize
2 that increase before we make the investment.

3 COMMISSIONER WEISS: I have another question.

4 CHAIRMAN LEMAY: Yeah, Commissioner Weiss?

5 FURTHER EXAMINATION

6 BY COMMISSIONER WEISS:

7 Q. Would you be here today if the proration schedule
8 had been based on last winter's demand rather than this
9 spring's?

10 A. Are you talking about in the Blinebry Pool?

11 Q. Yes.

12 A. No, I would not.

13 COMMISSIONER WEISS: Thank you.

14 CHAIRMAN LEMAY: Any other questions of the
15 witness?

16 You may be excused. Thank you, Mr. Duncan.

17 MR. BRUCE: Nothing further, Mr. Chairman.

18 CHAIRMAN LEMAY: Does anyone have any testimony
19 concerning the Eumont or Blinebry fields?

20 Mr. Kellahin?

21 MR. KELLAHIN: I have a witness to present on the
22 Eumont.

23 CHAIRMAN LEMAY: Okay. Let's do that, let's take
24 it pool by pool. Is that all right with -- You're through,
25 Mr. Bruce, basically?

1 MR. BRUCE: Yes, sir.

2 CHAIRMAN LEMAY: Thank you.

3 MARK McCLELLAND,

4 the witness herein, after having been first duly sworn upon
5 his oath, was examined and testified as follows:

6 DIRECT EXAMINATION

7 BY MR. KELLAHIN:

8 Q. Would you please state your name and occupation?

9 A. Yes, my name is Mark McClelland. I'm a staff
10 engineer with Conoco, working in the Midland office.

11 Q. Mr. McClelland, on prior occasions have you
12 testified before the Commission in the gas allowable
13 hearings?

14 A. Yes, I have.

15 Q. Has that testimony included a presentation by you
16 on behalf of your company and the Eumont Gas Pool?

17 A. Yes, it has.

18 Q. Have you continued to study production out of
19 that pool in relation to the allowables assigned for wells
20 in the pool?

21 A. Yes.

22 Q. Based upon your study and work, do you have
23 engineering opinions and conclusions about the recommended
24 allowable level for the next coming proration period?

25 A. Yes, I do.

1 MR. KELLAHIN: We tender Mr. McClelland as a
2 reservoir engineer with expertise in gas proration.

3 CHAIRMAN LEMAY: His qualifications are
4 acceptable.

5 Q. (By Mr. Kellahin) Let me direct your attention,
6 sir, to the package of your exhibits, if you'll turn past
7 the cover sheet.

8 Prior to this morning, had you examined the
9 Division's preliminary schedule for the assignment of an
10 allowable for the Eumont Gas Pool?

11 A. Yes, I had.

12 Q. And based upon that study, what was your
13 recommendation for the assignment of an allowable to that
14 pool?

15 A. We were in support of the Oil Conservation
16 Division, 30 million per month for the Eumont Gas Pool.

17 Q. What's the basis for that support and that
18 recommendation?

19 A. The 30 million per month gives us economic
20 incentive to develop the Eumont Gas Pool, to continue
21 development of the Eumont Gas Pool, and also it allows for
22 equitable sharing between the owners and the Eumont Gas
23 Pool.

24 Q. In past allowable hearings, have you made a
25 presentation about the necessity for an allowable incentive

1 to encourage your company to make the investment of
2 resources to work over existing wells to increase their
3 productivity?

4 A. Yes, in previous testimony this past spring, we
5 gave several exhibits demonstrating individual leases where
6 Conoco had developed additional wells, both drilling and
7 workover activity, and we showed in those exhibits the
8 additional production that was attributed to that work,
9 plus the additional reserves that we anticipated recovering
10 through that work.

11 Q. This morning Mr. Duncan, on behalf of Exxon,
12 asked you if you had any objection to Exxon's proposed
13 adjustment for increasing the allowable in the Eumont.
14 What is your company's position with regards to the Exxon
15 request?

16 A. We are not in opposition to that recommendation.

17 Q. Let's turn to your first exhibit here, and
18 describe for us this spreadsheet.

19 A. This spreadsheet is just simply a history of the
20 Eumont Gas Pool. It shows the allocation periods over the
21 past five years, plus the next allocation period that's
22 been proposed.

23 Q. Simply repeats what the Commission has authorized
24 for the recent past on the six-month periods for production
25 from the Pool?

1 A. That is correct.

2 Q. Starting in the far right column, then, take us
3 through your recollection of the justification for the
4 continued increases that have been applied to that pool.

5 A. Well, initially back in 1991 and 1992, the
6 monthly acreage allocation factor was approximately 600 MCF
7 a day, the 18,300 you see in the far right column, which is
8 termed the F1 factor.

9 During 1992 and 1993 I believe Chevron, with
10 other companies, was -- promoted additional increase in
11 this allowable, based on fieldwork and results.

12 We got involved approximately a year ago in
13 supporting that allowable increase due to our work also.

14 Currently, this past summer, it was initially set
15 at 28,928. As Mr. Bruce explained, when the proration
16 schedule itself came out, the number in the proration
17 schedule was 33,401 approximately 1100 MCF per day.

18 What the Commission has proposed for the next
19 proration unit period is 30 million a month, which is 984
20 per day. We are in agreement with 30 million a month, but
21 we don't have opposition to what Exxon has promoted as
22 37,772, which works out to 1240 MCF per day.

23 Q. Is there a minimum allowable, a floor, if you
24 will, in the allowable, that's been approved by the
25 Commission for production from the pool?

1 A. Yes, the minimum allowable was approved last
2 February at 600 MCF per day or 18,300 per month.

3 Q. Are the operators utilizing the differential
4 between the minimum allowable and the assigned allowable
5 for their wells?

6 A. Most definitely.

7 Q. Let's turn to Exhibit Number 2, Mr. McClelland,
8 and have you identify and describe that display.

9 A. Without the benefit of having the total field
10 production curve to look at, Conoco is showing our gross
11 gas production from the Eumont Gas Pool.

12 As you can see, we have done 40 projects, 10
13 drilling wells and 30 workovers, during the past 18 months.
14 Our production increase has risen from 9.4 million a day,
15 in June of 1993, to currently just under 25 million a day,
16 in August, 1994.

17 The plan for the upcoming winter season, we have
18 11 drilling projects and four workovers that are definite
19 projects we plan to do. We may even add to that number,
20 time permitting.

21 We anticipate our total gas production growing
22 from approximately 24 million a month right now, up towards
23 30 million a month by the end of this coming proration unit
24 period.

25 Q. After you complete the workover on a well and

1 find it has the potential to produce as a nonmarginal well,
2 do you have any of those kind of creatures?

3 A. We have three gas proration units right now,
4 during the summer season, that are exceeding their
5 allowables. They've gone from marginal to nonmarginal
6 status.

7 Q. Are any of those nonmarginal spacing units
8 overproduced more than six times?

9 A. Not currently at this time.

10 Q. Do you have spacing units in which you have
11 assigned an allowable that's currently being underutilized?
12 In other words, you're accruing underproduction in the
13 spacing unit?

14 A. Yes, we do, and in the -- and that's how we
15 target development for our leases. We look at our
16 underproduction, we look at offset production, and we
17 propose projects to meet the offset production.

18 Q. Can you show us by turning to Exhibit Number 3
19 your anticipated plans for this coming year?

20 A. This is a list of our drilling wells, a few of
21 which we've actually completed already. There are 11
22 drilling wells, and we have AFEs either working on or being
23 planned on, and these wells will be drilled through next
24 March, 1995.

25 Q. Describe for us the basis for Conoco's drilling

1 program as illustrated here.

2 A. It's a combination of taking advantage of both
3 uncaptured allowable and inactive areas. We have gas
4 proration units that do not have active gas wells on.

5 For example, the Sanderson A lease is an area
6 where we used to have gas wells. The wellbores were
7 unitized into deeper waterfloods, we lost the gas
8 production. This was mainly during the late 1980s, when
9 gas did not have significant value. Since then, we target
10 these leases for additional development.

11 In other areas, such as the State D area, it's a
12 highly competitive area. There we are reducing our lease
13 spacing down to 80 acres to take advantage both of existing
14 production in the Queen-Penrose portion of the Eumont Gas
15 Pool, and also new production has been discovered up in the
16 Yates-Seven Rivers section.

17 Q. If the Division approves at least a monthly
18 acreage allowable factor of 30,000 a month, will that
19 provide an incentive in terms of the allowable so that this
20 work can go forward?

21 A. All these projects are viable under 30,000 per
22 month.

23 MR. KELLAHIN: That concludes my examination of
24 Mr. McClelland.

25 We move the introduction of his Exhibits 1, 2 and

1 3.

2 CHAIRMAN LEMAY: Without objection, Conoco's
3 Exhibits 1, 2 and 3 will be admitted into the record.

4 Questions of Mr. McClelland?

5 Commissioner Weiss?

6 EXAMINATION

7 BY COMMISSIONER WEISS:

8 Q. Yes, are offset operators notified of your
9 drilling plans?

10 A. If the -- We, in our Application to Drill, if the
11 well is nonstandard, we have to seek approval of offset
12 operators. If the well is at a standard location, I don't
13 believe we have to seek that approval.

14 Q. So if you're putting an extra well on a proration
15 unit, they know about it?

16 A. If the well is at a standard location on that
17 proration unit, they are not required to know about it
18 until we permit the well and it's public knowledge in the
19 PI reports.

20 COMMISSIONER WEISS: Okay, thank you.

21 CHAIRMAN LEMAY: Commissioner Carlson?

22 COMMISSIONER CARLSON: No.

23 CHAIRMAN LEMAY: I have none.

24 You may be excused. Thank you, Mr. McClelland.

25 Ms. Trujillo, I think you had a witness, did you,

1 on the --

2 MS. TRUJILLO: Mr. Chairman, I don't have --

3 CHAIRMAN LEMAY: -- Eumont field?

4 MS. TRUJILLO: -- any witnesses, but I have two
5 statements on the Eumont.

6 CHAIRMAN LEMAY: Why don't we hold the statements
7 until the end? I think we can accommodate the statements
8 after --

9 MS. TRUJILLO: -- after?

10 CHAIRMAN LEMAY: -- after, yeah. Thank you.

11 Are you through on Eumont and -- ?

12 MR. KELLAHIN: Yes, sir. I have a witness on
13 Indian Basin.

14 CHAIRMAN LEMAY: Let's see --

15 MR. KELLAHIN: That's the only witness I have on
16 southeast.

17 CHAIRMAN LEMAY: Okay. Do we have anything more
18 on Eumont or Blinebry in the way of witnesses? Okay, let's
19 move on to Indian Basin, then, Counselor.

20 MARK A. PEAVY,
21 the witness herein, after having been first duly sworn upon
22 his oath, was examined and testified as follows:

23 DIRECT EXAMINATION

24 BY MR. KELLAHIN:

25 Q. Mr. Peavy, for the record would you please state

1 your name and occupation?

2 A. Yes, my name is Mark Peavy. I'm an operations
3 engineer with Oryx Energy.

4 Q. Where do you reside, sir?

5 A. I reside in Dallas, Texas.

6 Q. Are you familiar with the gas prorationing system
7 as it applies to Oryx's production in the Indian Basin
8 Upper Pennsylvanian Gas Pools?

9 A. Yes, I am.

10 Q. On behalf of your company, have you prepared a
11 presentation to the Commission concerning the allowable
12 schedule for that pool?

13 A. Yes, I have.

14 Q. And based upon your study, do you have a
15 recommendation for the Commission?

16 A. Yes, we do. We support the currently proposed
17 200-MCF-per-month allowable.

18 Q. Describe for us as an operations engineer the
19 particular activities that you perform with regards to the
20 Indian Basin wells that you operate.

21 A. I have managed these properties primarily by
22 overseeing daily well production and, in conjunction with
23 reservoir and geology, assessed the potential for
24 improvements in production, as well as within field
25 operations.

1 Q. Mr. Peavy, there's a lot of background noise in
2 the auditorium. You'll have to keep your voice up. The
3 microphone does not amplify.

4 A. I'm sorry.

5 Q. Summarize for us your education, sir.

6 A. I graduated from the University of Texas in 1978
7 with a bachelor's in business and then went back to the
8 University of Texas and graduated in 1981 with a petroleum
9 engineering degree.

10 Q. And how long have you held your current position
11 with Oryx?

12 A. I've been employed with Oryx since my graduation
13 in 1981 as an operations engineer.

14 MR. KELLAHIN: Mr. Chairman, we tender Mr. Peavy
15 as an expert witness.

16 CHAIRMAN LEMAY: His qualifications are
17 acceptable.

18 Q. (By Mr. Kellahin) Let's go through your
19 exhibits.

20 A. Okay.

21 Q. Identify for us what's contained on Exhibit 1.

22 A. Exhibit 1 is a letter that supports the
23 allocation factor of 200 MCF per month that was written by
24 me. The document supports the position.

25 Q. All right, sir. Let's turn to the plat and

1 orient the Commission on where you have your spacing units
2 and your wells.

3 A. That would be Exhibit 2. You can see that our
4 properties which we operate are highlighted in yellow. The
5 properties in which we have a working interest are
6 highlighted in green.

7 Currently, of the properties we operate, we have
8 five wells producing out of the Upper Penn.

9 Q. This doesn't show the entire pool; it simply
10 represents your spacing units within the pool?

11 A. That's correct.

12 Q. All right. And those spacing units color-coded
13 in yellow are operated by Oryx?

14 A. That is correct.

15 Q. This gas pool is 640 gas spacing?

16 A. Yes, sir.

17 Q. All right. Turn now to Exhibit Number 3 and
18 identify and describe that for us.

19 A. Exhibit 3 is a production history since January,
20 1992, of the gas wells we operate in the Indian Basin field
21 within the Upper Penn.

22 You can see that we have an acceleration in
23 production from January, 1992, through July, 1992, and
24 since this point in time we have maintained a relatively
25 stable production volume of around 28 million cubic feet a

1 day.

2 Q. All right, sir. Let's turn to Exhibit 4 and have
3 you identify that display for us.

4 A. Yes, sir, Exhibit 4 is a letter from our gas
5 marketing people that documents our ability to market our
6 current production over the next six months.

7 Q. All right, sir, turn to Exhibit 5.

8 A. Exhibit 5 through Exhibit 9 are production
9 histories of the wells that we operate within the Indian
10 Basin field.

11 You can see that in Exhibit 5 it is our Federal
12 28 Number 1 well. Production is depicted in green with a
13 reference to pool allowable and highlighted in red.

14 This well has produced extremely well for us, and
15 it currently is in an overproduction mode within this
16 reservoir.

17 Q. Continuation of the current level of assignment
18 of allowables for the pool would provide that this well
19 would continue to be capacity-restricted by the allowable?

20 A. Yes, sir.

21 Q. All right, let's turn to the next display, which
22 is Number 6.

23 A. Number 6 is our well listing in Basin Unit Number
24 1. It is a well that performed at or near pool allowable
25 from October, 1992, to January, 1994.

1 In February of 1994, we installed a larger
2 compressor and at that time encountered wellbore
3 difficulties that we believe caused our production to
4 decrease down to its current level. We have gone through
5 and diagnosed the downhole conditions of this wellbore, and
6 through an upcoming workover believe that we will be able
7 to return this well to its current -- or to expected
8 production rate around 200 MCF per month.

9 Q. Would continuation of the current allowable level
10 provide the economic incentive for you to do that work to
11 attempt to restore the productivity to this well?

12 A. Yes, it would.

13 Q. Let's look at Number 7. Identify and describe
14 this well, please.

15 A. This is our Bright Federal Number 1 production
16 history, and this well currently produces at or slightly
17 below the pool allowables assigned to it.

18 Q. All right, sir.

19 And Exhibit 8?

20 A. Exhibit 8 is the Bunnell Federal Number 1. This
21 well produces well below pool allowables. It is in a
22 poorer quality section of the rock within this reservoir
23 and we feel would never be capable of producing that pool
24 allowable.

25 Q. Its performance is directly related to the poor

1 quality of the reservoir in which it's located?

2 A. That is correct.

3 Q. Exhibit 9?

4 A. Exhibit 9 is our Conoco State Number 1. This
5 well has produced at or near pool allowable since October,
6 1992.

7 Q. Based upon your study, what then is your
8 recommendation to the Commission?

9 A. Our recommendation is to maintain the currently
10 assigned allowables proposed by the OCD of 200 MCF per
11 month.

12 Q. And your research confirms for you that you have
13 the market demand to support that level of allowable?

14 A. That is correct.

15 MR. KELLAHIN: That concludes my questions of Mr.
16 Peavy.

17 We move the introduction of his Exhibits 1
18 through 9.

19 CHAIRMAN LEMAY: Without objection, Exhibits 1
20 through 9 of Oryx will be admitted into the record.

21 Questions of Mr. Peavy?

22 Commissioner Weiss?

23 COMMISSIONER WEISS: I have no questions.

24 CHAIRMAN LEMAY: Commissioner Carlson?

25 COMMISSIONER CARLSON: Just one or two.

EXAMINATION

1
2 BY COMMISSIONER CARLSON:

3 Q. On your Exhibit 2, what's the blue line there?

4 A. The blue line is a fault.

5 Q. I see. On your gas sales out of the Indian
6 Basin, are those warranty contracts, or are those tied to
7 specific leases? Do you know?

8 A. I don't know myself, no, sir.

9 COMMISSIONER CARLSON: That's all I have.

10 CHAIRMAN LEMAY: I have no questions.

11 The witness may be excused.

12 Anything else on Indian Basin field in the way of
13 testimony?

14 Any other fields in the southeast that anyone has
15 any witnesses to present?

16 Are your statements -- Are they geared such that
17 you have statements on the southeast and statements on the
18 northwest?

19 MS. TRUJILLO: Yes, they do.

20 CHAIRMAN LEMAY: Ms. Trujillo, why don't you give
21 the statement on the southeast so we can wind it up, if you
22 would, please?

23 MS. TRUJILLO: Mr. Commissioner, I have two
24 statements on the Eumont Pool and one on the Indian Basin
25 Pool.

1 CHAIRMAN LEMAY: Okay. Please proceed.

2 MS. TRUJILLO: Mr. Chairman, on behalf of Amerada
3 Hess Corporation regarding the Eumont Pool, Amerada Hess
4 has prepared a letter to the Oil Conservation Division to
5 the attention of Mr. William LeMay, Director.

6 It reads:

7

8 Dear Sirs:

9 Amerada Hess Corporation, a gas producer in
10 prorated gas pools in New Mexico, respectfully
11 supports the proposed Market Demand and Allowable
12 Determination Schedule. Existing allowables in the
13 Eumont Prorated Gas Pool, Lea County, New Mexico, have
14 in the past 9 months encouraged development drilling
15 of seven (7) Eumont gas wells, six (6) of which are
16 completed and produce an average of 1319 MCFPD. One
17 (1) fracture stimulation of an existing producer was
18 performed exhibiting a 600 MCFPD production increase.

19 For the coming six (6) month period Amerada Hess
20 plans, based on current allowables, to drill three (3)
21 additional Eumont wells; perform two (2) recompletions
22 to the Eumont; and perform six (6) fracture
23 stimulations of existing producers.

24 Diminished allowables would discourage current
25 activity and development levels resulting in delay or

1 cancellation of planned work. Amerada Hess
2 Corporation thus supports allowable recommendations as
3 presented.
4

5 Signed, Robert Williams, Jr., Senior Production Foreman,
6 Monument Area - New Mexico Production, Amerada Hess
7 Corporation.

8 CHAIRMAN LEMAY: Thank you.

9 MS. TRUJILLO: And Mr. Commissioner, I did not
10 speak with Amerada Hess regarding Exxon's proposal.

11 I also have a statement on behalf of Chevron USA
12 Production Company regarding the Eumont. Again, it's a
13 letter with a statement for the Commission.

14 It says:
15

16 Mr. Commissioner, Chevron U.S.A. Production
17 Company, as the principal producer in the Eumont
18 Prorated Gas Pool, supports the preliminary Monthly
19 Acreage Allocation Factor (F1) of 30,000 MCF as
20 presented in the OCD's Memorandum dated September 2,
21 1994.

22 Since March, 1994, Chevron has completed 6
23 workovers and 4 Re-Frac stimulations yielding a net
24 increase of approximately 5.3 MMCF gas per day. This
25 brings Chevron's total production of 24,672 MCF per

1 day in March, 1994, to approximately 29,998 MCF per
2 day in September, 1994. Further, Chevron plans to
3 pursue 6 more Re-Frac stimulations and 3 more
4 workovers to increase production to an estimated 4
5 MMCF gas per day by the end of 1994.

6 In order to complete our 1994 development program
7 and economically pursue a similar, already budgeted,
8 program for 1995, Chevron requests that the proposed
9 Monthly Acreage Allocation Factor of 30,000 MCF be
10 adopted for the period of October, 1994, through
11 March, 1995. Any lower allowable would have a
12 negative economic impact, jeopardizing continuation of
13 our development program within the Eumont Prorated Gas
14 Pool.

15 Additionally, Chevron understands that a higher
16 allowable may be sought by other operators within the
17 Eumont Prorated Gas Pool, and Chevron would not be
18 opposed to a higher allowable if the Commission deems
19 it appropriate.

20
21 This statement was prepared by Alan Bohling of
22 Chevron USA Production.

23 CHAIRMAN LEMAY: Thank you.

24 MS. TRUJILLO: And I also have a statement from
25 Chevron USA Production Company regarding the Indian Basin

1 Upper Penn Gas Pool.

2 This is a letter to the Oil Conservation
3 Commission, to Mr. William LeMay:
4

5 Chevron U.S.A. Production Company operates 10
6 producing gas wells in the subject field and has a
7 working interest in 3 non operated properties in the
8 subject pool.

9 Chevron U.S.A. Production Company supports the
10 Oil Conservation Division's proposed allowable
11 assignment factors that resulted in a Monthly Acreage
12 Allocation Factor of 200,000 mcf. Eight of Chevron's
13 10 wells are currently capable of producing at or
14 above the proposed allowable. In July and August 5
15 additional compressors were installed on our wells
16 which increased our production by 11,500 mcfd. An
17 allowable of 200,000 mcf per month will protect the
18 interest of a majority of operators in the Pool.
19

20 Signed, Brian Huzzey, Chevron USA Production Company.

21 Thank you.

22 CHAIRMAN LEMAY: Thank you. Are there
23 additional statements that wish to be given at this time
24 concerning the southeast?

25 MR. KELLAHIN: Yes, Mr. Chairman.

1 CHAIRMAN LEMAY: Mr. Kellahin?

2 MR. KELLAHIN: On behalf of Marathon Oil Company,
3 I was advised by Mr. Dave Petro, who is an engineering
4 manager responsible for the prorated gas production in
5 southeastern New Mexico that he had examined the
6 preliminary schedule for the Blinebry Oil Pool, that the
7 preliminary schedule of 38,000 MCF a month was -- had
8 Marathon's support.

9 He advised me last night when he called me that
10 Mr. Duncan had talked to him about Exxon's request. Mr.
11 Petro authorized me to tell you that he supports Mr.
12 Duncan's request for increasing that pool.

13 In addition, Marathon supports the adoption in
14 the Eumont Gas Pool of the preliminary schedule, the 30,000
15 MCF a month, and Mr. Petro has no objection to the Exxon
16 increase.

17 In addition, and finally for the Indian Basin
18 Upper Penn Pool, Marathon recommends the continuation of
19 that allowable that we've had for the last few proration
20 periods, which is comparable to the 200,000 MCF a month.

21 CHAIRMAN LEMAY: Thank you, Mr. Kellahin.

22 Any additional statements concerning prorated
23 pools in the southeast?

24 We only have one witness, do we, on the
25 northwest?

1 MR. KELLAHIN: Yes, sir, Mr. Fraser, and it
2 shouldn't take more than five or ten minutes.

3 CHAIRMAN LEMAY: Let's finish that up so we can
4 finish the proration hearing before we get on with the
5 cases then.

6 We'll now move on to prorated fields in the
7 northwest.

8 Mr. Kellahin?

9 MR. KELLAHIN: Call at this time, Mr. Chairman,
10 Mr. Jim Fraser of Meridian Oil, Inc.

11 JAMES FRASER,
12 the witness herein, after having been first duly sworn upon
13 his oath, was examined and testified as follows:

14 DIRECT EXAMINATION

15 BY MR. KELLAHIN:

16 Q. Mr. Fraser, would you please state your name and
17 occupation for the record?

18 A. My name is James Fraser. I'm the production
19 manager for Meridian Oil, Inc., in Farmington, New Mexico.

20 Q. On prior occasions, Mr. Fraser, have you
21 testified before the Commission in that capacity?

22 A. Yes, sir, I have.

23 Q. And do you continue to perform that role for your
24 company and look at the production from the prorated gas
25 pools in the San Juan Basin?

1 A. Yes, sir, I do.

2 Q. Based upon that study, do you have
3 recommendations with regards to the prorated gas pools in
4 northwestern New Mexico?

5 A. Yes, sir, I do.

6 MR. KELLAHIN: We tender Mr. Fraser as an expert
7 witness.

8 CHAIRMAN LEMAY: His qualifications are
9 acceptable.

10 Q. (By Mr. Kellahin) With regards to the prorated
11 gas pools in the San Juan Basin, Mr. Fraser, what if any
12 recommended adjustments do you have?

13 A. Exhibit 1 shows my recommendation for the Blanco
14 Mesaverde Pool in the northwestern portion of the Basin --
15 or the State.

16 The first line there shows the NMOC
17 recommendation, which is slightly under 16.5 BCF per month.
18 My recommended adjustment is 551,925 MCF per month, which
19 yields a total revised monthly pool allowable of 17 BCF for
20 the month.

21 Q. Let's turn to Exhibit 2 and have you show us how
22 you arrived at that recommendation.

23 A. Exhibit Number 2 is a historical production curve
24 of the Blanco Mesaverde Pool from July of 1991 through May
25 of 1994. The last eight months of that time frame, October

1 of 1993 through May of 1994, have been arithmetically
2 averaged to arrive at the "Average = 17" notation in the
3 upper right-hand portion of the plot.

4 Q. On the plot there is a couple of downward spikes
5 in 1994. Do you know what that represents?

6 A. Yes, sir, I do. This is a total production for
7 the month. Those downward spikes are a result of short
8 months.

9 For instance, the most recent one would be in
10 April of 1994 where there's only 30 days in the month. The
11 previous one is February of 1994, which of course there's
12 only 28 days in the month. So if you have a shorter month,
13 you're consequently going to have lower production in the
14 month, as compared to the standard 31 day per month. So
15 even though the daily rate is probably not any different,
16 the monthly total is.

17 And you can see that throughout this curve from
18 1991 through 1994. The short months are simply going to
19 have less production due to less days in the month.

20 Q. Do you recall from memory what the Division
21 approved for the current allowable in this pool, for the
22 period we're in now?

23 A. Yes, for the summer period, 1994, the pool
24 allowable was very close to 16.5 BCF per month. I think
25 the actual production for that same time frame has been

1 slightly under that. I don't have the number on the
2 exhibit, but it's very comparable to that.

3 Since that time, I think we've seen an increase
4 in production from the Mesaverde Pool, in the fall and also
5 the first five months of this year. I think that's a
6 result of capital programs that several operators,
7 including Meridian, have participated in.

8 As you'll remember from the State's exhibit, they
9 did not have production statistics in 1994. I have
10 estimated what I think the pool's production is in the
11 first five months of 1994, based on Meridian's internal
12 production volumes from our operated wells, simply grossed
13 that up by our historic percentage of the pool production,
14 to arrive at this exhibit.

15 Meridian typically produces 45 to 46 percent of
16 all production in the Blanco Mesaverde Pool.

17 So I think our production volumes are fairly
18 representative, when grossed up, of the total pool
19 production. So I feel fairly comfortable in my estimates.

20 Q. Is there any difference in the total assigned
21 allowable for the pool between the summer period versus the
22 winter period?

23 A. Well, historically, in the -- before the 1990s, I
24 think there was a definite difference in summer takes
25 versus winter takes. Since the 1990s, I think that has

1 gone away for the most part.

2 However, one factor that has changed that
3 somewhat is the mechanical work that is done in the summer
4 months.

5 For instance, El Paso Natural Gas operates the
6 two single largest natural gas processing plants in the
7 Basin. For several weeks during the summer both of those
8 plants are down for annual maintenance. So that in that
9 respect, the summer production will be slightly less than
10 the winter production, simply because those plants are shut
11 down and the wells behind there have to be shut in as well.

12 Q. Let's turn to your final display. If you'll look
13 at Exhibit Number 3, identify and describe that.

14 A. Exhibit Number 3 is simply a bar graph of the
15 Blanco Mesaverde production from 1982 through 1994, year to
16 date. And it is an average over the 12 months of each year
17 of the production in BCF per month.

18 What you can see is 1994 year-to-date average
19 production through May is 17.3 BCF per month, which is
20 higher than any year since before 1982. The 1982 value is
21 16.43 BCF per month, so you can see that 1994 has higher
22 production than any year in the last 12 years.

23 This simply adds to my point that production in
24 the Mesaverde, in my opinion, is increasing, and especially
25 in the last several years since pipeline capacities out of

1 the Basin have been installed and operators are taking
2 advantage of that space by doing capital work, drilling
3 wells, recompletions, all the normal activities that
4 operators do to increase their production.

5 Q. If the Commission adopts your recommended
6 adjustment, is there a market for gas if the allowable is
7 based at 17 BCF a month on the pool?

8 A. Yes, sir, that's -- that market's been there
9 since at least 1992, as shown by Exhibit 2.

10 MR. KELLAHIN: That concludes my examination of
11 Mr. Fraser.

12 We move the introduction of his Exhibits 1, 2 and
13 3.

14 CHAIRMAN LEMAY: Thank you, Mr. Kellahin.

15 Questions of Mr. Fraser?

16 Commissioner Weiss?

17 COMMISSIONER WEISS: I have no questions.

18 CHAIRMAN LEMAY: Commissioner Carlson?

19 COMMISSIONER CARLSON: No.

20 CHAIRMAN LEMAY: I have one that's maybe
21 indirectly related to this.

22 EXAMINATION

23 BY CHAIRMAN LEMAY:

24 Q. Jim, do you happen to know, with increasing
25 production on both the coal seam and the Mesaverde here, if

1 we're approaching capacity constraints on the pipeline now
2 in the Basin?

3 A. Yes, sir, we are, and the major pipeline
4 companies are addressing that.

5 For instance, El Paso Natural Gas has planned a
6 further expansion out of the San Juan Basin in the spring
7 of 1994. I think it's about a 250-million-cubic-feet-a-day
8 increase out of the San Juan Triangle, as they call it.

9 Trans Western, which is the other main line,
10 which actually heads east out of the Basin, they're
11 considering making modifications to their system, i.e.,
12 added compression, to also try to relieve that.

13 At this point in time, there is a slight excess
14 capacity out of the Basin. But as you mentioned, as
15 producers continue to do this work it will start pushing
16 that window. I think the pipeline companies are well aware
17 of that and are addressing those needs.

18 CHAIRMAN LEMAY: Thank you.

19 Additional questions?

20 If not, you may be excused. Thank you.

21 Statements?

22 Ms. Trujillo?

23 MS. TRUJILLO: I have statements.

24 CHAIRMAN LEMAY: Does that complete your
25 testimony?

1 MR. KELLAHIN: Yes, sir.

2 CHAIRMAN LEMAY: Is there anyone else that wishes
3 to present a witness for giving testimony for the
4 northwest?

5 Okay. We'll go to statements.

6 Ms. Trujillo?

7 MS. TRUJILLO: Mr. Commissioner, on behalf of
8 Amoco Production Company, I would like to state for the
9 record that Amoco has reviewed the recommended figures as
10 provided by the Oil Conservation Division, they believe
11 that the recommended figures are reasonable and appropriate
12 for each of the pools, and they believe that these figures
13 should be adopted by the Commission.

14 I have not spoken with Amoco regarding Meridian's
15 proposed increase, but the statement stands on the figures
16 as projected by the Commission.

17 Thank you.

18 CHAIRMAN LEMAY: Thank you.

19 Additional statements for the northwest prorated
20 pools?

21 MR. KELLAHIN: Yes, sir.

22 CHAIRMAN LEMAY: Mr. Kellahin?

23 MR. KELLAHIN: Thank you, Mr. Chairman.

24 On behalf of Phillips Petroleum Company, they
25 support the Division's level of allowables for the prorated

1 pool, plus they support Mr. Fraser's recommended adjustment
2 for the Mesaverde Pool that Meridian is requesting.

3 And that concludes my statement on behalf of --

4 CHAIRMAN LEMAY: Thank you.

5 Additional statements? Anyone else have anything
6 to say concerning the proration hearing for the next six
7 months, prorated pools?

8 If not, we'll take that one under advisement and
9 call a recess of about 15 minutes before we take up the
10 rest of the docket.

11 (Thereupon, these proceedings were concluded at
12 10:40 a.m.)

13 * * *

14

15

16

17

18

19

20

21

22

23

24

25


1 CERTIFICATE OF REPORTER

2
3 STATE OF NEW MEXICO)
4) ss.
5 COUNTY OF SANTA FE)

6 I, Steven T. Brenner, Certified Court Reporter
7 and Notary Public, HEREBY CERTIFY that the foregoing
8 transcript of proceedings before the Oil Conservation
9 Commission was reported by me; that I transcribed my notes;
10 and that the foregoing is a true and accurate record of the
11 proceedings.

12 I FURTHER CERTIFY that I am not a relative or
13 employee of any of the parties or attorneys involved in
14 this matter and that I have no personal interest in the
15 final disposition of this matter.

16 WITNESS MY HAND AND SEAL September 27th, 1994.

17
18 
19 STEVEN T. BRENNER
CCR No. 7

20
21 My commission expires: October 14, 1994
22
23
24
25