

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING)	
CALLLED BY THE OIL CONSERVATION)	
DIVISION FOR THE PURPOSE OF)	
CONSIDERING:)	CASE NO. 11,147
)	
APPLICATION OF SOUTHLAND ROYALTY)	
COMPANY)	
_____)	

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MICHAEL E. STOGNER, Hearing Examiner

JAN

December 15th, 1994

Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Division on Thursday, December 15th, 1994, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, before Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

STEVEN T. BRENNER, CCR
(505) 989-9317

I N D E X

December 15th, 1994
 Examiner Hearing
 CASE NO. 11,147

	PAGE
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>ALAN ALEXANDER</u>	
Direct Examination by Mr. Kellahin	5
Examination by Examiner Stogner	9
<u>JAY CLOSE</u>	
Direct Examination by Mr. Kellahin	9
Examination by Examiner Stogner	17
<u>LEONARD BIEMER</u>	
Direct Examination by Mr. Kellahin	18
Examination by Examiner Stogner	25
REPORTER'S CERTIFICATE	28

* * *

E X H I B I T S

	Identified	Admitted
Exhibit 1	6	-
Exhibit 2	6	9
Exhibit 3	8	9
Exhibit 4	12	17
Exhibit 5	13	17
Exhibit 6	13	17
Exhibit 7	15	17
Exhibit 8	20	25

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
State Land Office Building
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

* * *

1 WHEREUPON, the following proceedings were had at
2 9:11 a.m.:

3 EXAMINER STOGNER: At this time I'll call Case
4 Number 11,147.

5 MR. CARROLL: Application of Southland Royalty
6 Company for downhole commingling and an unorthodox coal gas
7 well location, San Juan County, New Mexico.

8 EXAMINER STOGNER: Call for appearances.

9 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
10 the Santa Fe law firm of Kellahin and Kellahin, appearing
11 on behalf of the Applicant, and I have three witnesses to
12 be sworn.

13 EXAMINER STOGNER: Any other appearances?

14 Will the witnesses please stand to be sworn at
15 this time?

16 MR. KELLAHIN: I'll just bring them to the front,
17 Mr. Examiner.

18 (Thereupon, the witnesses were sworn.)

19 MR. KELLAHIN: Mr. Examiner, this case is before
20 you for two reasons. First of all, the downhole
21 commingling process for combining the Pictured Cliff with
22 the coal gas could have been accomplished administratively
23 but for the fact that ownership in the two spacing units is
24 different. We filed this case prior to the time that the
25 Division suggested advertising these cases to be approved

1 without objection.

2 The second part of the case is that it is
3 unorthodox insofar as the coal gas spacing unit is off-
4 pattern. We are utilizing an existing PC well in the
5 southeast quarter of the section in order to obtain the
6 remaining PC reserves in the coal gas potential. The
7 orientation of the coal gas spacing unit is the east half.
8 The well location, therefore, is off-pattern because it's
9 in the wrong quarter section.

10 The first witness is Mr. Alexander with Meridian.

11 ALAN ALEXANDER,

12 the witness herein, after having been first duly sworn upon
13 his oath, was examined and testified as follows:

14 DIRECT EXAMINATION

15 BY MR. KELLAHIN:

16 Q. Would you please state your name, sir?

17 A. Yes, my name is Alan Alexander.

18 Q. What is it that you do for Meridian, Mr.
19 Alexander?

20 A. I'm a senior land advisor with Meridian Oil,
21 Inc., in Farmington, New Mexico.

22 Q. Are you familiar with the land title matters
23 surrounding this Application by -- in this case it's
24 Southland Royalty Company?

25 A. Yes, sir, I am.

1 Q. Meridian and its personnel are acting as agents
2 for Southland Royalty Company with regards to this?

3 A. That's correct.

4 Q. The exhibit book is prepared by you and your
5 staff, is it, Mr. Alexander?

6 A. Yes, it was prepared under my supervision.

7 Q. All right. As a result of that work, are you
8 knowledgeable about the ownership with regards to each of
9 the two spacing units involved?

10 A. Yes, sir, I am.

11 MR. KELLAHIN: We tender Mr. Alexander as an
12 expert witness.

13 EXAMINER STOGNER: Mr. Alexander is so qualified.

14 Q. (By Mr. Kellahin) Let's turn beyond Exhibit Tab
15 Number 1, which contains the Application, look at Exhibit
16 Tab Number 2 and the first display behind that exhibit tab.

17 A. Yes, the first display behind Exhibit Tab Number
18 2 is an offset operator/owner plat for the Pictured Cliffs
19 formation. The boxes that contain numerical numbers show
20 the offset owner/operators, and they're tabulated at the
21 bottom of that page also.

22 Q. Was notification sent to the offset operators
23 surrounding the Pictured Cliffs spacing unit of this
24 particular Application?

25 A. Yes, sir, it was.

1 Q. To the best of your knowledge was there any
2 objection?

3 A. We have received no objection.

4 Q. All right. In addition, the same type of notice
5 was provided -- If we look behind the second display,
6 there's the ownership plat for the coal gas spacing units
7 that offset the east half of Section 3?

8 A. That's correct, and we've had no objections from
9 any of those parties that we've notified also.

10 Q. All right. With regards to the downhole
11 commingling process, did you cause notification to be sent,
12 appropriate to Division rules, to the owners that are
13 entitled to share in production in the Pictured Cliffs
14 spacing unit, as well as the coal gas spacing unit?

15 A. Yes, sir, we did.

16 Q. And are the names and addresses of those interest
17 owners shown as we continue through the displays behind
18 Exhibit Tab Number 2?

19 A. That is correct.

20 Q. To the best of your knowledge, is there any
21 objection by any of those interest owners to the
22 commingling of that production?

23 A. No, sir, we have received no objections.

24 Q. All right. Let's look for a minute at Exhibit
25 Tab Number 3 and have you identify that locator map.

1 A. Yes, the locator map behind Exhibit Tab Number 3
2 is a nine-section land plat. On that map you will see a
3 legend down at the bottom left-hand corner for the well
4 symbols that are on the map.

5 You'll also see that Section 3 of 29 North, 12
6 West, is located in the center of the map, and we have
7 delineated the spacing units for both the Pictured Cliffs
8 formation, being the southeast quarter, and for the
9 Fruitland Coal formation, being the east half of Section 3.

10 We have also highlighted the McGrath Number 3
11 well, which we intend to complete with the Fruitland --
12 It's presently a Pictured Cliffs well, and we intend to
13 complete the Fruitland Coal formation and commingle those
14 two zones.

15 Q. Is this a continuation of both Southland and
16 Meridian's company plan to take old Pictured Cliffs wells,
17 try to extend their productive life by commingling that
18 production with coal gas production and thereby increase
19 recoveries from both pools?

20 A. That is correct.

21 Q. Has that process generally been successful by
22 those two companies?

23 A. Yes, it has been.

24 Q. And this is a continuation of that same effort?

25 A. That is correct.

1 MR. KELLAHIN: That concludes my examination of
2 Mr. Alexander. We move the introduction of the information
3 behind Exhibit Tabs 2 and 3.

4 EXAMINER STOGNER: Exhibits 2 and 3 will be
5 admitted into evidence at this time.

6 EXAMINATION
7 BY EXAMINER STOGNER:

8 Q. Mr. Alexander, do you by chance know how long the
9 McGrath Number 3 has been producing from the Pictured
10 Cliffs formation?

11 A. No, sir, I don't know that. But our following
12 witnesses do have that information.

13 EXAMINER STOGNER: Okay. I'll hold that question
14 for them, then. Thank you, sir. You may be excused.

15 MR. KELLAHIN: Mr. Examiner, at this time I'll
16 call Mr. Jay Close. Mr. Close is a petroleum geologist
17 with Meridian, acting as an agent today and a witness for
18 Southland Royalty Company. He resides in Farmington, New
19 Mexico.

20 JAY CLOSE,
21 the witness herein, after having been first duly sworn upon
22 his oath, was examined and testified as follows:

23 DIRECT EXAMINATION
24 BY MR. KELLAHIN:

25 Q. Again for the record, Mr. Close, would you state

1 your name and occupation?

2 A. My name is Jay Close, and I work as a petroleum
3 geologist for Meridian Oil, Inc., in Farmington, New
4 Mexico.

5 Q. On prior occasions, have you testified before the
6 Division with regards to the geologic aspects of Meridian
7 and Southland's program to take Pictured Cliff wells and to
8 commingle that production with the Fruitland Coal gas
9 production?

10 A. Yes, sir, I have.

11 Q. And as part of that continuing plan of operation,
12 have you made an examination of the geologic aspects that
13 particularly apply to the McGrath Well Number 3?

14 A. Yes, sir, I have.

15 MR. KELLAHIN: We tender Mr. Close as an expert
16 geologist.

17 EXAMINER STOGNER: Mr. Close is so qualified.

18 Q. (By Mr. Kellahin) Let's take Exhibit 3, which is
19 the locator map, Mr. Close, and have you summarize for us
20 what was the end result of your team's technical
21 conclusions concerning how to take Section 3 and achieve
22 the benefit of this plan of utilizing Pictured Cliff wells
23 for commingling with coal gas.

24 A. As part of our ongoing process, we will take a
25 section and look at the location and dedication, acreage

1 dedication, of each of the Pictured Cliffs and coal wells,
2 if they exist in each section, and analyze what will be
3 best for us to maximize production and reserve growth.

4 Q. When we look at Section 3, where are the Pictured
5 Cliff existing wellbores that might have been utilized for
6 this purpose?

7 A. In this particular case, we have Pictured Cliffs
8 wells in the northwest, the northeast and the southeast
9 quarter, and the Pictured Cliffs well in the southwest
10 quarter was plugged and abandoned some time ago.

11 Q. So if you were selecting to stay on-pattern and
12 to dedicate the south half of Section 3 to the coal gas
13 pool, you could not have used the PC well in the southwest
14 quarter?

15 A. Yes, sir, that is correct.

16 Q. What are you doing with the north half?

17 A. Very likely, we will perform some sort of
18 recompletion efforts to the Fruitland Coal in the existing
19 Pictured Cliffs well in the northwest quarter in the
20 future. The McGrath --

21 Q. Is that a likely better candidate than the
22 Pictured Cliff well in the northeast quarter?

23 A. We believe that it is possible, but there's
24 probably no real inherent geologic advantage.

25 Q. All right. Did you choose the McGrath 3 well in

1 the southeast of 3 as the Pictured Cliff well?

2 A. This well is a so-called demand or regulatory
3 well in which we received a letter requiring us as an
4 operator, Southland, to either perform some sort of
5 remediation to the wellbore or plug and abandon that well.

6 Q. That demand would have come from what agency,
7 sir?

8 A. The BLM, Bureau of Land Management.

9 Q. All right. And the current status of the well,
10 then, is what?

11 A. This well is currently shut in.

12 Q. You and the team decided that it was suitable to
13 utilize the McGrath 3, then, as a recompletion candidate,
14 if you will, to commingle PC and Fruitland Coal?

15 A. That is correct.

16 Q. Let's look at the geologic aspects of that
17 analysis. If you'll turn with me to Exhibit 4, describe
18 what you're showing there.

19 A. We've presented here in Exhibit 4 a geophysical
20 log in which the Pictured Cliffs formation and the
21 Fruitland Coal formation are identified for you, and the
22 coal horizon of interest is highlighted in yellow, just
23 above the top of the Pictured Cliffs formation. And you
24 are looking at roughly 25 to 30 feet of coal that we plan
25 to perform the recompletion efforts and production efforts

1 in.

2 Q. All right, sir. Let's turn to the next display.
3 If you'll look behind Exhibit Tab Number 5, identify and
4 describe that display.

5 A. You are looking here at a structure map on the
6 base of the basal or the lowermost coal unit in this
7 portion of the Fruitland Coal play, which would correspond
8 to the base of the coal, highlighted in yellow in the
9 previous Exhibit Number 5, and in this part of the San Juan
10 Basin, as is typical, you are looking at a very gentle dip
11 to the northeast.

12 Q. Is there a structural significance to you as a
13 geologist in where within Section 3 you locate the
14 opportunity to extract the coal gas production from the
15 section?

16 A. No, sir, there is not.

17 Q. Let's look at the distribution of the coal, if
18 you will. If you'll turn behind Exhibit Tab Number 6,
19 identify and describe that display.

20 A. Behind Exhibit Tab Number 6 you have a coal
21 isopach or a coal thickness map for the same area that was
22 highlighted by the base of the basal coal structure map in
23 the previous exhibit, and you can see that the net
24 thickness is on the order of 30 to 35 feet of coal in
25 Section 3 of 29 North, 12 West, in which the McGrath 3 well

1 is located.

2 Q. In Section 3 are we in a portion of the coal gas
3 reservoir that in your geologic opinion could support,
4 based upon reserve potential, the drilling of a new coal
5 gas well as a stand-alone coal gas well?

6 A. No, sir, the economics will not permit the
7 drilling of such a well.

8 Q. Well, in some portions of the Basin you can in
9 fact drill stand-alone gas wells?

10 A. Yes, sir, you can.

11 Q. Describe for us what's occurring in this portion
12 of the Basin, particularly within Section 3.

13 A. In this area of the Fruitland Coal play, the gas
14 content, the gas-in-place resource, the reservoir pressure
15 and the way that gas moves out of the coal, is such that it
16 is not nearly as prolific as the northern or so-called
17 overpressured area where the pressure -- the gas-in-place
18 resource and the permeability in particular, is very much
19 higher, permitting the drilling of successful stand-alone
20 Fruitland Coal gas wells.

21 Q. There are coal gas wells drilled in this
22 immediate vicinity, are there not?

23 A. There are some.

24 Q. And how successful have those wells been?

25 A. Typically in this area, you're looking at coals

1 that require a long dewatering process before one initiates
2 any significant gas production.

3 Therefore, in addition to the drilling,
4 completion and production costs that one has to associate
5 to that well, you also have the water disposal costs in
6 addition to that.

7 Q. So this particular area is not an area targeted
8 where it could economically support the drilling of a
9 stand-alone coal gas well?

10 A. In our opinion, in this area it does not permit
11 the drilling of such a well. And the commingling efforts,
12 we believe, are indeed economic, and we can capture both
13 coal and Pictured Cliffs reserves that would otherwise be
14 lost.

15 Q. There's no appreciable difference, then, within
16 Section 3 as to exactly what quarter section you utilize to
17 access the coal gas?

18 A. Geologically there is not.

19 Q. All right, let's look at the situation with
20 regards to the Pictured Cliff. Do you have a display that
21 will help us look at the Pictured Cliff Pool?

22 A. If you will turn behind Exhibit Tab Number 7,
23 you'll see the McGrath Number 3 well identified to your
24 left and then an arrow highlighted in yellow going towards
25 your right that indicates where in the Fulcher-Kutz

1 Pictured Cliffs gas field we are located. And as you can
2 see, we are in the -- Section 3 of the northern portion of
3 Township 29 North, Range 12 West.

4 Q. You're on the edge, if you will, of that
5 production in that pool?

6 A. Yes, sir, that is correct.

7 And I would like to add that the McGrath Number
8 3, that well was drilled in 1945. Therefore this well has
9 produced a significant amount of gas as of this date.

10 Q. Okay. Is that typical of the Fulcher-Kutz
11 Pictured Cliff Pool as a reservoir, that it's a mature
12 reservoir and it's well into its productive life?

13 A. Yes, sir, that is correct.

14 Q. All right. In terms of prevention of waste and
15 protection of correlative rights, Mr. Close, do you see any
16 reason not to approve the downhole commingling and the
17 unorthodox coal gas location that we've requested in this
18 case?

19 A. No, sir, I do not.

20 Q. No adverse consequences to any interest owners?

21 A. No, sir, not to my knowledge.

22 MR. KELLAHIN: That concludes my examination of
23 Mr. Close.

24 We would move the introduction of Exhibits 4
25 through 7.

1 EXAMINER STOGNER: Exhibits 4 through 7 will be
2 admitted into evidence.

3 EXAMINATION

4 BY EXAMINER STOGNER:

5 Q. Mr. Close, how sensitive is the Pictured Cliffs
6 formation in this area of the Fulcher-Kutz Pool to water
7 encroachment?

8 A. We believe that there is not a compatibility
9 problem in this area. We think that the chemistry of the
10 produced waters between the two units are similar enough so
11 as to minimize or really not even be a problem in terms of
12 chemical compatibility.

13 Q. How about additional waters added to it in case
14 the well had to be shut in and there was a flow between the
15 Fruitland Coal water into the Pictured Cliffs formation?

16 A. We hope that such things are not happening, but
17 if they are, we don't think that the flow would adversely
18 affect the Pictured Cliffs reserves in this area.

19 Q. Is there enough gas being produced to lift the
20 water out of the Fruitland zone, or is there going to have
21 to be some beam pump addition?

22 A. These wells do indeed require both compression
23 and pumping units.

24 Q. Will that be done initially or after the
25 Fruitland has had a chance to flow on its own?

1 A. Due to the very low reservoir pressure in this
2 area, as well as the water production, very likely we will
3 install both compression and pumping units on the well
4 immediately, so as to begin the dewatering process.

5 EXAMINER STOGNER: Okay, I have no other
6 questions of Mr. Close. He may be excused.

7 Mr. Kellahin?

8 MR. KELLAHIN: Yes, sir, we would like to call
9 our petroleum engineer at this time, Mr. Leonard Biemer.
10 He spells his last name, B-i-e-m-e-r.

11 LEONARD BIEMER,
12 the witness herein, after having been first duly sworn upon
13 his oath, was examined and testified as follows:

14 DIRECT EXAMINATION

15 BY MR. KELLAHIN:

16 Q. Will you please state your name and occupation?

17 A. My name is Leonard Biemer. I'm a senior staff
18 production engineer with Meridian Oil in Farmington, New
19 Mexico.

20 Q. Mr. Biemer, on prior occasions have you testified
21 and qualified as an expert petroleum engineer before this
22 agency?

23 A. Yes, I have.

24 Q. And on past occasions you've testified before the
25 agency as a petroleum engineer concerning the commingling

1 of Pictured Cliff and coal gas wells by Meridian Oil
2 Company, I believe it was?

3 A. Yes, sir, I have.

4 Q. And with regards to this Application by Southland
5 Royalty Company, have you continued that examination?

6 A. Yes, sir.

7 Q. In fact, this is one of the wells within your
8 team's area of responsibility; you and Mr. Close have
9 worked on this prospect?

10 A. Yes, sir.

11 Q. As based on that work, do you now have
12 engineering opinions and conclusions concerning the
13 feasibility of commingling coal gas and Pictured Cliff gas
14 in this particular wellbore?

15 A. Yes, sir, the most economical way --

16 MR. KELLAHIN: Let me qualify you, sir.

17 THE WITNESS: Okay.

18 MR. KELLAHIN: We tender Mr. Biemer as an expert
19 petroleum engineer.

20 EXAMINER STOGNER: Mr. Biemer is so qualified.

21 Q. (By Mr. Kellahin) All right, let me have your
22 conclusions. What do you conclude?

23 A. Economically, the best way to produce the
24 Fruitland Coal in this area is by commingling the remaining
25 Pictured Cliff gas with the Fruitland Coal.

1 Q. All right, let's talk about the McGrath Number 3
2 well. It's current status is, it's temporarily shut-in?

3 A. Yes, sir.

4 Q. Do you have a recollection of what the
5 approximate cumulative gas production has been in this well
6 from the Pictured Cliff Pool?

7 A. Cum to date has produced 423 M-squared of gas.

8 Q. And do you have a display that illustrates that,
9 do you not?

10 A. Yes, sir, if you'll look behind Exhibit Number
11 8 --

12 Q. It's the second display behind Exhibit Number 8?

13 A. Yes, sir, second exhibit.

14 Q. Let's look at the performance of the well. If
15 you'll start on the far left of the production plot, show
16 us what's occurred.

17 A. As you can see, starting in 1970 the well
18 initially was producing and has steadily declined. Back in
19 1986 the well was shut in, blind-plated.

20 Recently we received a demand to either plug this
21 well or do some remedial work.

22 In order to recover the remaining Fruitland Coal
23 reserves that are there, or the remaining Pictured Cliff
24 reserves, we decided economically that we must commingle
25 this well with the Fruitland Coal.

1 Q. Do the remaining reserves available only in the
2 Pictured Cliff justify remedial work for Pictured Cliff?

3 A. It's very marginal.

4 Q. All right. In order to achieve a level of
5 economic margin that's acceptable, then, you have no other
6 choice than to try to commingle this production with
7 Fruitland Coal?

8 A. Right, with the addition of not being able to
9 drill a new Fruitland Coal in that area due to poor
10 economics, it's most feasible to commingle the two zones.

11 Q. The procedure for recovery is going to be
12 executed by commingling both zones, and then are you going
13 to combine compression with some lifting capacity on the
14 well?

15 A. Yes, sir, we will be installing a pumping unit,
16 and there is a new compression system out there, so the
17 well will be compressed as --

18 Q. Do you have experience with that kind of
19 application of technology to this type of well, commingled
20 well?

21 A. Yes, it has worked in other areas.

22 Q. Do you see any adverse consequence to doing that
23 in these two pools in this wellbore?

24 A. No, sir, I do not.

25 Q. Any kind of water compatibility or water

1 encroachment from the coal up into the PC that's going to
2 be a substantial problem to you?

3 A. No, sir.

4 Q. Let's look on how you propose to allocate that
5 production.

6 A. Turn back one page. The production is simply
7 going to be allocated based on what we expect the Pictured
8 Cliff to be producing, which is roughly 22 MCF a day. When
9 the well comes in, it will simply be subtracted from that,
10 and then based on the decline of that well.

11 Q. All right, that is a process that Meridian and
12 Southland have utilized on numerous occasions to obtain
13 approval from the Division by which you can appropriately
14 and fairly allocate production between the two pools?

15 A. Yes, sir, it's a -- the same way.

16 Q. All right. Once you do that, then, and allocate
17 by this formula, that portion of production attributable to
18 the Pictured Cliff, then the balance goes to the coal gas?

19 A. Yes, sir.

20 Q. In your opinion, is that a fair and equitable
21 means by which to allocate this production?

22 A. Yes, sir, it is.

23 Q. Let's turn back, if you will, Mr. Biemer, to
24 Exhibit Tab Number 3, and let's look at the wells in the
25 area.

1 Let me pursue with you for a moment the
2 discussion I had with Mr. Close about the coal gas
3 opportunity in this vicinity.

4 Can you show us an example of a coal gas well in
5 this area and describe for us its productivity and the
6 economic consequences to you as you examine Section 3?

7 A. In Section 3 there is no Fruitland Coal. In
8 Section 2 there was an abandoned location, the Cornell
9 Number 500.

10 Q. In the southwest quarter of 2, that --

11 A. Southwest --

12 Q. -- coal gas symbol --

13 A. Right.

14 Q. -- in fact, is not a drilled well?

15 A. It was not a drilled well, it was a bad location.

16 In Section 1 there is a Cornell Number 2, which
17 is a producing well.

18 Q. All right, that would be off this plat?

19 A. Off this plat. And that well is currently
20 producing around 100 MCF a day.

21 Q. Tell us what that means. If it's producing 100
22 MCF a day, how successful is that as a coal gas well?

23 A. In a recompletion that is a marginal well, but it
24 can be done in a new drill that is uneconomical. 100 MCF a
25 day on a new drill has a negative P over I and a 5-percent

1 rate of return.

2 Q. Couldn't possibly justify that for a --

3 A. We cannot do that, no, sir.

4 Q. -- for a new well?

5 Do you see any reason to expect that the coal gas
6 well in Section 1, the results of that well would be any
7 different if you were to drill that coal gas well in
8 Section 3?

9 A. No, sir.

10 Q. Any difference in coal quality or productivity
11 that would make a change?

12 A. No, sir.

13 Q. Okay. What's your ultimate conclusion as an
14 engineer with regards to this Application?

15 A. The most economical and feasible way for us to
16 recover the remaining Pictured Cliff reserves in the
17 McGrath Number 3 and to develop Fruitland Coal reserves in
18 Section 3 is by commingling the two formations.

19 Q. Are you aware of any kind of problem in
20 commingling the production from these two pools?

21 A. No, sir.

22 Q. Any kind of cross-flow, migrations or fluid
23 incompatibility that is too difficult to overcome?

24 A. No, sir.

25 MR. KELLAHIN: All right, that concludes my

1 examination of Mr. Biemer.

2 We move the introduction of his exhibits shown
3 behind Exhibit Tab Number 8.

4 EXAMINER STOGNER: Exhibit Number 8 will be
5 admitted into evidence at this time.

6 EXAMINATION

7 BY EXAMINER STOGNER:

8 Q. Mr. Biemer, could you tell me a little bit about
9 the well? I know it was drilled in 1945, but what
10 precludes Meridian from being able to dually complete this
11 well?

12 A. What precludes us from doing it?

13 Q. Yeah.

14 A. We have 3-1/2-inch casing. The original well was
15 5 1/2, it was open-hole. At a later date 3 1/2 casing was
16 run in there and cemented, and then the Pictured Cliff was
17 re-stimulated. But there's nothing to preclude us from
18 commingling this.

19 Q. So your plans now -- I take it the 3-1/2-inch
20 casing is perforated in the Pictured Cliffs at this time?

21 A. Yes, sir, it is. We'll simply go down and set a
22 cast-iron bridge plug above the Pictured Cliffs, go in
23 there and perforate and stimulate the Fruitland Coal and
24 clean it up and at that time, once the commingling orders
25 are approved, commingle the well. We'll go back in and

1 drill that cast-iron bridge plug back out.

2 Q. How will this well be completed?

3 A. How will it be completed?

4 Q. Yeah.

5 A. We'll run in there with a -- It's a retrievable
6 casing gun, it's an expendable gun, and perforate. We'll
7 then go in there and nitrogen foam-frac it down the casing.

8 Q. And then what kind of a bottomhole assembly will
9 you have ultimately?

10 A. We'll run some 1-1/2-inch tubing and install a
11 pumping jack.

12 Q. What kind of rate of water do you anticipate
13 coming from the Fruitland Coal at this time? Or perhaps
14 the geologist could answer that question.

15 A. We're expecting between 75 and 100 barrels
16 initially.

17 The FC State 24, which if you look behind Exhibit
18 3, off up in Section 36, up in the northeastern corner --
19 it's off your locator map -- Conoco has a well up there.
20 Initially it started off around 75 to 100 barrels a day.
21 Within a few months that dropped to 15 barrels.

22 They also have a pumping unit and compressor
23 installed.

24 The production from that well also started off
25 and has maintained around 100 MCF a day.

1 EXAMINER STOGNER: Okay, I have no other
2 questions of Mr. Biemer.

3 MR. KELLAHIN: That concludes our presentation in
4 this case, Mr. Examiner.

5 EXAMINER STOGNER: You may be excused.

6 Anything further in this case, Mr. Kellahin?

7 MR. KELLAHIN: No, sir.

8 EXAMINER STOGNER: Case Number 11,147 will be
9 taken under advisement.

10 (Thereupon, these proceedings were concluded at
11 9:40 a.m.)

12 * * *

13

14

15

16

17

18

19

20

21

22

23

24

25

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
 COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL December 18th, 1994.

 STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 14, 1998

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 11142 heard by me on 15 December 1994

 Oil Conservation Division

STEVEN T. BRENNER, CCR
 (505) 989-9317