


STATE OF NEW MEXICO  
 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
 OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING )  
 CALLED BY THE OIL CONSERVATION )  
 DIVISION FOR THE PURPOSE OF )  
 CONSIDERING: )

JOINT APPLICATION OF TEXACO )  
 EXPLORATION AND PRODUCTION, INC., )  
 AND MARATHON OIL COMPANY )

CASE NO. 11,152



ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

December 1, 1994

Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Division on Thursday, December 1, 1994, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, before Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

STEVEN T. BRENNER, CCR  
 (505) 989-9317

## I N D E X

December 1st, 1994  
 Examiner Hearing  
 CASE NO. 11,152

	PAGE
APPEARANCES	4
TEXACO WITNESSES:	
<u>KEVIN HICKEY</u>	
Direct Examination by Mr. Carr	6
Examination by Examiner Catanach	20
MARATHON WITNESSES:	
<u>CRAIG KENT</u>	
Direct Examination by Mr. Kellahin	26
Examination by Examiner Catanach	57
REPORTER'S CERTIFICATE	70

\* \* \*

## E X H I B I T S

Texaco Exhibits	Identified	Admitted
Exhibit 1	8	20
Exhibit 2	9	20
Exhibit 3	18	20
Exhibit 4	17	20

(Continued...)

## E X H I B I T S (Continued)

Marathon Exhibits	Identified	Admitted
Exhibit 1	27	57
Exhibit 2	29	57
Exhibit 3	31	57
Exhibit 4	33	57
Exhibit 5	39	57
Exhibit 6	40	57
Exhibit 7	41	57
Exhibit 8	42	57
Exhibit 9	43	57
Exhibit 10	43	57
Exhibit 11	44	57
Exhibit 12	45	57
Exhibit 13	46	57
Exhibit 14	48	57
Exhibit 15	49	57
Exhibit 16	50	57
Exhibit 17	52	57
Exhibit 18	53	57
Exhibit 19	54	57
Exhibit 20	55	57
Shell Exhibit	Identified	Admitted
Exhibit 1	68	-

\* \* \*

## A P P E A R A N C E S

## FOR THE DIVISION:

RAND L. CARROLL  
Attorney at Law  
Legal Counsel to the Division  
State Land Office Building  
Santa Fe, New Mexico 87504

## FOR APPLICANT TEXACO EXPLORATION AND PRODUCTION, INC.:

CAMPBELL, CARR, BERGE & SHERIDAN, P.A.  
Suite 1 - 110 N. Guadalupe  
P.O. Box 2208  
Santa Fe, New Mexico 87504-2208  
By: WILLIAM F. CARR

## FOR APPLICANT MARATHON OIL COMPANY:

KELLAHIN & KELLAHIN  
117 N. Guadalupe  
P.O. Box 2265  
Santa Fe, New Mexico 87504-2265  
By: W. THOMAS KELLAHIN  
and  
MARATHON OIL COMPANY  
P.O. Box 552  
Midland, TX 79702  
By: DOW CAMPBELL

## FOR SHELL WESTERN E&amp;P, INC:

HINKLE, COX, EATON, COFFIELD & HENSLEY  
218 Montezuma  
P.O. Box 2068  
Santa Fe, New Mexico 87504-2068  
By: JAMES G. BRUCE

\* \* \*

1           WHEREUPON, the following proceedings were had at  
2   9:00 a.m.:

3           EXAMINER CATANACH: At this time we'll call Case  
4   11,152.

5           MR. CARROLL: Joint Application of Texaco  
6   Exploration and Production, Inc., and Marathon Oil Company  
7   for a pressure maintenance project, unorthodox injection  
8   well locations, and qualification for the recovered oil tax  
9   credit pursuant to the New Mexico Oil Recovery Act, Lea  
10   County, New Mexico.

11          EXAMINER CATANACH: Are there appearances in this  
12   case?

13          MR. CARR: May it please the Examiner, my name is  
14   William F. Carr with the Santa Fe law firm Campbell, Carr,  
15   Berge and Sheridan.

16          We represent Texaco Exploration and Production,  
17   Inc., and I have one witness.

18          EXAMINER CATANACH: Additional appearances?

19          MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of  
20   the Santa Fe law firm of Kellahin and Kellahin, appearing  
21   in association with Mr. Dow Campbell. Mr. Campbell is a  
22   Texas attorney and the house counsel for Marathon Oil  
23   Company in this matter.

24          We are appearing on behalf of Marathon Oil  
25   Company, and we have one witness to be sworn.

1 EXAMINER CATANACH: Additional appearances?

2 MR. BRUCE: Mr. Examiner, Jim Bruce from the  
3 Hinkle law firm in Santa Fe, representing Shell Western  
4 E&P, Inc.

5 We have no witnesses.

6 EXAMINER CATANACH: Anybody else?

7 Okay, will the witnesses please stand and be  
8 sworn in?

9 (Thereupon, the witnesses were sworn.)

10 KEVIN HICKEY,  
11 the witness herein, after having been first duly sworn upon  
12 his oath, was examined and testified as follows:

13 DIRECT EXAMINATION

14 BY MR. CARR:

15 Q. Will you state your name for the record, please?

16 A. Kevin Hickey.

17 Q. Where do you reside?

18 A. I live in Midland, Texas.

19 Q. By whom are you employed?

20 A. Texaco, Incorporated.

21 Q. And what is your current position with Texaco?

22 A. I'm a reservoir engineer.

23 Q. Does the geographic area of your responsibility  
24 for Texaco include the portion of southeastern New Mexico  
25 which is involved in this case?

1 A. Yes.

2 Q. Have you previously testified before this  
3 Division?

4 A. No.

5 Q. Could you summarize your educational background  
6 for the Examiner, please?

7 A. I graduated with a bachelor of science degree in  
8 chemical engineering from the University of Pittsburgh in  
9 1979.

10 Q. And since graduation, for whom have you worked?

11 A. I've worked exclusively for Texaco as an oil and  
12 gas production engineer.

13 Q. And at all times since graduation you have been  
14 employed as an engineer?

15 A. Correct.

16 Q. Are you familiar with the Application filed in  
17 this case on behalf of Texaco and Marathon?

18 A. Yes.

19 Q. Have you made a study of the portion of the  
20 Vacuum-Drinkard Pool, which is the subject of this  
21 Application?

22 A. Yes.

23 Q. And have you prepared exhibits for presentation  
24 here today?

25 A. Yes.

1 MR. CARR: Mr. Catanach, at this time we tender  
2 Mr. Hickey as an expert witness in petroleum engineering.

3 EXAMINER CATANACH: Mr. Hickey is so qualified.

4 Q. (By Mr. Carr) Mr. Hickey, could you briefly  
5 state what Texaco seeks with this Application?

6 A. Texaco seeks an order approving a pressure  
7 maintenance project in a portion of the Vacuum-Drinkard  
8 Pool, approving unorthodox injection well locations and  
9 qualifying this project for the recovered oil tax rate  
10 pursuant to the New Mexico Enhanced Oil Recovery Act.

11 Q. Now, Mr. Hickey, this project is going to be  
12 conducted on a lease basis, and you're not seeking approval  
13 of any kind of a unit agreement or unitization?

14 A. That's correct.

15 Q. What type of secondary recovery project are  
16 Texaco, Marathon and Shell proposing in this area?

17 A. Pressure maintenance through waterflooding.

18 Q. Could you refer to what has been marked for  
19 identification as Texaco Exhibit Number 1 and identify that  
20 for the Examiner, please?

21 A. This is a copy of Form C-108, application to  
22 inject fluid into reservoir, with supporting data showing  
23 the location of the proposed injection wells, their  
24 construction, a list of wells in the area of review, water  
25 analysis of formation and injection water, and freshwater



1 wells in the area with their analysis.

2 Q. Before we go into Exhibit 1, could you identify  
3 what has been marked as Texaco Exhibit Number 2?

4 A. Exhibit 2 is a plat of the project area. The  
5 dashed outline on that plat shows that the project area  
6 covers approximately 1069 acres.

7 The legal description of it is Township 17 South,  
8 Range 34 East, Section 36, is the south half, southeast  
9 quarter, and the southeast quarter of the southwest  
10 quarter; Township 17 South, Range 35 East, the south half  
11 of the southwest quarter; Township 18 South, Range 34 East,  
12 the northeast quarter, the east half of the northwest  
13 quarter, the north half of the southeast quarter and the  
14 southeast quarter of the southeast quarter; in Township 18  
15 South, Range 35 East, Section 6, the west half, the west  
16 half of the east half, and the northeast quarter of the  
17 northeast quarter.

18 Q. In the project area there are nine leases; is  
19 that correct?

20 A. Correct. It covers approximately 1069 acres.

21 Q. And all of these leases are state leases?

22 A. That is correct.

23 Q. And the operators of all leases are either  
24 Texaco, Marathon or Shell?

25 A. That is correct.

1 Q. And this waterflood pressure maintenance project  
2 will be operated pursuant to a cooperative waterflooding  
3 agreement that has yet to be executed?

4 A. That is correct.

5 Q. What is the present status of the wells that will  
6 be used for injection in the project area?

7 A. Two are active producing wells to be converted,  
8 and there are six wells to be drilled.

9 Q. Let's refer to Exhibit Number 1, and I direct  
10 your attention to pages 14 and 15.

11 Mr. Catanach, there are large copies of these  
12 plats for your review. They're easier to read.

13 But Mr. Hickey, would you refer to those pages  
14 and then just identify them and explain what they show?

15 A. Page 14 is -- Attachment 5 of the C-108 is a plat  
16 of the area showing all wells within a two-mile radius of  
17 the injection wells. These are outlined or should be  
18 outlined as the -- with yellow triangles. It shows the  
19 lease ownership of all the -- in this area.

20 And also on the second page, on page 15, which is  
21 a shot-down version of the project area, it just shows the  
22 wells that have penetrated the injection interval, and it  
23 shows a half-mile radius around those wells, indicating the  
24 wells in the area of review.

25 Q. On this page 15, then, the yellow triangles

1 indicate each of the eight injectors?

2 A. That is correct.

3 Q. And the areas of review are indicated on this  
4 plat?

5 A. Correct.

6 Q. Let's go now to Exhibit 1, pages 16 through 19,  
7 and I'd ask you just to identify what is contained on those  
8 portions of this exhibit, on those pages.

9 A. Pages 16 through 19 give a tabular listing of all  
10 the wells in the area of review.

11 Basically, the first column indicates the  
12 operator, the second column is the well name and API  
13 number, the third column give the legal location, the  
14 fourth column gives the completion date, the fifth column  
15 gives the total depth. The subsequent columns indicate the  
16 construction of the well, the casing depths, the cement  
17 tops, the method of determining cement tops, the producing  
18 intervals, its current status, and any additional remarks  
19 regarding production intervals.

20 Q. Does Exhibit 1 also contain wellbore schematics  
21 for each well within any of the areas of review that  
22 penetrate the injection interval?

23 A. Yes, it does. Pages 20 through 70 are wellbore  
24 schematics of every well in the area of review. This  
25 indicates the location of the wells and the other

1 information required by the Form C-108.

2 Q. Mr. Hickey, could you refer to the portion of  
3 Exhibit Number 1 which contains schematic drawings of any  
4 plugged and abandoned wells within any of these areas of  
5 review?

6 A. There are four wells. These are the Warn State  
7 A/C 2 Number 10, the Vacuum Grayburg San Andres Number 68,  
8 the New Mexico "R" State NCT-3 Number 15 and the New Mexico  
9 "AB" State Number 5.

10 There are schematic drawings showing the plugging  
11 detail located in Exhibit 1 on pages 23, 37, 56 and 62, and  
12 all have been plugged as to prevent migration from the  
13 injection interval.

14 Q. Let's go to pages 11 through 13 of Exhibit Number  
15 1. I'd ask you to identify those portions of this exhibit  
16 and review the information contained thereon.

17 A. The attachments are wellbore schematics of the  
18 proposed injection wells. Page 11 is a schematic of the  
19 New Mexico "O" State Number 36, page 12 is a schematic of  
20 the "R" State NCT-3 Number 26.

21 Q. Those are the two wells you intend to convert --

22 A. Intend to convert.

23 Q. Okay. And then page 13?

24 A. Page 13 is a typical wellbore diagram of the  
25 proposed injection wells that we plan to drill.

1           Basically what -- All these wells pretty much  
2 have been completed. The two wells to be converted were  
3 completed in the past year, and basically they have been --  
4 and all the wells out here drilled for the Drinkard --  
5 pretty much the same type of construction.

6           Basically they set casing at the base of the  
7 Rustler, which is about 1500 feet, circulate cement to the  
8 surface.

9           The well has been drilled to a total depth  
10 through the Drinkard formation, a depth of approximately  
11 8100 feet, and cement has been circulated to the surface,  
12 or at least up this far into the surface casing.

13           The wells should be then set with a packer within  
14 a hundred feet of the top perforation, and using 2 3/8  
15 cement-lined tubing.

16           Q.   You're proposing to inject into the Drinkard  
17 formation?

18           A.   That is correct.

19           Q.   In the Vacuum-Drinkard Pool?

20           A.   That is correct.

21           Q.   What is the approximate thickness of the  
22 formation?

23           A.   The approximate thickness is about 500 feet.

24           Q.   Will the next witness present an isopach map that  
25 actually shows the thickness of the formation in detail

1 across the area?

2 A. That is correct.

3 Q. What is the source of the water proposed to  
4 inject in the subject well?

5 A. I propose to use the produced water from the  
6 Glorieta and produced water from the Grayburg-San Andres  
7 formations. This is coming from the Vacuum Glorieta West  
8 unit, which will basically supply the water to the three  
9 wells located on the eastern side of the project area, and  
10 the remaining wells will be supplied with water from the  
11 Vacuum Grayburg-San Andres unit.

12 Q. Are all of the injectors going to be operated by  
13 Texaco?

14 A. All except for the one on the Warn State. That  
15 will be operated by Marathon.

16 Q. And at this present time, Texaco is conducting  
17 waterflood operations in this general area?

18 A. Yes, there are several waterfloods in this area.

19 Q. And you'll be tying this into the existing Texaco  
20 water system that will -- how you will supply the project  
21 area; is that correct?

22 A. That is correct.

23 Q. And you'll be able to meter not only the  
24 injection but be able to regularly check water wells in the  
25 area so that you can maintain full control over the

1 project?

2 A. That is correct.

3 Q. What volumes do you propose to inject?

4 A. An average volume of about 625 barrels a day per  
5 well, for a total of about 5000 barrels a day.

6 Q. And what will be the maximum injection rate you  
7 propose?

8 A. It will be about 8000 barrels a day for the whole  
9 project, roughly 1000 barrels per day per well.

10 Q. And this will be a closed system?

11 A. Yes, it will.

12 Q. Are you going to be injecting under pressure or  
13 by gravity?

14 A. We'll be injecting under pressure. We plan an  
15 average pressure of about 1400 p.s.i.

16 Q. And is that close to a .2 pound per foot of depth  
17 at the top of the injection interval?

18 A. That is correct.

19 Q. What do you anticipate would be your maximum  
20 injection pressure?

21 A. At this point, 1500 p.s.i.

22 Q. If you need to go above this .2-pound-per-foot-  
23 of-depth limitation, would you first propose that you  
24 establish with a step-rate test that that can be done  
25 without fracturing the confining strata?

1           A.    That is correct.

2           Q.    Let's go to Exhibit Number 1, and I direct your  
3 attention to pages 71 through 80. Could you identify and  
4 review those for the Examiner?

5           A.    Pages 71 through 80 are water analyses of  
6 produced and injection fluid.

7                   Page 71 is a sample of -- a water analysis of  
8 Drinkard water from the Warn State lease, page 72 is  
9 Drinkard water from the Texaco leases, page 73 is produced  
10 water from the Glorieta formation, page 74 is produced  
11 water from the San Andres formation.

12                   Pages 75 through 80 were compatibility tests run  
13 using various mixes of Drinkard water and proposed  
14 injection water from the Glorieta and the San Andres. We  
15 indicated that there were no compatibility problems.

16           Q.    Okay, are there freshwater zones in this area?

17           A.    Yes there are, in the Ogallala.

18           Q.    And are there any freshwater wells within a mile  
19 of any of the proposed injection wells?

20           A.    There are several wells in the area. Two are  
21 identified on page 81.

22                   One thing to note, that these are monitor wells  
23 with all the waterflood projects in the area, that these  
24 are routinely taken, monthly water analysis, to determine a  
25 possibility of contamination.



1 Q. And is an analysis of the water from each of the  
2 wells shown on 81 attached to this exhibit?

3 A. Yes, they are.

4 Q. They're the last two pages of the exhibit?

5 A. Pages 82 and 83.

6 Q. Now, there are additional freshwater wells in the  
7 area; is that not correct?

8 A. Yes, there are.

9 Q. And is Exhibit Number 4 a copy of water analyses  
10 on each of those wells that indicate the location of the  
11 well and also the most recent analysis of the water?

12 A. Yes, that is.

13 Q. Have you examined the available geologic and  
14 engineering data on this reservoir and as a result of that  
15 review, have you determined that there -- whether or not  
16 there's evidence of any open faults or other hydrologic  
17 connections between the injection interval and any  
18 underground source of drinking water?

19 A. Yes, I have, and there's no indication that  
20 there's any source of connections between the injection  
21 zone and underground source of drinking water.

22 Q. In your opinion, will approval of this  
23 Application result in the increased ultimate recovery of  
24 oil from the project area?

25 A. Yes.

1           Q.    In your opinion has the project area been so  
2   depleted that it is now prudent to implement pressure  
3   maintenance operations to maximize the recovery of crude  
4   oil?

5           A.    Yes.

6           Q.    Has a copy of the Application been provided to  
7   all leasehold operators within any of the areas of review?

8           A.    Yes it has.  We've -- Exhibit 3 is a copy of the  
9   notice letters, and there's a copy of the certified  
10   receipts of the -- that each of the offset operators of  
11   wells and the State were notified.

12          Q.    Mr. Hickey, those notice letters were provided --

13          A.    Yes.

14          Q.    -- by certified mail on October 31st, 1994?

15          A.    Yes.

16          Q.    A copy of the Application was provided at that  
17   time?

18          A.    Yes.

19          Q.    And a legal advertisement was also run in the  
20   newspaper as required by Form C-108?

21          A.    Yes.

22          Q.    That was run in the *Hobbs Daily News Sun* on  
23   November 3rd, 1994?

24          A.    That is correct.

25          Q.    Was notice also provided by certified mail to the

1 owner of the surface of the land?

2 A. Yes, it was. It was sent to the State.

3 Q. What is the depth bracket allowable for wells in  
4 this pool?

5 A. 187 barrels per day.

6 Q. And what is the spacing for wells in the pool?

7 A. Forty acres.

8 Q. Is there a producing well on each 40-acre tract  
9 in the project area?

10 A. Yes.

11 Q. And do the Applicants request that each operator  
12 in the project area be allowed to produce the share of the  
13 project allowable attributable to its leases from the wells  
14 it operates in the project area in any proportion?

15 A. Yes.

16 Q. In your opinion, will approval of this  
17 Application be in the best interest of conservation, the  
18 prevention of waste and the protection of correlative  
19 rights?

20 A. Yes.

21 Q. Were Exhibits 1 through 4 either prepared by you  
22 or compiled at your direction and under your supervision?

23 A. Yes.

24 MR. CARR: At this time, Mr. Catanach, we move  
25 the admission of Texaco Exhibits 1 through 4.

1                   EXAMINER CATANACH: Exhibits 1 through 4 will be  
2 admitted as evidence.

3                   MR. CARR: That concludes my direct examination  
4 of Mr. Hickey.

5                                   EXAMINATION

6 BY EXAMINER CATANACH:

7           Q.    Mr. Hickey, I'm a little bit unclear about this  
8 project. Do you plan on having two operators within this  
9 project?

10          A.    There will actually be three operators. Shell  
11 will be operating their wells. Each lease holder will  
12 operate their own wells.

13                   We will operate the seven injection wells that  
14 are on our property, and then Marathon will operate the one  
15 well that is shared on the lease line between them and  
16 Shell.

17          Q.    I don't know that I've come across this situation  
18 before. Why was it necessary to do it that way, to not  
19 have a -- one operator operating this flood?

20          A.    We felt that -- and I believe the next witness  
21 will explain a little bit more about the timing of the  
22 project.

23                   We felt that it was better to try to go ahead  
24 from an economic standpoint, to prevent waste, that we try  
25 to do a lease line agreement with the wells to be shared

1 between the operators.

2 Q. Do you specifically know which acreage will be  
3 operated by which company?

4 A. Yes.

5 Q. Can you go over that for me?

6 A. On that plat --

7 MR. CARR: Exhibit 2.

8 THE WITNESS: -- Exhibit 2, Texaco will operate  
9 the tracts marked 8, 9, 1, 2, 6 and 7. Marathon will  
10 operate tract 5, and Shell will operate tracts 3 and 4.

11 Q. (By Examiner Catanach) Did you say that Texaco  
12 will operate all of the injection wells?

13 A. We will operate all the injection wells, with the  
14 exception of the one that is on Tract 5, which is the Warn  
15 State lease. Marathon Oil will operate that well.

16 Q. Where is that Warn State well located?

17 A. That is located on Tract -- on this diagram, on  
18 tract 5.

19 It's actually -- It's on the lease line, if you  
20 see where tracts 3 and 4 and 5 come together. It's the  
21 northernmost well.

22 Q. Are these all separate state leases, all these  
23 tracts?

24 A. Yes.

25 Q. Have you consulted in any form or fashion with

1 the Commissioner of Public Lands on this proposal?

2 MR. CARR: Mr. Catanach, we've provided a copy of  
3 the Application, we've confirmed that the leases are all --  
4 all leases are common schools, except 2 and 7; they are New  
5 Mexico Military Institute.

6 We've received no objection from the Land Office.

7 EXAMINER CATANACH: Except, I'm sorry, tracts 2  
8 and 7?

9 MR. CARR: 2 and 7 are New Mexico Military  
10 Institute.

11 EXAMINER CATANACH: Have you received any kind of  
12 approval from them?

13 MR. CARR: No, we haven't.

14 I mean, we've discussed it, and that's as far as  
15 it has gone with them.

16 If you'd like for me to follow that up with the  
17 Land Office, I can do that.

18 EXAMINER CATANACH: Yes, I would, as a matter of  
19 fact, Mr. Carr.

20 MR. CARR: All right.

21 Q. (By Examiner Catanach) Mr. Hickey, have the  
22 operators arrived at a method of allocating production on  
23 these -- in this waterflood?

24 A. Production will be allocated by -- to -- as they  
25 are -- as it is now, according to each individual lease.

1 There will be no central commingled facility.

2 As far as the injection wells, Texaco is  
3 supplying the injection well from our waterfloods, and it  
4 will be charged at a rate according to the lease line  
5 agreements and water that is agreeable to all parties.

6 Q. How many producing wells will you have within the  
7 project?

8 A. I think that's 27. We have, I believe, 15 on  
9 Texaco acreage. Marathon will have eight, and then Shell  
10 has two.

11 Q. Do you know, Mr. Hickey, what the average  
12 production is within the area?

13 A. Total production is about 2500 barrels a day.

14 Q. Total current production?

15 A. Right.

16 Q. That's from about 25 wells?

17 A. That's about correct, about -- probably a little  
18 bit less than a hundred barrels a day per well.

19 Q. Mr. Hickey, have you examined all the area-of-  
20 review wells and satisfied yourself that they're all cased  
21 and cemented adequately to confine the injected fluid?

22 A. Yes, I have.

23 Q. Is there actually a cooperative waterflood  
24 agreement document that's been signed by the various  
25 companies?

1           A.    Not as yet.

2           Q.    Will there be?

3           A.    Yes.

4           Q.    That will cover operations within the project  
5 area?

6           A.    Yes.

7                   EXAMINER CATANACH:  That's all I have of the  
8 witness at the current time.

9                   MR. CARR:  Mr. Catanach, I would note that I have  
10 not been able to locate an exact precedent for an  
11 application like this.

12                   I would call your attention, however, that  
13 approximately two years ago, Hanson Operating and Yates  
14 Petroleum Corporation came in with a joint or at least  
15 related applications to waterflood one pool.  It was the  
16 Yates Creek AL lease, and it was a Hanson unit south of  
17 that, and it was similar in all respects.

18                   There was a common waterflood project and each  
19 was going to produce wells on its own tract and keep that  
20 production.

21                   I will provide those order numbers to you  
22 because, although they were two separate cases, the facts  
23 are very similar to these.

24                   That's all we have of Mr. Hickey.

25                   (Off the record)



1 EXAMINER CATANACH: Mr. Carr?

2 Upon conferring with Mr. Carroll here, we have  
3 determined that it probably would be best if we did provide  
4 notice of the hearing.

5 MR. CARR: What we will do, then, at the  
6 conclusion of the hearing is request that the case be  
7 continued to the January 5th Examiner hearing.

8 We will provide notice of the hearing, and then  
9 on January the 5th we will request that the matter be taken  
10 under advisement based on the record here today.

11 Inasmuch as we've provided the Application to  
12 each of the affected parties and have no objection, we  
13 don't anticipate there would be any need for any additional  
14 hearing at that time. It would just close the door on any  
15 subsequent notice question.

16 So we will do that.

17 EXAMINER CATANACH: Okay.

18 (Off the record)

19 EXAMINER CATANACH: You may proceed, Mr.  
20 Kellahin.

21 MR. KELLAHIN: Thank you, Mr. Examiner.

22 At this time I'd like to call Mr. Craig Kent.

23 We have passed out to the Division and to the  
24 participants the Marathon exhibits that Mr. Kent will use  
25 in his presentation, Mr. Examiner.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

CRAIG KENT,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. KELLAHIN:

Q. For the record, Mr. Kent, would you please state your name and occupation?

A. My name is Craig Kent, and I'm a reservoir engineer with Marathon Oil Company in Midland, Texas.

Q. Mr. Kent, have you testified before this agency on prior occasions and have qualified as an expert witness in the field of reservoir engineering, including special expertise in reservoir simulation?

A. Yes, I have.

Q. Are you personally involved with and familiar with the facts and circumstances surrounding this joint Application by your company and Texaco for approval of this pressure-maintenance project?

A. Yes, I am.

Q. As part of your work, have you in fact simulated the performance of the project?

A. Yes, I have.

Q. And as a result of that simulation, do you now have engineering conclusions and opinions about the feasibility of this project?

1           A.    Yes, I do.

2           MR. KELLAHIN:  We tender Mr. Kent as an expert  
3   reservoir engineer, with expertise in reservoir simulation.

4           EXAMINER CATANACH:  Mr. Kent is so qualified.

5           Q.    (By Mr. Kellahin)  Let me have you turn to what  
6   you have marked as your first exhibit, and let's use that  
7   as an orientation display, Mr. Kent.

8           A.    Okay.  Exhibit 1 is the same plat that was shown  
9   as Texaco Exhibit Number 2.  This shows the active wells in  
10  the Vacuum Drinkard Pool.

11                    Outlined by the dashed line is our proposed  
12  project area.

13           Q.    When the Examiner looks at all the black dots on  
14  the display, what is he seeing?

15           A.    The black dots represent currently active  
16  producing wells within the Vacuum Drinkard Pool.

17           Q.    Regardless of whether they're inside or outside  
18  the project, then, those are the Drinkard producers as they  
19  now exist for this pool?

20           A.    That's correct.

21           Q.    Okay.  What is the area, project area, that you  
22  modeled as part of your simulation work?

23           A.    I modeled the production of the entire Vacuum-  
24  Drinkard Pool and concentrated my review of that on the  
25  area that's marked within the dashed line.

1 Q. Did you satisfy yourself that you had adequate  
2 geologic basis upon which to conduct reservoir simulation?

3 A. Yes, I did.

4 Q. In addition, did you have sufficient production  
5 information where you as a reservoir engineer could select  
6 reservoir parameters by which to conduct an accurate  
7 simulation?

8 A. Yes, I did.

9 Q. And did you satisfy yourself that you had  
10 sufficient history in which to match or calibrate your  
11 simulation?

12 A. Yes, I did.

13 Q. Based upon that work, what were your conclusions?

14 A. My conclusions were that within the project area  
15 we should recover under primary depletion somewhere around  
16 3 million barrels of oil and that by implementation of this  
17 secondary recovery project we would improve recovery by  
18 another 2.5 million barrels of oil.

19 Q. What is the current level of cumulative recovery  
20 from the project area's wells?

21 A. To date, we've recovered about 1.2 million  
22 barrels of oil.

23 Q. The remaining primary is another 1.8, and then on  
24 top of that you have estimated an additional 2.5 million  
25 incremental oil attributed to the pressure-maintenance

1 process?

2 A. That's correct.

3 Q. All right. Let's look at the conclusionary  
4 displays that illustrate your points.

5 If you'll turn with me, sir, to what is marked as  
6 Exhibit 2, first identify what you've shown us and then  
7 describe your conclusions.

8 A. Okay, Exhibit 2 is a production plot for the  
9 project area, showing daily average oil, gas and water  
10 rates from all the wells, from October of 1992 through  
11 August of 1994.

12 Shown in the green line with the diamond-shaped  
13 symbols is the average daily oil rate. The red line with  
14 the square symbols represents the average daily gas rate.  
15 And the blue line with the triangle symbols represents the  
16 daily average water rate.

17 From -- During the period of October, 1992,  
18 through probably the middle of 1994, there was active  
19 development within the Drinkard Pool in this area. And  
20 that's shown, as you can see, by the increase in oil and  
21 gas rates.

22 Approximately the beginning of this year, the  
23 level of activity decreased, and the reservoir went on  
24 primary decline.

25 During that period, however, as reservoir

1 pressure continued to decline, we've seen dramatic  
2 increases in GOR during that same time period, roughly from  
3 around 1000 standard cubic per stock tank barrel in  
4 January, to an average of about 1550 standard cubic feet  
5 per stock tank barrel now, and the trend is still  
6 continuing to increase.

7 Q. What did you determine to be the initial  
8 discovery reservoir pressure in the Drinkard?

9 A. The discovery pressure was slightly less than  
10 3000 pounds.

11 Q. What is the bubble-point pressure in the  
12 reservoir?

13 A. The bubble-point pressure that we measured from a  
14 fluid sample in early 1992 was 2350 pounds.

15 Q. And where are we now in the pressure?

16 A. Based on our simulation work, we're estimating a  
17 reservoir pressure in the project area of around 1950  
18 pounds.

19 Q. So we're now well below the bubble-point pressure  
20 in the reservoir?

21 A. That's correct, we have dropped below bubble  
22 point.

23 Q. When you look at the plot of oil production, the  
24 highest point of performance in the project area is -- What  
25 is that? February of 1994?

1 A. Correct.

2 Q. And then after that you're seeing a decline?

3 A. That's correct.

4 Q. What do you attribute that decline to?

5 A. That decline is attributable to depletion of  
6 reservoir energy, reservoir pressure.

7 Q. What kind of drive mechanism do you have in this  
8 reservoir?

9 A. This is a solution gas drive reservoir.

10 Q. Do you see any significant water production?

11 A. No, our water production averages between 100 and  
12 200 barrels of water per day.

13 Q. All right, let's go to the results of the  
14 simulation, then. If you'll turn to Exhibit 3, identify  
15 and describe that for us.

16 A. Exhibit Number 3 is a combination of the existing  
17 production history, along with the projections from the  
18 reservoir simulation for oil, gas, water production, as  
19 well as water injection.

20 We're showing the oil production with the solid  
21 and dashed green lines, gas is shown by the solid and  
22 dashed red lines, water production with the solid and  
23 dashed darker blue lines, and then water injection with the  
24 lighter dashed blue line.

25 Q. What does it tell you?

1           A.    What it's showing us is that -- particularly  
2   looking at the oil production, that by implementation of a  
3   secondary recovery project, that we will start to arrest  
4   the decline in the oil production and actually improve our  
5   ultimate recovery.

6                   We also see by looking at the difference in  
7   spread between the gas and oil curves that we will achieve  
8   a reduction in overall GOR by maintaining higher reservoir  
9   pressure.

10          Q.    As part of your duties to examine and analyze the  
11   project area to see if it is suitable for pressure  
12   maintenance, did you investigate the issue of timing of the  
13   implementation of pressure maintenance?

14          A.    Yes, I did.

15          Q.    And what was your conclusion?

16          A.    One of our sensitivity analyses that we looked at  
17   was to alter the timing of the startup of the projects, and  
18   we chose to alter it by -- in six-month intervals.

19                   And we found that each delay of six months cost  
20   us about five percent of the incremental benefit that we  
21   would receive.

22          Q.    In terms of barrels of oil?

23          A.    That would be -- Our total secondary was about  
24   2.5 million barrels, so roughly 75,000 barrels of oil for  
25   every six-month delay.



1           Q.    So there's a significant factor for your  
2 consideration as to the timing by which you maintain or  
3 arrest the pressure reduction in the reservoir?

4           A.    That's correct.

5           Q.    Let's turn now, sir, to look at Exhibit 4.

6           A.    Exhibit 4 is an isopach map of the Drinkard  
7 reservoir. We're showing the same nine-section area as  
8 we've shown on Exhibit 1.

9                   Highlighted in yellow is the proposed project  
10 area. Again, the solid black dots represent the currently  
11 active Drinkard producers. The Xs on the map represent  
12 Drinkard penetrations that were used for control.

13          Q.    Let's talk about your engineering justification  
14 for the boundary of the project area, and let's start  
15 anywhere on that boundary you choose, and take us around  
16 the boundary and show us why it has this particular  
17 configuration.

18          A.    Okay, if we start in the northwestern corner of  
19 the project area in Section 36 of Township 17 South, Range  
20 34 East, and move in a counterclockwise fashion, from that  
21 point all the way around the southern portion of the  
22 project area boundary what we're looking at is the current  
23 producing limits of the Vacuum-Drinkard Pool.

24                   That continues south into Section 1, then  
25 easterly through the southern portion of Section 1, through

1 Section 6 of 18 South, 35 East, and then as we start to  
2 move north along the eastern edge in Section 6 we still are  
3 controlled by the productive limits of the reservoir, until  
4 we get to the northeast quarter of the northeast quarter of  
5 Section 6.

6 Q. All right, let's go back and look at Section 7 to  
7 the south and look at the north half of the northwest  
8 quarter. There are two producers that are now abandoned in  
9 the Drinkard interval?

10 A. That's correct.

11 Q. Why is that acreage not included within the  
12 project area?

13 A. Those two wells were two of the original wells  
14 that were produced in the early 1960s. Those wells cum'd  
15 about 10,000 barrels of oil each, and they're not currently  
16 active. They're in a downdip, tight portion of the  
17 reservoir and probably would not respond to secondary  
18 recovery.

19 Q. All right, sir, that takes us around, then, up to  
20 the northeast corner of the project area, and we're at the  
21 corners of Section 6 and the northeast offset, Section 32?

22 A. Correct.

23 Q. Describe for us why you've chosen this boundary  
24 across this area.

25 A. The boundary from there on around, back to the

1 northeast corner, is chosen on a political basis. We chose  
2 to include those leases that were operated by the three  
3 participants in the project: Shell, Marathon and Texaco.  
4 We excluded leases that were operated by Mobil, Arco and  
5 Phillips.

6 In our scheme as we have it set up right now, the  
7 injection wells will be paid for and maintained by the  
8 three operators that we've been discussing, and Phillips,  
9 Mobil and Arco will have no responsibility in that part.

10 However, based on our simulation, they do receive  
11 some benefit from the flood.

12 Q. All right. In order to test the feasibility of  
13 the project, where have you decided to locate the injection  
14 wells?

15 A. We have decided to locate the injection wells  
16 primarily along the lease lines of Marathon and Shell and  
17 Texaco common boundaries.

18 Q. In what portion of the reservoir are those  
19 injection wells to be located?

20 A. Those wells are located basically in the heart of  
21 the reservoir.

22 Q. Is that a good place to put them?

23 A. That's a very good place to put them.

24 Q. Do you see any correlative-rights impairment of  
25 Phillips, Mobil or Arco by not having their producers

1 included in the cooperative pressure maintenance project  
2 area?

3 A. No, and as I said before, they, based on our  
4 simulation work, they actually benefit from the injection  
5 that would take place away from their acreage.

6 Q. All right. Having determined a project area,  
7 have you satisfied yourself that within this project area  
8 as you've modeled it, all the project area is going to  
9 benefit from pressure maintenance?

10 A. Yes, it will.

11 Q. What causes you to reach that conclusion?

12 A. That conclusion is based on the results of the  
13 simulation work that we've performed.

14 Q. In looking at your options or choices in pressure  
15 maintenance, did you look at various choices for the  
16 location of injection wells within the project area?

17 A. Yes, we did. We looked at not only locations but  
18 different pattern arrangements, ranging anywhere from  
19 drilling up to 25 to 30 infill injection wells to develop  
20 this thing on a 40-acre fivespot pattern, we looked at  
21 converting half the wells in the area to injection to form  
22 80-acre fivespots, we looked at 160-acre ninespot patterns,  
23 we looked at flooding isolated leases, and we looked at  
24 this lease line arrangement.

25 Q. Independent of expense, what is the maximum

1 secondary oil you think you could recover from the project  
2 area using any kind of configuration of injection pattern?

3 A. The maximum recovery that we saw was about 3  
4 million barrels of incremental oil.

5 Q. In order to accomplish that, what would you have  
6 to do in terms of expense and drilling?

7 A. We would have to drill roughly 15 additional  
8 infill injection wells to achieve that.

9 Q. Under the proposed pattern that you're presenting  
10 to the Examiner, you've included it has the opportunity to  
11 recover 2.5 million additional oil?

12 A. That's correct.

13 Q. So you're giving up half a million barrels of  
14 oil. Why have you chosen to do that?

15 A. Because the expense to drill the additional 15  
16 wells does not justify the additional half million barrels  
17 of recovery.

18 Q. Is your pattern of injection one in which you  
19 have determined it to be effective and efficient?

20 A. Yes, it is.

21 Q. And is it a pattern that has been agreed upon by  
22 participants in the cooperative project area?

23 A. Yes, it is.

24 Q. Let's talk about the issue of a cooperative  
25 project, as opposed to some other solution.

1           Why, in your opinion, does that particularly fit  
2           or work in this circumstance?

3           A.    The primary reason is the timing issue. We felt  
4           that we could get a cooperative flood put together in a  
5           rather short period of time, as opposed to, say,  
6           unitization where we have to sit and argue about equity and  
7           determine an equity formula prior to moving forward. We  
8           felt that this would be a much more expedient method of  
9           achieving that.

10          Q.    Do you have the unique opportunity in this  
11          project area to have each of the operators be a 100-percent  
12          working interest owner in their leases?

13          A.    That's correct.

14          Q.    In addition, these are all State of New Mexico  
15          leases?

16          A.    That's also correct.

17          Q.    Are you aware of any correlative rights issue  
18          that would be of concern within the project area as the  
19          various operators cooperate to recover the secondary oil?

20          A.    No, there should be no correlative rights issues.

21          Q.    Let's talk about the geologic predicates that  
22          went into your model.

23                If you'll turn with me, sir, to Exhibit 5,  
24          identify and describe what significance the structure map  
25          has for you.

1           A.     Okay.  Again, Exhibit 5 is the structure map on  
2     the top of the Drinkard formation.

3                     As you can see, starting in the south, you see  
4     that the contour lines are very closely spaced.  South of  
5     this portion of the field, the Drinkard drops off into the  
6     Delaware Basin, and the southern portion of the reservoir  
7     is tight and not productive.

8                     As you move further to the north you get up into  
9     the shelf, and structure really does not play a significant  
10    part in this reservoir.

11           Q.     We've got about 250 feet of elevation  
12    differential, if you will, in the project area?

13           A.     That's correct.

14           Q.     Does that matter to you as the engineer when you  
15    look at where to locate your injection wells?

16           A.     No, it doesn't.

17           Q.     In a pressure-maintenance project, why do you  
18    anticipate seeing the producers, which are one producer  
19    away from the injector, still benefitting from pressure  
20    maintenance?

21           A.     Because what we're trying to do is replace some  
22    of the reservoir fluid that are being produced from the  
23    area with water injection.

24                     That will ultimately maintain a higher reservoir  
25    pressure throughout the area and allow all the wells to

1 produce at higher rates than they would have under a  
2 depletion scenario.

3 Q. For this particular reservoir, then, it's not  
4 necessary to have an injector located among each producer?

5 A. That's correct.

6 Q. You don't have to infill your injection pattern  
7 to that extent?

8 A. That's correct.

9 Q. All right. Let's look at how a type log  
10 illustrates the Tubb reservoir. If you'll look at 6 for  
11 me, what does this show?

12 A. Exhibit 6 is a type log showing the productive  
13 interval in the Drinkard Pool.

14 In the Drinkard Pool currently, there's  
15 production from the Drinkard proper, as well as some  
16 isolated carbonate stringers within the lower portion of  
17 the Tubb.

18 The production comes primarily from very low-  
19 porosity, low-permeability dolomites, and it exists  
20 throughout the entire vertical section of the Tubb and  
21 Drinkard.

22 Q. When we look at the producers on this display,  
23 what zones are the producers currently open in?

24 A. They're currently open in the Tubb and the  
25 Drinkard.



1 Q. So zones 1 through 4 are open in all these wells?

2 A. That's correct.

3 Q. And what do you propose to do with the injection  
4 wells as to these zones?

5 A. The injection wells will also be open in all the  
6 available intervals.

7 Q. Do you see containment of reservoir fluids within  
8 the flood interval?

9 A. Yes, we do.

10 Q. There are barriers to vertical flow up and down,  
11 so that injection fluids are going to remain confined to  
12 the Tubb-Drinkard injection interval for the pool?

13 A. That's correct.

14 Q. What causes that to happen?

15 A. There are tight portions of reservoir above us in  
16 the Tubb, as well as below us, there are some shales in the  
17 upper portion of the Abo.

18 Q. All right. This is not an area where we have  
19 Tubb gas wells, then?

20 A. No, that's correct.

21 Q. Okay. Let's turn now to Exhibit 7.

22 A. Okay. Exhibit 7 is a locator map showing all the  
23 available log control that was used in building our  
24 geologic model for the reservoir.

25 Shown in the white lines are two lines of section

1     which will be shown on the following display. And then  
2     just for location purposes, the yellow line highlights the  
3     border of the Marathon-operated lease in the west half of  
4     Section 6.

5           Q.     How do you use this information in your  
6     simulation?

7           A.     What this was -- This display just shows our  
8     model grid for the geologic model, the location of the  
9     wells. And shown on this with the white lines, as I said,  
10    are the locations of the section lines shown on the next  
11    display.

12          Q.     All right, let's look at the next display.

13          A.     Okay. Exhibit 8 again shows two lines of cross-  
14    section in three dimensions. On this particular plot,  
15    north is to the upper right portion of the display.

16                 Looking at the north-south trending section, that  
17    runs roughly down the western portion of Section 6. The  
18    east-west trending portion of the section runs along the  
19    northern boundary of Section 6 of 18 South, 35 East.

20          Q.     What's the color code?

21          A.     The color code that we're showing here represents  
22    net pay or net porosity in the reservoir. We've colored  
23    everything with porosity greater than two percent in red  
24    and that with porosity less than two percent in blue.

25                 Based on our geologic study of the reservoir, we

1 feel that productive limits on a porosity cutoff basis are  
2 somewhere around two percent.

3 As I said, we're dealing with a very low porosity  
4 reservoir, somewhere between two to eight percent, with an  
5 average of around four percent.

6 Q. Let's go to Exhibit 9 and have you identify and  
7 describe that display.

8 A. Exhibit 9 is showing the same area of our  
9 geologic model grid. However, shown on here are several  
10 lines of section with the white lines. Again, for  
11 reference purposes, the Marathon-operated lease highlighted  
12 in yellow.

13 Q. All right, Exhibit 10?

14 A. Okay, Exhibit 10 is a fence diagram of those  
15 sections. In this particular display, north is to the  
16 upper left portion of the plot.

17 And again, what we've highlighted here is  
18 porosity greater than two percent in red and that less than  
19 two percent in blue.

20 You can see on here the structural element of the  
21 reservoir as you move to the south, dipping sharply off  
22 into the basin. And moving to the north, you see very  
23 little change in elevation in the reservoir.

24 What we also see, looking at the fence diagram,  
25 is that we have fairly good continuity of pay throughout

1 the reservoir, and that's indicated by the abundance of the  
2 red coloration within the fence diagram.

3 Q. What are you trying to achieve with your  
4 injection wells located as they are, then?

5 A. What we're trying to achieve is to maintain  
6 reservoir pressure at its current levels at a minimum and  
7 try, if possible, to elevate that to maximize ultimate  
8 recovery from this reservoir.

9 Q. Geologically, do you see the opportunity for  
10 success in pressure maintenance?

11 A. Yes, we do.

12 Q. There is apparently sufficient continuity and  
13 reservoir quality to provide an opportunity for that  
14 success?

15 A. That's correct.

16 Q. Let's go to the simulation itself now, if you'll  
17 turn to Exhibit 11. You don't have to read it for us, just  
18 describe what you've shown here.

19 A. Exhibit 11 is a summary of some of the basic  
20 parameters of the Vacuum-Drinkard reservoir, showing bubble  
21 point, initial reservoir pressure, and the drive mechanism.

22 Of particular importance that we're looking at  
23 here, in our project area we had an original oil in place  
24 of about 21.5 million barrels of oil.

25 Q. All right. And if we continue primary recovery,

1 the percentage of original oil in place is about 14 percent  
2 recovery?

3 A. Right, using decline curve analysis on the  
4 current production to determine that.

5 Q. All right, sir. Let's look at Exhibit 12. What  
6 are we seeing here?

7 A. Exhibit 12 is a decline curve of the project  
8 area, showing all the Drinkard producers that have produced  
9 within the project area.

10 What this -- Shown in the darker black line with  
11 the plus signs as the marker is average daily oil rate.  
12 The dashed line with the star-shaped markers is gas rate.  
13 And the solid line with the X-shaped markers is average  
14 daily oil rate.

15 The solid black line that moves from the upper  
16 left to lower right portion is a projected decline for the  
17 reservoir. And this decline has been determined from  
18 calculating decline rates on individual wells and then  
19 summing up those declines to determine the total decline  
20 rate, total ultimate recovery from the project area.

21 Q. How many current producers do we have in the  
22 project area?

23 A. Currently there are 27 active producers.

24 Q. Out of the 27 active producers, how many of those  
25 wells have established a production decline?

1           A.    All but probably five or six.   So 20 to 22 wells.

2           Q.    You've satisfied yourself as a reservoir engineer  
3   that you have sufficient decline data from individual well  
4   performance by which to construct a project decline curve?

5           A.    That's correct.

6           Q.    And that's what this represents?

7           A.    That's correct.

8           Q.    All right, sir.   Next page, Exhibit 13?

9           A.    Exhibit 13 is a summary describing the black oil  
10   simulator that we put together to evaluate primary and  
11   secondary oil recovery from the Drinkard reservoir.

12                This particular model contains a model grid of 50  
13   by 44 with 21 layers.   Our grid block size is about 260  
14   feet square.

15                For our model, we input porosity and thickness  
16   data from our geologic model, PVT data from a reservoir  
17   fluid study done in 1992 or early 1993, oil-water relative  
18   permeability and capillary pressure data from special core  
19   analysis, initial pressures that were measured on the  
20   wells, as well as the current and proposed well locations.

21                In order to achieve our match, our match  
22   parameters were oil and gas rate and producing bottomhole  
23   pressures, and we history-matched the reservoir through  
24   August of this year.

25                One thing I would like to mention at this time:

1 I do definitely appreciate the help from the other  
2 operators in the pool in providing the production data that  
3 otherwise would not have been available to me to do this  
4 simulation work.

5 Q. This has been a cooperative effort by the various  
6 companies?

7 A. Yes, not only Marathon, Shell and Texaco, but  
8 Phillips, Mobil and Arco have contributed as well.

9 Q. What parameters did you have to adjust as a  
10 modeling engineer in order to achieve the history match to  
11 your degree of satisfaction?

12 A. What we adjusted was the absolute permeability of  
13 the reservoir around each well to achieve our match on the  
14 oil rate, and then we adjusted our gas-oil relative  
15 permeability curves to match the gas production rates.

16 Q. Were those final adjustments still within the  
17 range of reason for those parameters?

18 A. Yes, they were. On permeability, we saw absolute  
19 permeabilities ranging from around a half a millidarcy up  
20 to five millidarcies.

21 Q. And that would be characteristic of Delaware  
22 production in this type of --

23 A. Drinkard.

24 Q. Drinkard production in this type of reservoir?

25 A. Yes.

1 Q. All right, let's turn now to Exhibit 14.

2 A. Exhibit 14 is a summary of the results of our  
3 study of secondary recovery. As I said earlier, we  
4 evaluated several different scenarios, ranging from full-  
5 field developments with infill injectors, to injecting  
6 internally to various isolated leases.

7 We chose this particular arrangement due to  
8 economics. This gives very low cost per barrel developed.  
9 It gives a very good rate of return and very little loss of  
10 production due to conversion of active producers to  
11 injection.

12 This serves to protect correlative rights,  
13 provides pressure support in the heart of the reservoir, as  
14 well as increases the ultimate recovery from the reservoir.

15 Q. You've estimated that you can increase ultimate  
16 recovery from 14 percent up to what, sir?

17 A. Around 26 percent.

18 Q. What type of secondary-to-primary ratio do you  
19 achieve?

20 A. This gives us a secondary-to-primary ratio of  
21 about 78 percent. This is in the range of acceptable  
22 values that we've seen from the literature on Drinkard or  
23 Lower Clear Fork reservoirs that have been flooded.

24 Q. Do you have engineering displays to illustrate  
25 various conclusions based upon your study?



1 A. Yes, I do.

2 Q. Do you have a cumulative oil-versus-time plot?

3 A. Yes, I do.

4 Q. Let's turn to that. It's Exhibit 15?

5 A. Yes.

6 Q. What does it show us?

7 A. Exhibit 15 shows us cumulative oil production  
8 versus time for a depletion scenario where we would  
9 continue under current operations, as well as a pressure  
10 maintenance scenario where we would drill the lease line  
11 injectors as we've described.

12 Up through mid-1994, the data shown with the  
13 black line represents actual, and in general the black line  
14 represents our depletion case. The dashed line represents  
15 our pressure maintenance case.

16 As we said before, under depletion we see an  
17 ultimate recovery of around 3.1 to 3.2 million barrels,  
18 with ultimate recovery after pressure maintenance of around  
19 5.7 million barrels.

20 Q. When we look at cum oil versus time, how long a  
21 period of time are we extending the life of the project  
22 area wells over straight depletion?

23 A. The simulation that we're running shows that we  
24 could extend the period of -- the life of the field by  
25 around six years.

1 Q. Okay, let's look at rate. Do you have a rate-  
2 versus-time plot?

3 A. Yes, I do.

4 Q. Okay, if you'll look at Exhibit 16, let's talk  
5 about that.

6 A. Okay. Again, Exhibit 16 is a plot of daily  
7 average oil rate, showing the depletion case with the solid  
8 black line and the pressure maintenance case with the  
9 dashed black line.

10 As you can see, again, up through mid-1994 we're  
11 showing actual production and then, after that point,  
12 projected production.

13 Q. Let's talk about rate for a minute. Depth  
14 bracket oil allowable on 40 acres in this pool is what,  
15 sir?

16 A. It's 187 barrels per day.

17 Q. When we look at the wells in the pool, are there  
18 any top allowable wells still producing?

19 A. Yes, there are.

20 Q. What is the smallest amount of production from  
21 any well?

22 A. There are wells producing currently around five  
23 barrels a day.

24 Q. So you range from five up to 187?

25 A. That's correct.

1           Q.    If the Division approves the cooperative project  
2           and you can initiate in a timely fashion pressure  
3           maintenance, do you have an estimate of what the maximum  
4           rate of any individual well would be in the project area?

5           A.    Yes, we do.

6           Q.    And what is that, sir?

7           A.    We estimated, based on the simulation work, that  
8           the maximum rate would be around 206 barrels of oil per  
9           day.

10          Q.    So slightly in excess of what currently is the  
11          187 oil allowable?

12          A.    That's correct.

13          Q.    In order to provide an opportunity to the  
14          operators to go ahead and produce at that most efficient  
15          rate, where they can get the extra 30-plus barrels a day,  
16          do you have a recommendation on how to assign the  
17          allowables per operator?

18          A.    Yes.

19          Q.    What do you propose?

20          A.    Our proposal is that each operator should be  
21          allowed to produce a volume of oil equal to the number of  
22          40-acre tracts where an active injector or producer are  
23          located.

24          Q.    Will that give anyone an unfair advantage if the  
25          Division allows that to occur?

1 A. No, it will not.

2 Q. In fact, that's the type of thing that's  
3 conventionally done in pressure maintenance projects on a  
4 unit or other basis; is it not?

5 A. That's correct.

6 Q. All right. The lease line wells, Texaco is going  
7 to operate the injection wells, with the exclusion of the  
8 injection well that's on the Marathon-Shell boundary where  
9 Tracts 3, 4 and 5 intersect?

10 A. That's correct.

11 Q. That injection well?

12 The Division practice is to approve that well for  
13 injection, subject to submittal to the Division of an  
14 agreed-upon lease-line injection agreement?

15 A. That is correct.

16 Q. Is that an acceptable process for you?

17 A. That is very acceptable.

18 Q. All right, sir. Let's look now at Exhibit 17.  
19 When we talk about timing, describe for us what you're  
20 showing on Exhibit 17.

21 A. Exhibit 17 is a summary discussing why we should  
22 implement pressure maintenance in this reservoir now.

23 First of all, our GOR is increasing rapidly from  
24 around 1000 standard cubic feet per barrel in early 1994 to  
25 a current level of about 1550. In particular, the

1 Marathon-operated tract has seen increases from around 1000  
2 to in excess of 1700 at current levels.

3 Current estimated pressure has dropped to around  
4 1950 pounds, which is below the bubble point, and we're in  
5 a solution gas drive reservoir with no natural support.

6 And again, as we discussed earlier, we looked at  
7 several sensitivity cases on timing and found that we lost  
8 five percent of our incremental benefit for every six-month  
9 delay in project startup.

10 Q. Do you have some plots that will illustrate the  
11 timing issue?

12 A. Yes, I do.

13 Q. Let's turn to the first one, which is Exhibit 18.  
14 Identify and describe that.

15 A. Exhibit 18 is a plot of gas-oil ratio versus time  
16 for the project area.

17 Again, the data shown in the black solid line is  
18 for depletion, and the black dashed line is for the  
19 pressure maintenance scenario. And prior to mid-1994 it's  
20 actual data, and after that point it's projected.

21 You can see that we are on a very steep incline  
22 on GOR under current operations, and we project that that  
23 will continue without implementation of a pressure  
24 maintenance project.

25 You can also see by looking at the dashed line

1 that the pressure maintenance will in fact decrease the  
2 ultimate -- or the GOR of the reservoir.

3 Q. Timing appears to be everything when you have  
4 that risk, the 2.5 million barrels of secondary oil?

5 A. That's correct.

6 Q. And the longer you wait, the higher you are on  
7 the GOR curve?

8 A. That's right.

9 Q. And the more secondary oil you've left in the  
10 reservoir?

11 A. That's right.

12 Q. Let's see if you've plotted this a different way.  
13 Let's look at pressure and time on Exhibit 19.

14 A. Exhibit 19 is a plot of reservoir pressure versus  
15 time in the project area.

16 Again, the data shown in black is for the  
17 depletion case, the black solid line is depletion, and the  
18 dashed line the pressure maintenance case.

19 Q. What's the point?

20 A. The point is that first we have dropped below the  
21 bubble-point pressure of 2350 pounds at the current time  
22 and that without some sort of pressure maintenance project,  
23 our reservoir pressure will continue to decrease.

24 We can see from the dashed line, we anticipate  
25 that the pressure maintenance project will arrest the

1 decline in reservoir pressure, and possibly if we maximize  
2 injection late in the life, we could see some  
3 repressurization.

4 Q. Mr. Kent, was it also your responsibility to  
5 certify and examine all the necessary details for not only  
6 filing the OCD Application but presenting testimony today  
7 for the enhanced oil recovery qualification of the project?

8 A. That's correct.

9 Q. And you're familiar with the Division Rules and  
10 Regulations on that topic?

11 A. Yes, I am.

12 Q. In compliance with those Rules and Regulations,  
13 have you submitted to the Division with the original  
14 Application your certificate as to those items?

15 A. Yes, I have.

16 Q. And is that what Exhibit 20 represents?

17 A. That's correct, Exhibit 20 is a step-by step  
18 listing of the data required in the procedure in the  
19 Division order for EOR certification.

20 Q. All right. Let's turn to the last page of that  
21 submittal and have you summarize for us the expenditures  
22 involved in the project.

23 A. We estimate that the capital cost of additional  
24 facilities for this flood will be about \$400,000.

25 One thing I will point out, that number has been

1 minimized due to the fact that we will be utilizing  
2 existing facilities in the Texaco-operated units to provide  
3 water injection.

4 We estimate the total project cost to be \$2.8  
5 million, the bulk of that for drilling six injection wells.

6 The estimated value of the total additional  
7 production, about \$37 million, that's based on our 2.5-  
8 million-barrel increment, times an oil price of \$15 per  
9 barrel.

10 Q. In your opinion, is there sufficient engineering  
11 conclusions and evidence to show that the project area in  
12 fact will be responsive to pressure maintenance?

13 A. Yes, not only the project area but the entire  
14 reservoir will respond to this pressure maintenance  
15 project.

16 Q. When we look at the information you have  
17 tabulated, do you have a display here the Division can  
18 utilize as a baseline curve to show primary depletion so  
19 that they can mark or judge a positive production response  
20 if the project is successful for subsequent certification?

21 A. Yes, I do.

22 Q. What exhibit would we use?

23 A. We should use the Exhibit Number 12, which is a  
24 composite decline curve analysis for the project area.

25 Q. Okay. Now, in order to judge or determine



1 whether or not there has been a positive production  
2 response by using Exhibit 12, what would happen and what  
3 would we see?

4 A. What we would look at to judge a positive  
5 production response would be to see that after the flood  
6 was initiated, that the oil production improved above the  
7 solid black line that's shown on this plot.

8 Q. Do you have an opinion as to whether or not the  
9 approval of this Application will be in the best interests  
10 of conservation, the prevention of waste and the protection  
11 of correlative rights?

12 A. Yes, this should protect all those.

13 Q. In addition, in your engineering judgment and  
14 opinion, does this project qualify for the enhanced oil  
15 recovery tax credit?

16 A. That is correct.

17 MR. KELLAHIN: That concludes my examination of  
18 Mr. Kent.

19 We move the introduction of his Exhibits 1  
20 through 20.

21 EXAMINER CATANACH: Exhibits 1 through 20 will be  
22 admitted as evidence.

23 EXAMINATION

24 BY EXAMINER CATANACH:

25 Q. Mr. Kent, despite the -- or -- How many producing

1 wells are there within this pool, outside of the project  
2 area?

3 A. Currently there are, I believe, nine. Actually,  
4 there's ten. There's nine shown on Exhibit 1. Shell, I  
5 believe, has just completed a well in the southeast quarter  
6 of the northeast quarter of Section 31.

7 Q. What justification was used to not include these  
8 nine wells in this project?

9 A. What we did was to include the wells that were on  
10 tracts operated by the participants in the drilling of the  
11 injection wells.

12 Q. You've got three operators outside of the project  
13 area that were not included. Again, for what reason were  
14 they excluded?

15 A. As I said earlier, the way we set up this flood,  
16 those three operators do not share in the expense of  
17 drilling the six injection wells and the two conversions.  
18 And therefore, even though they receive benefit from the  
19 injection, we did not include them in the project area.

20 Q. Were these operators asked to participate in this  
21 project?

22 A. No, they were not.

23 Q. For what reason?

24 A. Because they share no common lease lines with the  
25 -- where the injection wells will be located.

1           Q.    Could additional injection wells be drilled  
2           within an enlarged project area?

3           A.    That is possible, and if this project proves to  
4           be successful, that is likely.

5           Q.    You said that you've had some cooperation from  
6           the three operators excluded. Are these three operators  
7           fully aware of what you guys are doing over here?

8           A.    Yes, they are.

9           Q.    And to your knowledge, do any of them have any  
10          objections to it?

11          A.    No, they do not. In fact, some have indicated  
12          possible support -- or possible interest in the future in  
13          injection in this reservoir.

14          Q.    You said they would receive some benefit from the  
15          injection wells that you plan to drill; is that correct?

16          A.    That's correct.

17          Q.    Would they receive additional benefit if there  
18          were injection wells located closer to their wells?

19          A.    It's possible, but we did not look at that  
20          particular case with this scenario.

21          Q.    Mr. Kent, with regards to -- I believe you showed  
22          us a cross-section which -- and I believe you stated there  
23          are perforations in the Tubb formation?

24          A.    Yes, sir.

25          Q.    Is the Tubb included in this Vacuum-Drinkard

1 Pool?

2 A. We had discussed this at one time with the  
3 District Geologist in Hobbs, and his indications to us  
4 were, due to the uncertainty of some of the picks of tops  
5 in this part of the Vacuum Pool, he did not feel that  
6 including those portions of the lower Tubb was a problem.

7 There is no split in ownership between the  
8 Drinkard and Tubb, so we have no problems in correlative  
9 rights there.

10 Q. The District Geologist didn't feel like it was a  
11 problem that needed to be addressed in any form or fashion?

12 A. That's correct.

13 Q. And to your knowledge, are all the producing  
14 wells completed in that lower Tubb?

15 A. I'm not sure whether all of them are. I know  
16 that there are several that are.

17 Q. Do you plan to perforate that zone in the wells  
18 that are not perforated in that zone?

19 A. If there is sufficient porosity there to  
20 perforate, yes.

21 The lower portion of the Tubb makes a very small  
22 portion of the total net pay of this reservoir. The bulk  
23 of it is contained within what's labeled zones 2, 3 and 4  
24 in the Drinkard.

25 Q. The injection wells will -- you will inject into

1 that interval?

2 A. That's correct. If there's porosity at those  
3 locations, we'll inject into that.

4 Q. I believe you stated that you ran the reservoir  
5 simulation with the current scenario, with the current  
6 number of injection wells, and with a maximum of 15  
7 additional -- 15 total injection wells?

8 A. Fifteen additional. What we did in that  
9 simulation run was to take every possible 40-acre fivespot  
10 pattern that you could form with the active wells in the  
11 pool, put a 20-acre infill injection well in those patterns  
12 and look at the response.

13 Q. It was your opinion or your conclusion that it  
14 was uneconomic or less beneficial in terms of economics to  
15 develop these with the 15 injection wells?

16 A. Yeah, the benefit that we would receive through  
17 those additional wells would not justify the additional  
18 expenditure required to achieve that.

19 Q. Did you run scenarios in between the two?

20 A. Yes, I did. We looked at cases where we would go  
21 in and convert wells to form 80-acre fivespots, where we  
22 would convert wells to form 160-acre ninespots.

23 Those cases, the 160-acre -- or the 80-acre  
24 fivespot patterns -- perform slightly less than the 40  
25 acres. The problem there was that you lost half your oil

1 rate in order to achieve that gain.

2 The 160-acre ninespots performed roughly as well  
3 as the lease line proposal that we have. But again, there  
4 was a significant loss of current oil rate that was  
5 required to achieve that end.

6 Q. At the current time, this is the proposed  
7 scenario. You don't -- Do you believe that in the future  
8 you'll drill any additional injection wells in this area?

9 A. It's possible, based on -- What we're dealing  
10 with right now is a reservoir that essentially is less than  
11 -- just about two years old. As we learn more about it, it  
12 may be possible.

13 But at the current time, this is our best  
14 estimate of the way we want to go.

15 Q. How fast do you anticipate a response to the  
16 project?

17 A. Based on the simulation, it's almost immediate.  
18 And what we're doing is getting water or fluid into the  
19 ground to replace that that's being lost through production  
20 and helping to maintain the pressure.

21 I think what we're looking at here is not a  
22 classic waterflood. We're looking at truly a pressure  
23 maintenance project here. There may be some flood fronts  
24 generated, but the primary benefit here is maintaining  
25 reservoir pressure.

1           Q.   Will there be any changes made in the producing  
2 wells, such that you may see a response due to some of  
3 those changes and not to the waterflood itself?

4           A.   Not that I anticipate. Most of the wells  
5 currently are on pump. There's a couple flowing wells. As  
6 I said, most of them are perforated throughout the entire  
7 Drinkard interval, so I don't see a major increase in  
8 production from additional perforations or workovers.  
9 Workovers -- these wells are -- most of them are less than  
10 two years old and wouldn't require any remedial work at  
11 this time.

12          Q.   Which wells are top allowable?

13          A.   To my knowledge there are three operated by  
14 Texaco: the two easternmost wells in tract number 1, in  
15 tract number 8 the well -- the easternmost well inside the  
16 project area.

17               There are two Marathon wells which in tract 5 are  
18 the two northernmost wells.

19               I believe the two Shell wells in tract 3 and 4  
20 are top allowable, if not very close.

21               There is a Phillips well located in the southwest  
22 of the southeast of 31 that is also top allowable.

23          Q.   Let's go over this one more time. You've got the  
24 two easternmost wells in tract 1.

25          A.   Tract 1. The easternmost well inside the project

1 area in tract 8.

2 Q. Tract 8.

3 A. Just north of tract 1.

4 Q. Okay.

5 A. The two wells in -- The wells in tracts 3 and 4.

6 The well immediately to the east of tract 4.

7 Q. That's not within the project area?

8 A. That's not within the project area. That's a  
9 Phillips-operated well.

10 Q. Okay.

11 A. And then the two wells just south of tracts 3 and  
12 4.

13 Q. The directionally drilled wells?

14 A. Yes. Those were directionally drilled due to  
15 surface constraints in the area.

16 Q. Your allowable proposal is just to determine the  
17 number of 40-acre tracts times the normal allowable for the  
18 pool, 187?

19 A. That's correct.

20 Q. To be split in any proportion among the wells?

21 A. To be split in -- to be utilized by each  
22 operator --

23 Q. Correct.

24 A. -- based on the number of tracts they have inside  
25 the project area.



1           Q.    Would any operator be restricted under that  
2 formula?

3           A.    It's possible that there may be some restriction  
4 on the Shell wells.

5                    But by the time we get this implemented, the way  
6 the reservoir pressure is declining, even those two may not  
7 be a top allowable at that point.

8           Q.    Do you know what these top allowable wells are  
9 capable of producing?

10          A.    At the current time I don't. I can tell you that  
11 on initial completion, some of these wells were capable of  
12 producing in excess of 300 barrels a day.

13                   I do know that the most recent Shell well in the  
14 southeast of the northeast of 31 IP'd flowing in excess of  
15 220 barrels a day.

16                   But with the reservoir pressure dropped to the  
17 current levels, I don't think any of these wells has a  
18 capacity of much more than 200, maybe 220 barrels a day at  
19 the most.

20          Q.    I believe your timing scenario, you have -- You  
21 said you were going to commence in April; is that right?

22          A.    That's correct. And that's dependant on issuance  
23 of an order and execution of lease line injection  
24 agreements.

25          A.    And then I believe I read that was with

1 commencing injection into two wells?

2 A. That's correct.

3 Q. When will you bring the other wells on line?

4 A. What our plans are is to get the initial two  
5 wells drilled and completed and look at two issues.

6 One, since this is a very tight reservoir, make  
7 sure that we can get injectivity. Without injectivity, we  
8 don't have a project.

9 And two, since this is a carbonate reservoir,  
10 make sure that we don't have any channeling within the  
11 reservoir that's going to cause us to prematurely water out  
12 existing wells.

13 Once we've satisfied ourselves with those two  
14 issues, we plan to move ahead with the rest of the project.  
15 I would anticipate that that would occur within less than  
16 one year.

17 I think the timing that I've shown on the display  
18 was to commence injection in the rest of it January 1,  
19 1996.

20 Q. How would you handle that in terms of the EOR tax  
21 credit? You said you would get almost immediate response  
22 if you just injected into two wells.

23 A. I would not anticipate that the day we saw a  
24 response that we would be up here asking for certification  
25 of the project. I would anticipate that we would wait

1     until we had a few months of production history under our  
2     belts and make sure that what we're actually seeing is  
3     response.

4             By that time, I would anticipate that we would  
5     have either drilled or be very close to drilling the  
6     additional injectors, and I would not assume that we would  
7     try to get the project certified or get the response  
8     certified until after those wells were drilled.

9             Q.     Just a couple questions about the cost.

10            The total project cost, including drilling the  
11     injection wells, is \$2.86 million?

12            A.     That's correct.

13            Q.     Okay, the estimated total value, that's the  
14     additional 2.5 million barrels?

15            A.     That's the 2.5 million barrels times an oil price  
16     of \$15 per barrel.

17            EXAMINER CATANACH:   That's all the questions I  
18     have of this witness.   He may be excused

19            Do you gentlemen have anything further?

20            Oh, I'm sorry, Mr. Bruce?

21            MR. BRUCE:   I came up here with the big boys, Mr.  
22     Examiner.

23            MR. KELLAHIN:   You're sitting at the wrong table,  
24     Mr. Bruce.   The big boys are over here.

25            MR. CARR:   We could throw that to a vote.

1 MR. KELLAHIN: Shall we stand and see?

2 MR. CARR: I am standing.

3 MR. BRUCE: Mr. Examiner, as the witnesses have  
4 described, Shell owns the leases on the south half,  
5 southwest quarter of Section 1, Township 17 South, Range 35  
6 East.

7 It does have two producing wells in the Drinkard  
8 that are at or near the top allowable, and it supports this  
9 Application.

10 The only thing Shell would like to see is some  
11 type of provision in the order regarding lease line  
12 agreements. Its wells are pretty young, so it would like a  
13 provision in the order, and I have a proposed provision  
14 which I provided to the other parties previously.

15 MR. KELLAHIN: Mr. Examiner, we have seen his  
16 proposed language. We believe it's consistent with the  
17 type of provisions you place in these orders, and Marathon  
18 has no objection to Mr. Bruce's suggestion of language.

19 EXAMINER CATANACH: Texaco?

20 MR. CARR: Texaco has also reviewed the proposal,  
21 and likewise we have no objection.

22 MR. BRUCE: That's it, Mr. Examiner.

23 EXAMINER CATANACH: Anything further, Mr. Carr?

24 MR. CARR: Nothing further, Mr. Catanach.

25 EXAMINER CATANACH: Mr. Kellahin?

1 MR. KELLAHIN: No, sir.

2 EXAMINER CATANACH: All right. There being  
3 nothing further in this case, we'll continue it to the --

4 MR. CARR: January 5th.

5 EXAMINER CATANACH: -- January 5th hearing for  
6 the notice issue.

7 And will one of you be present to present --

8 MR. CARR: Yes.

9 EXAMINER CATANACH: There being nothing further  
10 in this case, we'll just continue this case until January  
11 5th.

12 We'll adjourn the hearing.

13 (Thereupon, these proceedings were concluded at  
14 10:33 a.m.)

15 \* \* \*

16

17

18

19

20

21

22

23

24

25


# CERTIFICATE OF REPORTER

STATE OF NEW MEXICO    )  
   )   ss.  
 COUNTY OF SANTA FE    )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL December 4th, 1994.



STEVEN T. BRENNER  
 CCR No. 7

My commission expires: October 14, 1998

I do hereby certify that the foregoing is a correct and true transcript of the proceedings in the Examiner hearing of Case No. 11,152, heard by me on December 1994.

David R. Cuitant, Examiner  
 Oil Conservation Division