

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING)	
CALLLED BY THE OIL CONSERVATION)	
DIVISION FOR THE PURPOSE OF)	
CONSIDERING:)	CASE NO. 11,190
)	
APPLICATION OF MYCO INDUSTRIES,)	
INC.)	
_____)	

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

RECEIVED

March 2nd, 1995

MAR 10 1995

Santa Fe, New Mexico

Oil Conservation Division

This matter came on for hearing before the Oil Conservation Division on Thursday, March 2nd, 1995, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, before Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

STEVEN T. BRENNER, CCR
(505) 989-9317

I N D E X

March 2nd, 1995
Examiner Hearing
CASE NO. 11,190

	PAGE
EXHIBITS	3
APPEARANCES	4
APPLICANT'S WITNESSES:	
<u>DOUGLAS W. HURLBUT</u>	
Direct Examination by Mr. Ernest Carroll	6
Examination by Examiner Catanach	13
<u>LEO J. LAMMERS</u>	
Direct Examination by Mr. Ernest Carroll	14
Examination by Examiner Catanach	22
<u>NELSON MUNCY</u>	
Direct Examination by Mr. Carroll	26
REPORTER'S CERTIFICATE	40

* * *

E X H I B I T S

	Identified	Admitted
Exhibit 1	7	13
Exhibit 2	8	13
Exhibit 3	9	13
Exhibit 4	11	13
Exhibit 5	11	13
Exhibit 6	15	22
Exhibit 7	16	22
Exhibit 8	17	22
Exhibit 9	17, 21	22
Exhibit 10	17	22
Exhibit 11	27	38
Exhibit 12	27	38
Exhibit 13	28	38
Exhibit 14	31	38
Exhibit 15	32	38
Exhibit 16	32	38
Exhibit 17	33	38
Exhibit 18	33	38
Exhibit 19	36	38

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
State Land Office Building
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

LOSEE, CARSON, HAAS & CARROLL, P.A.
300 American Home Building
Post Office Drawer 239
Artesia, New Mexico 88211-0239
By: ERNEST L. CARROLL

* * *

1 WHEREUPON, the following proceedings were had at
2 9:15 a.m.:

3
4 EXAMINER CATANACH: Call this hearing to order
5 this morning for Docket Number 7-95.

6 Let me call the continuances first.

7 (Thereupon, continued and dismissed cases were
8 called.)

9 EXAMINER CATANACH: At this time we will call
10 Case 11,190.

11 MR. CARROLL: Application of MYCO Industries,
12 Inc., for compulsory pooling, Eddy County, New Mexico.

13 EXAMINER CATANACH: Are there appearances in this
14 case?

15 MR. CARROLL: Yes, Mr. Examiner, I'm Ernest
16 Carroll of the Artesia law firm of Losee, Carson, Haas and
17 Carroll, and I'm here today on behalf of MYCO Industries,
18 Inc., and I will have three witnesses.

19 EXAMINER CATANACH: Any additional appearances?
20 Will the three witnesses please stand to be sworn
21 in?

22 (Thereupon, the witnesses were sworn.)

23 MR. ERNEST CARROLL: Mr. Examiner, I first call
24 Doug Hurlbut to the stand.

25 Are you ready to proceed?

1 DOUGLAS W. HURLBUT,
2 the witness herein, after having been first duly sworn upon
3 his oath, was examined and testified as follows:

4 DIRECT EXAMINATION

5 BY MR. ERNEST CARROLL:

6 Q. Would you please state your name and residence
7 for the record, sir?

8 A. Yes, my name is Douglas W. Hurlbut. I'm a
9 resident of Artesia, New Mexico.

10 Q. And by whom are you employed?

11 A. I'm employed by MYCO Industries, Inc.

12 Q. And in what capacity?

13 A. I'm a petroleum landman.

14 Q. Mr. Hurlbut, have you had an occasion to testify
15 previous to this date before the Oil Conservation Division
16 as a petroleum landman and had your credentials accepted by
17 them?

18 A. Yes, they have been.

19 MR. ERNEST CARROLL: I would tender Mr. Hurlbut
20 as an expert in the field of petroleum landman.

21 EXAMINER CATANACH: He is so qualified.

22 Q. (By Mr. Ernest Carroll) Mr. Hurlbut, are you
23 familiar with this Application of MYCO Industries for
24 compulsory pooling?

25 A. Yes, I am.

1 Q. You have prepared or -- at least under your
2 supervision has been prepared certain exhibits; is that not
3 true?

4 A. That is correct.

5 Q. Exhibit Number 1, are you familiar with that
6 exhibit?

7 A. Yes, I am.

8 Q. Would you please identify for the record what
9 Exhibit Number 1 is and then explain it to the Examiner,
10 sir?

11 A. It's a plat of a land map of Eddy County, New
12 Mexico, and what's outlined in yellow is the proration
13 unit, being the east half of Section 22, Township 18 South,
14 18 South, 29 East.

15 Q. All right. And that -- The proposed proration
16 unit that MYCO is seeking to compulsory pool is outlined in
17 yellow; is that correct?

18 A. Yes, it is.

19 Q. Is the location of the proposed well marked on
20 this?

21 A. Yes, it is.

22 Q. And how is it marked?

23 A. In red.

24 Q. All right.

25 A. And I believe that location is 1980 from the

1 south line and 660 from the east line.

2 Q. That is a standard location?

3 A. Yes, sir.

4 Q. All right. Now Mr. Hurlbut, have you prepared --
5 Would you turn to your Exhibit 2, I guess, and then --

6 A. Right.

7 Q. -- that is an exhibit of the ownership of the
8 mineral rights under that half section; is that correct?

9 A. This is correct.

10 Q. Now, with respect to the group of individuals
11 that are listed here on Exhibit Number 2, I see that there
12 are a group of companies at the top, of which MYCO leads
13 the group, but there are a group -- These are all MYCO- or
14 Yates-related companies, are they not?

15 A. That's correct.

16 Q. The next company that is listed is Southland
17 Royalty Company; is that correct?

18 A. That is correct.

19 Q. They own a little over 15 percent or almost 16
20 percent?

21 A. Correct.

22 Q. Southland Royalty is the only company that MYCO
23 is actually seeking to force-pool today; is that correct?

24 A. That's correct.

25 Q. The other companies, Harvey E. Yates, Jalapeno

1 and Yates Energy, they have all signed operating agreements
2 with MYCO?

3 A. Right, they have signed operating agreements and
4 AFES.

5 Q. All right. Cibola Energy and the William P.
6 Dooley Estate, they have actually farmed out to the Yates
7 group?

8 A. This is correct.

9 Q. Now, with respect to the Southland Royalty
10 interest, have you had contact with Southland or some group
11 representing Southland?

12 A. Yes, I have.

13 Q. Who have -- Have you actually been in contact
14 with Southland, or has it been Meridian?

15 A. Well, when you call -- I mean, they answer the
16 phone, "Meridian Oil Company, Inc.", but Southland is part
17 of the Meridian, and when I've addressed some of my
18 letters, I've sent those directly to Southland Royalty.
19 But they're at the same address, and they have the same
20 people on staff.

21 Q. Right. You are satisfied, though, in your
22 conversations that you have been talking to the people that
23 control this interest?

24 A. Correct, correct.

25 Q. In fact, you have prepared an exhibit, Exhibit 3,

1 that lists very detailed a number of -- in addition to your
2 letter-writing campaign -- that lists all of the contact
3 that you have had with Southland Royalty concerning this
4 project?

5 A. That's correct.

6 Q. Basically what has been the position that
7 Southland has taken with respect to their participation
8 with MYCO in drilling this well?

9 A. Well, when I first contacted them and -- by
10 letter, of our election to drill a well, and I waited for a
11 period of time before I contacted them on the phone to find
12 out what they would like -- what they were planning on
13 doing.

14 And they did a basic stall tactic for about a
15 month or so, saying that they were -- they were reviewing
16 that and they were going to have a meeting, and -- with all
17 the managers and they were going to go through all of this
18 and decide what to do.

19 But they kept pushing that down the road, until
20 finally they told me that they would like to just work a
21 swap or a trade with us on some acreage that was owned by
22 Yates Petroleum Corporation.

23 And I told them, well, maybe we can do that. So
24 I tried to do a swap and a trade deal, and that didn't seem
25 to work.

1 And so when I called them and told them that that
2 was not going to work, we couldn't do this swap, you know,
3 we'd still -- we'd want them to either participate or farm
4 out, that's when they told me that if we didn't do the
5 swap, they weren't going to participate or farm out.

6 Q. Okay. They were aware you have had conversations
7 concerning your filing the Application to force-pool, and
8 they were aware of this and they had acknowledged that in
9 their oral conversations?

10 A. Oh, sure, yes.

11 Q. And in addition, the formal notices of sending
12 out the notices of the Application in compliance with the
13 Commission Rule 1207 has been accomplished, has it not?

14 A. I believe so.

15 Q. And that's Exhibit Number 4, is it not?

16 A. Yes, it is.

17 Q. All right. Now, Exhibit 5 is some of the
18 companies that have joined in. They have signed waivers
19 with respect to appearances at the hearing, have they not?

20 A. Yes, they have.

21 Q. And Exhibit 5 contains four waivers, does it?
22 From Cibola, Jalapeno, Yates Energy and Harvey E. Yates?

23 A. Right.

24 Q. Now, you have advised that all of the other --
25 except for the two companies or interests that have farmed

1 out to the Yates entities, the rest of the parties have
2 signed an operating agreement; is that correct?

3 A. That's correct.

4 Q. The operating agreement that has been signed and
5 entered into by all of these other parties on Exhibit 2,
6 what is the overhead rates contained in that joint
7 operating agreement?

8 A. \$5400 for a producing well rate and \$540 -- I'm
9 sorry, \$5400 for a drilling well rate and \$540 for a
10 producing well rate.

11 Q. To your information, that is the standard rate in
12 this area, is it not?

13 A. Yes, that's correct.

14 Q. Now with respect to the operating agreement that
15 has been signed by all these parties, what penalty rates
16 did they agree to?

17 A. Well, we have in the JOA right now 200- and 500-
18 percent nonconsents.

19 Q. I see. That is -- The 500 is in excess of what
20 the State statute allows in compulsory pooling?

21 A. That's correct.

22 Q. But the parties that have voluntarily signed and
23 entered into this agreement have at least agreed among
24 themselves that the nature of this kind of well and
25 operation at least justifies a heavy penalty, such as the

1 500 that they have --

2 A. That's correct, that's correct.

3 Q. Now, Mr. Hurlbut, the Exhibits 1 through 5, they
4 were either prepared by yourself or under your supervision,
5 and you can vouch for their accuracy, can you not?

6 A. Oh, yes, sir.

7 MR. ERNEST CARROLL: Mr. Examiner, I would move
8 admission of Exhibits 1 through 5.

9 EXAMINER CATANACH: Exhibits 1 through 5 will be
10 admitted as evidence.

11 EXAMINER CATANACH: I would have no further
12 questions of this witness at this time.

13 EXAMINATION

14 BY EXAMINER CATANACH:

15 Q. Just a couple of questions I have.

16 Do you anticipate Southland subsequently joining
17 in the well after this hearing?

18 A. I really don't know. I really -- I don't have
19 any idea.

20 Q. And they were offered an election to farm out or
21 participate --

22 A. Yes, they were.

23 Q. -- in the well?

24 As far as you know, they didn't have any problems
25 with any of your terms?

1 A. They never did say.

2 Q. Okay.

3 A. They just didn't -- That's not what they wanted
4 to do. They just wanted to do -- you know, they wanted to
5 do an acreage-swap thing, which we -- I tried, and it just
6 wasn't going to work.

7 EXAMINER CATANACH: Okay, I have nothing further
8 of the witness.

9 MR. ERNEST CARROLL: We would next call Leo
10 Lammers to the stand.

11 LEO J. LAMMERS,
12 the witness herein, after having been first duly sworn upon
13 his oath, was examined and testified as follows:

14 DIRECT EXAMINATION

15 BY MR. ERNEST CARROLL:

16 Q. Mr. Lammers, would you state your full name and
17 where you reside?

18 A. My name is Leo J. Lammers. I reside at 40
19 Riverside Drive, Roswell, New Mexico.

20 Q. Mr. Lammers, what occupation are you pursuing at
21 the present time?

22 A. I'm an independent consulting geologist.

23 Q. And as a consulting geologist, do you at the
24 present time perform work for MYCO Industries?

25 A. Yes, I do.

1 Q. And with respect to the Application that is
2 presently before the Division that is being heard by
3 Examiner Catanach, are you familiar with that Application?

4 A. Yes, I am.

5 Q. And have you testified before this date and had
6 your credentials as a petroleum geologist accepted?

7 A. Yes, I have.

8 MR. ERNEST CARROLL: Mr. Catanach, I would tender
9 Mr. Lammers as an expert in the field of petroleum geology.

10 EXAMINER CATANACH: Mr. Lammers is so qualified.

11 Q. (By Mr. Ernest Carroll) Now, Mr. Lammers, you
12 have worked on this Application, or at least the geological
13 aspects, have you not?

14 A. Yes.

15 Q. And you have prepared certain exhibits today?

16 A. Yes.

17 Q. The first exhibit I believe you have prepared is
18 Exhibit 6, is it not?

19 A. That's correct.

20 Q. And Exhibit 6 basically is a synopsis of what you
21 intend to present as testimony today?

22 A. Yes.

23 Q. All right. Sir, if you would, I believe you
24 would like to make a brief statement as to the overall
25 nature of what your findings are with respect to this

1 proposed Application?

2 A. Yes, what I would like to do is kind of go
3 through the exhibits and discuss the general nature of them
4 at the beginning, and then go into two of them in detail
5 that are critical to the geology.

6 Q. All right, if you would proceed then.

7 A. As mentioned, Exhibit Number 6 is simply a
8 geologic discussion which covers some of the data shown on
9 the maps and also the numbers on some of the wells.

10 The next exhibit is Exhibit Number 7. It is
11 simply a location plat. It shows the location of the
12 proposed MYCO Reflex Federal Number 1.

13 It also shows all the surrounding wells in the
14 sections offsetting Section 22. This includes many shallow
15 Turkey Track wells which produce from the Seven Rivers-
16 Queen-Grayburg.

17 You will note on this exhibit the location of the
18 proposed MYCO Reflex. It is 1980 feet from the south line
19 and 660 feet from the east line of Section 22, and
20 approximately 11 miles southwest of Loco Hills. This
21 represents an orthodox or standard location for the 320-
22 acre proration unit which is colored in yellow, the east
23 half of 22.

24 The proposed well has got a projected total depth
25 of 11,600 feet in the Mississippian. The primary objective

1 is the Atoka sand, estimated at about 10,710 feet.

2 Secondary objectives are the Cisco, Strawn and Morrow.

3 Exhibit Number 8 is the same scale as Exhibit
4 Number 7, and Exhibits 7, 8 and 9 will all be on a scale
5 of one inch equals 2000 feet. You will note on this well
6 that only the wells that went deeper than 10,000 feet are
7 shown.

8 Exhibit Number 9 is on the same scale, but it is
9 a structure map drawn on top of the Atoka.

10 And Exhibit Number 10 is a cross-section, going
11 across the Turkey Track-Atoka field. The location of this
12 cross-section is shown on Exhibits 8 and 9.

13 If we could refer back to Exhibit Number 8 -- and
14 you may want to lay Exhibit Number 10 out, and these will
15 cover the most critical items pertaining to the drilling
16 and the reason for drilling this well.

17 I mentioned that on Exhibit Number 8 we show only
18 the wells deeper than 10,000 feet. Again, we have the
19 location of the Reflex Number 1 spotted in Section 22. You
20 will note that there is no deep well control to the north
21 and northeast of the proposed location. That is why the
22 contours are dashed in this area.

23 This isopach map represents the thickness of the
24 Atoka pay sand. If you will refer to the cross-section, it
25 is the interval that is colored in yellow, and the location

1 of the cross-section running as A-A' and shown on Exhibit
2 Number 8.

3 You will note that we have a northeast-southwest
4 trending Atoka sandbody. We have projected the proposed
5 well to encounter 22 feet of sand. In this area the Atoka
6 represents beach or bar or offshore island-type sands.
7 They generally trend in a northeast-southwest direction.
8 They parallel the old Atoka shoreline.

9 The amount of sand -- Or excuse me, the reservoir
10 sand is usually a fine, coarse-grain clear quartz sand.
11 The dryholes and wells with less sand shown on the outline
12 of the sandbody are calcareous and tight.

13 The risk involved, from a geologic standpoint, is
14 just how far to project the sand to the northeast. From
15 a -- The sandbody has two producing wells located in it.
16 These are the Southland Royalty Empire A Number 1 in the
17 northwest quarter of Section 27. You will note that it has
18 28 feet of pay. And if we go to the cross-section, it is
19 Well Number 3, and you can see the log characteristics, the
20 porosity and the thickness of the sand, and also the
21 perforated interval at 10,752 feet. This well has produced
22 an estimated 4.1 BCF since going on production in 1980.

23 The well south of this, in the southwest quarter
24 of Section 27, the Empire Federal Com Number 1, is located
25 in the southwest quarter of 27. It has 12 feet of Atoka

1 sand, and it is represented by Well Number 4 on the cross-
2 section. This well was originally completed in the Morrow,
3 plugged back to the Atoka, and it has produced an estimated
4 3.6 BCF since going on line in 1981.

5 These wells currently produce at an estimated
6 rate of between 500 and 700 MCF per day.

7 One can see that these two wells have -- present
8 considerable drainage to this Atoka sand pod. The
9 estimated amount of drainage and remaining reserves will be
10 discussed in the engineering testimony by Mr. Muncy.

11 Q. Mr. Lammers, the proposed well is actually
12 proposed to drill deeper than your primary objection --
13 objective, excuse me. Do you feel it is a reasonable
14 proposition to drill this well down and seek to have force-
15 pooled the Morrow objective?

16 A. Yes, it is reasonable to drill deeper, and most
17 prudent operators would do so. And if I could elaborate on
18 that a little bit, I'll cover some of the secondary
19 objectives, and they are the Cisco, the Strawn and the
20 Morrow.

21 And to get -- We would have to drill about 800
22 feet deeper to test the Morrow. The Morrow in this part of
23 Eddy County has been an excellent producer, but in this
24 immediate area it has been disappointing, as I can
25 illustrate by showing that all four logs -- or all four

1 wells on cross-section A-A' drilled to the Morrow, wells
2 Number 1 and 3 -- the Southland 22 and the Southland Empire
3 Federal A Number 1 in 27, both tested dry in the Morrow.
4 The Well Number 4 in the southwest quarter of Section 27,
5 as I mentioned previously, drilled to the Morrow, completed
6 in it and on -- produced only 123 million before they
7 plugged back to the Atoka. The MYCO East Turkey Track
8 Well, which is Well Number 5 on the cross-section, drilled
9 to the Morrow and perforated it, tested, and it has limited
10 behind-pipe reserves in it.

11 Also, while I'm on the cross-section, you will
12 note that both the Well Number 5 and Number 1 perforated
13 and tested the Atoka. Well Number 5, the Myco East Turkey
14 Track, tested a small flare of gas, and I gave it about
15 four feet of sand, and I have it mapped on the northeast
16 flank of the sandbody.

17 The Southland Federal 22 Number 1, which I have
18 mapped on the northwest flank of the sandbody in Section
19 22, I give six feet of sand. It perforated this sand,
20 produced only 7 million before it was abandoned.

21 Only one other well in this area, what I would
22 consider part of this same sandbody, produced from it, and
23 that is the well in the northeast of 28, the Yates
24 Petroleum Dixon Number 1. It has eight feet of sand, as
25 shown on my map, and it produced only a short time and made

1 17 million from this Atoka sand.

2 One can see that the location carries
3 considerable geologic risk and also considerable drainage
4 risk, and these factors certainly must be taken into
5 consideration in the force-pooling hearing.

6 Q. Well, Mr. Lammers, in connection with that
7 statement, MYCO is requesting that the Commission [sic]
8 grant the largest possible penalty, that being a 200-
9 percent penalty. Would you concur that that would be a
10 reasonable penalty under the circumstances presented by
11 your interpretation of the geology?

12 A. Yes.

13 Q. Mr. Lammers, do you have any other information
14 that you would like to discuss with the Commission
15 concerning your exhibits?

16 A. No, I believe that's all.

17 Q. Each of these exhibits, Exhibits 6 through --

18 A. Oh, could I -- I didn't discuss Exhibit Number 9.
19 I just want to make one brief statement about that --

20 Q. All right.

21 A. -- I'm sorry.

22 Exhibit Number 9 is a structure map drawn on top
23 of the Atoka sand. It's drawn on the top of the yellow, as
24 on the cross-section, and this simply -- you will notice,
25 we have regional southeast dip, and this simply shows that

1 this trap is a stratigraphic trap, and structure has little
2 or no bearing on its accumulation.

3 And that covers Exhibit 9.

4 Q. All right. Exhibits 6 through 10 were all
5 prepared either by yourself or under your supervision; is
6 that correct?

7 A. Correct.

8 MR. ERNEST CARROLL: Mr. Examiner, I would move
9 admission of MYCO's Exhibits 6 through 10.

10 EXAMINER CATANACH: Exhibits 6 through 10 will be
11 admitted as evidence.

12 MR. ERNEST CARROLL: And I would pass the witness
13 at this time.

14 EXAMINATION

15 BY EXAMINER CATANACH:

16 Q. Mr. Lammers, the well is going to be drilled to
17 the base of the Morrow; is that correct?

18 A. We're going into the Mississippian -- upper
19 Mississippian, Chester, probably, go through what we call
20 the Austin cycle.

21 Q. Into the Mississippian. How far below the base
22 of the Morrow is that -- will you be going?

23 A. Probably about 300 feet. It will vary, because
24 that's an erosional surface.

25 Q. For what purpose are you drilling into the

1 Mississippian?

2 A. We like to go to that to get, number, one, a good
3 marker bed, so we know for sure we're through the Morrow.
4 And number two, we like to map the thickness of that
5 Barnett or Austin cycle.

6 Q. Is there a possibility of a completion in the
7 Mississippian?

8 A. No, I would say no completion. There are no
9 Mississippian completions in this immediate area, and as --
10 New Mexico generally has very little Mississippian
11 production.

12 Q. Okay, I just wanted to make sure -- I mean, if
13 the Application is pooling the top of the Cisco to the base
14 of the Morrow --

15 MR. ERNEST CARROLL: That's right.

16 Q. (By Examiner Catanach) Have you mapped the
17 Morrow sand in this proration unit?

18 A. Yes, I have.

19 Q. What's your opinion of the potential of the
20 Morrow?

21 A. It has basically four offsetting dryholes, but in
22 this area the Morrow trends in north-south or northwest-
23 southeast channels, narrow, so it's quite possible that a
24 Morrow channel could go through this area, and that would
25 be a prudent reason for going to it.

1 And just to the south, in 19-29, there are some
2 excellent Morrow wells. And if you project those channels
3 to the north, they would -- they have to go somewhere in
4 this area.

5 Q. How far away are those wells?

6 A. Just three or four miles. They would be in
7 Sections 2 and 1 of 19-29. There's some Southland wells
8 down there.

9 There is one good Morrow producer. The well in
10 21 is an excellent Morrow well. It's made about 2 BCF.
11 The Southland 21 Federal, I believe it is, has made -- It's
12 going to -- has made about 2.6 BCF, I believe. There are
13 some good Morrow wells in this area.

14 The Trigg-Jennings Number 1 in the south half of
15 28 has made 2.5 BCF. The Empire Federal A Number 1 in 21
16 that I was talking about has made about .4 BCF from the
17 Morrow.

18 Q. Okay, the well in the west half of Section 22, I
19 believe that's the Empire Federal 22?

20 A. Yes.

21 Q. In your opinion, that just didn't encounter
22 enough sand to be a good well?

23 A. Correct, and if you will -- The gamma ray
24 indicates, if you will look at the gamma ray, it's not near
25 as clean, so it's also tight. It probably has a lot more

1 fines than the good wells.

2 Generally, there seems to be like a ten-foot --
3 you need ten feet of sand cutoff.

4 The -- to the southwest -- or east there, we have
5 another possible pod, and that well down in Section 36 is
6 still producing from this sand. It hasn't...

7 But I would say that generally that sand is too
8 thin and tight in the Number 22.

9 Q. You said you need at least ten feet. Do you have
10 a porosity cutoff?

11 A. No, I don't really have a porosity cutoff, but --
12 you can see what -- The average porosity in the best well
13 there is probably 11 percent.

14 I gave it about -- almost 28 feet at 11 percent.
15 I would not say that I would use 11 percent as a cutoff
16 though.

17 I think the thickness of the sand is -- seems to
18 go hand in hand with improving reservoir quality, and I
19 think that is -- if you get 22 feet of sand, you're
20 probably going to have 22 feet of pretty good reservoir
21 sand.

22 EXAMINER CATANACH: Okay, I have nothing further,
23 Mr. Carroll.

24 MR. ERNEST CARROLL: We would then call Nelson
25 Muncy to the stand.

1 NELSON MUNCY,
2 the witness herein, after having been first duly sworn upon
3 his oath, was examined and testified as follows:

4 DIRECT EXAMINATION

5 BY MR. ERNEST CARROLL:

6 Q. Would you please state your name and residence,
7 sir?

8 A. My name is Nelson Muncy, and I reside in Artesia,
9 New Mexico, at 1910 Washington.

10 Q. By whom are you employed?

11 A. MYCO Industries, Inc.

12 Q. And in what capacity?

13 A. I am an engineer and the operations manager.

14 Q. Mr. Muncy, have you had occasion to testify prior
15 to this date before the Oil Conservation Division and have
16 your credentials as a petroleum engineer accepted?

17 A. Yes, sir.

18 MR. ERNEST CARROLL: I would tender Mr. Muncy as
19 an expert in the field of petroleum engineering.

20 EXAMINER CATANACH: Mr. Muncy is so qualified.

21 Q. (By Mr. Ernest Carroll) Now, Mr. Muncy, you are
22 familiar with the Application of MYCO Industries for force-
23 pooling the east half of Section 22, Township 18, Range 29?

24 A. Yes, I am.

25 Q. And for today you have prepared certain exhibits,

1 have you not?

2 A. Yes, I have.

3 Q. And these are the exhibits that are contained in
4 the clear binder; is that correct?

5 A. That is correct.

6 Q. All right. If you would, Mr. Muncy, begin with
7 your first exhibit. I believe it's Exhibit -- It is
8 hearing Exhibit Number 11; I believe it may be your exhibit
9 number 1. Yours are numbered within the book numerically,
10 beginning with 1A, but if you would -- each time as you
11 refer to your exhibits, please state the Commission hearing
12 Exhibit Number also.

13 A. I will do that.

14 Q. All right. If you would start with, then,
15 Commission Exhibit Number 11 and explain what that is?

16 A. Commission Exhibit Number 11 is a summary of
17 discussion points that I will make here today.

18 Q. All right. Would you turn to Exhibit Number 12
19 and would you explain what that is?

20 A. Exhibit Number 12 is MYCO's AFE to drill the
21 subject well, the Reflex Federal Number 1, located 1980
22 from the south and 660 feet from the east line in Section
23 22, Township 18 South, Range 29 East, Eddy County, New
24 Mexico.

25 Q. Now, Mr. Muncy, the -- Have you reviewed this

1 particular AFE?

2 A. Yes, sir, I prepared the AFE and I have reviewed
3 it.

4 Q. All right. With respect -- This AFE projects a
5 dryhole cost of \$398,250 and a completed well cost of
6 \$704,950.

7 You have drilled -- participated by virtue of
8 your employment in wells drilled to the Morrow in this
9 area, have you not?

10 A. Yes, sir, back in 1990 MYCO drilled the east
11 Turkey Track Federal Com Number 1 in Section 23, Unit K, of
12 18 South, 29 East. This well is located approximately one
13 mile east of the proposed Reflex Federal Number 1, and I
14 was the engineer in charge of drilling that well, and I
15 also wrote that AFE.

16 Q. Do these amounts that are depicted on Exhibit
17 Number 12, do they in your professional opinion represent a
18 fair and accurate estimate of the cost of drilling this
19 particular well?

20 A. In my opinion, they certainly do.

21 Q. All right. Would you turn to Exhibit 13? What
22 is Exhibit 13?

23 A. Exhibit 13 in the transparent binder is also my
24 exhibit 2; the Case Exhibit would be Exhibit 13.

25 This exhibit is comprised of the petroleum

1 information cards, the *Dwight's* Well Production Histories,
2 and decline curves specifically for the two wells producing
3 from the Atoka sandbody in question here today.

4 We're talking specifically about the Southland
5 Royalty Empire Federal Com Number 1 located in Unit K, 1980
6 from the south and west in 27 of 18-29, and the Southland
7 Royalty A Federal Com Number 1 located in Unit C, 660 from
8 the north and 1980 from the west in Section 27.

9 The well located in K, the Empire Federal Com
10 Number 1, was spudded in 12-29-79, drilled to a TD of
11 11,700 feet, and completed in the Morrow February the 28th,
12 1980.

13 As Mr. Lammers previously pointed out, the Morrow
14 was soon abandoned, in 1980, after producing a mere 123
15 million cubic feet of gas and some 1600 barrels of
16 condensate.

17 The well was then recompleted in the Atoka
18 through perfs from 10,763 to -773, and the first Atoka
19 production commenced in 1981, of January.

20 The cumulative Atoka production through the 1993
21 year was 3,437,441 MCF, which is equivalent to 3.44 BCF,
22 including 25,000 barrels of condensate and about 900
23 barrels of water.

24 Production for the 1994 year on this particular
25 well was not available commercially as recently as last

1 week. The New Mexico Oil and Gas Engineering Production
2 Records show this well to be temporarily abandoned as of
3 the end of the 1993 year.

4 I have estimated the 1994 production from this
5 well at approximately 250,000 MCF of gas, after personally
6 making two field inspections of the well site in the past
7 160 days and talking with the pumper briefly on one
8 occasion at the well site.

9 The second well in question is the Southland
10 Royalty Empire Federal A Number 1, located in Unit C. This
11 well was spudded May the 3rd, 1980, completed in the Atoka
12 the following July the 7th, 1980, with perms from 10,752 to
13 -778.

14 Cumulative production through the 1993 year was
15 some 4,036,572 MCF of gas, or 4.04 BCF, including some
16 34,000 barrels of condensate and less than 900 barrels of
17 water.

18 And again, with this particular well, the
19 production for the 1994 year was not publicly available, so
20 I estimated the production at 250,000 MCF of gas, again
21 after making two visits to the well site in the past 160
22 days and talking to the pumper.

23 If we combine the production from these two wells
24 in the Atoka, we come up with some 7.47 BCF, almost 60,000
25 barrels of condensate, and less than 1200 barrels of water

1 for the production through the 1993 year.

2 The historical GOR through the 1993 year was
3 128,000 to 1.

4 Q. All right. Exhibit Number 14 is merely a
5 compilation of the figures that you've just testified to;
6 is that correct?

7 A. Yes, Exhibit 14 is divided into -- or is my
8 exhibit 3 in the clear binder.

9 It's divided into three columns, and what I've
10 done is taken the reported historical production through
11 1993 for both wells, added the estimated production for
12 1994 for both wells, and then I've come up with a total
13 estimated production for both wells and summed that number
14 through the 1994 year, that total being 7.9 BCF of gas.

15 Q. All right. Now, it is MYCO's intention, or at
16 least hopes and intention, to drill into the same producing
17 pool that the Empire A federal Com 1 C and the Empire
18 Federal Com 1 K are in; is that correct?

19 A. That is correct.

20 Q. That presents a risk that these two wells could
21 have depleted or may have depleted that reservoir beyond
22 economic limits, does it not?

23 A. It certainly does.

24 Q. And you have prepared exhibits now to deal with
25 that problem; is that correct?

1 A. That is correct.

2 Q. And specifically, I think your -- it would be
3 Exhibits 15 and 16 deal with that, do they not?

4 A. Yes, in the clear binder they're exhibits 4 and
5 5.

6 Q. All right. Would you deal with those Exhibits 15
7 and 16 and present that information to the Examiner?

8 A. Exhibit 4 and 5 take the tabulated yearly
9 wellhead shut-in pressures as reported to the NMOCB by
10 Southland Royalty Company and tie these wellhead shut-in
11 pressures to the cumulative gas production from the first
12 Atoka gas production from both of the wells, and we do this
13 through September of 1993. It's done for the Empire
14 Federal Com Number 1 K and also the Empire Federal A Com
15 Number 1, located in Unit C.

16 I employed the Integrity Consulting Petroleum
17 Engineering Reservoir Tool Kit, Version 3, by Boone and
18 Clegg, to calculate bottomhole pressures from the reported
19 surface pressures and calculate the compressibility Z
20 factor using a modified version of the Cullender-Smith
21 technique.

22 I further used the program to calculate the
23 remaining gas reserves for each well as of 10-1-93 by
24 dividing the calculated bottomhole pressures by the
25 compressibility Z factor plotted against cumulative

1 production, yielding a graphical representation of the
2 material balance calculation of the two wells, in other
3 words, BHP over Z versus cum gas.

4 My calculations assumed an abandonment wellhead
5 pressure of 100 p.s.i.g.

6 I have confidence in these calculations and the
7 data, because the pressure production points plotted on a
8 coordinate scale fall on a straight line, and that would be
9 shown by exhibits in the clear binder 6 and 7, which would
10 be Exhibits 17 and 18.

11 The line -- We plot a straight line with the
12 points, and so this tells me that I have confidence in the
13 calculations, as I previously said, and I feel comfortable
14 that there's no significant water or condensate production
15 affecting the calculations that I made.

16 Therefore, as of 1-1-95, the beginning of this
17 year, I calculated the recoverable gas in place for the
18 Empire A Federal Com Number 1 C by taking the recoverable
19 gas in place as calculated through 10-1-93, subtracting
20 from that the actual production through September of 1993,
21 the actual production through October and December of 1993,
22 and then the estimated production of the 1994 year that I
23 previously described as being 250,000 MCF. I come up with
24 a total recoverable gas in place with a 100 p.s.i.g.
25 abandonment pressure for the Empire Federal A Com Number 1

1 C at 1.43 BCF.

2 I did the same thing for the second well, the
3 Empire Federal Com Number 1 K, to calculate the recoverable
4 gas in place as of 1-1-95. The number that I made in my
5 calculations, Exhibit 5, was some 5.2 BCF. I subtracted
6 from that the actual production as reported through
7 September of 1993. I took the actual production from
8 October through December of 1993, subtracted that,
9 subtracted the estimated production for 1994 of some
10 250,000 MCF, and can estimate the gas-in-place recoverable
11 with the 100 p.s.i.g. wellhead abandonment pressure on
12 1-1-95 for the Empire Federal Com 1 K at 2.93 BCF.

13 These calculations suggest to me that the Atoka
14 sandbody in question, as of the first day of this year, has
15 been depleted approximately 75 percent. In other words, my
16 calculations show that only 25 percent of the recoverable
17 gas in place is remaining.

18 These calculations show that the recoverable gas
19 in place at the end -- or at the beginning of 1-1-95, the
20 end of the 1994 year, sums up to 2.93 BCF with an
21 abandonment wellhead pressure of 100 p.s.i.g.

22 Q. All right. Mr. Muncy, with that kind of reserves
23 that you think would be remaining -- and let us suppose
24 that the proposed well does hit this pool, is a good
25 producer -- is there a chance that based upon your

1 calculation of reserves, that the Reflex would be an
2 economic success, i.e., has a chance to produce sufficient
3 reserves that would justify the drilling of this well?

4 A. Yes, in my opinion the 2.93 BCF that I've
5 calculated remaining as of the beginning of this year in
6 this Atoka sandbody that we've previously described will
7 be recovered in part by MYCO's proposed Reflex Federal
8 Number 1.

9 The geology, as previously presented by Mr.
10 Lammers, and my reservoir calculations, suggest that the
11 proposed well should penetrate the Atoka reservoir and
12 recover hydrocarbons.

13 I would like to caution that the geology and the
14 reservoir engineering are not exact sciences, and there is
15 an inherent risk associated with drilling the proposed
16 well.

17 If we assume that the two existing Southland
18 Royalty wells, as previously described, continue to
19 produce, I see no reason why that MYCO will not share in
20 the 2.93 BCF and recover at least one-third of the
21 reserves. Therefore, I estimate that Myco should be able
22 to recover .98 BCF of gas from the Atoka.

23 Q. Mr. Muncy, your Exhibit 19 actually presents an
24 economic analysis of what you've just been testifying to,
25 does it not?

1 A. It does. Exhibit 19 for the case is the exhibit
2 number 8 in my binder.

3 This is an economical analysis of the proposed
4 well. We used the David P. Cook program called OGRE to
5 calculate the economics based upon the remaining reserves
6 that -- or the reserves that I have given the Reflex
7 Federal well.

8 I could start off by talking about some of the
9 parameters that went into the calculation for the economic
10 analysis.

11 I took the historical GOR of 128,000 to 1 that we
12 calculated through the 1993 year, and projecting that
13 forward to the remaining reserves of some 2.93 BCF of gas,
14 I would estimate that the Atoka sandbody has recoverable
15 condensate in place of some 23,000 barrels.

16 For the economic calculations, I used a gas price
17 of -- or an oil price, strike that, an oil price of \$15. I
18 used a gas price of \$1.45 per MCF. The LOE was calculated
19 at \$798 per month, MYCO's working interest at 30 percent,
20 thrown against a 75-percent net revenue interest, which
21 yields a 25-percent effective NRI for MYCO. I used no
22 price escalations or working-interest reversions.

23 The initial gas rate was at 23,000 MCF per month,
24 using the 128,000-to-1 GOR. I used an exponential decline
25 rate of 22 percent. The AFE cost, as we've previously

1 described, was \$704,950. MYCO's 30-percent *pro rata* share
2 works out to \$211,485. I assumed a production date of
3 1-1-95, and these calculations imply no risk factors.

4 Q. Now, Mr. Muncy, the risks that you have described
5 here, the economic risk, do you feel that this is a risk,
6 though, that a prudent operator would assume and drill this
7 well?

8 A. The economic risks, exclusive of the 15-percent
9 interest in question, yes.

10 Q. And Mr. Muncy, the calculations that you have
11 performed are based solely on the Atoka; you have not added
12 anything or detracted with respect to any of the secondary
13 objectives?

14 A. That is correct.

15 Q. So if a secondary objective were encountered,
16 that would actually improve the economics substantially,
17 would it not?

18 A. Absolutely.

19 Q. Now, Mr. Lammers expressed -- Of course, this
20 well is targeted to the Morrow, a few hundred more feet
21 below the primary objective. Do you share Mr. Lammers'
22 opinion that this well should test the Morrow formation?

23 A. Absolutely. As a prudent operator, I think we
24 would be failing in our duties as an operator not to test
25 that formation.

1 Q. All right. And Mr. Muncy, with respect to the
2 concerns that this Commission must always address, that
3 being the prevention of waste and the protection of
4 correlative rights, do you feel that the granting of this
5 Application would in fact further those obligations to
6 prevent waste and protect correlative rights?

7 A. I certainly do.

8 Q. Is there anything further that you would like to
9 comment with respect to your exhibits?

10 A. In summary, the economic calculations that we
11 made are, as we previously described, reasons to drill the
12 well, but they do show that there is inherent risk.

13 Q. Now, Mr. Muncy, the Application -- and Mr.
14 Lammers' testimony has indicated that MYCO is seeking the
15 maximum penalty of 200 percent allowed by law. Do you
16 concur, and would you recommend that to the Examiner?

17 A. I would absolutely recommend those numbers.

18 MR. ERNEST CARROLL: Mr. Examiner, I would move
19 admission of MYCO's Exhibits Number 11 through 19.

20 EXAMINER CATANACH: Exhibits 11 through 19 will
21 be admitted as evidence.

22 MR. ERNEST CARROLL: I have no further questions.

23 EXAMINER CATANACH: I have no questions of this
24 witness. He may be excused.

25 Is there anything further, Mr. Carroll?

1 MR. ERNEST CARROLL: I have nothing further.

2 EXAMINER CATANACH: There being nothing further,
3 Case 11,190 will be taken under advisement.

4 (Thereupon, these proceedings were concluded at
5 10:10 a.m.)

6 * * *

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
 COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.


WITNESS MY HAND AND SEAL March 5th, 1995.



STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 14, 1998

I do hereby certify that the foregoing is
 a complete record of the proceedings in
 the Examiner hearing of Case No. 11198
 heard by me on March 2 1995.

 Examiner
 Oil Conservation Division

STEVEN T. BRENNER, CCR
 (505) 989-9317