

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

FEB

IN THE MATTER OF THE HEARING)
CALLED BY THE OIL CONSERVATION)
DIVISION FOR THE PURPOSE OF)
CONSIDERING:)
APPLICATIONS OF MERIDIAN OIL,)
INC.)

CASE NOS. 11,207
and 11,208
(Consolidated)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS
EXAMINER HEARING

BEFORE: MICHAEL E. STOGNER, Hearing Examiner

February 16th, 1995
Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Division on Thursday, February 16th, 1995, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, before Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

STEVEN T. BRENNER, CCR
(505) 989-9317

I N D E X

February 16th, 1995
 Examiner Hearing
 CASE NOS. 11,207 and 11,208 (Consolidated)

	PAGE
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>ADAM SZANTAY</u>	
Direct Examination by Mr. Kellahin	11
Examination by Examiner Stogner	30
Further Examination by Mr. Kellahin	33
Further Examination by Examiner Stogner	35
<u>CHET A. BABIN</u>	
Direct Examination by Mr. Kellahin	37
Examination by Examiner Stogner	58
<u>ADAM SZANTAY</u> (Recalled)	
Direct Examination by Mr. Kellahin	64
Examination by Examiner Stogner	66
<u>TREY SHEPHERD</u>	
Direct Examination by Mr. Kellahin	67
Examination by Examiner Stogner	73
REPORTER'S CERTIFICATE	78

* * *

E X H I B I T S

	Identified	Admitted
Exhibit 1	29	30
Exhibit 2	14	30
Exhibit 3	25	30

(Continued...)

E X H I B I T S (Continued)

	Identified	Admitted
Exhibit 4	23	30
Exhibit 5	16	30
Exhibit 6	14	30
Exhibit 7	44	58
Exhibit 8	45	58
Exhibit 9	45	58
Exhibit 10	51	58
Exhibit 11	58	58
Exhibit 12	49, 68, 69	73
Exhibit 13	70	73
Exhibit 14	73	73

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
 Attorney at Law
 Legal Counsel to the Division
 State Land Office Building
 Santa Fe, New Mexico 87504

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
 117 N. Guadalupe
 P.O. Box 2265
 Santa Fe, New Mexico 87504-2265
 By: W. THOMAS KELLAHIN

* * *

1 WHEREUPON, the following proceedings were had at
2 9:20 a.m.:

3 EXAMINER STOGNER: Hearing will come to order at
4 this time.

5 At this time, at the request of Counsel for
6 Meridian, I will call both cases, 11,207 and 11,208.

7 MR. CARROLL: Application of Meridian Oil, Inc.,
8 for a unit agreement, Lea County, New Mexico.

9 Application of Meridian Oil, Inc, for a
10 waterflood project and qualification for the recovered oil
11 tax rate pursuant to the "New Mexico Enhanced Oil Recovery
12 Act", Lea County, New Mexico.

13 EXAMINER STOGNER: At this time I'll call for
14 appearances.

15 MR. KELLAHIN: If the Examiner please, I'm Tom
16 Kellahin of the Santa Fe law firm of Kellahin and Kellahin,
17 appearing on behalf of the Applicant, and I have three
18 witnesses to be sworn.

19 EXAMINER STOGNER: Are there any other
20 appearances in this matter or -- matter or matters, I
21 should say?

22 There being none, will the witnesses please stand
23 at this time?

24 (Thereupon, the witnesses were sworn.)

25 EXAMINER STOGNER: Mr. Kellahin?

1 MR. KELLAHIN: Thank you, Mr. Examiner. I have
2 placed in front of you a set of the exhibits. They're
3 right next to the microphone. There are a couple of
4 preliminary matters to direct your attention to.

5 First of all, we're dealing with the West Corbin-
6 Delaware Pool. It is an oil pool on 40-acre oil spacing
7 and subject to general statewide rules. The depth bracket
8 oil allowable for wells at this depth is 107 barrels of oil
9 a day, and we're working with the standard 2000-to-1 gas-
10 oil ratio.

11 I'm going to hand you the *Byram's* summary of what
12 the description is for the West Corbin-Delaware Pool so
13 that you'll have that available if you need it.

14 EXAMINER STOGNER: Thank you.

15 MR. KELLAHIN: We're dealing with only a portion
16 of the pool. These are oil wells that are operated by
17 Meridian Oil, Inc. In addition, there's an interest by
18 Southland Royalty, Inc., but for purposes of this
19 Application we are considering it to be under one
20 operatorship.

21 The original application, which I would like to
22 draw your attention to -- and if you might look at Exhibit
23 1 of the exhibit package, I can explain to you some
24 changes.

25 You'll see the shape of the unit as presented on

1 Exhibit 1. When this Application was originally filed
2 before the Division, as well as filed to the State Land
3 Office and the Bureau of Land Management, it included three
4 additional 40-acre tracts. I've checked in red those three
5 tracts. For the record, they are: In Section 16 it's unit
6 letter J; in Section 21 it's unit letter E; and in Section
7 22 it's unit letter F.

8 Those three tracts were deleted based upon the
9 recommendation of the Bureau of Land Management. Their
10 criteria for exclusion was that no portion of any of those
11 three tracts was included within the zero line on the pore-
12 volume map that you will see during the course of the
13 presentation.

14 Based upon their request, we are excluding those
15 three tracts. The exclusion has been approved by the
16 Commissioner of Public Lands, and we believe the
17 Application is now approvable by the Bureau of Land
18 Management.

19 For purposes of your work, you need to decide if
20 those changes are of any significance in terms of notice.
21 I think not, but that's certainly your call and not mine.
22 That is a change.

23 EXAMINER STOGNER: Before we go on to something
24 else, let me make sure I understand this. The three 40-
25 acre tracts were three tracts which the BLM requested to be

1 removed?

2 MR. KELLAHIN: Yes, sir, as part of the
3 preliminary review, they recommended those three tracts be
4 excluded for the reason that when you look at the pore
5 volume distribution of the reservoir, it will be positioned
6 so that no portion of the pore volume is included in those
7 three tracts.

8 EXAMINER STOGNER: Okay. Now, that's fine, but
9 there's two of them that I see that are clearly in federal
10 areas.

11 MR. KELLAHIN: That's right.

12 EXAMINER STOGNER: But the one in Section 16 is
13 right in the middle of the state area, but still the BLM
14 requested that one be removed?

15 MR. KELLAHIN: That's right. And the State Land
16 Office concurred.

17 EXAMINER STOGNER: Okay, so you have -- I know
18 that will be part of the evidence to be presented, but I'm
19 assuming that preliminary approval has been given by the
20 BLM and the State Land Office of this new, revised area; is
21 that correct?

22 MR. KELLAHIN: I have a written letter from the
23 State Land Office approving those changes. I do not yet
24 have the letter from the BLM, but in talking to their
25 personnel yesterday, I believe we've satisfied all their

1 conditions now for preliminary approval, and I believe that
2 letter of approval to be forthcoming.

3 EXAMINER STOGNER: Okay. Anything else, Mr.
4 Kellahin?

5 MR. KELLAHIN: Yes, sir, there is another item I
6 need to bring your attention to.

7 The original application sought to convert three
8 producers, and on your Exhibit 1 I have outlined in red
9 triangles the three producers. Those show up on the
10 advertisement.

11 In addition, we had requested in the northeast
12 quarter of Section 21 the drilling of an additional
13 injector which unfortunately is not in the advertisement,
14 but I'm not sure that's critical.

15 I bring it to your attention because when you
16 look at Exhibit 1, the well involved is the 11-MA well. On
17 Exhibit 1 it is mis-spotted. The correct footage location
18 for that new injector is 1340 from the north line and 990
19 from the east line, which will put it in unit letter H,
20 approximately spotted below the letter C when you look at
21 the lease number described within that 160 acres. So it's
22 mis-spotted on the display, but it's also admitted from the
23 ad.

24 Now, it's a well location that's internal within
25 the unit, and I guess we can decide whether to process that

1 administratively or whether or not you want to readvertise
2 it. But I think we can put that aside for a moment. I
3 simply bring it to your attention.

4 EXAMINER STOGNER: As far as your first problem
5 that you brought up, there won't be any need to readvertise
6 the unit, since this is less of an area than what was
7 originally proposed.

8 And as far as the drilled well, I will admit, I
9 remember this very clearly now. I thought I had included
10 it, but evidently I did not, and that is definitely my
11 mistake.

12 MR. KELLAHIN: I'm not sure it's critical, Mr.
13 Examiner. We have provided notice, actual notice, to
14 everyone that could be possibly affected by it, and you'll
15 have to decide -- and I don't think you have to decide now;
16 you can hear the evidence and see if it's important -- I
17 think not -- but it is an omission from the advertisement.

18 EXAMINER STOGNER: If for some reason it might be
19 easier to readvertise this case, it wouldn't be
20 readvertised until March 16th, and that would just be to
21 simply correct everything.

22 Would a 30-day extension between today and the
23 time an order was issued -- would that be of any harm in
24 this particular instance?

25 MR. KELLAHIN: I'm not certain, and we'll simply

1 have to discuss it with Meridian.

2 EXAMINER STOGNER: I'll tell you what, let's just
3 go ahead and leave that problem alone at this time, and we
4 will either address it before today is over, or we'll make
5 a decision, and your idea of just applying for it
6 administratively may be the best thing. But either way,
7 we'll take care of it.

8 Again, that particular instance, I remember it
9 very clearly, and I was the one that fouled up on that, and
10 I apologize. I remember it very clearly now.

11 MR. KELLAHIN: That's all right, Mr. Examiner, it
12 happens.

13 We're ready to proceed with our presentation.

14 EXAMINER STOGNER: Mr. Kellahin?

15 MR. KELLAHIN: Mr. Examiner, I'm going to call my
16 first witness. He's a petroleum geologist with Meridian.
17 He resides in Farm- -- in Midland, Texas, as opposed to
18 Farmington.

19 EXAMINER STOGNER: Are there two offices in New
20 Mexico?

21 I'm sorry, go ahead.

22 MR. KELLAHIN: Last recollection, Midland is
23 still in Texas.

24 Adam Szantay, and his last name is spelled
25 S-z-a-n-t-a-y, Szantay.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ADAM SZANTAY,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. KELLAHIN:

Q. Mr. Szantay, for the record would you please state your name and occupation?

A. My name is Adam Szantay, and I'm a petroleum geologist with Meridian Oil, Incorporated.

Q. Mr. Szantay, on prior occasions have you testified before this Division?

A. No, sir, I have not.

Q. Summarize for us your education.

A. In 1986 I received a bachelor's degree from the State University System of New York. And in 1990 I earned a master's degree from the Colorado State University in Fort Collins, Colorado.

Q. In what fields did you obtain those degrees?

A. The bachelor's degree was in geology and the master's degree was in geology with a specific emphasis on sedimentary geology.

Q. Subsequent to obtaining your degrees, have you been employed as a professional geologist in the industry?

A. Yes, I have.

Q. Summarize for us and describe your employment

1 experience.

2 A. In 1990 I gained employment with Meridian Oil and
3 have worked in such capacity with them ever since.

4 Q. Have your duties as a geologist included any
5 portion of southeastern New Mexico?

6 A. Yes, they have.

7 Q. Describe generally what it is that you do.

8 A. Geology, exploration and development in both Lea
9 and Eddy Counties, New Mexico.

10 Q. The Application today is to have various
11 approvals by the Division for what we've identified as the
12 East Corbin-Delaware unit. It's located in the West
13 Corbin-Delaware Pool. Are you familiar with that project?

14 A. Yes, I am.

15 Q. How are you familiar with it?

16 A. I've been the geologist responsible for it since
17 1992.

18 Q. What is it that you've done?

19 A. Analysis of geological data for the purposes of
20 extracting hydrocarbons.

21 Q. As part of that analysis, have you formulated any
22 geologic opinions concerning the feasibility of initiating
23 secondary recovery operations within this area we've
24 described as the East Corbin-Delaware unit?

25 A. Yes, sir, I have.

1 MR. KELLAHIN: We tender Mr. Szantay as an expert
2 petroleum geologist.

3 EXAMINER STOGNER: Mr. Szantay is so qualified.

4 Q. (By Mr. Kellahin) Give us a general geologic
5 description of the type of reservoir that we're dealing
6 with here, Mr. Szantay.

7 A. Okay, we're dealing with sandstone reservoirs,
8 two of them, so designated "A" and "B" reservoirs on the
9 displays, at a depth of approximately 5200 feet.

10 Q. When we look at this particular area, is there a
11 trapping mechanism within the reservoir that explains the
12 accumulation or the occurrence of hydrocarbons in the
13 Delaware?

14 A. Yes, sir, there is.

15 Q. What is it?

16 A. It's a combination stratigraphic-structural trap.

17 Q. When the Examiner begins to look at the details
18 of your work, give us a sense of where you're taking us
19 with your conclusions in terms of how you have defined a
20 logical, reasonable boundary configuration for this unit.

21 A. Okay. If I may, Mr. Examiner, I'd like to refer
22 to Exhibit 2 and Exhibit 6.

23 Q. All right, we're going to look at them at the
24 same time?

25 A. Yes, sir.

1 Q. All right, let's do that. Give us a moment, and
2 let's find Exhibit 2, and then let us go through and look
3 at Exhibit Number 6. Give us a second to unfold those
4 displays.

5 A. Sure.

6 Q. All right. First of all, for the record, let's
7 identify both Exhibits 2 and 6. First, what is Exhibit 2?

8 A. Exhibit 2 is a conventional structure map on top
9 of the "A" sandstone reservoir.

10 Q. Does that represent your work product?

11 A. Yes, it does.

12 Q. Exhibit 6 is what, sir?

13 A. Exhibit 6 is a structural cross-section over the
14 Delaware sandstones in question today.

15 Q. All right. And again, does that represent your
16 work product?

17 A. Yes, it does.

18 Q. Let's look first at Exhibit -- Well, let's start
19 with Exhibit 6 for a quick moment --

20 A. Okay.

21 Q. -- and have you help us understand the
22 relationship --

23 A. Sure.

24 Q. -- between what you've identified as the Delaware
25 "A" sandstone and the Delaware "B" sandstone.

1 A. Sure. I'd like to direct Mr. Examiner's
2 attention to the yellow on these cross-sections, which is
3 sandstone. The blue is impermeable dolomite.

4 The reservoirs that we're going to be talking
5 about today are so designated "A" sandstone and "B"
6 sandstone on Exhibit 6. And Exhibit 6, I believe, clearly
7 shows the structural and stratigraphic nature of both those
8 reservoirs.

9 Exhibit 6, the cross-section goes from the south
10 part of the unit to the north part of the unit. And if you
11 look at the "A" and the "B" sandstone reservoirs you can
12 see how both the porosity and the sandstone pinch out
13 updip, and --

14 Q. Why have you taken the Delaware and subdivided it
15 into an "A" sandstone and a "B" sandstone?

16 A. For ease of communication, and because they are
17 distinct sedimentary units within the Delaware.

18 Q. Prior to any production out of either one of
19 these Delaware intervals, were they separate, within a
20 geologic context?

21 A. Not to my knowledge, no.

22 Q. All right. Do you see any permeability barrier
23 between the "A" and the "B" sandstone as we move from log
24 to log?

25 A. In its natural state, yes, the blue in between

1 the "A" and the "B" sandstone would provide a permeability
2 barrier.

3 Q. As developed, though, with these Delaware wells,
4 what has happened to those two different sandstone members?

5 A. There's a high likelihood that both those
6 sandstone members have been communicated through mechanical
7 stimulation.

8 Q. As part of the project, then, what is intended to
9 be the flood interval for the waterflood project?

10 A. Both the "A" and the "B" sandstone intervals.

11 Q. When we look at your cross-section, can you show
12 us a way to illustrate whether or not the "A" and the "B"
13 sandstone members are confined vertically so that they're
14 isolated above and below from any other source of supply or
15 freshwater aquifer?

16 A. I believe both Exhibits 6 -- and I'd like to
17 direct Mr. Examiner's attention now to Exhibit 5, a similar
18 structural cross-section over the "A" and the "B" sandstone
19 interval.

20 Q. Okay, let's take a moment and unfold Exhibit 5
21 and then have you speak to that specific issue.

22 A. Yes, sir.

23 Q. Exhibit 6 is taking us north-south through the
24 unit area?

25 A. That's correct.

1 Q. And when we look at Exhibit 5, what direction are
2 we seeing?

3 A. Exhibit 5, on the locator map contained on the
4 cross-section, is cross-section E to E'. It's an east-west
5 structural cross-section through the unit.

6 Q. Again, this is your work product?

7 A. Yes, sir.

8 Q. Help us see how you have concluded that there's
9 isolation of the "A" and the "B" sandstone of the Delaware
10 from any other formation.

11 A. The logs represented on this cross-section are
12 standard density-derived porosity logs. The blue, again,
13 is going to be impermeable dolomite and the yellow is going
14 to be permeable sandstone.

15 I believe that both cross-sections, using the
16 same color code, clearly show that the only permeability
17 exists in the sandstone.

18 Q. How were these wells completed after they were
19 drilled?

20 A. Through conventional mechanical hydraulic
21 fracturing techniques.

22 Q. Are those stimulation or fracturing techniques
23 such that you would fracture the formations that are
24 confining the "A" and the "B" sandstones?

25 A. Not to the point that they would communicate out

1 of zone.

2 Q. So we still maintain good geologic integrity of
3 the ceiling formations above and below the "A" and the "B"
4 sandstone?

5 A. Yeah, I'm wholly confident of that.

6 Q. Before we leave the cross-sections, give us your
7 conclusion about the geologic continuity as we move
8 laterally through the "A" and the "B" sandstones.

9 A. Okay. Mr. Examiner, if you'd look at cross-
10 section E to E', or Exhibit 5, which is the east-west
11 cross-section through there, I've colored in red porosity
12 greater than eight percent, and I've correlated the "A" and
13 the "B" sandstone again in yellow, and I believe that it's
14 clear that significant porosity is developed in both zones
15 and is continuous from wellbore to wellbore.

16 Q. What does that tell you as a geologist about the
17 potential feasibility of subjecting this portion of the
18 Delaware to waterflood operations?

19 A. That such procedures conducted are very feasible.

20 Q. All right, sir. Take me back to the structure
21 map now, which is Exhibit Number 2, and tell me why the
22 structure map is of any significance to you as you begin to
23 formulate a plan for the configuration of acreage for the
24 unit waterflood project.

25 A. Okay. The structure map on the top of the "A"

1 sand, Exhibit 2, is mapped on the interface between the top
2 of the "A" sandstone and the overlying impermeable
3 dolomite.

4 You might want to refer to Exhibit 6.

5 You can see that there is a -- there is an
6 anticlinal nature to the structure within the unit
7 boundary, providing the updip trap for hydrocarbons in both
8 the "A" and the "B".

9 Q. What is the drive mechanism in this reservoir,
10 Mr. Szantay?

11 A. It's a gas solution drive mechanism.

12 Q. Do you see an active water component to affect
13 recovery in the reservoir?

14 A. No, sir, we do not.

15 Q. There is a water component in the reservoir, but
16 it's not an active water drive?

17 A. No, sir, it is not.

18 Q. All right. There is water present?

19 A. Yes.

20 Q. Okay. But it doesn't support pressure or provide
21 a drive mechanism for oil production?

22 A. No, sir, it does not.

23 Q. Are there any other geologic components to the
24 trapping mechanism, other than structure?

25 A. The porosity as present in both the "A" and the

1 "B" reservoirs and as they are draped over this anticlinal
2 feature, yes.

3 Q. What is it?

4 A. Please rephrase the question.

5 Q. Well, if there's another component to the
6 reservoir, other than structure, I assume it's some kind of
7 reservoir limit; you simply lose porosity sufficient to
8 give you oil productivity in the reservoir in some
9 direction?

10 A. Yes, sir, that's correct.

11 Q. All right. When we look at Exhibit 2, then, we
12 are only looking at the structural portion of that
13 analysis?

14 A. Yes, sir, that's correct.

15 Q. When we look at Exhibit 2, there is a dashed or a
16 hashed black boundary which conforms to the proposed
17 current unit boundary, right?

18 A. Yes, sir.

19 Q. Help us use the structural part to explain the
20 boundary as you propose to have it approved.

21 A. Okay. The north part of the boundary, as
22 presented on Exhibit 2, coincides with the updip porosity
23 sandstone pinchout in both the "A" and the "B" horizons.
24 So there is no significant porosity available for
25 exploitation north of the north boundary.

1 Q. All right. Before we leave Section 16 on the
2 north boundary, tell me if there's a geologic basis for the
3 exclusion of that 40-acre tract which is in unit letter J
4 of Section 16. It's the northwest of the southeast.

5 A. Yes, sir, there is.

6 Q. Tell me why.

7 A. I would need to refer to Exhibit 3 and Exhibit 4
8 if I may.

9 Q. All right, we'll come to that in a second, then.

10 A. Okay.

11 Q. So if you're looking only at structure, you might
12 include that 40-acre tract?

13 A. Yes, sir.

14 Q. When you look at the well control in Section 16
15 along that boundary, starting with the well that's labeled
16 "absent", tell me what that means. Do you see it? It's in
17 the southeast northeast of 16 --

18 A. Yes, sir.

19 Q. -- unit letter H. It says the word "absent".

20 A. Yes, sir.

21 Q. What does that mean?

22 A. The formation, the "A" and the "B" sandstones,
23 are absent in that wellbore.

24 Q. No reservoir at all there?

25 A. No reservoir.

1 Q. So that appears to be a logical point to draw a
2 boundary difference if you put the boundary south of that
3 absence of reservoir as located in that wellbore?

4 A. Yes, sir, that's correct.

5 Q. When you move over to the well in the southeast
6 of the northwest, which is unit letter F --

7 A. Yes, sir.

8 Q. -- it's the deep gas well, apparently; it's
9 12,500 feet?

10 A. Yes, sir.

11 Q. Is there any log indication there in that well
12 that the Delaware "A" and "B" have any reservoir?

13 A. No, sir, there is not.

14 Q. So it's a good control point for that boundary?

15 A. Yes, sir, it is.

16 Q. When we dip down into the 40-acre excluded tract,
17 there is a well there?

18 A. Yes, sir, there is.

19 Q. What does that information tell you?

20 A. That there were no significant -- I should say
21 that analysis shows, and the logs from that well indicate,
22 that there were not sufficient hydrocarbons present in the
23 reservoir in that tract for economic exploitation.

24 Q. So if the BLM requests that tract as being
25 deleted, it's certainly consistent with the geologic

1 opinion that you could reach?

2 A. It would be.

3 Q. All right. Let's take now -- In addition to the
4 structure map, show me the next exhibit that integrates
5 reservoir porosity or pore volume into helping establish
6 the boundary.

7 A. The next exhibit that does that, if we go
8 counterclockwise around the boundaries to the west
9 boundary, please allow me to refer to Exhibit 4.

10 Q. Okay, let's look at Exhibit 4. Identify for the
11 record, Mr. Szantay, what we're looking at when we see
12 Exhibit Number 4.

13 A. Exhibit 4 is a hydrocarbon pore-volume map of the
14 "B" sandstone interval.

15 Q. All right. Before we discuss the importance of
16 that display, help us verify your opinions about the
17 accuracy of the distribution on this pore-volume map. How
18 did you prepare it and what degree of confidence do you
19 have that it is accurate?

20 A. Hydrocarbon pore volume is an integration of the
21 oil concentration in the formation and the porosity in the
22 formation, simply oil saturation times porosity times feet
23 or unit foot.

24 Q. Are you satisfied that you had sufficient well
25 control and other geologic data by which to draw this map?

1 A. Yes, sir, I am.

2 Q. In addition, have you had this information
3 verified by your reservoir engineer as to distribution and
4 volume?

5 A. Yes, sir, I have.

6 Q. You also have a similar pore-volume map for the
7 "A" sand, which is Exhibit Number 3?

8 A. Yes, sir.

9 Q. All right. Let's stay with Exhibit 4, though,
10 and have you use that in combination with Exhibit Number 2.
11 We've talked about the north boundary of the unit. Help us
12 use those two displays as we move counterclockwise around
13 the boundary and give us your justification for that
14 boundary.

15 A. Okay, because, before any drilling took place,
16 these two reservoirs were separate entities, we felt it
17 necessary to map their hydrocarbon pore volumes separately.

18 Exhibit Number 4 shows that the western boundary
19 of the unit is defined by the western extent of economic
20 hydrocarbons in the "B" sandstone interval.

21 Q. All right, let's demonstrate to the Examiner how
22 you were able to reach that conclusion. If you'll take the
23 structure map, Exhibit 2, as a point of reference, let's
24 look in Section 16 at the two wells that are in the west
25 half of the southwest quarter.

1 A. Yes, sir.

2 Q. They'll be in unit letter L and unit letter M.

3 A. Yes, sir.

4 Q. Give us the information on those wells that
5 helped you pick the western boundary of the pore volume.

6 A. Okay, the wells we're referring to are numbered 3
7 and 4. And if you look at the dashed line on Exhibit
8 Number 2, that represents our interpreted oil-water
9 transition zone in the reservoir.

10 Well number 3, we believe, was encountered to the
11 lower side or the more -- the wetter side of that oil-water
12 transition zone. And in wellbore number 4, the Delaware
13 was encountered on the updip side of that oil-water
14 transition zone.

15 Q. You're confident that you have approximate --
16 geologic data in close proximity to this line to give you
17 confidence that you've accurately located the boundary?

18 A. Yes, sir, to the best ability of my
19 interpretation.

20 Q. All right, sir. Let's continue to have you move
21 counterclockwise and have you continue to describe your
22 justification for the boundary.

23 A. Okay. Again, I'd like to refer to Exhibit Number
24 3, also a hydrocarbon pore-volume map on the "A" sandstone
25 interval now.

1 Q. All right, just a minute. You've moved to
2 another display?

3 A. Yes, I have.

4 Q. All right. You're looking at Exhibit 3, which is
5 the "A" sand pore volume-map, right?

6 A. Yes, sir.

7 Q. What is it that you want us to see on that
8 display?

9 A. Okay, the southern boundary of the unit needs to
10 include the four tracts -- four 40-acre tracts across the
11 southern part of the unit, because in both the "A" and the
12 "B" sandstone hydrocarbon pore-volume intervals, there are
13 significant hydrocarbon deposits in both the "A" and the
14 "B" intervals that need to be exploited.

15 Q. All right, because there's pore volume in both
16 the "A" and the "B" that extends down into those 40-acre
17 tracts, you have concluded it's logical to have them in the
18 unit?

19 A. Yes, sir, I have.

20 Q. How do you reconcile that with the fact that on
21 Exhibit Number 2 you show an approximate oil-water contact?

22 A. It's because it's not a knife-edge-sharp contact
23 in the Delaware sands. It is a transition zone and it is
24 interpreted, and rather than take the chance of leaving any
25 hydrocarbons out of the unit, we feel that it is prudent to

1 include those tracts.

2 Q. Describe for us why this approximation of an oil-
3 water contact on Exhibit Number 2 is not a hard line that
4 you can specifically locate in the reservoir.

5 A. Because of the general dips involved here and the
6 thickness, approximately 80 feet of interval, it has to be
7 a transition zone. It can't be a -- We're not dealing with
8 a graduated cylinder here; we're dealing with a porous
9 sandstone, gently dipping.

10 Q. What is your geologic opinion about the best way,
11 then, to identify hydrocarbon oil reserves in place that
12 ought to be attributed to the unit? Is that the pore-
13 volume map, or simply some oil-water contact that's
14 inferred?

15 A. I believe the pore-volume maps are our best tool
16 for interpreting where there are economic amounts of
17 hydrocarbons.

18 Q. Okay. On the Examiner's copy, and I think on
19 your copy as well of Exhibit Number 1, I've identified four
20 triangles that represent the three wells to be converted to
21 injection and then the new-drilled injector. The new-drill
22 injector obviously is slightly mis-spotted.

23 But from a geologic perspective is there any
24 logic to why these four wells are proposed as injection
25 wells?

1 A. Yes, sir, there is.

2 Q. What is it?

3 A. Those locations were picked because they would
4 most efficiently exploit the porosity and hydrocarbon
5 deposit trends in the reservoirs.

6 Q. What causes you to say that?

7 A. Analysis of the porosity and hydrocarbon deposits
8 in the reservoirs.

9 Q. Sometimes we see a reservoir that is positioned
10 such that you would want the injection wells on the fringe
11 or downstructure point of the reservoir, to drive oil
12 upstructure?

13 A. Yes, sir.

14 Q. This obviously is not that case. Why not?

15 A. Because over millions of years, hundreds of
16 millions of years, hydrocarbons will migrate up such a
17 gentle dip and collect.

18 Over the span of time that we're considering
19 injecting into the reservoir, the gentle dips in this
20 reservoir will not affect where we're driving our
21 hydrocarbons.

22 We're most concerned with injection pressures
23 and, in locating injection wells, to most efficiently
24 exploit a porosity we can affect in a reasonable span of
25 time.

1 Q. I believe you've covered, Mr. Szantay, all your
2 geologic exhibits. Exhibit 1 is simply a locator map, and
3 Exhibits 2 through 6 represent your work product?

4 A. Yes, sir, that's correct.

5 Q. All right. Summarize for us your geologic
6 conclusions about the feasibility of the project.

7 A. In summary, I believe it's very feasible, it's
8 prudent, and -- that in order to recover hydrocarbons that
9 would not normally be recovered, it only makes sense to
10 undertake secondary recovery procedures at this time.

11 Q. Do you see any remaining opportunity within this
12 unit area to drill further development, primary oil-
13 producing wells?

14 A. At this time, I believe it's only prudent to
15 leave that option open to us, as we gather more data during
16 the waterflooding procedures.

17 Q. At this point you don't have any plans for, or do
18 you see the opportunity to go out and drill any more
19 primary oil wells?

20 A. No, sir, I do not.

21 Q. Do you see any adverse consequences to any of the
22 offsetting interest owners if this project is approved?

23 A. Absolutely not.

24 MR. KELLAHIN: That concludes my examination of
25 Mr. Szantay, Mr. Examiner.

1 We move the introduction of Exhibits 1 through 6.

2 EXAMINER STOGNER: Exhibits 1 through 6 will be
3 admitted into evidence.

4 EXAMINATION

5 BY EXAMINER STOGNER:

6 Q. In referring to Exhibit Number 6, which you
7 utilized, I believe, to -- Sorry, that would have been
8 Number 5, and specifically the well that shows the cores,
9 now, that well, I would assume, the "A" and the "B" and the
10 impermeable layers were communicated directly because of
11 that coring; is that correct?

12 A. The coring procedure itself would not inherently
13 communicate the zones behind pipe. It would...

14 Q. You're just saying that the perforation intervals
15 that will show was the ones that communicated the wells --

16 A. Right, the --

17 Q. -- mechanically?

18 A. -- mechanical stimulation, the frac'ing of the
19 sand, fracturing the formation would do that.

20 Q. And you're not saying that any of these wells are
21 open-hole completed through that interval?

22 A. That's correct, sir.

23 Q. Okay. Have you had a chance to take a look at
24 those cores?

25 A. Yes, sir, I have.

1 Q. Is there any inherent difference between the "A"
2 sand and the "B" sand?

3 A. No, sir, not to the naked eye. And as far as
4 depositionally and sedimentologically, no.

5 Q. And what kind of a deposition are these sands,
6 the "A" and the "B" in particular?

7 A. It would be a marginal -- a basin margin
8 environment.

9 Q. I'm sorry, a basin marginal --

10 A. A basin margin environment.

11 Q. Are there any fractures in either of those sands?
12 Are they naturally fractured?

13 A. No, they're not naturally fractured.

14 Q. They're just a good -- Would you consider them a
15 good consolidated sand?

16 A. Yes, sir, I would.

17 Q. I do show a few wells that have perforations up
18 -- and I don't show that interval on your cross-sections
19 identified. It's between the "YZ" sand and the "A" sand.
20 Some of those have been perforated?

21 A. Yes, sir, it's a stray sandstone interval that is
22 not continuous, even within the unit boundary.

23 Q. And I'm assuming that that is not an interval of
24 your subject here today; is that correct?

25 A. That's correct, sir.

1 EXAMINER STOGNER: I imagine that your reservoir
2 engineer will probably tell me about how the completions of
3 those particular wells will be handled?

4 MR. KELLAHIN: Yes, sir.

5 Q. (By Examiner Stogner) Were you the one that
6 presented this information, this geological information, to
7 the BLM?

8 A. Yes, sir, I was.

9 Q. I can understand the two corners, but I'm still
10 having a problem with that one little quarter section
11 coming down in the south half of Section 16.

12 A. Their statement to me -- and I'm paraphrasing,
13 close to quoting -- was that if the combined hydrocarbon
14 pore-volume contours do not intersect a 40-acre proration
15 unit, they would strongly recommend deleting from the unit.

16 Q. In your opinion, is that a wise decision? Just
17 your opinion.

18 A. Of course, I would like to have my initial
19 recommendation to include it in the unit, because as we
20 learn more we may find out that it has potential. I don't
21 have a real problem with deleting it from the unit as we
22 stand right now.

23 MR. KELLAHIN: A footnote, Mr. Examiner: We have
24 conceded the point to the BLM for two reasons. One,
25 Meridian will still control the 40-acre tract and can then

1 expand the unit later to include the 40-acre tract.

2 In addition, the participation formula for the
3 unit does not include an acreage component, so acreage is
4 not a factor. It's simply pore volume is the critical
5 control parameter. And because acreage is not a factor, we
6 waive disputing it.

7 EXAMINER STOGNER: That might have had some
8 reason why the State Land Office --

9 MR. KELLAHIN: That's exactly right, it didn't
10 cut into their share.

11 EXAMINER STOGNER: Or rolled over, as I was going
12 to say.

13 I have no other questions of Mr. Szantay.

14 MR. KELLAHIN: I have a follow-up question on a
15 different topic. Mr. Szantay has been on the surface of
16 the property. I want to ask him his questions about the
17 location of freshwater sources.

18 EXAMINER STOGNER: Yes, sir.

19 MR. KELLAHIN: Let's take a moment and have you
20 do that.

21 FURTHER EXAMINATION

22 BY MR. KELLAHIN:

23 Q. First of all, have you been on the surface of the
24 project area?

25 A. Yes, I have, a number of times.

1 Q. What purpose did you go there for?

2 A. Specifically looking for windmills and freshwater
3 wells.

4 Q. And what did you find?

5 A. We saw one windmill, and that would appear on --

6 Q. We have it on one of the displays?

7 A. On one of the exhibits. It also appears on
8 conventional government published topo maps.

9 And there was another water well to the south of
10 the unit boundary, significantly far away, that did not
11 have a windmill. Data from the State Engineer indicated
12 that it produced from the Ogallala formation, from a depth
13 of less than 400 feet. The windmill was producing from 40
14 feet out of tertiary alluvium -- I'm sorry, quaternary
15 alluvium.

16 Q. We have those -- You've examined the displays
17 that Mr. Babin will utilize, and have we correctly located,
18 according to your information, the position of those
19 freshwater sources?

20 A. Yes, they are correctly located.

21 Q. In addition to an examination of the surface, did
22 you conduct any other examinations of records or
23 information kept by any agency?

24 A. Yes, I did.

25 Q. And what did you do?

1 A. I came to the conclusion that --

2 Q. No, no, what did you do? Where did you go to get
3 the data?

4 A. I don't recall the name of the publication. The
5 State Engineer was one source, and he had a record of every
6 freshwater well drilled out there, whether it be for human
7 consumption, stock or for subsequent drilling of other oil
8 wells. And a publication from the New Mexico Institute of
9 Mining and Technology covering all freshwater aquifers in
10 the Querecho Plains and surrounding areas.

11 Q. All right. When we look at the deepest known
12 freshwater source within a half mile of this area, what is
13 the deepest source? Is that the Ogallala?

14 A. It would be the tertiary Ogallala formation at a
15 depth of 400 feet.

16 Q. Okay. Other than those two sources that you've
17 identified, you found no other source either by inspection
18 of records or a visual inspection of the surface?

19 A. That's correct.

20 MR. KELLAHIN: That concludes my examination.

21 FURTHER EXAMINATION

22 BY EXAMINER STOGNER:

23 Q. This is ten miles west of Buckeye. Is this on
24 the caprock or off the caprock area?

25 A. It's immediately off the caprock area.

1 Q. Is it your recollection that the Ogallala extends
2 off that caprock area, the Ogallala water-bearing interval?

3 A. According to the New Mexico Institute of Mining
4 and Technology publication, yes, it is present.

5 EXAMINER STOGNER: I have no other questions
6 along those lines of this witness.

7 MR. KELLAHIN: We'd like to excuse this witness
8 and call at this time Mr. Chet Babin.

9 EXAMINER STOGNER: You may be excused.

10 Mr. Kellahin, I was --

11 MR. KELLAHIN: Yes, sir.

12 EXAMINER STOGNER: -- just talking to Mr. Rand
13 Carroll here about Case 11,208, and the pertinent
14 information is all covered to institute a waterflood
15 project in the unit located in portions of those sections,
16 and I did get site-specific of the injection wells in this
17 particular instance, and all that would have been included
18 would be -- the inclusion of three existing wells to be
19 converted from oil producers and one additional well to be
20 drilled. That's all that would have been stated or changed
21 in that particular ad.

22 And considering that's not site-specific and that
23 all the other pertinent information is carried, I don't --
24 in discussing with Mr. Rand Carroll, I don't see the need
25 to readvertise it. So when we're concluded here today, if

1 we can take it under advisement subsequent to the admission
2 of evidence, if that would be the appropriate action, I
3 don't see any need to readvertise, either instance.

4 MR. KELLAHIN: I appreciate that, sir.

5 EXAMINER STOGNER: And again, I apologize for
6 excluding that.

7 So I'll turn it back over to you.

8 MR. KELLAHIN: All right, sir. I've called Mr.
9 Chet Babin. Mr. Babin spells his last name B-a-b-i-n, and
10 he's a reservoir engineer. He resides in Midland, Texas.

11 CHET A. BABIN,
12 the witness herein, after having been first duly sworn upon
13 his oath, was examined and testified as follows:

14 DIRECT EXAMINATION

15 BY MR. KELLAHIN:

16 Q. Mr. Babin, for the record please state your name
17 and occupation.

18 A. My name is Chet Babin. I'm a reservoir engineer
19 for Meridian Oil in Midland, Texas.

20 Q. Summarize for us your education, sir.

21 A. In 1984 I received a bachelor of science in
22 mechanical engineering from the University of Houston, and
23 in 1993 I received a master of science in petroleum
24 engineering from the University of Texas at Austin.

25 Q. Summarize your employment experience as a

1 petroleum engineer.

2 A. In the summer of 1992 I worked for Amoco
3 Production Research in Tulsa, Oklahoma. And in January,
4 1993, I began my career with Meridian Oil in Midland.

5 Q. What are your engineering duties insofar as it
6 applies to what we've identified as the East Corbin-
7 Delaware unit?

8 A. My duties were to determine injection pattern and
9 assign reserves and estimate production figures from the...

10 Q. Are those activities within your expertise?

11 A. Yes, sir.

12 Q. And based upon that work, did you find that you
13 had enough engineering data and information by which to
14 make accurate forecasts of the feasibility of this
15 waterflood project?

16 A. Yes, sir.

17 MR. KELLAHIN: We tender Mr. Babin as an expert
18 petroleum engineer.

19 EXAMINER STOGNER: Mr. Babin is so qualified.

20 Q. (By Mr. Kellahin) Let's talk about the history
21 of this portion of the unit, insofar as it deals with the
22 Delaware production, Mr. Babin.

23 Can you give us a general summary of what has
24 been the extent of primary depletion in this portion of the
25 reservoir?

1 A. Yes, sir, this lease is in its mature stage of
2 primary production.

3 Q. There's background noise in the room. I'm having
4 trouble hearing you, and the microphone is not going to
5 amplify your voice, so you have to speak up.

6 How many active producers do you currently have
7 in the unit area?

8 A. We have eight active producers.

9 Q. And what current rate of oil production do they
10 achieve?

11 A. Leasewide, we're producing approximately 90
12 barrels of oil a day.

13 Q. What has been the current cumulative oil
14 production under primary operations?

15 A. Under primary operations, the cumulative
16 production has been 409,000 barrels of oil.

17 Q. Have you forecast as an engineer what you think
18 to be the remaining primary oil to be produced?

19 A. Yes, sir, I have.

20 Q. And what is it?

21 A. 526,000 barrels of oil.

22 Q. That's the ultimate primary oil recovery?

23 A. Yes, sir.

24 Q. All right. What portion of that remains to be
25 future primary oil?

1 A. Approximately 110,000 barrels.

2 Q. All right. If we continue without secondary
3 operations, we're going to get another 110,000 barrels of
4 oil?

5 A. Yes, sir.

6 Q. Have you analyzed to determine what additional
7 oil you might recover under secondary operations?

8 A. Yes, I have.

9 Q. And what is that number?

10 A. 510,000 barrels of oil under secondary
11 operations.

12 Q. What is the method you utilized as an engineer to
13 come to that conclusion?

14 A. We performed decline-curve analysis on the
15 current wells to determine the primary production.

16 Referencing that to the calculations of the
17 original oil in place -- that would be leasewide -- we
18 would be getting 8.5 percent of the original oil in place
19 recovered.

20 And by analogy fields, one in particular, the
21 Parkway-Delaware field of which Meridian is a partner in,
22 we've estimated a one-to-one primary-to-secondary recovery.

23 Q. If the project is successful as forecast, then,
24 what will be the percentage of total recovery in relation
25 to original oil in place?

1 A. Leasewide, about 17 percent.

2 Q. All right. So you get to double your recovery?

3 A. Yes, sir, that's correct.

4 EXAMINER STOGNER: Along this line of
5 questioning, I have one.

6 You said the secondary will recover 510,000
7 additional barrels; is that correct?

8 THE WITNESS: Yes, sir.

9 EXAMINER STOGNER: Is that on top of the 110,000
10 future primary, or --

11 THE WITNESS: Yes, sir, that's correct.

12 EXAMINER STOGNER: -- is that in addition? Oh,
13 it includes it?

14 MR. KELLAHIN: No, sir, it's in addition.

15 THE WITNESS: No, sir, it does not.

16 EXAMINER STOGNER: It's in addition. Okay. So
17 we're looking at, from today's date, if the thing was
18 approved, it would be 620,000 barrels of oil would be
19 recovered from this area, 110,000 of it primary, 510,000 of
20 it through secondary?

21 THE WITNESS: That's correct.

22 EXAMINER STOGNER: Okay. Thank you, Mr.
23 Kellahin.

24 Q. (By Mr. Kellahin) To achieve that opportunity,
25 what have you recommended in terms of the location of

1 injection wells in relation to producers?

2 A. Would you rephrase the question, please?

3 Q. Yes, sir. You've figured out how to recover
4 another 510,000 barrels of oil, and you're going to do that
5 by the location of some injection wells in order to have a
6 production response.

7 A. Yes, sir, that's correct.

8 Q. How did you decide where to put the injection
9 wells?

10 A. We chose the injection wells to be such that it
11 would provide a sweep through the largest hydrocarbon pore-
12 volume areas.

13 Q. All right. Why did you choose to use that as the
14 criteria for determining the efficiency of the injection
15 wells?

16 A. Because that pattern would show the most
17 efficient -- the quickest response, as well as most
18 efficiently recovering oil from the reservoir under
19 secondary conditions.

20 Q. All right, sir. Have you estimated the capital
21 cost of these additional activities in order to initiate
22 and operate the project?

23 A. Yes, sir, I have.

24 Q. Break them out for us. What are the numbers?

25 A. To drill and equip the proposed Federal MA Number

1 11 --

2 Q. That's the new-drill injector?

3 A. Yes, sir.

4 Q. Okay, what's that going to cost?

5 A. \$301,000.

6 Conversion of three other wells to injection
7 would be \$127,000.

8 To upgrade the battery and facilities in order to
9 inject water, \$108,000.

10 That's a total of \$536,000 for the project.

11 Q. Have you put a present value, either discounted
12 or undiscounted, on the additional 510,000 barrels of oil
13 to be recovered under secondary operations?

14 A. Yes, sir, I have.

15 Q. What is that number?

16 A. One minute, please.

17 To the best of my recollection, it was about \$9
18 million.

19 Q. The Application that we filed said \$9.5 million.
20 Is that within the range of what your expectation is?

21 A. Yes, sir, that's correct.

22 Q. How did you make that calculation?

23 A. The oil from the lease is currently selling at
24 \$15.60 a barrel, and so using that price and escalating it
25 at three percent per year over the life of the project

1 would realize the \$9.5 million.

2 Q. And you didn't otherwise risk or discount that
3 value?

4 A. That's correct.

5 Q. All right. Give us a sense of the timing of the
6 project. How long have you forecasted the life of the
7 project to be in order to recover this volume of additional
8 oil?

9 A. Project life is an estimated ten years.

10 Q. Let's turn to some of those projections. If
11 you'll look with me at what is marked Exhibits Number 7, 8
12 and 9, and they are the production plots plus the forecast,
13 they're on the 8-1/2-by-11 sheets, and let's start with 7.
14 Again, this represents your work product?

15 A. Yes, sir.

16 Q. Let's look at 7 and have you describe for us what
17 you're showing.

18 A. Okay, if I could bring to the attention of Mr.
19 Examiner Exhibit Number 7, this represents the historical
20 as well as projected production for crude oil.

21 The projection begins in January of 1995 with a
22 response showing in January of 1996, which brings a peak
23 production in the year 2001, with a dropoff beginning in
24 the year -- sometime in 2002.

25 Q. Your verification of this forecast is your

1 analogy to that Parkway-Delaware waterflood operation that
2 I believe Siete is operating?

3 A. Yes, sir, that's correct.

4 Q. In which your company has an interest?

5 A. Yes, sir, that's correct.

6 Q. Approximate for us the length of time after
7 initiation of injection where you will then see a first
8 positive production response.

9 A. We estimate that to be in less than 12 months.

10 Q. All right. Let's go on to the next display and
11 have you identify for us Exhibit Number 8.

12 A. Mr. Examiner, Exhibit Number 8 is the historical
13 as well as projected production for the casinghead gas for
14 the lease.

15 This projection begins -- The projection begins
16 in January of 1995. We expect a steady slow decline of
17 casinghead gas.

18 The sharp dropoff beginning in the year 2003 is
19 due to the decline in the oil production at that time.

20 Q. All right, sir. And Exhibit 9, identify and
21 describe that display.

22 A. Exhibit Number 9 represents a historical as well
23 as projected produced water. The projection begins in
24 January of 1995.

25 We expect somewhat of a flat production of

1 produced water, and beginning in January of 1997 we
2 estimate that there will be water breakthrough and there
3 will be increased water production.

4 Q. The way the injection wells are located in
5 reference to the remaining producers, that would give us
6 six remaining active producers in the unit after you make
7 these conversions?

8 A. Yes.

9 Q. Is that the right number? You've got six
10 producers, right?

11 A. Yes, sir.

12 Q. All right. Are these producers going to be open
13 in both the "A" and the "B" sandstone?

14 A. Yes, sir, that's correct.

15 Q. And the injection wells would be also open in
16 both of those intervals?

17 A. Yes, sir.

18 Q. What will you do with those wellbores that may
19 currently have perforations outside of the injection
20 interval? Are there any?

21 A. No, sir.

22 Q. All right. One of the logs in the cross-section
23 showed a perforation that was outside the injection
24 interval. I guess that no longer exists? It's the Federal
25 MA Number 1, it's well 4 on the cross-section. Let me show

1 it to you, and you can tell me what's going to happen to
2 that wellbore.

3 A. Which well did you want to discuss first?

4 Q. Well, I don't know. You pick one. There are
5 some wells that appear, unless the status has changed, to
6 currently have perforations that are outside the future
7 flood zone. And if so, what are you going to do?

8 A. Okay, for the proposed injection wells, we'll be
9 setting a Guiberson packer that will be approximately 15
10 feet above the perforated interval, which is in the "A" and
11 "B" sandstones.

12 Q. All right. So in each instance, there is a plan
13 to isolate off any zone that is not attributable to the "A"
14 and the "B" zone within the flood interval?

15 A. Yes, sir.

16 Q. Okay. In terms of reservoir engineering
17 analysis, do you see the probability that each of the six
18 remaining producers are going to each receive some positive
19 production response as a direct result of water injection
20 into any of the four injection wells?

21 A. Yes, sir.

22 Q. So as you see it, then, we don't have any
23 producer that would not receive a positive response?

24 A. That is correct.

25 Q. All right. Let's go through some of the aspects

1 of the participation in the production.

2 As part of the submittal to the State Land Office
3 and the Bureau of Land Management, there was a
4 participation formula as well as participation parameters
5 submitted. Does that represent your work product?

6 A. Yes, sir.

7 Q. All right. Without describing the specific
8 details, tell us generally what you looked at in terms of
9 potential parameters.

10 A. The parameters were original oil in place,
11 remaining primary oil and gas, and the figures and usable
12 wellbores.

13 Q. As a result of those parameters, did you make a
14 recommendation as to a participation formula?

15 A. Yes, sir, I did.

16 Q. All right, and that formula has been submitted to
17 both the State Land Office and the Bureau of Land
18 Management?

19 A. Yes, sir, it has.

20 Q. And what comment or reaction did they have to the
21 participation formula?

22 A. They were amenable to the formula.

23 Q. What is the source of the formula? Where did you
24 get this formula?

25 A. The formula was based on, again, the Parkway-

1 Delaware waterflood. Similar parameters were used and
2 approved by the agencies, so we used that as our go-by.

3 Q. Is there an acreage component to the formula?

4 A. No, sir.

5 Q. So you didn't use an acreage factor in allocating
6 percentages or shares of production?

7 A. No, sir.

8 Q. All right. I'm going to ask you to double-check
9 your calculation for me. I'm going to show you what we are
10 going to introduce as the unit agreement form, and here is
11 the participation formula submitted to the agencies on
12 that, and here is the formula as submitted in the
13 supplemental information to the State Land Office. Am I
14 looking at the same calculation?

15 A. Yes, sir, this is the correct calculation. There
16 is a typographical error on this exhibit.

17 MR. KELLAHIN: All right. So I don't confuse the
18 Examiner, I'm going to submit to you, Mr. Examiner, a
19 revision to the Exhibit C attached to Exhibit 12.

20 Exhibit 12 is a copy of the unit agreement.

21 On the back of that is an Exhibit C, the bottom
22 portion of which has got a typographical error, and after
23 the hearing I'm going to substitute the corrected formula,
24 but I'm going to hand you a copy of the corrected formula
25 now, which is located on the bottom of this letter.

1 EXAMINER STOGNER: And you handed me a letter
2 dated February 9th, 1995, to the Commissioner of Public
3 Lands from your office?

4 MR. KELLAHIN: Yes, sir, and I simply need to
5 make some extra copies of that letter. But that letter
6 contains the corrected participation formula as approved by
7 the State Land Office and as pending approval with the
8 Bureau of Land Management.

9 Q. (By Mr. Kellahin) Now, that represents your
10 calculation in your formula?

11 A. Yes, sir, that's correct.

12 EXAMINER STOGNER: Now, that Exhibit C, your
13 different one, it also makes some changes up there in the
14 tract allocation; is that correct?

15 MR. KELLAHIN: Yes, sir, we have a preliminary
16 letter from the Land Office to submit to you, and they
17 asked us to re-organize the tract identifications, to re-
18 number the wells in accordance with the rules, and so all
19 that clerical work is being done and will be submitted to
20 all the agencies.

21 EXAMINER STOGNER: Okay, you may continue.

22 Q. (By Mr. Kellahin) Do you have an opinion, Mr.
23 Babin, as to whether the proposed participation formula as
24 revised is a fair and equitable way to distribute
25 production from the wells dedicated to this unit?

1 A. Yes, sir.

2 Q. And what is that opinion?

3 A. My opinion is that this protects correlative
4 rights.

5 Q. Let's go now and turn to the subject of the
6 wellbore integrity, if you will, the filing requirements of
7 the Oil Conservation Division for the C-108. Are you with
8 me?

9 A. Yes, sir.

10 Q. It's marked as Exhibit Number 10. Again, did you
11 prepare the submittals and sign off on the Division Form
12 C-108?

13 A. Yes, sir, I did.

14 Q. Did you accompany Mr. Szantay when he went on the
15 surface to make a surface inspection of the project area?

16 A. Yes, sir.

17 Q. And did you agree with his location of any
18 freshwater wells or sources that you could see by a surface
19 inspection?

20 A. Yes, sir.

21 Q. In addition, did you also undertake an
22 examination of the records of the State Engineer to find
23 any sources of fresh water?

24 A. Yes, sir, I did.

25 Q. And do you agree with the opinions he expressed

1 earlier as to surface location and depth of groundwater in
2 those wells?

3 A. Yes, sir.

4 Q. Okay. When we look at the information tabulated
5 in the C-108, did you identify all wells at any depth
6 within a two-mile radius of any injection well?

7 A. Yes, sir.

8 Q. And they will be on one of the displays, right?

9 A. Yes, sir.

10 Q. In addition, do you have a tabulation of all
11 wellbore data for wells that penetrated to or through the
12 Delaware within a half-mile radius of any injection well?

13 A. Yes, sir.

14 Q. Have you examined that information to determine
15 whether or not there were any currently producing wells,
16 either to or through the Delaware, which have not been
17 adequately cemented so that their casing is protected from
18 the Delaware formation?

19 A. I did not identify any wells that were
20 inadequately protected.

21 Q. So based upon your search, we believe all those
22 wells are adequately cemented?

23 A. Yes, sir, that's correct.

24 Q. Did you find any plugged and abandoned wells?

25 A. Yes, sir.

1 Q. How many?

2 A. There was one.

3 Q. And when you look at the plugging reports and
4 information on that well, do you find in your opinion that
5 that well is adequately plugged?

6 A. Yes, sir.

7 Q. Do you see any indication or evidence of any
8 hydrologic connection between the injection interval and
9 any groundwater?

10 A. No, sir.

11 Q. Describe for us your plan of operation insofar as
12 injection pressures initially in the project area.

13 A. We estimate an injection pressure at the surface
14 to be 1050 p.s.i.

15 Q. How did you make that calculation?

16 A. That's based on a calculation of .2 p.s.i. per
17 foot from surface to the top perforation.

18 Q. All right, and that gives you slightly over 1000
19 pounds at the surface, and that would be your initial
20 maximum injection rate?

21 A. Yes, sir, that's correct.

22 Q. All right. Have you forecasted or approximated
23 the total volume of water you propose to dispose of in the
24 project area initially?

25 A. Yes, sir.

1 Q. And how much?

2 A. Leasewide, 1800 barrels per day.

3 Q. When you tabulated the wellbore information, did
4 you find any records for which the only information was
5 reported volumes of cement utilized in those wells?

6 A. Yes, sir, I did.

7 Q. For any well for which there was simply sacks of
8 cement reported, did you make a calculation to determine
9 fill-up?

10 A. Yes, sir.

11 Q. And what method did you utilize to make that
12 calculation?

13 A. That calculation was based on 1.32 cubic feet per
14 sack of cement, assuming a 7-7/8 hole and the annulus there
15 of -- also estimating -- a 100-percent excess factor, our
16 calculations determined that the cement sufficiently covers
17 the perforations, at least to 100 feet above the top
18 perforation.

19 Q. All right. You took the calculation, got the
20 standard yield per sacks of the class of cement utilized
21 normally in this process, and then reduced it by 50
22 percent?

23 A. Yes, sir.

24 Q. And you still obtain a fill-up of at least 100
25 feet above the top of the Delaware in all instances?

1 A. Yes, sir.

2 Q. Have you included any water analysis in the
3 report or the C-108? And if so, what have you included?

4 A. I've included from Martin Laboratories in
5 Midland, Texas, a compatibility study.

6 Q. The page numbers of the C-108 are numbered. Can
7 you help us find within the numbers of the C-108 where
8 we'll find the water analysis?

9 A. Yes, sir, on page 28 is the cover letter from
10 Martin Water Laboratories, and on page 29 is the specific
11 chemical and physical properties of those waters.

12 Q. All right. Did you have Delaware-produced water
13 by which to conduct an analysis?

14 A. Not solely.

15 Q. All right. So how did you make the comparison?

16 A. I'm sorry, I misunderstood. Yes, we did have
17 Delaware-produced water.

18 Q. All right, and you got an analysis on Delaware-
19 produced water that gives you a signature for that water
20 that's in the formation?

21 A. Yes, sir, from two wellbores.

22 Q. What's to be the source of the injection water?

23 A. The source of the injection water will come from
24 our West Corbin tank battery.

25 Q. Okay, that is water produced from what formations?

1 A. That water is from the Bone Springs, Delaware and
2 Wolfcamp formations.

3 Q. Do you have an analysis of those combinations of
4 the source water?

5 A. Yes, sir, I do.

6 Q. And did you run a compatibility test between the
7 source water and the Delaware formation water to see if
8 they were compatible?

9 A. Yes, sir, I did.

10 Q. With what results?

11 A. The results from Martin Laboratories was that
12 they were compatible.

13 Q. Do you propose to utilize fresh water as make-up
14 water or injection water for this project?

15 A. No, sir.

16 Q. When we look at the injection wells -- Let's look
17 at a schematic that gives us the typical injection well,
18 and you pick one that you want to talk from. Just tell us
19 the page number.

20 A. I could direct your attention to page 14 --

21 Q. Okay.

22 A. -- of the C-108.

23 Q. We're Looking at the -- what's identified as the
24 West Corbin Federal 21 Well Number 4 in Section 21. It's
25 the one over in the southwest southwest? I'm sorry, I've

1 got the wrong direction. Where is this well?

2 A. This well is in the northeast of Section 21.

3 Q. Oh, yeah, this is unit letter C of 21?

4 A. Yes, sir.

5 Q. All right. Tell me what the configuration will
6 be of the wellbore after you get it set up for injection
7 purposes.

8 A. Okay, what we propose is to set a Guiberson
9 packer, which would be protected by plastic. We're going
10 to use 2-3/8-inch tubing, which will be internally plastic-
11 coated.

12 Q. How do you monitor the annular space between the
13 tubing and the casing?

14 A. Between the tubing and the casing, we'll have
15 nine-pound brine and sufficient surface facilities to
16 determine the integrity of the casing.

17 Q. To set this well up for injection, is the
18 wellbore subject to any further stimulation?

19 A. We will -- We propose stimulating with 15-percent
20 acid.

21 Q. Just an acid cleanup job on the well?

22 A. Yes, sir.

23 Q. Identify for the Examiner how you have organized
24 the plats, which are compiled together and shown as Exhibit
25 Number 11. I don't want you to describe them in detail,

1 but just tell the Examiner how you've organized these
2 displays.

3 A. Mr. Examiner, the exhibits that begin with E,
4 there has been a two-mile radius, a scaled two-mile-radius
5 circle scribed around each proposed injection well.

6 For the exhibits that begin with F, there's a
7 scaled half-mile-radius circle drawn around each proposed
8 injection well.

9 And Exhibit J indicates the location of the
10 freshwater wells known in the area.

11 Q. As a result of notification to the interest
12 owners at the surface of any injection well and to the two
13 offset operators within the half-mile radius, have any
14 objections to approval of this Application been received by
15 Meridian?

16 A. There have been no objections.

17 MR. KELLAHIN: That concludes my examination of
18 Mr. Babin, Mr. Examiner.

19 We would move the introduction of Exhibits 7
20 through 11.

21 EXAMINER STOGNER: Exhibits 7 through 11 will be
22 admitted into evidence.

23 EXAMINATION

24 BY EXAMINER STOGNER:

25 Q. Mr. Babin, you said that there are presently

1 eight producing wells?

2 A. Yes, sir.

3 Q. And then after the conversion there would be six
4 producers; is that -- Did I hear correct?

5 A. Yes, sir, that's correct.

6 Q. Okay. I guess I'm miscounting here, but which --
7 Now, refer to Exhibit Number 1. I don't know if that's the
8 easiest one, unless you have one that you'd like to refer
9 to that shows all the producers.

10 A. I need a copy of Exhibit 1.

11 MR. KELLAHIN: Sure. See if we've miscounted
12 here.

13 Is that temporarily abandoned?

14 THE WITNESS: Maybe I misspoke. Once the Federal
15 MA 11 well is drilled, the proposed unit will have 10 total
16 wells. There will be six producers and four injectors.
17 The six producers are in Section 15, the Percha 15 State
18 Number 1; in Section 16 is the State 16 5 and 6; in Section
19 21, Federal MA and 6 and 7; in Section 22, the Aztec 22
20 Federal Number 3.

21 Q. (By Examiner Stogner) I'm assuming these wells
22 will be re-named once the unit gets formed?

23 A. Yes, sir, that's correct.

24 Q. Okay. In referring to Exhibit 11, in particular
25 the plat marked F-2 -- this is for the -- called the State

1 Well Number 8, to be converted into -- as an injector.

2 Now, within the half-mile-area radius of review,
3 I show three of the plugged and abandoned wells; is that
4 correct? Is that what you count?

5 A. Yes, sir.

6 Q. Okay, and they're all described here in the
7 C-108?

8 MR. KELLAHIN: No, sir, I think two of those are
9 too shallow. If I remember correctly, the BTA Federal Well
10 Number 1 in the northwest of the southwest is the only well
11 deep enough; is that right, Chet?

12 THE WITNESS: That's correct.

13 MR. KELLAHIN: And the other two wells are
14 P-and-A'd wells, but they're too shallow.

15 EXAMINER STOGNER: In fact, one shows a TD of
16 4271 and the other one has a TD of 2910, okay.

17 Q. (By Examiner Stogner) In your testimony, you
18 were talking about anywhere from \$9 to \$9.5 million. That
19 is what you're estimating the total income off the project
20 would be over the years?

21 A. Yes, sir.

22 Q. With an initial up-front investment of \$536,000;
23 is that correct?

24 A. Yes, sir.

25 Q. And as far as the injection water, that was --

1 and the source was, you had determined, to be from the
2 Wolfcamp, Delaware and the Bone Springs produced water
3 that's in that battery there.

4 Is there a possibility that you will need any
5 make-up water, or is this going to be enough to supply the
6 800 barrels a day that you're going to be requiring once
7 the project is up?

8 A. The West Corbin tank battery will provide
9 sufficient water.

10 Q. So no fresh water will be needed?

11 A. That's correct.

12 Q. This is all re-injected produced water?

13 A. Yes, sir.

14 Q. What will be the typical completion of an
15 injection well, as far as the tubing goes?

16 A. We'll use 2-3/8-inch tubing that will be
17 internally plastic coated.

18 Q. On all four wells?

19 A. Yes, sir.

20 Q. Now, it was clear to me that you were going to
21 seal off or -- not seal off, isolate -- the injection
22 interval to just the "A" and the "B" sands on these wells.

23 How about the present producing wells? Will
24 those wells be isolated, or do you know if they are
25 isolated to just the "A" and "B" sands? Or are there any

1 perforations in the upper portions of any of those
2 producing wells?

3 A. I believe those perforations have been squeezed
4 off.

5 Q. And for some reason or not, you will, Meridian
6 Oil, have those squeezed?

7 A. Yes, sir.

8 EXAMINER STOGNER: Mr. Kellahin, who should I
9 direct this question on the unitized formation described in
10 the unitized agreement?

11 MR. KELLAHIN: I don't know. The unitized
12 interval is that -- That's off of the log --

13 (Off the record)

14 MR. KELLAHIN: I see where you're headed, and
15 perhaps Mr. Szantay is the best one to take a log that you
16 have before you on one of these wells and give us a footage
17 so that we would know his pick of an interval on a type log
18 that will cover the "A" and the "B" sand. And I think
19 that's perhaps the most specific way to do it.

20 EXAMINER STOGNER: Okay, let me see if I have any
21 other questions of this -- of your engineering witness
22 before I release him, and then I'll ask Mr. Szantay that
23 question on the unitized formation.

24 You're going to provide me with an additional
25 copy of these letters?

1 MR. KELLAHIN: Yes, sir.

2 EXAMINER STOGNER: That will be Exhibit C.

3 Q. (By Examiner Stogner) Your formula that's
4 utilized to find the top of cement, you essentially used
5 twice the safety factor of 100 percent; is that correct?

6 A. Yes, sir.

7 EXAMINER STOGNER: Mr. Kellahin, I really have no
8 other questions of this witness at this time.

9 MR. KELLAHIN: All right, sir.

10 EXAMINER STOGNER: A lot of information here to
11 be digested. But I've exhausted any questions I may have
12 at this time.

13 MR. KELLAHIN: All right.

14 Before I call the landman to go through some of
15 the land matters, let me recall Mr. Szantay and let's put
16 on the record, then, the specific interval that's to be
17 subject to waterflood.

18 EXAMINER STOGNER: Okay.

19 MR. KELLAHIN: Why don't you take a seat up
20 there, Adam?

21 EXAMINER STOGNER: Thank you, Mr. Babin.

22 MR. BABIN: Thank you.

23 EXAMINER STOGNER: Mr. Szantay, I remind you
24 you're still under oath.

25 MR. SZANTAY: Yes, sir, understood.

1 EXAMINER STOGNER: Mr. Kellahin, I'll turn that
2 over to you.

3 ADAM SZANTAY (Recalled),
4 the witness herein, having been previously duly sworn upon
5 his oath, was examined and testified as follows:

6 DIRECT EXAMINATION

7 BY MR. KELLAHIN:

8 Q. Mr. Szantay, if you'll identify for us the
9 exhibit that you have before you as to number, what is
10 that, sir?

11 A. It is Exhibit Number 5.

12 Q. All right, let us all get Exhibit Number 5 out.
13 If you'll find Exhibit 5, then, and locate for us a well
14 that you would recommend as a type well by which we can
15 then describe in terms of a footage an interval that's
16 sufficient to encompass the "A" and the "B" sands so that
17 when you get approval for injection of water, we will have
18 the proper interval identified on a log.

19 A. I believe that the Meridian Oil, Incorporated,
20 Federal MA Number 6 is an adequate type log. That would be
21 well number 3 on Exhibit Number 5.

22 Q. All right, sir. Find for us the footages as you
23 would recommend them.

24 A. I'm not sure I understand which footages you
25 would like.

1 Q. All right, go down to a subsea depth on the
2 log --

3 A. Okay.

4 Q. -- and find a point at the top of the "A"
5 sandstone --

6 A. Okay.

7 Q. -- with enough margin of error so that we are
8 staying within the approved flood interval, and give us
9 that number as the top number for the flood interval.

10 A. The top of the "A" sandstone is present in the
11 Federal MA Number 6, at a drilled depth of 5189 feet.

12 Q. All right. And is that a number that shows on
13 the log?

14 A. Yes, sir, it is.

15 Q. All right. Now, take us down to the base of that
16 flood interval and identify for us that footage.

17 A. The base of the "B" sandstone, also the base of
18 the flood interval, is present in the Federal MA Number 6
19 at a drilled depth of 5260 feet.

20 Q. Are those sufficient depths at which we have now
21 encompassed the entire potential flood zone?

22 A. Yes, sir, in that particular wellbore.

23 Q. All right. And so that's our type well --

24 A. Yes.

25 Q. -- and by correlation, then, we can find that

1 same interval by looking at the other logs?

2 A. Yes, sir.

3 MR. KELLAHIN: All right, sir. No further
4 questions.

5 EXAMINATION

6 BY EXAMINER STOGNER:

7 Q. Okay, let me make sure I got the top straight.
8 What did you say the top was again?

9 A. In the Federal MA Number 6, 5189 feet.

10 Q. 5260 feet, right?

11 A. Yes, sir.

12 Q. Would you supplement me, Mr. Szantay, a -- the
13 information off this particular well log, the date it was
14 run, all the other pertinent information that's really not
15 on here, could you supplement that for me as reference for
16 this particular MA well number 6, this particular log
17 that's represented here?

18 A. Yes, sir, I believe the information you're
19 requesting is contained in typical header information on
20 the log.

21 Q. Yes --

22 A. Okay.

23 Q. -- if you can make a copy of that --

24 A. Yes, sir.

25 MR. KELLAHIN: We'll take care of that.

1 THE WITNESS: I certainly can.

2 EXAMINER STOGNER: And I don't think we'll need
3 to name it, Mr. Kellahin, or show it as an exhibit, just
4 for additional information.

5 Thank you, Mr. Kellahin.

6 MR. KELLAHIN: All right, sir.

7 EXAMINER STOGNER: Thank you, Mr. Szantay.

8 THE WITNESS: Thank you.

9 MR. KELLAHIN: I have a few questions for our
10 land witness from Meridian, Mr. Examiner, so at this time
11 I'll call Mr. Trey Shepherd. He spells his last name
12 S-h-e-p-h-e-r-d.

13 TREY SHEPHERD,
14 the witness herein, after having been first duly sworn upon
15 his oath, was examined and testified as follows:

16 DIRECT EXAMINATION

17 BY MR. KELLAHIN:

18 Q. Mr. Shepherd, for the record would you please
19 state your name and occupation?

20 A. My name is Trey Shepherd. I'm a landman with
21 Meridian Oil in Midland.

22 Q. On prior occasions, Mr. Shepherd, have you
23 testified before the Division?

24 A. No, I have not.

25 Q. Summarize for us your education and employment

1 experience.

2 A. I received a bachelor of business administration
3 in petroleum land management in 1979 from the University of
4 Texas, went to work for Atlantic Richfield Company in 1979,
5 working in Tyler; Tulsa, Oklahoma; Lafayette, Louisiana.
6 (Witness coughs) Excuse me. I went to work for Southland
7 Royalty Company in 1983, have worked for them since that
8 period of time until the present time.

9 Q. As part of your duties as a landman for your
10 company, are you familiar with the land title matters
11 surrounding this Application in the proposed East Corbin-
12 Delaware unit?

13 A. Yes, I am.

14 MR. KELLAHIN: We tender Mr. Shepherd as an
15 expert landman.

16 EXAMINER STOGNER: Mr. Shepherd is so qualified,
17 and also reacts the same way when I remember my days in
18 Lafayette.

19 MR. KELLAHIN: Sort of chokes you up, doesn't it?

20 EXAMINER STOGNER: Yes.

21 Q. (By Mr. Kellahin) Let's simply go through the
22 rest of the exhibits in the order I've handed you, what I
23 believe is marked Exhibit -- Is it 12?

24 A. Twelve, that's correct.

25 Q. And what is that, sir?

1 A. It's the state, federal and fee waterflood unit
2 agreement.

3 Q. All right. Is this a form that has been supplied
4 to us and approved by the Commissioner of Public Lands for
5 the consolidation of lands controlled by the Commissioner
6 of Public Lands with lands controlled by the Bureau of Land
7 Management?

8 A. Yes, it is.

9 Q. In addition to the form itself, has Meridian
10 caused the exhibits to be prepared and attached to that
11 unit agreement?

12 A. Yes, we have.

13 Q. Exhibit A identifies the original tract
14 configuration as originally supplied to the regulatory
15 agencies?

16 A. That's correct.

17 Q. And it is to be amended and replaced to conform
18 to the exhibit that we've submitted to this Examiner?

19 A. Yes, it will.

20 Q. With the exclusion of those three 40-acre tracts?

21 A. That is correct.

22 Q. All right. In addition, you are going to amend
23 what is identified as Exhibit B, and you will show the
24 ownership information with regards to each of the tracts?

25 A. Yes, we will.

1 Q. The tracts are identified, at least on this
2 display, as tracts 1 through 5?

3 A. That's correct.

4 Q. Have you examined this information on all
5 supplemental information to make sure that they're accurate
6 and correct?

7 A. Yes, we have.

8 Q. Do we have a commitment for the voluntary
9 participation of all the working interest owners within
10 this unit on a voluntary basis?

11 A. Yes, we do.

12 Q. And you will circulate the necessary forms for
13 approvals by the various royalty and overriding royalty
14 owners?

15 A. Yes, we will.

16 Q. The status of approvals of the various agencies,
17 Mr. Shepherd, if you'll turn to Exhibit 13, identify that
18 document for me.

19 A. It is a letter from the State of New Mexico,
20 Commissioner of Public Lands, dated February the 15th,
21 1995, directed to your attention, giving us preliminary
22 approval for the East Corbin-Delaware unit.

23 Q. The conditions for final approval are set forth
24 in the letter?

25 A. Yes, they are.

1 Q. You've understood and read those conditions?

2 A. Yes, we have.

3 Q. Are we able to satisfy or conform to those
4 additional requirements?

5 A. Yes, we will.

6 Q. What is the status of approval with the Bureau of
7 Land Management at this point?

8 A. We expect to receive a letter from them in our
9 conversations with them yesterday. The letter should be
10 forthcoming.

11 Q. The preliminary approval meetings have been
12 attended by representatives of Meridian and the offices of
13 the Bureau of Land Management in Roswell?

14 A. Yes, they have.

15 Q. And at this point we believe that we've satisfied
16 their conditions and requirements for obtaining preliminary
17 approval?

18 A. That's correct.

19 Q. All right. Are you aware of any land title
20 problems that are unresolved with regards to the approvals
21 of this unit?

22 A. No, I'm not.

23 Q. Let me direct your attention now to the last
24 exhibit, which is a certificate of notice. It's got my
25 signature on it.

1 If you'll turn to the second page, have we
2 correctly identified the owners of the surface for each of
3 the injection wells to be either the Commissioner of Public
4 Lands or the Bureau of Land Management?

5 A. Yes, we have.

6 Q. In addition, have we correctly noticed that the
7 offsetting operators within a half mile of any injection
8 well are either the Harvey E. Yates Company, I believe it
9 is --

10 A. Yes.

11 Q. -- and BTA is the other one?

12 A. That's correct.

13 Q. Are you aware of any other interest owner or
14 operator within the half-mile radius other than Southland
15 and Meridian?

16 A. No, I'm not.

17 Q. And so notification to Heyco and to BTA would
18 satisfy all requirements for notification of other interest
19 owners?

20 A. Yes, it should.

21 Q. Are you aware of any objection to the approval of
22 this Application by either the surface owners or the offset
23 operators?

24 A. We've received no objection.

25 MR. KELLAHIN: That concludes my examination of

1 Mr. Shepherd.

2 We move the introduction of Exhibits 12, 13 and
3 14.

4 EXAMINER STOGNER: Exhibits 12, 13 and 14 will be
5 admitted into evidence at this time.

6 EXAMINATION

7 BY EXAMINER STOGNER:

8 Q. I understand it that you have a commitment from
9 all the working interest owners. And of course, the
10 royalty interest owners in this instance are both the
11 federal government, BLM and the State Land Office --

12 A. That's correct.

13 Q. -- or the State of New Mexico?

14 What kind of overriding royalty interests -- how
15 many, what percentage, what -- How is that broken down?

16 A. There are approximately nine different owners.
17 If you look on Exhibit B of the unit agreement itself, we
18 have those broken out for each lease, for each tract.

19 Q. What would happen if all of them or none of them
20 or one or two would not sign onto this? How does that
21 affect the agreement?

22 A. I don't know that we have to have their approval
23 for unitization. I can't imagine any reason they would
24 oppose it, since we are going to recover an additional 500-
25 plus-thousand barrels of oil.

1 MR. KELLAHIN: We'll do them the additional
2 courtesy of contacting them, but I think as a legal matter,
3 Meridian and Southland as the operators and lessees can
4 commit, under federal and state leases, those overriding
5 royalty owners.

6 EXAMINER STOGNER: That would not necessitate a
7 statutory unit agreement then?

8 MR. KELLAHIN: We believe it does not.

9 EXAMINER STOGNER: Okay.

10 Also, Mr. Shepherd -- and this is not a question,
11 just a statement. And my question to Mr. Szantay -- and I
12 know you were here when I was asking about the unitized
13 formation -- I believe the formation described on page 2 of
14 the unit agreement is a little bit different than what he
15 had given me, but what I needed was a type log for the
16 waterflood, and I believe the way I've asked it was the
17 unitized area.

18 THE WITNESS: Okay.

19 EXAMINER STOGNER: I do recognize there's two
20 different things and two different items set up here, and
21 I'll so note that on any order issued. But I'd appreciate
22 the type log information on the waterflood.

23 Q. (By Examiner Stogner) Were you present at those
24 preliminary meetings?

25 A. No, sir, I was not.

1 EXAMINER STOGNER: You were not.

2 Mr. Kellahin, help me here. As far as the
3 information we need supplemented after today's hearing, is
4 the -- I had it written down here. Header for the log.
5 The working interests have all volunteered. Is there any
6 written documentation on that?

7 MR. KELLAHIN: We will supply as a condition of
8 final approval to all the agencies the final executed unit
9 agreement.

10 EXAMINER STOGNER: Okay, that's not an issue
11 here?

12 MR. KELLAHIN: No, sir.

13 EXAMINER STOGNER: The new Exhibit C --

14 MR. KELLAHIN: Yes, sir.

15 EXAMINER STOGNER: -- or a revised one.

16 And a BLM preliminary letter; is that correct?

17 MR. KELLAHIN: That is correct.

18 EXAMINER STOGNER: And I assume that the unit
19 agreement -- What portion of the unit agreement will be
20 changed?

21 MR. KELLAHIN: All the exhibits on the tail end
22 of the agreement have to be altered, either --

23 EXAMINER STOGNER: But not the agreement itself?

24 MR. KELLAHIN: The agreement itself, I think, is
25 accurate. The corrections are clerical changes to the

Exhibits 1 through 14
Complete Set

1 exhibits that are appended to that unit agreement, and we
2 will submit to you the revised corrections when they've
3 been completed.

4 EXAMINER STOGNER: What kind of a time frame are
5 we looking at?

6 MR. KELLAHIN: We figure within the next ten days
7 all that's done.

8 EXAMINER STOGNER: I don't think it would be
9 proper to take this case under advisement at this time, but
10 to hold the record open, pending that additional
11 information that would cover.

12 Do you see anything wrong with that, Counselor?

13 MR. CARROLL: No.

14 EXAMINER STOGNER: So --

15 MR. KELLAHIN: I think that's appropriate. I
16 think we always leave the record open to get the BLM and
17 the Land Office preliminary approval letters.

18 We have one and not the second, and so we will
19 get that to you, as well as the other information.

20 EXAMINER STOGNER: Okay. I have no other
21 questions of Mr. Shepherd.

22 Are there any other questions of him?

23 MR. KELLAHIN: No, sir. That concludes our
24 presentation.

25 EXAMINER STOGNER: Okay, you may be excused, Mr.

1 Shepherd.

2 And with the supplemental information to be
3 provided, I hold the record open pending that information.

4 And with that, we conclude any further formal
5 presentation on either Cases 11,207 or 11,208.

6 (Thereupon, these proceedings were concluded at
7 10:58 a.m.)

8 * * *

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
 COUNTY OF SANTA FE)


I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL February 19th, 1995.


 STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 14, 1998

I do hereby certify that the foregoing is a correct and true transcript of the proceedings in the Examination of Case Nos. 1203 and 1120's heard by me on February 19 1995.

 _____, Examiner
 Oil Conservation Division

STEVEN T. BRENNER, CCR
 (505) 989-9317