


STATE OF NEW MEXICO
 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
 OIL CONSERVATION DIVISION



IN THE MATTER OF THE HEARING)
 CALLED BY THE OIL CONSERVATION)
 DIVISION FOR THE PURPOSE OF)
 CONSIDERING:)
)
 APPLICATION OF YATES PETROLEUM)
 CORPORATION)
 _____)

CASE NO. 11,235

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

April 7th, 1995

Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Division on Friday, April 7th, 1995, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, before Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

STEVEN T. BRENNER, CCR
 (505) 989-9317

I N D E X

April 7th, 1995
 Examiner Hearing
 CASE NO. 11,235

| | |
|--|------|
| | PAGE |
| EXHIBITS | 3 |
| APPEARANCES | 5 |
| APPLICANT'S WITNESSES: | |
| <u>JANET RICHARDSON</u> | |
| Direct Examination by Mr. Ernest Carroll | 7 |
| Cross-Examination by Mr. Kellahin | 10 |
| Redirect Examination by Mr. Ernest Carroll | 13 |
| <u>KEN BEARDEMPHL</u> | |
| Direct Examination by Mr. Ernest Carroll | 14 |
| Cross-Examination by Mr. Kellahin | 31 |
| Examination by Examiner Catanach | 42 |
| <u>BRENT MAY</u> | |
| Direct Examination by Mr. Ernest Carroll | 43 |
| Cross-Examination by Mr. Kellahin | 50 |
| Examination by Examiner Catanach | 57 |
| <u>ROBERT S. FANT</u> | |
| Direct Examination by Mr. Ernest Carroll | 59 |
| Cross-Examination by Mr. Kellahin | 73 |
| Examination by Examiner Catanach | 86 |
| Redirect Examination by Mr. Ernest Carroll | 91 |
| CONOCO WITNESSES: | |
| <u>BILL HARDIE</u> | |
| Direct Examination by Mr. Kellahin | 94 |
| Cross-Examination by Mr. Ernest Carroll | 124 |

(Continued...)

CONOCO WITNESSES (Continued):

ROBERT BEAMER

| | |
|---|-----|
| Direct Examination by Mr. Kellahin | 147 |
| Cross-Examination by Mr. Ernest Carroll | 157 |
| Examination by Examiner Catanach | 172 |

| | |
|------------------------|-----|
| REPORTER'S CERTIFICATE | 178 |
|------------------------|-----|

* * *

E X H I B I T S

| Yates | Identified | Admitted |
|------------|------------|----------|
| Exhibit 1 | 8 | 10 |
| Exhibit 2 | 9 | 10 |
| Exhibit 3 | 18 | 31 |
| Exhibit 4 | 20 | 31 |
| Exhibit 5 | 21 | 31 |
| Exhibit 6 | 23 | 31 |
| Exhibit 7 | 23 | 31 |
| Exhibit 8 | 24 | 31 |
| Exhibit 9 | 25 | 31 |
| Exhibit 10 | 27 | 31 |
| Exhibit 11 | 28 | 31 |
| Exhibit 12 | 28 | 31 |
| Exhibit 13 | 29 | 31 |
| Exhibit 14 | 29 | 31 |
| Exhibit 15 | 30 | 31 |
| Exhibit 16 | 44 | 50 |
| Exhibit 17 | 46 | 50 |
| Exhibit 18 | 48 | 50 |
| Exhibit 19 | 60 | 73 |
| Exhibit 20 | 63 | 73 |
| Exhibit 21 | 65 | 73 |
| Exhibit 22 | 66 | 73 |
| Exhibit 23 | 67 | 73 |

(Continued...)

E X H I B I T S (Continued)

| Conoco | Identified | Admitted |
|------------|------------|----------|
| Exhibit 1 | 97 | 124 |
| Exhibit 2 | 100 | 124 |
| Exhibit 3 | 108 | 124 |
| Exhibit 4 | 110 | 124 |
| Exhibit 5 | 112 | 124 |
| Exhibit 6 | 150 | 157 |
| Exhibit 7 | 150 | 157 |
| Exhibit 8 | 154 | 157 |
| Exhibit 9 | 155 | 157 |
| Exhibit 10 | 103 | 124 |
| Exhibit 11 | 104 | 124 |
| Exhibit 12 | 173 | 176 |

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
State Land Office Building
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

LOSEE, CARSON, HAAS & CARROLL, P.A.
300 American Home Building
Post Office Drawer 239
Artesia, New Mexico 88211-0239
By: ERNEST L. CARROLL

FOR CONOCO, INC.:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

* * *

1 WHEREUPON, the following proceedings were had at
2 8:15 a.m.:

3 EXAMINER CATANACH: Call the hearing back to
4 order this morning, and first thing we'll call is Case
5 11,235.

6 MR. RAND CARROLL: Application of Yates Petroleum
7 Corporation for an unorthodox oil well location and
8 simultaneous dedication, Eddy County, New Mexico.

9 EXAMINER CATANACH: Are there appearances in this
10 case?

11 MR. ERNEST CARROLL: Mr. Examiner, I'm Ernest
12 Carroll of the Artesia law firm Losee, Carson, Haas and
13 Carroll, and I'm here on behalf of Applicant Yates
14 Petroleum, and we will have -- we have four witnesses
15 today.

16 EXAMINER CATANACH: Okay, additional appearances?

17 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
18 the Santa Fe law firm of Kellahin and Kellahin, appearing
19 on behalf of Conoco, Inc., in opposition to the Applicant.

20 We have two witnesses to be sworn.

21 EXAMINER CATANACH: Are there additional
22 appearances here?

23 Okay, can I get all the witnesses to stand and be
24 sworn in at this time?

25 (Thereupon, the witnesses were sworn.)

1 MR. ERNEST CARROLL: Mr. Examiner, we'd first
2 call Janet Richardson.

3 JANET RICHARDSON,
4 the witness herein, after having been first duly sworn upon
5 her oath, was examined and testified as follows:

6 DIRECT EXAMINATION

7 BY MR. ERNEST CARROLL:

8 Q. Would you please state your name and place of
9 residence for the record?

10 A. Janet Richardson. I live in Artesia, New Mexico.

11 Q. By whom are you employed?

12 A. Yates Petroleum Corporation.

13 Q. And in what capacity?

14 A. I'm a landman.

15 Q. Have you had occasion to testify previously
16 before this Commission [sic] and have your credentials
17 accepted as a petroleum landman?

18 A. Yes, I have.

19 Q. And are you familiar with the case that is now
20 being heard by the Examiner, that being the case for an
21 unorthodox well location in the southwest quarter of
22 Section 29, Township 19 South, Range 25 east?

23 A. Yes.

24 MR. ERNEST CARROLL: Mr. Examiner, I would tender
25 Ms. Richardson as an expert in the field of petroleum land

1 management.

2 EXAMINER CATANACH: Ms. Richardson is so
3 qualified.

4 Q. (By Mr. Ernest Carroll) Ms. Richardson, you
5 have prepared a couple of exhibits for today; is that
6 correct?

7 A. Yes.

8 Q. Would you first turn to Exhibit Number 1,
9 identify for the record what that exhibit is, and then if
10 you would explain the exhibit for the Examiner?

11 A. The Exhibit Number 1 is a plat of the well
12 location and the surrounding area. The well is located in
13 the southwest quarter of Section 29 of Township 19 South,
14 Range 25 East.

15 I have colored in the areas in the nine sections,
16 including surrounding that -- the Section 29. The solid
17 yellow denotes acreage that Yates Petroleum owns a hundred
18 percent, and the yellowed outline is where Yates only has a
19 partial interest.

20 Then I have outlined the actual spacing unit for
21 our well and shown with a red dot where the actual well
22 location is, and I believe that's 330 feet from the south
23 line and 1980 feet from the west line.

24 Also, I have -- Yates Petroleum operates the
25 wells in Section 29, but I've also shown the other

1 operators in the other nine spacing units surrounding the
2 wells.

3 The east half of 30 is operated by Conoco, the
4 north half of 32 is operated by Conoco, and the northeast
5 quarter of 31 is operated by Nearburg.

6 Q. All right. Your Exhibit Number 2 deals with the
7 notices that were sent out with respect to this
8 Application; is that not true?

9 A. Yes, it is.

10 Q. To whom were notices sent?

11 A. We sent notices to both Conoco, Inc., and
12 Nearburg, who are the offsetting operators to this well.

13 Q. All right. The operators that are the closest to
14 the proposed well and its unorthodox site, those are either
15 Yates Petroleum or Conoco; is that correct?

16 A. Yes, they are.

17 Q. Now, with respect to the Nearburg operatorship,
18 we did not prepare an exhibit, but you have received a fax
19 of a waiver with respect to this unorthodox location from
20 Nearburg; is that true?

21 A. Yes, we have.

22 Q. But as of the date of this hearing, we have never
23 received the actual original copy of that?

24 A. No, we have not seen that.

25 Q. Exhibit 2 is composed of the affidavit, the

1 certificate of mailing by myself, attorney for Yates, and
2 then the copies of the letters that were sent to both
3 Conoco and Nearburg Producing?

4 A. Yes.

5 MR. ERNEST CARROLL: Mr. Examiner, at this time I
6 would move admission of Exhibits 1 and 2.

7 EXAMINER CATANACH: Exhibits 1 and 2 will be
8 admitted as evidence.

9 MR. ERNEST CARROLL: And I would pass the
10 witness.

11 EXAMINER CATANACH: Mr. Kellahin?

12 MR. KELLAHIN: Thank you, Mr. Examiner.

13 CROSS-EXAMINATION

14 BY MR. KELLAHIN:

15 Q. Ms. Richardson, if you'll look at Exhibit 1 with
16 me --

17 A. Yes.

18 Q. -- when we look at the south half of Section 29,
19 we are in an area where these wells are being drilled and
20 dedicated to production from the North Dagger Draw-Upper
21 Penn Pool, are we not?

22 A. Yes.

23 Q. Are you aware that Yates' proposed location is
24 330 feet from the south side of Section 29?

25 A. Yes.

1 Q. And are you also aware that that well is 660 feet
2 from the east side of a spacing unit consisting of the
3 southwest quarter of Section 29?

4 A. Yes.

5 Q. Are you also aware that the southwest quarter is
6 the dedicated spacing unit for any production from any well
7 producing from the Cisco/Canyon formation?

8 A. Yes.

9 Q. And are you also aware that Yates currently has
10 three existing producing oil wells within that spacing
11 unit?

12 A. Yes, I am.

13 Q. And are those wells located on Exhibit Number 1?

14 A. Yes, they are.

15 Q. Describe for us how they're located.

16 A. The Aspden Number 1 well is 660 feet from the
17 south and 660 feet from the west of Section 29.

18 The Boyd "X" Number 2 well is located 1980 from
19 the south and 660 from the west.

20 And the Boyd "X" Number 4 is 1980 from the south
21 and 1980 from the west.

22 Q. Within that spacing unit consisting of the
23 southwest quarter of Section 29, the working interest
24 owners that are sharing in that production are Nearburg and
25 Yates, are they not?

1 A. Yes, they are.

2 Q. When we look into the southeast quarter of
3 Section 29, that is also a spacing unit dedicated to
4 production from the North Dagger Draw-Pennsylvanian Pool,
5 is it not?

6 A. Yes, it is.

7 Q. And Yates and Nearburg are also the only working
8 interest owners within the spacing unit consisting of the
9 southeast quarter of that section?

10 A. Yes.

11 Q. When we look at the northwest quarter of Section
12 32, Yates has no interest in the spacing unit consisting of
13 the northwest quarter of Section 32; is that correct?

14 A. None at all, that's correct.

15 Q. Any production in Section 32 is shared by Conoco
16 and Yates; is that your testimony? I'm sorry, Conoco and
17 Nearburg in the northwest quarter?

18 A. Actually, I do not believe that Nearburg has an
19 interest in the northwest quarter. They have an interest
20 in the southwest quarter. Apparently that is an error on
21 the map.

22 Q. All right, so when we look at the spacing unit
23 consisting of the northwest quarter of Section 32, your
24 understanding of the title is that neither Yates nor
25 Nearburg has any interest in that spacing unit?

1 A. Yes.

2 MR. KELLAHIN: No further questions, Mr.
3 Examiner.

4 EXAMINER CATANACH: I have no questions of the
5 witness.

6 You may be excused.

7 MR. ERNEST CARROLL: I have just one question,
8 just to clarify.

9 REDIRECT EXAMINATION

10 BY MR. ERNEST CARROLL:

11 Q. Ms. Richardson, with respect to the ownership in
12 the southwest quarter of Section 29 and the southeast
13 quarter of Section 29, is that the same or is it in
14 different percentages between Yates --

15 A. It's in different percentages.

16 The southwest quarter, Yates Petroleum has 75
17 percent and Nearburg has 25 percent. And in the southeast
18 quarter Yates Drilling has 50 percent and Nearburg has 50
19 percent.

20 MR. ERNEST CARROLL: All right, that's all I
21 have, Mr. Examiner.

22 EXAMINER CATANACH: Okay. The witness may be
23 excused.

24 MR. ERNEST CARROLL: We would next call Ken
25 Beardemphl to the stand.

1 KEN BEARDEMPHL,
2 the witness herein, after having been first duly sworn upon
3 his oath, was examined and testified as follows:

4 DIRECT EXAMINATION

5 BY MR. ERNEST CARROLL:

6 Q. Would you please state your name and place of
7 residence for the record?

8 A. Ken Beardemphl. I live in Artesia, New Mexico.

9 Q. And how are you employed, Mr. Beardemphl?

10 A. Yates Petroleum Corporation.

11 Q. And in what capacity?

12 A. Landman.

13 Q. Mr. Beardemphl, have you had an occasion to
14 testify before the Oil Conservation Division previously and
15 have your credentials as a petroleum landman accepted?

16 A. Yes, I have.

17 Q. And Mr. Beardemphl, are you familiar with the
18 facts and circumstances concerning or surrounding the
19 Application now being heard by this Examiner, that being
20 the Application for an unorthodox location in the southwest
21 quarter of Section 29, Township 19 South, Range 25 East?

22 A. Yes, sir.

23 MR. ERNEST CARROLL: Mr. Examiner, I would tender
24 Mr. Beardemphl as an expert in the field of petroleum land
25 management.

1 EXAMINER CATANACH: He is so qualified.

2 MR. KELLAHIN: No objection.

3 Q. (By Mr. Ernest Carroll) Mr. Beardemphl, with
4 respect to your -- the particular duties that you do
5 perform for Yates Petroleum, you have a particular area of
6 endeavor at this time, do you not?

7 A. Yes, sir.

8 Q. And what is that?

9 A. I do the applications to drill the right of ways,
10 surface damages and anything to do with the locations.

11 Q. All right. Now, this particular area of land,
12 the southwest quarter of Section 29, who owns the surface?

13 A. Where the well is, it's owned by the State.

14 Q. All right. What --

15 A. Oh, I'm sorry, this is -- It's owned by Carl
16 Foster. He just bought it from the federal government.
17 The minerals are owned by the federal government.

18 Q. All right.

19 A. The north half of that quarter is State.

20 Q. So the United States government, or the BLM
21 actually, controls the minerals?

22 A. Yes, sir, BLM.

23 Q. All right. An application to drill, then, has to
24 be also -- not only gotten from the State of New Mexico,
25 but must be approved by the BLM; is that correct?

1 A. Yes, sir.

2 Q. Now, Mr. Beardemphl, have you been the party that
3 has attempted to try to get this well permitted for
4 drilling?

5 A. Yes. Yes, sir.

6 Q. Was an application sought to have this well
7 located at an orthodox location?

8 A. Yes, sir.

9 Q. And what was that specific footage location that
10 the well was first attempted to be located at?

11 A. 660 from the south and 1980 from the west in
12 Section 29.

13 Q. Was that application granted by the BLM?

14 A. No, sir.

15 Q. What was the specific reason for denial of that
16 permit?

17 A. The denial was during the on-site with the BLM
18 representative. We went on location, we looked at the
19 location, we walked the whole -- almost the whole 40, and
20 he come up with the proposed location.

21 Q. Okay, apparently there was a problem on site; is
22 that correct?

23 A. Yes, sir.

24 Q. Could you describe what that problem is?

25 A. The problem with the original location is --

1 MR. KELLAHIN: Mr. Examiner, I'm going to object
2 to the testimony of this witness at this point.

3 It constitutes a hearsay statement by this
4 witness with regards to what he was told by a BLM
5 representative. It is an out-of-court statement offered to
6 prove the truth of the matter asserted, and the BLM
7 representative is not a witness and not present, and we
8 would object to this testimony.

9 MR. ERNEST CARROLL: Mr. Catanach, I think this
10 witness is qualified, and it is not hearsay for him to
11 report to this Commission what the problem was, his
12 understanding.

13 Mr. -- A hearsay objection is when you use a
14 quoted statement from -- What Mr. Beardemphl here is to
15 report the facts, the findings, what the problem was, why
16 they have no -- have not been able to grant a -- or been
17 able to obtain a permit, and it's not a true hearsay
18 objection.

19 EXAMINER CATANACH: Mr. Beardemphl, were you
20 present with the BLM representative?

21 THE WITNESS: Yes, sir.

22 EXAMINER CATANACH: And you have knowledge of
23 what he said the problem was --

24 THE WITNESS: Yes, sir.

25 EXAMINER CATANACH: -- directly?

1 THE WITNESS: We discussed it for an hour and a
2 half.

3 EXAMINER CATANACH: I think we're going to let
4 this evidence continue.

5 Q. (By Mr. Ernest Carroll) Again, Mr. Beardemphl,
6 what is wrong with the area that the original orthodox
7 location was located at?

8 A. The original location is in the bottom of the
9 draw, right next to where the main flow would take place.

10 Q. Okay, is this a drainage area, then?

11 A. Yes, sir, it's Seven Rivers draw.

12 Q. Seven Rivers draw. All right. Now, you have
13 prepared several exhibits, have you not --

14 A. Yes, sir.

15 Q. -- to help describe what the problem is?

16 Let's first turn to Exhibit Number 3. What is
17 Exhibit 3, if you'd identify it for the record and then
18 kind of explain what's on it.

19 A. It's a location plat. It shows the 160 spacing,
20 and I have four dots on it showing the orthodox location,
21 proposed location, the 990 from the south location, and a
22 reference point that I've used for the map.

23 Q. All right. The actual proposed location is the
24 circle and lettering that is drawn in red; is that correct?
25 On your plat here?

1 A. The current location?

2 Q. Yeah, the proposed unorthodox location.

3 A. Yes, sir.

4 Q. The reference point is denoted by a black dot; is
5 that correct?

6 A. Yes, sir.

7 Q. Now, that reference point will show up as a stake
8 in pictures that we have to present to the Commission; is
9 that not correct?

10 A. Yes, sir.

11 Q. Then the orthodox location, which is the blue
12 circle, that was the original location proposed by Yates to
13 the BLM?

14 A. Yes, sir.

15 Q. And the green would be -- is this -- This is a
16 990-1980 location. Is it also a reference point that will
17 be shown in your photographs?

18 A. Yes, sir.

19 MR. ERNEST CARROLL: All right. Mr. Examiner, we
20 had just two sets of actual photographs. I have given Mr.
21 Kellahin a set of xeroxes, and if -- I think you can tell
22 most of it, but I'm going to have one set, and you have the
23 other set of original photographs here under your --

24 EXAMINER CATANACH: I've got them.

25 Q. (By Mr. Ernest Carroll) All right. Let's first

1 turn to Exhibit Number 4, which is a photograph that is
2 marked with a number "1" up in the right-hand corner. Do
3 you see that, Mr. Beardemphl?

4 A. Yes, sir.

5 Q. All right. What does that photograph depict?

6 A. That is from the proposed 330 location, looking
7 north. That is the actual stake where the location is
8 staked.

9 Q. All right. There is a -- It looks like a brown
10 line that crosses the entire photograph. Is that the stake
11 for the 330-1980 location?

12 A. That is the centerhole stake, yes, sir.

13 Q. All right. And what direction are you looking,
14 Mr. Beardemphl?

15 A. Looking north.

16 Q. Now, Mr. Beardemphl, just -- There is a line of
17 green -- I guess they're mesquite bushes or creosote
18 bushes?

19 A. Creosote.

20 Q. Creosote. There is a stake just in the edge of
21 that green, in the midpoint of that picture, is there not?

22 A. Yes, sir, that's the reference point.

23 Q. Okay. That is the reference point that is
24 marked, shown as 530 feet from the south line and 1980 feet
25 from the west line?

1 A. Yes, sir.

2 Q. Can you see that?

3 A. Yes.

4 Q. I'm going to ask you to now look at what is
5 marked as Exhibit Number 5, and it is photograph number "2"
6 in the right-hand corner.

7 Could you describe for the record what that
8 photograph is of?

9 A. That is the reference point at 530 feet from the
10 south, looking north. Actually, it's looking more
11 northeast, a little northeast.

12 Q. All right. That is the stake that we could just
13 barely see in the distance in photograph number 1 now?

14 A. Yes, sir.

15 Q. And we're still looking, though in a northerly-
16 type direction?

17 A. Yes, sir.

18 Q. Now, right behind this stake -- Well, first, why
19 don't you tell me why you picked this as a reference point?
20 What is significant about this point?

21 A. Well, it is on the very edge of the draw, and it
22 is also 200 feet north of the centerhole, which on a
23 government location you have a stake a 400 by 400, and we
24 put a 200 north, 200 south. So they're reference points
25 for the BLM when they go out on location to look.

1 Q. All right. That 200 foot is the area that must
2 be arc-cleared --

3 A. Yes, sir.

4 Q. -- for getting in the location actually approved
5 then?

6 A. Yes, sir.

7 Q. Now, right there behind, there seems to be an
8 area of just -- It looks like white gravel or something.

9 A. Uh-huh.

10 Q. Is that level of the ground, is that the same
11 height as where the stake is actually stuck --

12 A. No, sir.

13 Q. -- into the ground?

14 A. No, sir, that is a drop of approximately 20-plus
15 feet.

16 Q. All right. We have a photograph later that will
17 better show that drop?

18 A. Yes, sir.

19 Q. Okay. Now, the area that is south of this stake,
20 is it within this floodplain that the BLM was concerned
21 with?

22 A. No, sir, it's out of the floodplain.

23 Q. All right. So this reference point, then, is
24 basically the edge of this -- is the southern edge of the
25 floodplain in this part of the southeast quarter of the

1 southwest quarter of Section 29?

2 A. Yes, sir, at the very edge.

3 Q. All right. I'll ask you to look now at Exhibit
4 6, which is the photograph marked with the number "3".

5 A. Yes, sir.

6 Q. Could you identify for the record what this
7 picture is depicting?

8 A. I just got closer to the reference point and took
9 another shot looking down.

10 Q. Okay. This is the same stake that we have seen
11 in the two previous photographs; is that correct?

12 A. Yes, sir, uh-huh.

13 Q. All right. And again, the area of this gravel,
14 white gravel, is better shown in this particular
15 photograph?

16 A. Yes, sir.

17 Q. All right. I ask you, then, to look at what has
18 been marked as Exhibit Number 7, which has the large "4"
19 marked in the upper right-hand part of the picture, and
20 what is this?

21 A. That is looking north -- excuse me, looking south
22 to the reference point, standing in the bottom of the draw
23 down there in the middle of the rock, draw.

24 Q. This photograph actually shows this cut bank that
25 you have earlier testified to?

1 A. Yes, sir.

2 Q. And right at the -- in the middle of this
3 picture, you can actually see that reference point staked,
4 can you not?

5 A. Yes, sir.

6 Q. I don't know -- Was it marked?

7 I'm going to ask you now to look at Exhibit 8,
8 which has the "5" in the corner. What is this of?

9 A. That is the original 660 from the south, 1980
10 from the west, location, just a picture of the centerhole.

11 Q. Okay.

12 A. Looking north.

13 Q. Looking north. All right, this was the original
14 proposed orthodox location?

15 A. Yes, sir.

16 Q. And we're looking again north?

17 A. Yes.

18 Q. Now, this location is within the floodplain; is
19 that correct?

20 A. Yes, sir.

21 Q. And this is the location that was denied by --
22 And who was the on-site BLM --

23 A. Barry Hunt.

24 Q. Barry Hunt, okay. He is out of the Carlsbad
25 office of the BLM, is he not?

1 A. Yes, sir.

2 Q. All right. I ask you, then, to turn to Exhibit
3 Number 9, which has the "6" marked in it. Can you tell me
4 what that photograph is of?

5 A. That is the 990 from the south, 1980 from the
6 west, location --

7 Q. All right.

8 A. -- where the flagging is in there.

9 Q. Okay, there is a red --

10 A. The closest flagging.

11 Q. Okay, there is a red tape tied to a tree limb; is
12 that correct?

13 A. Yes, sir.

14 Q. All right. And that denotes what is shown on
15 your land plat, the green circle, then?

16 A. Yes, sir.

17 Q. And you're looking south, I believe you told us?

18 A. Yes, sir.

19 Q. All right. And you can actually see that cut
20 bank which was in the earlier photograph, marked number
21 "4" --

22 A. Yes, sir, that's my --

23 Q. -- in the distance?

24 A. -- that's my pickup which is right at the
25 centerhole, at the 330 location.

1 MR. ERNEST CARROLL: Can you see that? Yeah, and
2 here's his pickup truck.

3 EXAMINER CATANACH: Uh-huh.

4 MR. ERNEST CARROLL: All right.

5 Q. (By Mr. Ernest Carroll) Did you walk to this
6 site with the BLM investigator?

7 A. Yes, sir.

8 Q. Was this site acceptable for the location of a
9 well?

10 A. No, sir, he said it's still in the floodplain.
11 So we walked north, south, east and west. We walked all
12 four ways, trying to figure the closest spot to put a
13 location out of the floodplain.

14 Q. How much farther to the north did this floodplain
15 extend?

16 A. I stood on the location, and Mr. Hunt started
17 pacing to the north, and I kind of kept him on line, and he
18 had stepped off about 400 feet, he figured, and he said
19 that that was about the edge of the -- close to the edge of
20 the floodplain.

21 Q. All right. So it would have been an additional
22 400 feet before you could get out of the floodplain north
23 of the green dot or the location 990 from the south line,
24 1980 from the west line?

25 A. Yes, sir.

1 Q. That edge of the floodplain, would that be the
2 point where you could actually locate a well, or would that
3 be the beginning of the 200-foot square that the BLM would
4 have required you to be in?

5 A. It would probably be the beginning of the 200
6 foot. They would probably make us go at least 150 to 200
7 past that for the centerhole.

8 Q. I ask you to look at Exhibit Number 10, which has
9 the number "7" in the right-hand corner. What is this
10 photograph?

11 A. Let's see, number "7". That is the 990 strip
12 again, where the flagging is. And we're looking north
13 towards where Mr. Hunt had walked.

14 Q. All right. This shows, again, the gravel left in
15 the floodplain; is that correct?

16 A. Yes, sir.

17 Q. Now, this particular floodplain, was it just
18 composed of one rivulet where there was a main body of
19 water, or was there more than one?

20 A. No, that's the problem with this one, is that it
21 kind of has a -- turns into a "V". There's a -- as you can
22 see, that deep eroded one at the 660 location. And then
23 north of the 990 location is another smaller channel that
24 we ran into, that you could tell carried water when it ran.

25 Q. And the area between these two channels is all

1 within a floodplain, then; is that correct?

2 A. Yes, sir, it's all low enough to be in a
3 floodplain.

4 Q. Turning next to Exhibit 11, which is marked by
5 the number "8", what is that?

6 A. Okay, number 8 is at the 990 location from the
7 south, again, looking -- Let me see, which way is that
8 looking at? East. And you can see the river rock,
9 actually, looking over towards the east.

10 Q. All right.

11 A. And it's still floodplain.

12 Q. And then the next exhibit, Exhibit 12, which is
13 marked by the "9", what is that direction?

14 A. Okay, that is at the 990 from the south location,
15 looking to the west. You can kind of see the part of the
16 draw over to the right where it had been --

17 Q. This second river channel?

18 A. -- cut out. Yes, sir.

19 Q. All right. So what we have now seen in these
20 photographs, then, we have looked both -- in all
21 directions, in north, south, east and west, and we see the
22 river plain -- or the floodplain, excuse me -- depicted in
23 all photographs?

24 A. Yes, sir.

25 Q. Now, I believe you also testified that you walked

1 out almost this entire 40; is that correct?

2 A. Yes, sir.

3 Q. And this floodplain exists over the bulk of this
4 quarter-quarter; is that correct?

5 A. Yes, sir.

6 Q. The direction of the floodplain, does it run
7 north-south or east-west, or in what direction?

8 A. It's from the west, going to the east, towards
9 the river.

10 Q. Okay. I ask you to look at Exhibit 13, which is
11 the photograph with the large "10". What is this?

12 A. That's a little over a hundred feet north of the
13 990 location, looking south.

14 Q. Okay. You can actually see, right in almost
15 the center of this photograph, that flagging tied to the
16 bush --

17 A. Yes, sir.

18 Q. -- that we've seen in the earlier photographs?

19 A. Yes, sir.

20 Q. And again, the floodplain is depicted here; is
21 that correct?

22 A. Yes, sir.

23 Q. Exhibit 14, which has the number "11" in it,
24 marked in the corner, what is that?

25 A. That is a -- I moved a little further to the

1 north, and that's the -- The orange flagging on the left
2 side there is the 990-from-south location, looking west.
3 That is kind of showing another part of the draw through
4 there --

5 Q. Okay.

6 A. -- the northern draw.

7 Q. Okay. This is a channel here --

8 A. Yes, sir.

9 Q. -- is what you're -- And this is the northernmost
10 channel?

11 A. Yes, sir, there's -- it's -- it's real -- kind of
12 flat going to the north, and that's about the deepest cut
13 in it, but it's -- There's another channel running through
14 there.

15 Q. All right. I ask you to look at Exhibit 15,
16 which is marked by the "12". What is that?

17 A. That's another 990 from the south, looking to the
18 east.

19 Q. Okay. So you've looked both directions, again --

20 A. Yes, sir.

21 Q. -- from the area of this 990?

22 And again, the 990 flag tied to the bush is in
23 the center of this photograph?

24 A. Yes, sir.

25 MR. ERNEST CARROLL: Tom, did you need to see

1 those?

2 MR. KELLAHIN: No, sir, they're fine.

3 Q. (By Mr. Ernest Carroll) What is the size of the
4 pad that would be required to drill this particular well,
5 Mr. Beardemphl?

6 A. The size of the pads we use at present for this
7 depth of a well is approximately 150 each direction, with
8 probably another 40 to the pit side, which is usually to
9 the north.

10 Q. And the actual site of the drill hole, the
11 wellbore, would be in the center of that 150-square pad?

12 A. Yes, sir.

13 MR. ERNEST CARROLL: Mr. Examiner, I would move
14 admission of Yates Exhibits 3 through 15 at this time.

15 MR. KELLAHIN: No objection.

16 EXAMINER CATANACH: Exhibits 3 through 15 will be
17 admitted as evidence.

18 MR. ERNEST CARROLL: And I'd pass the witness.

19 CROSS-EXAMINATION

20 BY MR. KELLAHIN:

21 Q. Mr. Beardemphl, did you keep any notes or make
22 any writings with regards to your meetings and
23 conversations with Mr. Hunt when you went out and made a
24 field inspection of this 40-acre tract?

25 A. I have a planner I carry with me, and all I wrote

1 in it was "move location 330 south", because we looked at
2 three, four locations that day, per BLM's Al Loretta
3 [phonetic].

4 Q. How many locations did you look at with regards
5 to this particular well?

6 A. This -- We looked at these three marked on the
7 map, plus every direction off all three.

8 Q. On this same day did you also go to other
9 properties to look for well locations for other wells?

10 A. Yes, I did.

11 Q. Other than your notation that you were on this
12 tract at that point, do you have any other writings
13 concerning your conversations with Mr. Hunt?

14 A. No, sir, we did most of it verbal.

15 Q. Approximately when did this occur?

16 A. The on-site was December 19th, 1994.

17 Q. And was anyone else present for the on-site
18 inspection, besides you and Mr. Hunt?

19 A. No, sir.

20 Q. What is Mr. Hunt's function with the BLM?

21 A. His title is -- I believe it's Resource
22 Specialist. He is -- He does all of the APDs, applications
23 to drill, that come into the BLM for Eddy and part of Lea
24 County.

25 Q. His function has only to do with the surface use,

1 then, of the well and the well pad?

2 A. Yes.

3 Q. Has nothing to do with subsurface geology --

4 A. No.

5 Q. -- or anything else?

6 A. No, sir.

7 Q. Do you have a topo map or other map that you
8 would believe to be accurate and reliable, by which we
9 could determine where we are within this 40-acre tract, as
10 you and Mr. Hunt went around that property?

11 A. Yes, I carried the USGS topo maps with us.

12 Q. All right --

13 A. Barry has one and I have one.

14 Q. -- do you have one of those with you now?

15 A. No, sir.

16 Q. When we're looking at the initial proposed
17 location, which was 660 from the south and 660 from the
18 east of that spacing unit -- You're with me, right?

19 A. (Nods)

20 Q. That was where Yates had wanted to put the well;
21 is that not correct?

22 A. From the east?

23 Q. Look at the spacing unit.

24 A. Okay, just the 40.

25 Q. Within that -- Within that 160 acres --

1 A. Okay.

2 Q. -- you're going to have a west dimension of
3 1980 --

4 A. Right.

5 Q. -- within the spacing unit 660 from the east
6 side --

7 A. Yes, sir.

8 Q. -- and 330 from the south side.

9 What was your understanding of the basis for
10 Yates requesting that location as its first choice?

11 A. After the on-site and a visit with Mr. Hunt, we
12 both concurred that that would be the only safe legal
13 location.

14 Q. I didn't make myself clear.

15 The original location you went out to look at was
16 660 from the south and east lines of the spacing unit, the
17 original location?

18 A. The original location, yes.

19 Q. The standard location?

20 A. Yes, sir.

21 Q. And what was Yates's basis for the original
22 location?

23 A. I guess geology.

24 Q. Were you involved in staking of the -- any of the
25 other three wells within the spacing unit?

1 A. Yes, sir.

2 Q. The Boyd 4, the Boyd 2 and the Aspden Number 1,
3 you did all three of those?

4 A. Yes, sir.

5 Q. All right. It's true, is it not, Mr. Beardemphl,
6 that the Boyd 2, which is up in the northwest of the
7 southwest quarter-section spacing unit, is in fact in the
8 bottom of the Seven Rivers draw?

9 A. No, sir.

10 Q. It is not?

11 A. No, sir.

12 Q. All right. Is not that well in the same point in
13 terms of depth of the draw as the proposed Aspden Number 2
14 well would be?

15 A. I don't follow "the same point".

16 Q. All right. That Seven Rivers draw --

17 A. Yes, sir.

18 Q. -- moves through that quarter section
19 approximately from northwest to the southeast, takes a
20 little bend through there and --

21 A. Takes a big bend, yes, sir.

22 Q. Takes a big bend. When you're in the bottom of
23 that draw where you're proposing to locate the Aspden
24 Number 2 well, that's in a similar relationship in that
25 draw when we get over to the Boyd Number 2, which is an

1 existing well; is that not true?

2 A. The 330 is a similar situation, yes, sir.

3 Are you asking where the Boyd 2 is situated --

4 Q. Yes, sir.

5 A. -- in the draw?

6 Q. Yes, sir.

7 A. It is on top.

8 Q. It's not in the draw?

9 A. No, sir.

10 Q. When we look at the size of the architectural
11 [sic] area to be cleared by Mr. Hunt, is that one of his
12 functions?

13 A. Yes, sir, he walks the whole thing.

14 Q. All right. He's looking at an area to clear
15 archaeologically?

16 A. No, sir, he doesn't do the archeological.

17 Q. All right. How big a pad is he looking to
18 approve for terms of surface use?

19 A. He's looking at the whole 400 by 400.

20 Q. All right. Where in that criteria do we fit your
21 last statement to Mr. Carroll about the pad size being 150
22 by 150?

23 A. That's our normal size.

24 Q. All right. The closest point, up off of the draw
25 to the south, is this reference point that's shown on

1 Exhibit Number 3?

2 A. Yes, sir.

3 Q. And that's 530 feet from the south line?

4 A. Yes, sir.

5 Q. And if we're using a pad 150 feet by 150 feet,
6 how close to that reference point can you put the actual
7 well itself?

8 A. We could probably put the well within 150 feet of
9 that, but then we have to build a berm, and that would take
10 away a lot of the footage.

11 Q. All right. Did you ask --

12 A. With a 20-foot drop you'd need a berm.

13 Q. Did you ask Mr. Hunt if he'd let you do that?

14 A. Yes, sir.

15 Q. And what did he tell you?

16 A. He thought it would be safer to move the 200-foot
17 distance, to be 200 feet from the draw.

18 Q. Did you pursue with Mr. Hunt any other location
19 within the 40-acre tract?

20 A. We kind of stayed on the line, because we looked
21 from the original 660 south. Going west is right straight
22 up the draw, going east is right straight up the draw, so
23 we just tried north and south. That's all we proceeded at
24 the time. And the draw is -- We figured going from the
25 990, going west, was the draw, going east was the draw.

1 And the 330, it was a flat semi- -- as close as
2 we could get to a legal location, so that's where we left
3 it.

4 Q. All right. Mr. Hunt did tell you that you could
5 go north, east and west of the location, didn't he?

6 A. Yes, we looked at all of them.

7 Q. Yeah, he told you you could go in those
8 directions if you wanted to?

9 A. No, we couldn't go that way. We looked. They
10 wouldn't fit his criteria, in the floodplain.

11 Q. Did he ever indicate to you that you could have a
12 location at least 500 feet north of the original proposed
13 location, 600 by -- 660 by 660?

14 A. No, 500 feet wouldn't work.

15 Q. Absolutely certain he never told you that you
16 could go 500 feet north of the 660-times-660 location?

17 A. Right. We could go from the 990 location, is
18 what I said.

19 Q. All right. The 990 location by 1980 from the
20 west line represents what, sir? Is that a point out of the
21 Seven Rivers draw?

22 A. That is a point we used to see if that would be a
23 legal location. It is still in the bottom of Seven Rivers
24 draw.

25 Q. All right, 990 from the south line is going to

1 put you up in the northeast corner of the standard box for
2 a Dagger Draw well within this 40-acre tract, right?

3 A. "Standard box"? What do you mean?

4 Q. Yes, sir, within a 40-acre tract. You've got to
5 be 660 from the side boundaries, don't you?

6 A. Yes, uh-huh.

7 Q. All right, and if you take 1320, which is the 40-
8 acre box, and draw 660 from each side boundary, you've got
9 an interior box that is your standard well location?

10 A. Okay.

11 Q. All right. Within that box, then, the southeast
12 corner of that box is going to be the 660-660 location from
13 the south and east of the spacing unit, right?

14 A. Okay.

15 Q. All right. If you go to the northeast corner of
16 that standard box, that's the 990 location from the south
17 line, isn't it?

18 That's what you're talking about?

19 A. Yes, sir.

20 Q. All right. Mr. Hunt would have approved a
21 location for you farther north than the 990 location,
22 wouldn't he?

23 A. Yes, sir.

24 Q. All right.

25 A. But it would have been on State land.

1 Q. It would not have still been within this 40-acre
2 tract?

3 A. No, sir.

4 Q. When we look at the location of the Seven Rivers
5 draws, it cuts through the 40-acre tract. You're out of
6 the draw with the well location if you're 330 from the
7 south line?

8 A. Yes, sir.

9 Q. And you can maintain that criteria of staying out
10 of the draw by 200 feet if you swing the well to the east
11 and to the north, follow the contour of the bank of the
12 south side of the Seven Rivers draw, can't you?

13 A. A little bit.

14 Q. How far can you go?

15 A. As a guess, I would -- are you talking -- How far
16 east are we talking?

17 A. Yes, sir --

18 Q. How far east?

19 A. -- I'm talking about going north and east of the
20 330 location. The location that you propose is 330 from
21 the south, 660 from the east of the spacing unit.

22 A. Yes.

23 Q. I'm suggesting to you that you follow the contour
24 of the draw --

25 A. Uh-huh.

1 Q. -- maintaining the 200-foot setback --

2 A. Right.

3 Q. -- and swing that up to the north and east, and
4 seeing what happens.

5 A. I would say that the closest you could get from
6 the north would probably be -- maybe 420, 430 maybe, and
7 that would probably be on the line.

8 Q. What dimension would that give us from the south
9 line? Is that 420?

10 A. Yeah, that would be from the south line, yes.

11 Q. All right, 420 is from the south line.

12 A. And the east line would be zero.

13 Q. Okay. Is it your testimony, sir, that there is
14 no location within the 40-acre tract north of the north
15 edge of this Seven Rivers draw that would still be within
16 the 40-acre tract, that's --

17 A. Yes, sir.

18 Q. -- a drillable location?

19 A. Yes, sir.

20 Q. And there would be no location that would be west
21 or northwest by northwest on the north edge of that draw
22 within the same 40-acre tract?

23 A. Yes, sir.

24 MR. KELLAHIN: All right. Thank you, Mr.

25 Examiner.

EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY EXAMINER CATANACH:

Q. Mr. Beardemphl, just following up a little bit on Mr. Kellahin's question, if you could move the well location to the east and north, following the contour of the draw, that would put you, you believe, at a maximum of 420 feet from the south line; is that what you said?

A. That would be a guess. It would be around maybe 400 from the south. That would be probably as close as you could get.

Q. How far would that require -- How far east would you be required to move to do that?

A. I would guess to the line.

Q. All the way to the line?

A. Yes, sir.

Q. Okay. Basically, you're not able to move any further north than 330 from the south in that 40-acre tract; is that correct?

A. You mean from the original location?

Q. From the original -- No, from the proposed location, you're really not able to move any further north?

A. Not within safety factors.

Q. Regardless of if you move east or west, you're still not really -- you're still not going to be able to really move north?

1 A. No, sir, you wouldn't gain anything north.

2 EXAMINER CATANACH: Okay, I have nothing further.

3 MR. ERNEST CARROLL: I have nothing else.

4 EXAMINER CATANACH: Witness may be excused.

5 MR. ERNEST CARROLL: Next call Brent May.

6 BRENT MAY,

7 the witness herein, after having been first duly sworn upon
8 his oath, was examined and testified as follows:

9 DIRECT EXAMINATION

10 BY MR. ERNEST CARROLL:

11 Q. Would you please state your name and place of
12 residence for the record?

13 A. Brent May, Artesia, New Mexico.

14 Q. Mr. May, how are you employed?

15 A. I'm employed with Yates Petroleum.

16 Q. And in what capacity?

17 A. As a petroleum geologist.

18 Q. Mr. May, are you familiar with the present
19 Application being heard by this Examiner today?

20 A. Yes, I am.

21 Q. And Mr. May, have you testified before this
22 Division, Commission, before and had your credentials as a
23 petroleum geologist accepted?

24 A. Yes, I have.

25 MR. ERNEST CARROLL: Mr. Examiner, I would tender

1 Mr. May as an expert in the field of petroleum geology.

2 EXAMINER CATANACH: Mr. May is so qualified.

3 Q. (By Mr. Ernest Carroll) Now, Mr. May, this
4 particular area of Dagger Draw, North Dagger Draw, is this
5 an area that you are presently working for Yates Petroleum?

6 A. Yes, I am.

7 Q. And have worked on many -- the other wells --
8 particularly the other wells that are in this 160 proration
9 unit?

10 A. I have been involved in one way or another with
11 some of the other wells, yes.

12 Q. All right. Now, you have prepared today three
13 exhibits for the Commission; is that correct?

14 A. That's correct.

15 Q. Turning to your first exhibit, Exhibit 16, would
16 you identify that for the record?

17 A. That's a topographic map, set around Section 29
18 of 19 South, 25 East.

19 The Aspden 2 Number location is shown in red, and
20 the original standard location asked for is shown in blue.

21 This topo map was produced -- It was basically
22 digitized from four different USGS 7-1/2-minute topo
23 sheets, with Section 29 coming basically from a 1975-
24 vintage sheet.

25 I might point out, over on the very east side of

1 Section 29 there's a problem because the two of the topo
2 sheets join together there, and there's a bus between those
3 two topo sheets.

4 You might note the dashed line in the southwest
5 corner and note that they don't connect up with the
6 contours over in Section 28. That's the bus between the
7 two topo sheets. I just wanted to point that out.

8 But that does not affect the southwest quarter,
9 which is what we're talking about here today.

10 Q. Now, is this the only available topo map of the
11 area, this USGS map?

12 A. As far as I'm aware, yes.

13 Q. And what is the age of this particular map?

14 A. Like I said, this map is made up four -- came
15 from four different topo sheets, and basically from --
16 Let's see, I believe the six sections in the north part of
17 the map, that was around 1975, from the two maps. And I
18 believe the lower three sections came from even older maps.
19 So it's around 20 years.

20 Q. What is -- Apparently just to the east -- Excuse
21 me. Yes, east of the two location circles is the Seven
22 Rivers -- river, I guess, or this is part of the draw that
23 leads into a larger draw; is that correct?

24 A. Actually, the Seven Rivers drainage or floodplain
25 or arroyo, is right -- real close to those two locations.

1 You can see how close the topographic contours are, very
2 close together. That represents the draw on this topo
3 sheet.

4 Q. All right. And in fact, there's a line that --
5 topo line that runs through the Number 29, does it not?

6 A. Yes.

7 Q. And works its way down to the southwest of the
8 section. That is also part of the floodplain, is it not?

9 A. I believe it is, especially when you consider Mr.
10 Beardemphl's testimony.

11 Q. All right. Let's turn now to geologic matters
12 with respect to this particular location.

13 You have prepared two maps, have you not?

14 A. Yes, I have.

15 Q. Let's turn first to Exhibit 17. Would you
16 identify for the record what that is and then explain it to
17 the Examiner?

18 A. This is a structure map which shows the top of
19 the Canyon or Upper Penn dolomite. The contour interval is
20 50 feet. The different colors denote 100-foot contour
21 intervals.

22 The purple circle around the location shows the
23 location of the Aspden Number 2. And just to the west of
24 that, the direct offset is the Aspden Number 1.

25 Any part of this map that is not colored denotes

1 that there's no dolomite present in the area.

2 I might note that the local dip in this localized
3 area is basically to the southeast, with the Aspden Number
4 2 location being downdip of the Number 1 and also downdip
5 of the Conoco Joyce Number 1, which is in the northwest-
6 northwest of Section 32.

7 Even though the proposed location is downdip of
8 these producing wells, it still should be a good well.

9 But a standard location, which from -- 660 from
10 the south line -- would be further updip and would have a
11 thicker hydrocarbon column.

12 Basically, geologically, Yates would prefer to
13 have a standard location because of the problems we had
14 with the floodplain and the BLM denying that. We can't
15 drill that location, and this is the only one we can get.

16 Q. Mr. May, how relevant is structure to developing
17 or obtaining a producer from the Canyon dolomite?

18 A. We're getting to an area here where there hasn't
19 been much production below where some of these other wells
20 have been drilled, and I believe we're going to have
21 hydrocarbon column enough there to make a well that we are
22 adding to our risk by going downdip, because of the
23 possibility of getting below -- too far below our
24 hydrocarbon column.

25 Q. If Yates were to move east of this proposed

1 unorthodox location, would you be jeopardizing the chances
2 of Yates to obtain a producer, in your opinion?

3 A. It would add further risk.

4 Q. Do you have any other comments that you would
5 like to address to the Examiner with respect to Exhibit 17?

6 A. No, that's all.

7 Q. If you would, would you please turn to Exhibit 18
8 and for the record identify what this exhibit is?

9 A. This is a net isopach of the Canyon or Upper Penn
10 dolomite. Again, the contour interval is 50 feet, and the
11 colors denote 100-foot contour intervals.

12 Again, the purple circle denotes the Aspden 2
13 location.

14 This map shows a dolomite thick trending
15 northeast-southwest and with the proposed location on the
16 southeast flank of that thick.

17 Again, this map shows something similar to the
18 structure map, is that a standard location would be the
19 better location. We would have more dolomite at the
20 standard location than this unorthodox location, plus we
21 would be further away from the edge of the dolomite.

22 The closer and closer we get to the edge of the
23 dolomite, the more risk you have of losing the dolomite,
24 and the dolomite is the reservoir rock. The less reservoir
25 rock you have, the more risk you incur.

1 Q. Are there any other comments that you would like
2 to make with respect to Exhibit Number 18?

3 A. No, just in summary I'd just like to say that
4 Yates would have preferred to drill the best geologic
5 location on this 40, which would have been the orthodox
6 location. But because of the floodplain of the Seven
7 Rivers arroyo, the BLM will not allow us to do that and
8 given us the 330 location.

9 Q. Mr. May, if Yates is able to drill the well in
10 the proposed unorthodox location, and based upon the fact
11 that the BLM would deny a well elsewhere within -- any
12 closer to an orthodox location than this well, and based
13 upon Mr. Beardemphl's testimony, it would be -- you would
14 have to go into the next northern 40-acre block, do you
15 have an opinion as to whether or not Yates' correlative
16 rights would be hurt or hampered?

17 A. If we weren't allowed to drill a well in the 40,
18 I believe our correlative rights would be damaged.

19 Q. Do you feel -- what -- With respect to the oil
20 that might be in place there, in the southern reaches of
21 that 40 acres, do you have an opinion as to what would
22 happen to that oil?

23 A. If we weren't allowed to drill a well, the oil in
24 that 40 would not be recovered.

25 Q. Would that oil then be wasted?

1 A. Yes, sir, in my opinion.

2 MR. ERNEST CARROLL: Mr. Examiner, I would move
3 admission of Yates Exhibits 16, 17 and 18 at this time.

4 EXAMINER CATANACH: Exhibits 16 through 18 will
5 be admitted as evidence.

6 MR. ERNEST CARROLL: Mr. Catanach, I would pass
7 the witness.

8 EXAMINER CATANACH: Mr. Kellahin?

9 MR. KELLAHIN: Thank you, Mr. Examiner.

10 CROSS-EXAMINATION

11 BY MR. KELLAHIN:

12 Q. Mr. May, if you'll turn to Exhibit 17 for me,
13 within Section 29, your subsea interval, the minus-4200-
14 line information covers over the contour line that is at
15 that point.

16 If I may approach the witness, Mr. Examiner, I'd
17 like him to take my red pen and to simply connect that line
18 as he would do it, so I can see where that contour line
19 really is.

20 A. Approximately there. And I apologize for
21 covering up the contour line.

22 MR. KELLAHIN: Mr. Examiner, I show you what Mr.
23 May has done to my copy of Exhibit 17. If you desire to
24 have your copy so noted, I'll have him do it on your copy,
25 but I show you what he's done on mine.

1 Q. (By Mr. Kellahin) Mr. May, Yates is also
2 developing other well locations in the south half of
3 Section 29, are you not?

4 A. That is correct.

5 Q. You're currently drilling a well that's
6 identified as the Boyd 6 well?

7 A. That is correct.

8 Q. You're familiar with that well?

9 A. Yes, sir.

10 Q. Would you locate for me on my Exhibit Number 17
11 where Yates is currently drilling the Boyd 6 well?

12 A. It would be approximately 660 from the south line
13 and 1980 from the west line, if I remember right.

14 Q. Of that section?

15 A. Of Section 29.

16 MR. KELLAHIN: Again, Mr. Examiner, I show you
17 what Mr. May has indicated on my exhibit as the approximate
18 location of the Boyd 6 well, which he's testified to is 660
19 from the south and 1980 from the east [sic] line of Section
20 29.

21 Q. (By Mr. Kellahin) When we look at the Boyd 6
22 location that you're currently drilling, Mr. May --

23 A. Yes, sir.

24 Q. -- and looking at Exhibit 17, the structure
25 map --

1 A. Yes, sir.

2 Q. -- describe for us Yates' reason for locating and
3 attempting the Boyd 6 well at that particular place in the
4 reservoir.

5 A. It is a risky location, but we felt at this time
6 that we should go ahead and drill it, because we felt like
7 we still could hit enough pay to make a producing well.

8 Q. When you look at the structural criteria and
9 compare the Boyd 6 location structurally to any location
10 within the 40-acre tract where you propose the subject
11 Aspden Number 2 well --

12 A. Yes.

13 Q. -- is the entire 40-acre tract for the Aspden 2
14 well always favorable structurally to where you're drilling
15 the Boyd 6 well?

16 A. I believe it is.

17 Q. On your net isopach, which is Exhibit 18,
18 describe for me your method to get a net isopach. What
19 cutoff parameters are you using?

20 A. Basically, I look at the whole Canyon section,
21 and where there is dolomite I count up the feet of
22 thickness of dolomite and add it up in that section.

23 Q. Do you use any cutoff criteria within that
24 judgment?

25 A. I do not use porosity cutoffs in a pure net

1 dolomite map, no gamma-ray cutoffs, because sometimes the
2 dolomite can be hot on the gamma ray out here. But I did
3 not use any porosity cutoffs. This is a straight net
4 dolomite map.

5 Q. So there is no gamma-ray cutoff either?

6 A. No, sir, because the gamma ray, sometimes we get
7 to see, a lot of times, hot gamma rays in the dolomite.

8 Most carbonates are very clean, not very hot on
9 the gamma ray. But in Dagger Draw, in this Canyon
10 dolomite, a lot of times you can see hot or very high
11 gamma-ray readings for the dolomite.

12 So I did not use the gamma ray.

13 Q. You indicated to us that the geologic criteria
14 that you have used for locating the Aspden Number 2 well is
15 more favorable at the standard location versus this
16 proposed unorthodox location?

17 A. That's correct.

18 Q. If I may approach you, I'm going to ask you on
19 Exhibit 18 to also approximate for me on this display the
20 location of the Boyd 6 well, Mr. May.

21 A. Okay.

22 MR. KELLAHIN: Mr. Examiner, Mr. May has
23 approximated on Exhibit 18 the location on his map of the
24 Boyd 6 well in relation to this display.

25 Q. (By Mr. Kellahin) The difference in color code,

1 Mr. May, for Exhibit 18 is simply a visual reference so we
2 can see the 100-foot contour components of the isopach?

3 A. That is correct.

4 Q. Within the south half of Section 29, have all the
5 attempts that Yates has drilled in the south half of 29
6 been successful producing wells in the North Dagger Draw?

7 A. Yes.

8 Q. What is the last well you drilled in 29, prior to
9 the Boyd 6?

10 A. The Aspden Number 1, which is the --

11 Q. I'm sorry, I didn't hear you, sir.

12 A. The Aspden Number 1, which is 660 from the south
13 and west line of 29, Section 29.

14 Q. All right. And where in that sequence, then, do
15 the other three wells in the south half of 29 -- Do you
16 remember the sequence?

17 A. No, because those wells were drilled before I
18 took over this area, so I'm not sure exactly what the
19 sequence was.

20 Q. What kind of rates are you getting on the Aspden
21 1 well?

22 A. I believe the last time I checked the production
23 on that -- and it may have been for mid-March, and the
24 engineer coming up probably might correct me -- but I
25 believe it was around 220 barrels of oil per day and around

1 150 of water.

2 Q. What kind of current rates are you getting on the
3 other three wells in the half section?

4 A. I don't think I can recall that off the top of my
5 head.

6 Q. In making your analysis of where to find or of
7 where to locate Cisco wells, is there a direct relationship
8 to productivity and structure?

9 A. Yes and no. You like to be updip and higher
10 structurally, because that could possibly give you more
11 dolomite to work with. And the more dolomite, the more
12 chance you have of making a good well.

13 But there's also reservoir quality that's thrown
14 in, so that can -- even though you may be structurally
15 high, you could have problems with porosity, permeability,
16 and you may not have as good a well because of that.

17 But structure is definitely something you do want
18 to strive for.

19 Q. Is this North Dagger Draw, this portion of the
20 North Dagger Draw, one where we have a significant water
21 problem?

22 A. Yes, sir.

23 Q. Where in this area do you approximate to be the
24 oil-water contact?

25 A. This would be a pure guess, but I'm guessing

1 somewhere, from what we've seen, maybe close to the minus
2 4300, and that's a pure guess, because sometimes that oil-
3 water contact can vary from well to well. It's very
4 fickle.

5 Q. At the unorthodox location, does that increase
6 the risk of potential increased water production over the
7 standard location?

8 A. Not necessarily, because it's -- if you perforate
9 high enough and stay out of the -- what we loosely term the
10 big water, then you may not increase your water production.

11 But what it does, if you go lower down and have
12 less dolomite, you may have less productive reservoir above
13 that oil-water contact to work with. So even though you
14 may not increase your water production, you may not have as
15 much effective hydrocarbon column.

16 Q. Approximately where are you in a subsea depth
17 with the Boyd 6 well in a structural -- on the structure
18 map?

19 A. According to my map, pretty close to minus 4250.

20 Q. When we look at the thickness map, the dolomite
21 thickness map, Exhibit 18, is there a relationship in
22 productivity and thickness?

23 A. It's the same thing. The more dolomite you have
24 that may be above that oil-water contact, then the more
25 potential hydrocarbon column you could have.

1 Q. When we're looking at other possible locations,
2 other than the one the BLM has approved, the 330-660
3 location, are there other locations within the 40-acre
4 tract that are better for you geologically?

5 A. Besides the -- I'm sorry, the 330?

6 Q. Yes, sir.

7 A. The standard location and anything north.
8 Basically anything to the north and west, geologically,
9 would be better than the 330 location.

10 Q. In addition, geologically you could move to the
11 east and north and meet the same criteria that you're to
12 attain at this proposed unorthodox location?

13 A. Depending on how far you moved each direction,
14 but that's possible.

15 Q. So the entire case is driven by a topographical
16 problem, as opposed to a geologic reason?

17 A. That is correct.

18 MR. KELLAHIN: No further examination, Mr.
19 Examiner.

20 EXAMINER CATANACH: Just a couple, Mr. May.

21 EXAMINATION

22 BY EXAMINER CATANACH:

23 Q. Can you approximate for me how much structural
24 position is being lost, moving to this proposed location
25 from a standard one?

1 A. From the standard, it would be -- Oh,
2 approximately maybe 20 to 30 feet.

3 Q. Can you do the same for me in terms of the
4 dolomite thickness?

5 A. It would be maybe around 30 feet, based off these
6 maps.

7 Q. Mr. May, is the proposed location -- is it a safe
8 location to drill, or is it risky, in your opinion?

9 A. Geologically?

10 Q. Yeah.

11 A. I feel that we're going to make a well there, but
12 there is added risk from the standard location, just
13 because we are losing structure, we are losing dolomite
14 thickness, and we are moving closer to the zero line on the
15 dolomite.

16 Another thing I might add, that the closer you
17 get to the zero line of the dolomite, the edge of the
18 dolomite is very hard to predict and can be very erratic.
19 We've seen -- I've seen the Canyon dolomite in some areas
20 within a mile go from over 500 feet of dolomite to less
21 than 20.

22 Q. Is the proposed location not risky enough to
23 propose, say, directional drilling?

24 A. That I don't know, because I wouldn't know what
25 the additional cost for the directional drilling would be,

1 so I couldn't answer that question.

2 EXAMINER CATANACH: Okay, I have no further
3 questions.

4 MR. ERNEST CARROLL: I have no other questions.

5 We next call Bob Fant to the stand.

6 ROBERT S. FANT,

7 the witness herein, after having been first duly sworn upon
8 his oath, was examined and testified as follows:

9 DIRECT EXAMINATION

10 BY MR. CARROLL:

11 Q. Would you please state your name and place of
12 residence?

13 A. My name is Robert Fant. I live in Artesia, New
14 Mexico.

15 Q. By whom are you employed?

16 A. Yates Petroleum.

17 Q. What capacity, sir?

18 A. I am a petroleum engineer.

19 Q. Mr. Fant, are you familiar with the present
20 Application of Yates Petroleum that is being heard by this
21 Examiner?

22 A. Yes, sir, I am.

23 Q. Mr. Fant, have you also testified before this
24 Division and had your credentials as a petroleum engineer
25 accepted?

1 A. Yes, sir, I have.

2 MR. ERNEST CARROLL: Mr. Catanach, I would tender
3 Mr. Fant as an expert in the field of petroleum
4 engineering.

5 EXAMINER CATANACH: Mr. Fant is so qualified.

6 Q. (By Mr. Ernest Carroll) Mr. Fant, you have
7 prepared certain exhibits for presentation today, have you
8 not?

9 A. Yes, sir, I have.

10 Q. Let's turn to your first exhibit, Exhibit 19.
11 Would you describe for the record what that exhibit is and
12 then, if you would, explain its significance to this case?

13 A. Exhibit 19 is a drawing of Section 29, showing
14 with a box around the southwest quarter section which
15 represents the 160-acre proration unit in the southwest
16 quarter.

17 There are three solid dots in the southwest
18 quarter. They represent the currently drilled and
19 producing wells in this proration unit.

20 There are four small gray squares within this,
21 and these gray squares represent, according to the rules of
22 the North Dagger Draw Pool, where an orthodox well can be
23 located within this proration unit.

24 The proration unit is further subdivided by some
25 dashed lines showing the 40-acre tracts.

1 I'd like to just briefly go through some of the
2 engineering problems with -- and reasons of why the
3 locations need to be where they are.

4 I have -- When you concentrate on the southeast
5 quarter of the southwest quarter, near the proposed
6 location, you see two small circles, open circles. Those
7 were the two orthodox locations that we applied for -- that
8 we talked to the BLM about, as testified by Mr. Beardemphl.

9 Q. And in fact, Mr. Fant, the southernmost one was
10 represented by the blue dot on his Exhibit 3, and the north
11 one was the green dot on his Exhibit 3; is that correct?

12 A. I believe that to be correct, yes.

13 Q. All right.

14 A. Those two were denied. That's -- Those are the
15 orthodox locations.

16 We -- As testified by Mr. Beardemphl, we didn't
17 have the option, especially in the orthodox section, of
18 moving to the east or the west within -- because of the
19 drainage, so I didn't put those on here.

20 There -- To the north of these, there --

21 Q. Excuse me, Mr. Fant, just so the record is clear,
22 the drainage that you're speaking about is the floodplain
23 drainage; it's not drainage of oil or anything to that --

24 A. Absolutely, yes --

25 Q. All right.

1 A. -- the surface floodplain drainage.

2 As you move further to the north and cross the
3 quarter-quarter section boundary, there is a dashed circle.
4 It has a dimension marker off to the right of 1400 feet.

5 When I prepared this particular exhibit, we
6 looked at that as being the minimum distance you had to
7 move to get out of the surface drainage.

8 You move further north -- We would have to move
9 approximately 150 feet north of that, at least, to get --
10 150 to 200 feet, as testified by Mr. Beardemphl -- to get
11 an actual well location.

12 That would put that well within -- You know, if
13 it were on the line, it would be 660 feet. As we continue
14 to move north, you're under 500 feet from that existing
15 well. I mean, these two wells would be -- To put it there
16 would be putting two wells in a 40-acre tract and would
17 be -- would constitute waste; they would just compete with
18 each other.

19 So from an engineering standpoint, we really had
20 no choice, but -- of the location we were given to move
21 south. It's the only location we were given within the 40-
22 acre tract.

23 The location we picked -- the 330 from the south,
24 1980 from the west -- represents the least amount of
25 deviation from the orthodox location. Any movement to the

1 east, and that particular location gets further away from
2 the orthodox location, it gets more unorthodox, it gets
3 worse. And so we chose that as the minimum amount of
4 movement.

5 That's basically what I have there. That was the
6 -- From an engineering standpoint, if we move to the north,
7 we have to go all the way to another pro- -- another -- not
8 proration unit, but tract, 40-acre tract. And so this was
9 really our only option.

10 Q. All right. Now, Mr. Fant, there was some
11 confusion earlier last week. This well is not drilling, is
12 it?

13 A. No, sir, this well is not drilling.

14 Q. There is a well, though, in the next 40-acre
15 tract that is drilling, and that was the well that Mr.
16 Kellahin spoke of when he was visiting with Mr. May a
17 moment ago; is that correct?

18 A. Absolutely, that's correct.

19 Q. All right. That's all you have to deal with this
20 Exhibit 19; is that correct?

21 A. That's correct.

22 Q. If you would then turn to Exhibit 20 and if you
23 would identify it for the record and then describe its
24 significance to this case.

25 A. For the record, Exhibit Number 20 is some

1 calculation formulas that have been used to calculate
2 penalties in the past. We do understand that from time to
3 time, in order to balance equities, the OCD has assigned
4 penalties to wells, and I wanted to go in and address those
5 right here.

6 There are -- The first four equations on this
7 sheet are part of what, in our -- at Yates Petroleum, has
8 been termed a three-factor penalty, dealing in distances
9 from the lines, plus an area factor. And I have some
10 visual representations that show the area factor better,
11 later.

12 But the east-west fact- -- The first line is
13 just, how far are you moving towards the edge of the
14 proration unit?

15 North-south factor is the same thing. They both
16 work the same way. The -- You know, those factors are
17 simply calculated.

18 The area factor is significantly more
19 complicated, but this is the particular equation used for
20 it.

21 To determine the penalty in the past at times,
22 they've used just simply the average of those three
23 numbers. Whatever those penalties worked out to, average
24 the three, that's the number.

25 I have submitted also what I call a drainage area

1 penalty, which illustrates -- which is -- illustrates a
2 penalty based upon an encroachment of drainage area. And,
3 you know, that's basically -- These are simply the formulas
4 I used to determine those factors.

5 Q. With respect to that last formula, you have two
6 exhibits which depict how that actually works, and those
7 are 21 and 22, are they not?

8 A. Yes, sir, they are.

9 Q. Why don't you explain those before we then go
10 into your actual calculation of the penalty factor?

11 A. Exhibit Number 21 is a plat of Sections 29 and
12 32. You have the location of -- the proposed location of
13 the well, 330 from the south line, 1980 from the west line.

14 There are two large circles on that, on this
15 plat. The northernmost circle is a 160-acre circle placed
16 around the nearest orthodox location, or in this particular
17 case, 660 from the south line, 1980 from the west line.

18 The southern large circle is a 160-acre drainage
19 circle, or a 160-acre circle, surrounding the proposed
20 location.

21 I have grayed in the additional area south in the
22 southern circle that -- the area that is beyond the
23 original circle, or the northern circle.

24 Now, the -- Looking back to Exhibit 20, what I
25 call the area factor is simply the total gray area divided

1 by 160 acres. That's how that particular -- That's what
2 that formula visually represents. That's the encroachment
3 of that total drainage area down.

4 The drainage area penalty, which is the second
5 penalty I discussed, simply represents -- If you'll notice,
6 there are two shades of gray in these particular exhibits.

7 The portion of the grayed-in area below Section
8 29 is what is represented by the drainage area penalty, and
9 that's simply the encroachment on the other person's
10 acreage. That -- You know, encroachment on our acreage
11 should not be considered encroachment, we don't feel.

12 And Exhibit 21 represents 160-acre drainage
13 circles.

14 Exhibit 22 is exactly the same type of plat,
15 except it's for -- if someone were to argue for 40-acre
16 drainage circles, because essentially -- I mean, the
17 proration in Dagger Draw is 160 acres. They're being
18 developed on 40s right now. And I'll discuss which one of
19 these we should use in just a moment.

20 But these are just visual representations of
21 those two formulas, those formulas -- It's tough to get a
22 feel for how those formulas work just by looking at them.

23 Q. All right. Now, Mr. Fant, you have actually
24 calculated, then, what the penalty factors would be, based
25 upon these equations that you've just described?

1 A. Yes, sir, I have.

2 Q. And those are -- the results of those
3 calculations are shown on Exhibit 23, are they not?

4 A. Yes, sir, they are.

5 Q. If you would, then, why don't you explain, then,
6 the results that you achieve, then?

7 A. Okay. I did the calculations both for 160-acre
8 proration, and for -- if someone were to argue 40-acre
9 proration. And again, I'll discuss which one we should
10 choose in a minute.

11 But for the calculation of the east-west factor,
12 the well has not moved to the east or the west, so that
13 factor is zero. There should be no penalty assessed based
14 on those.

15 North-south factor, it's 50-percent closer to the
16 line than the rules allow, and therefore that factor is 50
17 percent.

18 The area factors calculate for 160-acre
19 proration. The area factors are 14 and 28 percent.
20 Basically, it doubles as you move to the other one.

21 When you average those out and obtain the three-
22 factor penalty for 160-acre proration, you're looking at 21
23 percent; for 40-acre proration you're looking at 26 percent
24 on the average.

25 Now, moving to the drainage-area penalty, when

1 you're looking at the 160-acre drainage areas or the 160-
2 acre proration, drainage area penalty calculates out to 13
3 percent.

4 The 40-acre proration, that would calculate out
5 to 20 percent.

6 Now, as to which one to choose, you know, we
7 believe it should be based upon the 160-acre proration,
8 because that is the proration of this -- of these
9 particular wells.

10 Furthermore, if one were to argue for 40-acre
11 proration -- You know, first of all, we are on 160s. But
12 if they were to argue for 40-acre proration, under 40-acre
13 proration, this is not an unorthodox location. 40-acre
14 proration provides for 330 from the line, and we wouldn't
15 even be here. We would not be, you know, taking up the
16 time of this group.

17 Q. As I understand it, then, Mr. Fant, that the --
18 one of the principal reasons that you disagree with using
19 the 40-acre calculation is that -- is, if we look at the
20 standard fieldwide rules that are presently enforced in New
21 Mexico, if we were just considering the 40-acre proration
22 unit, this well would not be an unorthodox location?

23 A. That's absolutely true. I believe that's Rule
24 104-C.

25 Q. All right. Now, then, just so that the record is

1 abundantly clear, do you have an opinion as to what would
2 be the appropriate penalty factor that should be used in
3 this particular case, should the Commission choose to
4 impose one?

5 A. I believe that the encroachment that is occurring
6 here would only be calculable in the drainage area
7 situation, and that would be the 13-percent penalty. I
8 believe that's what is applicable in this case.

9 The problem comes in determining against what.

10 Q. Okay. Now, that's -- This particular field, this
11 North Dagger Draw field, does present kind of a unique
12 situation, because the field rules allow for 160-acre
13 proration and allow four wells to be drilled within that;
14 is that correct?

15 A. That is correct. This is the fourth well on this
16 proration unit.

17 Q. All right. Now, there has -- The Commission has
18 been faced with this situation before, in your experience;
19 is that not true?

20 A. They have been faced with situations in Dagger
21 Draw where they have been asked to assess penalties on
22 wells in the Dagger Draw reservoir, yes, sir.

23 Q. Okay. And they have been -- The Division at that
24 time had to take into account this problem of having four
25 wells within a proration unit?

1 A. Well, I'm not sure that they had the problem with
2 the four wells, but they did have the problem of what to
3 assess it against.

4 Q. Okay.

5 A. You know, we have a unique situation here.
6 Assessing a penalty against a proration unit might penalize
7 the existing orthodox wells.

8 Q. All right. And that case involved the same
9 parties as this case involves --

10 A. Yes.

11 Q. -- Conoco and Yates?

12 A. Yeah, the particular case I'm dealing -- I'm
13 talking about is Case 10,519. We call it the Diamond case,
14 because the well was the Diamond Number 1.

15 Q. In that particular case, Yates was again the
16 proponent of an unorthodox location; is that not true?

17 A. Yes, we were asking for an unorthodox location.
18 The opponent was Conoco.

19 The decision -- The request and the decision of
20 the Commission was that any penalty assessed was assessed
21 against the initial potential of the well. And to -- in
22 order to be fair to the well -- and I believe that's the
23 case -- that what would need to be done in this case to
24 avoid penalizing existing wells that are orthodox, that if
25 there were a penalty, it would be assessed against the

1 initial potential of the well and -- you know, as witnessed
2 by the State.

3 Q. As I understand your testimony, then, that
4 procedure of assessing whatever penalty is chosen,
5 assessing against the initial potential of just the
6 offending well --

7 A. Yes, sir.

8 Q. -- the unorthodox well, that was what was
9 suggested by Conoco at this hearing that you have just
10 described for us?

11 A. Yes, sir, that is --

12 Q. And that was -- Excuse me, I didn't mean to cut
13 you off.

14 A. Oh, no, that's -- You know, I just answered it.

15 Q. And that was what position was adopted by the
16 Division?

17 A. Yes, sir, that was the position.

18 Q. In your opinion, then, do you feel that that is
19 the appropriate way to handle this situation?

20 A. If a penalty is assessed that would be the
21 appropriate method of assessing it.

22 Q. To make the record abundantly clear, Yates is not
23 asking for a penalty, are they?

24 A. No, sir, we are not asking for a penalty.

25 Q. And why do you feel that the Commission should at

1 least consider not invoking a penalty in this case?

2 A. Primarily, we are -- we are being forced into
3 this by the Bureau of Land Management. This is not our
4 choice, to move to this location. It is being forced upon
5 us.

6 Secondly, as it is being forced upon us, it does
7 increase our risk.

8 And thirdly, you now, basically it is being
9 developed on 40-acre tracts. I mean, the -- The field is
10 being developed on 40-acre tracts. And under 40-acre
11 spacing, this would not be an unorthodox location.

12 Q. Now, Mr. Fant, do you have any other comments
13 that you would like to make with respect to your Exhibits
14 19 through 23?

15 A. Well, I do have one just small comment on 19 that
16 I forgot to mention, and I apologize.

17 When drilling a well, there is a small amount of
18 deviation that naturally occurs. We cannot drill a
19 perfectly straight well.

20 And although this is not a deviated hole, there's
21 -- You know, within the rules prescribed by the OCD and
22 also overseen by the BLM in certain instances, we monitor
23 the deviation of wells.

24 The bit naturally has a tendency to walk in a
25 specific direction. What I mean "walk", deviate in a

1 certain direction.

2 What little deviation would occur in this well by
3 natural forces, would occur upstructure, up the structure
4 of the regional structure. And the regional structure dips
5 to the southeast in this area, so the bit would naturally
6 walk to the northwest, back towards our location.

7 Q. Our orthodox location?

8 A. Back towards the orthodox location, back towards
9 our acreage, away from the offset acreage in this
10 particular instance. That's simply a fact of drilling.

11 Q. Anything else that you'd like to share?

12 A. No, sir.

13 MR. ERNEST CARROLL: Mr. Examiner, I would move
14 admission at this time of Exhibits 19 through 23.

15 EXAMINER CATANACH: Exhibits 19 through 23 will
16 be admitted as evidence.

17 MR. ERNEST CARROLL: And I would pass the
18 witness.

19 CROSS-EXAMINATION

20 BY MR. KELLAHIN:

21 Q. Mr. Fant, if the wellbore is going to drift
22 naturally to the north or northwest, have you examined what
23 the practicality is of going ahead and intentionally
24 deviating this wellbore so that it's at a standard
25 bottomhole location in the Cisco formation?

1 A. We looked at the practicalities of it. There are
2 two components to that.

3 One is the consideration of the ability to drill
4 and the additional costs associated with drilling it. 25-
5 to 50-percent increase in deviation -- You can't put a
6 specific number on it, simply because it's not -- it's --
7 there are problems that you could get into when deviating a
8 well. Your -- The variables go up greatly.

9 The second component is operating costs.
10 Initially, these wells start off on submersible pump, and
11 honestly, that's not a problem with deviation. But as they
12 deplete, that is moved from submersible pump to an
13 artificial lift method of rod-pumping.

14 Rod-pumping in deviated wells is approximately
15 double the cost, and so we would have waste occurring. We
16 looked at that, and it was not justifiable from the expense
17 standpoint.

18 Q. As a petroleum engineer, when you look at cost
19 components, you are comparing them by looking at
20 hydrocarbon recovery volumes, are you not, sir?

21 A. They must be compared against that, yes, sir.

22 Q. And what is your assessment of the oil in place
23 that is to be produced by the encroaching well?

24 A. The oil in place at Dagger Draw, I am not going
25 to make a guesstimate of that. Nobody has been able to

1 nail oil in place in Dagger Draw, to my knowledge.

2 Q. All right. You, sir, have not attempted to do
3 oil-in-place for the southwest quarter of the section?

4 A. Not oil-in-place calculations, no, sir.

5 Q. All right.

6 A. We do not have the tools to do that.

7 Q. Last time I saw you, Mr. Fant, you were making a
8 reservoir-simulation presentation to the Commission.

9 Have you attempted to simulate this portion of
10 the reservoir to see how these wells would perform and how
11 you could hypothecate a well at an unorthodox location and
12 what it would do in terms of competition with the offset?

13 A. No, sir, I haven't, for the primary reason that
14 there is not enough information, geologically speaking,
15 about Dagger Draw.

16 There's a wealth of information, but to
17 understand how the reservoir produces oil, water and gas,
18 nobody has specifically been able to nail that down as of
19 yet.

20 And to go in and -- The specific reservoir
21 simulation you're speaking of, it was a gas-reservoir
22 simulation, which is an order-of-magnitude simpler project,
23 simply because the analysis of gas wells is -- you can
24 engineer that. It's much, much simpler. The formulas are
25 better described than are the formulas dealing with oil

1 reservoirs. They're much more complicated.

2 And we don't have enough data to be getting down
3 in Dagger Draw and speaking about the competition between
4 two wells at this point. We may be able to in the future,
5 but not right now.

6 Q. Your oil allowable in North Dagger Draw -- In
7 fact, this is a North Dagger Draw well, is it not?

8 A. Yes, sir, it is.

9 Q. Your oil allowable is based upon 160-acre
10 spacing, and you get 700 barrels of oil a day for this
11 spacing unit?

12 A. Yes, sir, that is correct.

13 Q. And that spacing-unit allowable is shared among
14 the producing wells in that spacing unit at the discretion
15 of the operator?

16 A. It is shared amongst them, yes.

17 Q. All right. Your suggestion that if the Examiner
18 adopts a penalty, it would be a well-specific penalty, and
19 that if he does adopt it, it be established against the
20 initial potential of the encroaching well -- Do I
21 understand that correctly?

22 A. Yes, I believe that's correct.

23 Q. What do you anticipate to be the initial
24 potential of the Aspden Number 2 well?

25 A. Our estimates are around 500 to 800 barrels of

1 oil per day for the initial potential.

2 Q. What was the initial potential on the Aspden
3 Number 1 well in the southwest-southwest of the section?

4 A. I'm not specifically -- I do not have that
5 particular information in front of me, sir.

6 Q. What was the current rate on that well?

7 A. That well -- I have checked it, as of April 4th,
8 a little bit more updated well, it was producing 175
9 barrels of oil per day.

10 Q. On the Boyd 2, which is in the northwest-
11 southwest of the section, that's another well in the
12 spacing unit?

13 A. Yes, sir.

14 Q. What's the initial potential, or was the initial
15 potential on the Boyd 2 well?

16 A. I do not have that particular information.

17 Q. What is its current rate of production?

18 A. If I may be allowed to look at a particular -- a
19 production report, I can give you that number. I do not
20 have that one on the top of my head.

21 Q. All right, sir, if you'll look it up for me.

22 A. You want the Boyd -- What number?

23 Q. We're looking at the Boyd 2 at this point.

24 A. Okay. The Boyd 2, 208.

25 Q. 208. And what's the date of that information?

1 A. This is also the -- Oh, excuse me, let me get out
2 to April 4th. 201.

3 Q. 201, and that's a daily rate on April 4th?

4 A. That was the April 4th rate, yes, sir, two
5 hundred and --

6 Q. That's not a daily average of a monthly total?

7 A. No, that was the rate on Tuesday, April 4th.

8 Q. All right. On the Boyd 4, then, which is the
9 other well in the spacing unit, what's its rate on April
10 4th?

11 A. 112.

12 Q. Do you have an initial potential on the Boyd 4?

13 A. No, sir.

14 Q. Do you have a tabulation there in front of you of
15 all the production from those three wells for the life of
16 those wells?

17 A. No, sir, I do not.

18 Q. What were you looking at?

19 A. This is a report for -- just simply a production
20 report from our office for the week of -- from Wednesday,
21 March 29th, through Tuesday, April 4th.

22 Q. Has Yates filed the C-115 operator reports for
23 each of these three wells with the Division through the
24 last reporting period required?

25 A. I would -- That is not my -- within the bounds of

1 my responsibility, so I can't attest to that directly.

2 Q. Would you be able -- Is it within your job
3 description and would you be able to produce to the
4 Examiner individual production plots for each of these
5 three wells showing water and oil production?

6 A. If the Examiner so desired, I could.

7 MR. KELLAHIN: We make that request of the
8 witness and of the Applicant, Mr. Examiner, that that
9 information be provided and made a part of the record.

10 EXAMINER CATANACH: From what period of time, Mr.
11 Kellahin?

12 MR. KELLAHIN: From inception of production of
13 all three wells to the current date, tabulated on a daily
14 or a monthly basis.

15 MR. ERNEST CARROLL: What's the purpose? I don't
16 know that we have an objection, but I'm wondering what
17 relevance that this would have. What significance should
18 the Examiner attest to it when we do furnish it?

19 MR. KELLAHIN: Mr. Examiner, the relevance is
20 obvious. You have 160-acre spacing, and you have the
21 challenge of trying to figure out a penalty for an
22 encroaching well in a spacing unit where there exist three
23 current producing wells.

24 And I think it's essential, if you're going to
25 try to undertake that task, to understand how much of the

1 700-barrels-a-day allowable has historically been used by
2 this well -- wells -- and how much is available for any
3 offending well.

4 EXAMINER CATANACH: I think it's appropriate, Mr.
5 Carroll.

6 MR. ERNEST CARROLL: Mr. Examiner, we will
7 furnish that within a very short time, but I want -- I
8 would on the record object to the use of it as Mr. Kellahin
9 has indicated, because -- and we find -- we would point out
10 to the Examiner that the amount of production from these
11 wells is irrelevant to the issue of penalty with respect to
12 the offending well, because the other three wells are
13 orthodox, and I'd just like that noted in the record.

14 EXAMINER CATANACH: Okay.

15 MR. ERNEST CARROLL: Mr. Fant, how long will it
16 take you to -- So that the Examiner will know when to
17 expect that, how long will it take you?

18 THE WITNESS: This is Friday. You know, at best
19 I can prepare them Monday and mail them. I assume that's
20 what we should do. I mean, I can have them prepared, you
21 know, no later than Tuesday.

22 MR. ERNEST CARROLL: Mr. Examiner, then we will
23 represent to you that Mr. Fant will furnish these items to
24 me by Tuesday of next week, and I will mail copies both to
25 you and Mr. Kellahin.

1 EXAMINER CATANACH: Thank you, Mr. Carroll.

2 Q. (By Mr. Kellahin) Mr. Fant, if I remember your
3 conversations with Mr. Carroll, one of the topics you
4 discussed is the proximity of wells one to another within
5 Dagger Draw. And at one point you were referencing the
6 fact that wells can in fact be drilled too close together
7 in this pool. Is that a correct understanding of what you
8 told us?

9 A. I believe that that could possibly be the case.

10 Q. All right. Have you made a reservoir-engineering
11 study to determine if any interference is currently
12 existing among any of the three wells that you currently
13 operate in the southwest quarter of the section?

14 A. This is Section 29. As a matter of fact, sir,
15 yes, I have examined these particular wells for
16 interference between them.

17 Q. All right. Have you made a study in the North
18 Dagger Draw to see whether or not wells on standard 40-acre
19 locations within a 160-acre spacing unit in fact are
20 showing interference among each other?

21 A. I have made that study, yes. I've made that
22 study in this -- in a small area surrounding these
23 particular wells.

24 Q. How close would we have to locate the Aspden
25 Number 2 well to the Boyd 4 well to the north, before the

1 Aspden Number 2 well would interfere with the Boyd 4?

2 A. The data does not provide for that analysis of
3 how close you can get. The data simply says at this point
4 that the 40s, at this point, in this small area, the wells
5 drilled on 40 are not interfering with each other. It does
6 not -- You cannot extrapolate from that how close you can
7 go.

8 Q. Could that be attributable to the vintage of
9 these wells, insofar as they have not produced sufficient
10 oil production from this portion of the reservoir to show a
11 signature of interference, even though that interference
12 may already be occurring?

13 A. That is a conceivability. However, based upon
14 the withdrawal rates seen in these wells, if interference
15 is going to occur it should occur fairly quickly, and these
16 wells do not show interference at this time.

17 Q. Are you suggesting to the Examiner that one
18 solution would be to carve out a nonstandard 40-acre
19 spacing unit for the encroaching well?

20 A. Absolutely not, sir. I'm not saying that at all.

21 Q. So you're advocating a penalty using a 160-acre
22 acreage factor in the calculation?

23 A. I am, yes.

24 Q. And without regard to what the other three
25 current wells are producing or are capable of producing?

1 A. The other wells do not really enter into this
2 particular well. They are at standard proration locations.

3 Q. And your precedent that you're working with is
4 what you and I know as that Diamond case?

5 A. Absolutely, yes, sir.

6 Q. All right. In your research, did you find any
7 other example of a penalty that you have used in your work?

8 A. Not where we were on the receiving end, no, sir.

9 Q. All right. The example you had was from Case
10 10,519, was it, sir?

11 A. Yes, sir.

12 MR. KELLAHIN: Mr. Examiner, I show you a copy of
13 Order R-9731, taken from Case 10,519, and let me hand
14 copies to the participants.

15 Q. (By Mr. Kellahin) The example that you've used
16 as your precedent, Mr. Fant, is for the South Dagger Draw,
17 is it not?

18 A. Yes, sir, it's a different pool from a legal
19 standpoint, however from a reservoir standpoint it is the
20 same pool.

21 Q. From a practical standpoint, there were
22 significant differences in the Diamond case as to our
23 current example, are there not, Mr. Fant?

24 A. Oh, yes.

25 Q. All right. In the South Dagger Draw Diamond

1 example, you were dealing with a single well in a 320-acre
2 spacing unit wherein there existed no prior well; is that
3 not true?

4 A. That's correct.

5 Q. And the Diamond-well case was based upon the
6 assumption by all the technical witnesses that that was to
7 be a gas well in that pool; is that not true?

8 A. That's true.

9 Q. When you look at the penalty factor you're
10 proposing, am I correct in understanding that you're
11 suggesting that the well can move 50 percent too close to
12 the southern boundary, and yet be subject to only a 13-
13 percent penalty?

14 A. Yes, sir.

15 Q. In your penalty, you have factored in an east-
16 west dimension, have you not?

17 A. That has been the historical -- one of the
18 historical precedents, yes, sir.

19 Q. Examiner Catanach, when he entered the order in
20 the Diamond case, used both a north-south dimension and an
21 east-west dimension, did he not?

22 A. If you quote it in there as being, then that
23 would be the case, yes.

24 Q. Yes, sir. If you'll turn to page 3, if you'll
25 look at order -- Finding Paragraph 17, you will see that

1 the Yates well in the north-south dimension --

2 A. Uh-huh.

3 Q. -- the standard location being 660 and it was
4 360 --

5 A. Uh-huh.

6 Q. -- so we put that into the formula?

7 A. Yes, sir.

8 Q. And the east-west dimension was also unorthodox,
9 was it not?

10 A. In this particular case, yes, sir, it was.

11 Q. And that is not true in the current case before
12 him, is it?

13 A. No, sir.

14 Q. And the effect of adding the east-west dimension
15 as an additional factor simply dilutes the penalty, doesn't
16 it?

17 A. No, sir, that's how we calculate the penalties.
18 I don't do that to dilute the penalties. That's how we
19 calculate the penalties, and therefore -- that's how
20 they're done. I mean, I just took the way the rules were
21 done before and applied them.

22 Q. What has been your experience in the relationship
23 between the initial potential of an oil well in North
24 Dagger Draw and its subsequent producing ability?

25 A. They decline.

1 Q. Dramatically so, do they not, sir?

2 A. Some wells do, some wells do not. But yes, it
3 depends on the lift equipment in place in the well and
4 whether or not the well flows. It depends on how the
5 particular well is produced. But they do decline, yes,
6 sir.

7 Q. Are you currently pumping all three existing
8 wells in the spacing unit?

9 A. Yes, sir, we are -- we are using artificial lift.

10 Q. As opposed to rod and pump, are these submersible
11 pumps?

12 A. I cannot specifically -- If I were to look in
13 here I might be able to tell you whether or not they are on
14 submersible pump or whether or not they are on rod pump,
15 but I cannot off the top of my head say. I don't deal in
16 the operations directly to deal with that.

17 Q. Do you know whether those wells are being
18 produced at their capacity?

19 A. I would have to say yes, they are, since we are
20 not producing the allowable.

21 MR. KELLAHIN: No further questions, Mr.
22 Examiner. Thank you.

23 EXAMINATION

24 BY EXAMINER CATANACH:

25 Q. Mr. Fant, are you able to estimate the drift that

1 this well might encounter in this formation?

2 A. It's very -- I would put it that the natural
3 tendency is, if you have a one-degree deviation going down
4 on the well, that most of that at the time is spent in what
5 we call the corkscrew effect. It's actually circling about
6 itself.

7 I estimate it to be less than, you know, 20 to 30
8 feet, in speaking with our drilling people, that if we ran
9 a continuous gyro, that it would be quite -- it would not
10 be small, but it would be -- it should be to the north and
11 west. So...

12 Q. So it's probably insignificant for purposes of
13 this --

14 A. Yes, sir, that is a fair statement.

15 Q. Okay. I just wanted to go over the production
16 figures again.

17 The Aspden Number 1, did you say the current rate
18 was 180 barrels a day?

19 A. The Aspden --

20 Q. Aspden 1.

21 A. I'm sorry, I misspoke myself earlier. I pulled,
22 again, early in the week.

23 On the 4th of April, the Aspden Number 1 was 161
24 barrels of oil.

25 Q. And the Boyd 2 was -- ?

1 A. -- was 201.

2 Q. Okay. The Boyd 4 was 212?

3 A. Let me see. Boyd 4 was 112.

4 Q. 112.

5 A. Just want to make sure my numbers agree. Yes.

6 Q. Mr. Fant, what determines in this pool how
7 dramatically a well -- how dramatically the production
8 decreases from IP?

9 A. It's controlled by reservoir quality. If you --
10 You know, the thickness of the column, the permeability,
11 porosity, yeah, that's basically incorporated in reservoir
12 quality, and specifically the lift equipment.

13 But it's driven by -- simply by the reservoir.
14 Whatever the reservoir can deliver, it's going to decline
15 from there. If you put a well on at the maximum possible
16 rate that the well is producing, it will -- it, by
17 definition, must go on decline. I mean, that's just
18 physics. And --

19 Q. Is it then conceivable that if you apply a
20 penalty to the IP, that assuming that you have a dramatic
21 decrease in production from the well, that the penalty
22 would be diluted?

23 A. That possibly could happen, yes, sir.

24 Q. Even on a natural decline over time, the penalty
25 would be diluted if you apply the penalty to the IP; is

1 that correct?

2 A. Yes, sir.

3 Q. The -- I just wanted to ask you about -- The area
4 factor that you've shown in your calculations is what?

5 A. You're talking in the three-factor penalty?

6 Q. The three-factor penalty, the area factor.

7 A. Okay, that is the -- when you look at the -- If
8 you look at Exhibit 1, as you move the circle south -- If
9 you had two circles sitting right on top of each other, the
10 lines would be perfectly concentric, and they would lie on
11 top of each other.

12 As you move the area south, as you move that one
13 circle south, 330 feet, there's a portion of the southern
14 circle that lies outside of the 160-acre circle at an
15 orthodox location, and that's, as I understand it, the
16 encroachment. That's the amount of area that is encroached
17 upon southward, and that is the total gray area on this
18 particular plat.

19 And if you take the area of that total gray area
20 and divide it by the total area of the circle, that's the
21 percentage of that that has encroached south, over an
22 orthodox location.

23 Q. So basically that's the drainage-area
24 encroachment?

25 A. Yes, yes. When I specifically calculate the

1 drainage-area penalty, I specifically look at the amount of
2 encroachment that occurs south of the section line, and
3 that would be the light-shaded area, as its ratio to the
4 whole 160-acre circle, and that drops that down just a
5 little bit.

6 As you can see, the area-factor penalty is 14
7 percent on 160 acres and 13 percent on -- when you're
8 dealing with the drainage-area penalty, specifically
9 looking at that.

10 But that's what we're looking at here, is
11 drainage. That's the only thing that can specifically deal
12 with it, is the drainage area, in my opinion.

13 Q. Mr. Fant, this well will not drain 160 acres; is
14 that correct?

15 A. I do not believe so, sir, and I think there has
16 been testimony in previous cases that were entered for
17 allowing for the drilling of the extra wells on the
18 proration unit that would support that.

19 Q. Would it be more appropriate, then, to utilize
20 the 40-acre drainage penalty?

21 A. Again, I feel that if we went to the 40-acre
22 drainage penalty, we would be talking -- we would
23 essentially, *de facto*, be talking about 40-acre proration,
24 in which case there should be -- If that's what we were
25 talking about, this should not have any penalty, simply

1 because it would be orthodox under those situations.

2 That's the dilemma that I've been faced with, and
3 I don't feel that that would be fair either.

4 EXAMINER CATANACH: I have nothing further, Mr.
5 Carroll.

6 MR. ERNEST CARROLL: I have just a couple of
7 questions, Mr. Catanach.

8 REDIRECT EXAMINATION

9 BY MR. ERNEST CARROLL:

10 Q. First of all, Mr. Fant -- and I apologize, these
11 were -- looking over my notes.

12 Let me ask you, in your opinion, would the
13 approval of this proposed unorthodox location afford Yates
14 the opportunity to produce the oil and gas that underlies
15 its acreage in the southwest quarter of Section 29?

16 A. Yes, sir, it would afford us to do that.

17 Q. In your opinion, would the approval of this
18 Application be in the interests of preventing waste and
19 promote the correlative rights of Yates Petroleum?

20 A. Yes, sir, it would.

21 Q. Now, my last question deals with -- and I direct
22 your attention back to the questioning that Mr. Kellahin
23 did in relation to Finding Number 17 of the Order in the
24 Diamond case, if you would pull that out a moment.

25 A. Okay.

1 Q. If you will remember, Mr. Kellahin pointed out
2 the fact that at least in the Diamond case, there was a
3 deviation from -- or an unorthodox positioning not only as
4 to the north-south, but as to the east-west. Do you recall
5 that?

6 A. Yes, sir, uh-huh.

7 Q. And in this particular case, now before the
8 Examiner, it is only unorthodox in one, and that would be
9 in the north-south?

10 A. Yes, sir.

11 Q. Now, let me propose to you -- and I'd ask for
12 your opinion -- if it is suggested by Mr. Kellahin and
13 Conoco that instead of using the factor of 3 as a
14 denominator and to divide into this averaging process,
15 let's suppose that it's advocated that you use just the
16 number 2.

17 A. Uh-huh.

18 Q. That would change the percentage of penalty
19 factor, would it not?

20 A. Yes.

21 Q. Do you feel that that would be fair, though? And
22 you might want to describe in your answer how it would
23 affect it and what you feel is wrong with that.

24 A. Well, changing that number from 3 to 2 in the
25 denominator would increase the penalty by 50 percent. I

1 mean, that's just straight math.

2 The problem there would be that -- It's quite
3 simple. If we made it 659 feet from the east line, move
4 one foot east from there, then that would -- then we would
5 bring that factor into it. It would be such a small number
6 that it would be irrelevant. And they've already suggested
7 that we try to move it that way, which would bring the
8 three factors into it anyway.

9 You know, the three factors have historically
10 been used, and that's -- Because we are not moving
11 unorthodox in that direction, we should not be penalized
12 because we are not moving unorthodox in that direction.

13 You know, we choose to move the least amount of
14 distance from the orthodox location, which is in the
15 interest of prevention of waste for this particular area,
16 and protection -- and we're trying not to violate more
17 correlative rights, and we don't feel that we're violating
18 them now anyway. But moving it more just would -- might
19 begin to create a problem.

20 Q. Then I take it it is your opinion that to adopt a
21 method of calculation just utilizing the 2 as the
22 denominator, would be not only wasteful but damaging to the
23 correlative rights of Yates Petroleum?

24 A. Absolutely.

25 MR. ERNEST CARROLL: Mr. Examiner, I have nothing

1 further.

2 EXAMINER CATANACH: The witness may be excused.

3 THE WITNESS: Thank you.

4 EXAMINER CATANACH: Let's take a short break here
5 and let Mr. Kellahin get ready.

6 MR. KELLAHIN: All right, sir. Thank you.

7 (Thereupon, a recess was taken at 10:10 a.m.)

8 (The following proceedings had at 10:25 a.m.)

9 EXAMINER CATANACH: Okay, Tom, turn it over to
10 you.

11 MR. KELLAHIN: Call at this time Mr. Bill Hardie,
12 Mr. Examiner.

13 Mr. Examiner, I have distributed all of Conoco's
14 exhibits, and you have Mr. Hardie's set before you.

15 BILL HARDIE,

16 the witness herein, after having been first duly sworn upon
17 his oath, was examined and testified as follows:

18 DIRECT EXAMINATION

19 BY MR. KELLAHIN:

20 Q. Mr. Hardie, for the record would you please state
21 your name and occupation?

22 A. My name is Bill Hardie. I'm a geologist with
23 Conoco, Incorporated, in Midland, Texas.

24 Q. On prior occasions, Mr. Hardie, have you
25 testified before this agency as an expert in the area of

1 petroleum geology?

2 A. Yes, I have.

3 Q. Summarize the extent of your personal involvement
4 as a geologist for your company with regards to production
5 and well matters within the Dagger Draw reservoirs and
6 pools.

7 A. I am the only geologist assigned to the Dagger
8 Draw reservoir, Conoco-operated properties. I've been
9 working in this field for approximately five years, and I
10 work in a team with another reservoir engineer and another
11 production engineer.

12 Q. Can you estimate for us the number of specific
13 wells that you have been involved in as a petroleum
14 geologist for your company within these various Dagger Draw
15 reservoirs?

16 A. I would estimate approximately 45.

17 Q. When Conoco began to consider what to do about
18 Yates' request for this encroaching well, in whose geologic
19 area of responsibility did this problem lie?

20 A. It was in my area of responsibility.

21 Q. In this particular area, did Conoco already have
22 geologic interpretations and maps that you had previously
23 developed for your company?

24 A. Yes.

25 Q. Is your company continuing to pursue the

1 production and drilling of additional North Dagger Draw
2 wells in this very vicinity?

3 A. Yes, we are.

4 Q. In response to Yates' application, have you re-
5 examined your geologic information?

6 A. Yes, I have.

7 Q. In addition, have you made a surface inspection
8 of this particular area in Section 29, where Yates proposes
9 to locate the well?

10 A. Yes, I have.

11 Q. Have you made a search of information concerning
12 topographic maps, USGS quadrangle maps, by which to compare
13 your observations of the surface with recorded maps of the
14 surface?

15 A. Yes, I have.

16 Q. Were you present today to see Mr. Brent May's
17 geologic presentation?

18 A. Yes, I was.

19 Q. Have you had conversations with Yates and their
20 representatives about this particular well?

21 A. I think my only conversations have been with
22 Brent May.

23 Q. Have you caused a search to be made of the
24 records of the BLM concerning the surface approvals and
25 inspections conducted by Barry Hunt when he and the Yates

1 representative went out on the field of this property?

2 A. Yes, I have.

3 MR. KELLAHIN: At this point, Mr. Examiner, we
4 tender Mr. Hardie as an expert in the field of petroleum
5 geology.

6 EXAMINER CATANACH: Mr. Hardie is so qualified.

7 Q. (By Mr. Kellahin) Mr. Hardie, let me direct your
8 attention, sir, to Exhibit Number 1.

9 Before we talk about specifics, give us a general
10 understanding of how you have displayed this information
11 and the significance of the well symbols and the color
12 coding.

13 A. Okay, the -- This is simply a base map of the
14 North Dagger Draw area. The color coding on here, the
15 solid yellow shading indicates that Conoco operates the
16 acreage. If it's cross-hatched yellow, it indicates that
17 we have a working interest in that acreage but do not
18 necessarily operate it.

19 Well symbols -- The solid black circles indicate
20 producing oil wells from the Cisco/Canyon reservoir.

21 The solid red circles are simply those producing
22 oil wells which have been drilled within the last couple of
23 months, so you can get an idea as to where the current
24 activity is in terms of development.

25 And then the open red circles are proposed well

1 locations, including the one that I've labeled as a
2 proposed unorthodox well, Yates' Aspden Number 2, which is
3 located 330 feet from the south line, 1980 from the west
4 line in Section 29.

5 Q. Since you prepared this base map, one of these
6 circles needs to be shaded in, does it not, when you look
7 at the Boyd 6 well?

8 A. Well, I don't think it's actually completed yet.

9 Q. It's a drilling well, and --

10 A. It's drilling.

11 Q. -- and so until it's a completed well, you would
12 leave it as an open circle?

13 A. Right.

14 Q. When we look at the offset properties that Conoco
15 operates in the north half of 32, describe for us what
16 wells you currently have producing.

17 A. There's only one producing well currently in the
18 north half of Section 32, and that's the Joyce Federal
19 Number 1, and it's shown by the red circle. It was
20 completed approximately a month and a half ago.

21 Q. What are Conoco's plans, as you understand them,
22 for further Dagger Draw wells in the North Dagger Draw Pool
23 for this spacing unit?

24 A. For the spacing unit which comprises the
25 northwest quarter of Section 32, we have staked two

1 additional wells, the Joyce Fed Number 2 and the Joyce
2 State Number 3, and those wells are in the 1995 budget to
3 be drilled this year.

4 Q. When we look over in the northwest quarter of 32,
5 there's a well location for the Savannah State 1 well?

6 A. That is correct.

7 Q. What is the status of that?

8 A. Again, that is a proposed location. In that case
9 -- We talked about that one yesterday. It's a Morrow well
10 that is again in Conoco's 1995 budget to be drilled this
11 year.

12 Q. Have you testified before this Examiner on prior
13 occasions concerning requests by other operators in North
14 Dagger Draw to locate North Dagger Draw oil wells closer to
15 the outer boundaries of the spacing unit than the 660
16 location?

17 A. I'm currently aware of only one example.

18 Q. And did you testify in that case?

19 A. Yes.

20 Q. And where would we find the area in which you
21 provided testimony concerning that issue?

22 A. If I'm not mistaken, that's -- we're talking
23 about a Nearburg application for an unorthodox Cisco well.
24 That would have been in the northwest corner of Section 31,
25 which is just west of where we're talking here.

1 Q. If you look in the northwest quarter of 31, is
2 that spacing unit --

3 A. Yes, the proposed well, I think, was the Dagger
4 31 Number 5, and they wanted to -- I don't remember the
5 exact dimensions, but they wanted to encroach to the north
6 and east and were applying to do so.

7 Q. And you testified in that case?

8 A. Yes.

9 Q. All right, sir. Let's turn now to what is marked
10 as Exhibit Number 2.

11 Before you discuss the overlay, let's flip the
12 overlay out of the way and look at the base map. Would you
13 authenticate for us the source of the base map?

14 A. This is actually an aerial photograph that was
15 taken in early -- either late 1989 or early 1990, by John
16 West Engineering, for the purpose of staking locations in
17 Dagger Draw for Conoco.

18 Q. Have you found that aerial photography to be
19 accurate and reliable when you go upon the surface of the
20 area depicted?

21 A. Yes, I have.

22 Q. And but for the recent well drilling and the
23 disturbance of the surface for the additional wells
24 subsequent to the taking of this photograph, is all the
25 other information shown on the base display true and

1 accurate, to the best of your knowledge?

2 A. Yes, it is.

3 Q. What are we looking at when we look at the
4 photograph?

5 A. The photograph is centered around the -- I guess
6 the southwest quarter of Section 29, and of course you can
7 see through the middle of it.

8 The Seven Rivers draw which is indicated by the
9 whiter colors in the texture, that would be the actual
10 gravel surface of the main channel of the Seven Rivers
11 draw.

12 And within that, if you were to lay the
13 transparency, the transparency itself is simply a copy of
14 the USGS 7-1/2-minute surface topographic map. On that I
15 have added the orthodox Cisco location windows in the green
16 shading. I've also shown the outline of the proration unit
17 boundary with the dashed black line.

18 Q. There is a brown contour line -- I'm a little
19 color blind, you'll have to tell me. The orange or the
20 brown contour line on the overlay --

21 A. Yes.

22 Q. -- what does that represent?

23 A. Those are simply the surface contours off of that
24 surface topographic map. I'm not -- The values didn't
25 actually get printed up as to what the elevations represent.

1 Q. You prepared this composition?

2 A. Yes, I did.

3 Q. What is the purpose of the black dots within the
4 hached area?

5 A. Yeah, those are the existing wells that lie
6 within that southwest quarter section.

7 Q. All right. And what do the green squares
8 represent?

9 A. Those are the orthodox Cisco location windows.

10 Q. To the best of your ability, have you attempted
11 to accurately depict the well locations and the standard
12 well locations for oil wells in the North Dagger Draw as
13 shown on this display?

14 A. Yes, that was done by measuring these off on the
15 surface topographic map. And then that map was then
16 enlarged to match the scale of the aerial photograph.

17 There are some distortions which occur in that
18 enlargement, which may cause things to be off slightly, but
19 not by much at all.

20 Q. If you see a point in the presentation where a
21 distortion is material, if you'll identify it for us so
22 that we'll understand the significance of any distortion.

23 A. Yeah, I think the most relevant one would be the
24 well spot that's in the northwestern quarter of this
25 southwestern Section 29. I believe it's the -- That would

1 be the Boyd Number 2 well, which appears on this map to be
2 in the middle of the draw, and I feel that's probably due
3 to a distortion.

4 I think, in fact, that well is located right on
5 the very bank of the draw. So moving it over a slight
6 amount would put that well on the bank.

7 Q. When you look at the red arrow, what is that
8 intended to represent?

9 A. The red arrow points to the location of the
10 proposed unorthodox Aspden Number 2 well, and the red
11 circle itself is the staked well location.

12 Q. As part of your preparation for this case, did
13 you obtain from the Bureau of Land Management copies of
14 their public record documents that dealt with their surface
15 inspection for the Yates proposed well?

16 A. Yes, I did.

17 Q. Let me ask you to turn in your set of documents,
18 and let's look at Conoco proposed Exhibit 10.

19 Is this a true and correct copy of Mr. Barry
20 Hunt's report in the files taken from the BLM records
21 concerning their inspection of the surface for the Yates
22 proposed well?

23 A. Yes, it is.

24 Q. And have you read the information contained in
25 Mr. Hunt's report and summary?

1 A. Yes, I have.

2 Q. If you'll turn with me to the second page of the
3 summary and look to the very top paragraph, Mr. Hunt in his
4 report suggests alternative siting for the well?

5 A. Yes, that is correct.

6 Q. Have you also looked at the surface in terms of
7 determining where this well could be located and be outside
8 of the Seven Rivers draw effects?

9 A. Yes, I have.

10 Q. Let's turn now to Exhibit Number 11, Mr. Hardie.
11 Was this document also taken from the BLM public files that
12 contains reports of well site evaluation field forms
13 prepared by Mr. Hunt and contained in those public records?

14 A. Yes.

15 Q. Describe for us your understanding of Exhibit
16 Number 11 in terms of the decisions or recommendations Mr.
17 Hunt was operating with regards to siting the well.

18 A. This form is typically the one that's used when
19 you evaluate a proposed location. That proposed location
20 is listed on the second line, with a footage of 660 from
21 the south, 1980 from the west line. That would have been
22 the standard location.

23 Q. Is there a date on the form to show when Mr. Hunt
24 made his inspection of the surface?

25 A. Yes, it's December 19th of 1994.

1 Q. And the location he's inspecting is the 660-1980
2 location?

3 A. That is correct.

4 Q. In terms of evaluation, what evaluation did Mr.
5 Hunt set forth on this form concerning the locations?

6 A. He makes a couple of comments in the description
7 and topography section. It's a couple of lines from the
8 top that the location is in fact in the bottom of Seven
9 Rivers Draw.

10 He describes that, and then at the very bottom of
11 the page, under his evaluation, he suggests two
12 alternatives to moving that. One would be to move 330 feet
13 south from the standard location, or at least 500 feet
14 north from that standard location.

15 Q. Let's go back and examine the overlay to your
16 Exhibit 2 now and find visually, using this illustration,
17 where those points are.

18 If we start with the first location, which -- the
19 requested 660 by 1980 location --

20 A. That would be -- We're looking now at the overlay
21 and the green window which is in the southeastern part of
22 this proration unit, that first spot, the first one
23 proposed, would be in the southeasternmost corner of that
24 orthodox Cisco window. And as you can see on that, it lies
25 directly in the middle of the draw.

1 The draw is depicted on the topographic map by
2 the blue dashed line. And then of course on the aerial
3 photograph, the main channel of the draw shows up as the
4 white linear area.

5 Q. Using this illustration in Exhibit 2 to
6 approximate for us, based upon your personal observations,
7 how far south do we have to go to get to the top of the
8 draw?

9 A. Just an approximation, knowing that the scale of
10 this photograph is about an inch equals 400 feet, I'd say
11 approximately 150 feet, maybe less, to get out of the
12 draw --

13 Q. There appears to be a --

14 A. -- and up onto the bank.

15 Q. There appears to be some kind of roadway --

16 A. Yes.

17 Q. -- running along the south edge of Seven Rivers
18 draw. Do you see that?

19 A. Yes, I do. That's --

20 Q. What is that?

21 A. That's simply a vehicle trail that runs along
22 that escarpment on the cut bank of that draw.

23 Q. Is the vehicle trail above the Seven Rivers draw?

24 A. Yes, it is.

25 Q. How far -- When we look at the proposed

1 unorthodox well location, approximately how far is that
2 location south of the south edge of the draw?

3 A. I would estimate approximately 200 feet.

4 Q. All right, sir. Let's look at the other point.

5 Mr. Hunt, on Exhibit 11, says an alternative location is at
6 least 500 feet north of his original inspection location of
7 660 times 1980.

8 A. That is correct.

9 Q. Do you see that?

10 A. Yes.

11 Q. The side boundary dimension of a standard
12 drilling window, as you've displayed it, is what? 410
13 feet?

14 A. As I've displayed it here, the side boundary of
15 an orthodox Cisco window would be 330 feet.

16 Q. 330 feet, as you've displayed it here?

17 A. Yes.

18 Q. All right, sir. Approximate for us how far we
19 would have to go north of the original standard location to
20 be 500 feet north.

21 A. I interpret what he's saying here as -- moving
22 500 feet north, he's talking about moving 500 feet north
23 from the 660-1980 spot.

24 Q. All right, sir.

25 A. So you'd move 330 feet to get to the top of the

1 window, and then an additional 170 feet north of that
2 window to reach 500 feet, so that if you were 500 feet
3 north of that spot, you would be 170 feet outside of that
4 Cisco window.

5 Q. Okay, go back to Exhibit 2 and the overlay, and
6 let's follow the contour line on the overlay, and show us
7 its relationship to the top of the back on the south edge
8 of Seven Rivers draw. How might we follow that line?

9 A. That line -- The closed spacing that you see in
10 the contour lines approximate the lip of that draw, and it
11 essentially follows the outline of the draw.

12 Q. In addition to looking at the surface for
13 locations, you have also mapped the subsurface in the
14 Cisco?

15 A. Yes, I have.

16 Q. And you've done those in terms of analyzing
17 structure and the thickness of the dolomite?

18 A. Yes, I have.

19 Q. Let's look at those, and then we're going to come
20 back to the overlay.

21 A. Okay.

22 Q. Identify for us Exhibit Number 3, Mr. Hardie.

23 A. Exhibit Number 3 is a Cisco/Canyon isopach on the
24 dolomite itself, very similar to what Mr. May showed
25 earlier.

1 Q. This is your work product?

2 A. Yes, It is.

3 Q. Describe for us the points of significance to you
4 when we look at the relationship on the isopach between
5 standard locations for the Aspden Number 2 well, the
6 proposed unorthodox location, and then its relationship to
7 the Joyce Federal 2, which is your next location.

8 A. Right.

9 Q. All right.

10 A. The proposed unorthodox location should encounter
11 approximately 170 feet of dolomite, according to my
12 mapping. The Joyce Federal Number 2, which will be the
13 well most directly affected by the encroachment, is
14 expected to encounter approximately 120 or 130 feet of
15 Cisco dolomite.

16 Q. And at the standard location, what would be the
17 approximate thickness for the Yates well?

18 A. At the nearest standard location for the Aspden
19 Number 2, the thickness would be -- It looks like just over
20 200 feet.

21 Q. What's your conclusion about the geologic
22 advantage of going from the Yates standard location to the
23 proposed encroaching location?

24 A. That it -- similar to what Yates has said, that
25 it's detrimental geologically to move to an unorthodox

1 location, if you're going to encroach to the south.

2 Q. Describe for us how that is a detriment.

3 A. It's a detriment in that you have less dolomite
4 as you move in that direction. And, as Mr. May testified,
5 and the object in picking the best location is to find the
6 maximum amount of dolomite, that is, the reservoir.

7 Q. Do you have an opinion geologically as to whether
8 or not the encroaching location constitutes an unfair
9 geologic advantage obtained by Yates over Conoco in terms
10 of its Joyce Federal 2 location?

11 A. Because we are near the edge of the dolomite
12 fairway, the thickness of the reservoir is considerably
13 thinner than it is elsewhere in the field. And because of
14 that, we feel like encroachment is particularly damaging.
15 There's less reservoir there to develop, and the effects of
16 encroachment would be even greater since there is less.

17 Q. Let's turn to Exhibit 4, Mr. Hardie. Identify
18 this display for us.

19 A. This is the same mapped area as Exhibit Number 3,
20 only this time we're looking at the top of the Cisco
21 dolomite, the top of the reservoir, if you will.

22 On it we can see again the proposed Aspden Number
23 2 unorthodox location and then its encroachment upon the
24 Joyce Federal Number 2.

25 Q. I'm going to show you Mr. May's Exhibits 17 and

1 18.

2 When you compare his map of the top of the
3 dolomite to your map of the top of the dolomite within the
4 area of concern, being the north half of 32 and the south
5 half of 29, are there any differences of significance?

6 A. There are some differences, but I wouldn't
7 necessarily say they're terribly significant.

8 Q. Let me direct your attention to your display, to
9 the southeast quarter of 29. There is a contour line at
10 minus 4150 subsea?

11 A. That is correct.

12 Q. And when you go north and west of that line,
13 there's a similar line with the same value, minus 4150?

14 A. That is correct.

15 Q. What information did you have to cause you to
16 create the additional contour in that area that's absent
17 from Mr. May's contour map?

18 A. Essentially what the difference is, is a seismic
19 line that Conoco shot jointly with Nearburg and failed to
20 put it on this map, but that seismic line runs east and
21 west through the north half of the north half of Section
22 32.

23 It passes through the Joyce Federal 1 well, the
24 proposed Joyce 2, the Savannah State Number 1, and onward.
25 It's about a four-mile line.

1 Based on that, we saw an increase in elevation in
2 the north half of the north half that justified -- In my
3 case what I did was to extend the structure that we both
4 show in Section 28. I extended mine farther to the
5 southwest than did Yates.

6 Q. Let's turn to the cross-section and get a
7 vertical profile of the reservoir so we can see the
8 relationship as you have interpreted how these two wells
9 are going to fit into the existing well patterns.

10 If you'll look at Exhibit 5 for us, first of all
11 help us get oriented, and keeping Exhibit 4 out is perhaps
12 helpful. Give us the line of cross-section, and then let's
13 talk about the information.

14 A. Okay, the cross-section shown in Exhibit 5, on
15 the surface, at least, is shown in Exhibit 4, starting at
16 the Dagger Draw Number 8 well, on the left-hand side of the
17 cross-section, and then passing through Conoco's Dagger
18 Draw Number 16, Yates's Aspden Federal Number 1, their
19 proposed unorthodox location, the Aspden Number 2, Conoco's
20 proposed Joyce Federal Number 2, and then ending up on the
21 right-hand side of the cross-section with the old dryhole,
22 the Getty State K 6096 B Number 1.

23 Q. All right. Characterize for us on the cross-
24 section what is the producing portion of the Cisco that
25 you're trying to extract hydrocarbons from.

1 A. The producing portion is simply the dolomite, and
2 that is shown with the purple color. Anywhere there is
3 dolomite, it has the potential of being productive.

4 The blue color indicates limestone. Typically,
5 the limestones in this reservoir are tight and
6 nonproductive. And as you can see here, there are tight
7 lime encasing the dolomite reservoir.

8 The brown colors indicate shales, the Wolfcamp
9 shales overlying the Cisco formation, and then at the base
10 there's Canyon shales.

11 The black shading that occurs at the center of
12 each well log indicates the perforated intervals for each
13 of these wells.

14 I'd like to also point out the black dashed line
15 running horizontally through the middle of the cross-
16 section at a subsea elevation of minus 4300 feet, which is
17 what Conoco believes to be the lowest known oil, indicating
18 that in most cases you would not want to perforate a well
19 below that line.

20 So on this cross-section, virtually anything
21 below that line would be wet.

22 Q. Do we have an accurate scale to work with as we
23 move horizontally on the cross-section?

24 A. Yes, we do.

25 Q. Describe for us the relationship of Yates'

1 encroaching well to the Conoco Joyce Federal proposed well
2 and whether or not there's an unfair competitive advantage
3 achieved by Yates if the unorthodox location is approved.

4 A. Conoco's location is -- for its Joyce Federal
5 Number 2, is on the very edge of the dolomite fairway. As
6 you can see, we're near the feather edge. And of course,
7 we wouldn't want to complete, even though -- even -- The
8 pay is considerably thinner, and we wouldn't want to
9 complete anything below the minus-4300-foot elevation,
10 which constrains us even more.

11 Due to the thin nature of the reservoir here, an
12 encroaching well would be particularly damaging when you
13 combine those two factors. The risk is already great
14 enough as it is, without having to deal with additional
15 encroachment by offsetting production.

16 Q. When we take the composite of your isopach, the
17 structure map and the cross-section and go back to Exhibit
18 2, which is the topographic limitations within Yates'
19 spacing unit, are there some alternative solutions that
20 help you as a geologist access the reservoir if you were in
21 Yates' position?

22 A. Yes, there would be.

23 Q. Describe for us where they might be.

24 A. My first alternative were -- by picking locations
25 in Yates' acreage, which I don't think I can do. But

1 hypothetically, at least, would be to do what was suggested
2 by the BLM agent, and that is to move 500 feet north of the
3 660-1980 originally proposed location.

4 As you can see on the overlay, the green shaded
5 area is the orthodox window. If you pick that up and look
6 underneath it, you see the dark area that lies beneath that
7 with the -- and you'll look at some black specks that cover
8 that area. Those black specks are the various mesquite or
9 brush that occur on that floodplain. That dark area is the
10 floodplain.

11 If you continue northward across that floodplain,
12 you'll notice that it gets abruptly white again, and that
13 is the opposite bank of the Seven Rivers draw.

14 My first choice would be to drill on that
15 opposite bank at a location approximately 170 feet north of
16 the Cisco window, as proceeded by the BLM agent.

17 Q. Geologically, how would you support doing that?

18 A. Geologically, that would be favorable. If you'll
19 refer back to the Exhibit Number 4, if we were to move
20 north of that Cisco orthodox location window, you can see
21 that you gain elevation structurally. That's easily the
22 best structural location that we would be considering here.

23 I would estimate that if you were at that spot
24 north of the location window, that you would be at an
25 elevation of about minus 4140, you would gain approximately

1 20 feet.

2 Q. What did it do to the thickness of the dolomite?

3 A. On Exhibit 3, again, if you'll compare the
4 orthodox window and moving north from that orthodox window,
5 you gain thickness. North of the window, I would estimate
6 you'd encounter about 250 feet of total dolomite. That
7 would be approximately 80 feet of difference from the
8 unorthodox location that Yates is proposing.

9 Q. That would be an alternative location on the
10 north side of the Seven Rivers draw?

11 A. That is correct.

12 Q. All right. Let's stay on the south side. Are
13 there any other locations on the south side that are
14 geologically favorable or superior to the proposed
15 encroaching location that still stay outside of the
16 drainage effects of that Seven Rivers draw?

17 A. If you were to -- Looking at Exhibit Number 2, if
18 you were to move the proposed unorthodox location, I guess,
19 due northeast, paralleling the banks of the draw, until you
20 reached a point that was parallel with the bottom of the
21 window, I think you'd be -- you would be 660 from Conoco's
22 acreage, and I'm guessing approximately 200 feet from the
23 proration unit boundary.

24 And that would be an alternative location. It
25 would still be unorthodox, it would encroach on working

1 interest owners and the southeast corner of Section 29.

2 I think we had originally asked if Yates would
3 consider doing this since even though there are some
4 differences in those two proration units, they're certainly
5 more similar than encroaching on working interest owners to
6 the south where there are virtually no similarities in
7 those two units in terms of owners.

8 Q. You're making reference to the fact that Yates
9 and Nearburg control both of those spacing units in Section
10 29?

11 A. That is correct. Their working interests are
12 slightly different, but --

13 Q. Admittedly with a different percentage?

14 A. Right.

15 Q. All right. Did you listen to Mr. Fant's
16 presentation on the penalty?

17 A. Yes, I did.

18 Q. Have you examined, Mr. Hardie, whether or not it
19 is practical to implement the penalty that Mr. Fant has
20 recommended to the Examiner?

21 A. This whole issue has come up in the past, in
22 particular with the previous unorthodox location that was
23 being proposed by --

24 Q. -- Nearburg?

25 A. -- Nearburg. And we debated the problems

1 inherent in trying to impose production penalties in this
2 particular reservoir.

3 The problem boils down to, what exactly do you
4 penalize? If you penalize an individual well, the most
5 likely way to do that would be on an initial potential.

6 Q. Would that work in this reservoir?

7 A. I think not, because initial potentials here can
8 be very high.

9 For example, Conoco's Joyce Federal Number 1 in
10 Section 32, the initial potential was 1131 barrels of oil
11 per day. A penalty on that would be almost meaningless.
12 And it very quickly declined and stabilized to a rate of --
13 its current rate, I think approximately 340 barrels of oil
14 per day.

15 The alternative there would be to perhaps take
16 the first month average of that well. But if that well
17 were producing at the allowable, it would have already
18 cum'd 21,000 barrels of oil by the time you reached the
19 first-month average and would be well on its way to
20 damaging the correlative rights. So that's a dilemma.

21 The other choice, as we see it, would be to, as
22 Yates suggested, penalize the proration unit. But we would
23 ask, if you were to do that, what would prevent the
24 operator from producing all of its allowable out of the
25 encroaching well and shutting in the others? That would

1 even further damage any offsetting operators who were being
2 encroached upon.

3 Q. Were you involved in the Diamond case that Mr.
4 Fant referred to?

5 A. Yes, I was.

6 Q. You were a technical witness in that case, were
7 you not?

8 A. Yes, I was.

9 Q. Do you agree with his conclusion that that
10 establishes a precedent in the Diamond case by which this
11 Examiner can be directed for a solution in the current
12 case?

13 A. By no means. The pool rules, particularly at the
14 time that we implemented that penalty, were completely
15 different.

16 Q. How so, were they different?

17 A. At that time -- Of course, South Dagger Draw has
18 a different set of rules anyway, but -- They've since
19 changed again.

20 But at that time we were talking about 320-acre
21 spacing units. Everyone expected the Diamond well to be a
22 gas well, meaning at that time you could only have one
23 well, if it were a gas well, in a 320-acre spacing unit. A
24 penalty applied to one well is a very simple thing to keep
25 up with.

1 We don't have that situation here; we have four
2 wells. And the question is, how are we going to penalize
3 the proration unit appropriately and monitor that penalty?

4 Q. When you go back to Mr. Fant's concept of a
5 three-part formula for establishing a penalty, do you have
6 any comments or observation about using the three
7 components?

8 A. My personal preference would -- I mean, the more
9 components, you use, the more diluted the penalty gets. I
10 can understand the reasoning, at least from Yates's
11 standpoint of wanting to use more components.

12 Conoco, being the one encroached upon, would be
13 very concerned about that. They are encroaching on Conoco
14 half the distance of the standoff, and in our minds at
15 least, that would calculate to a 50-percent penalty.

16 But again, we're not advocating the use of
17 penalties, because we simply don't know how they could be
18 enforced.

19 Q. The Nearburg location case that you're referring
20 to, is that identified as Division Case 10,731, heard by
21 Examiner Catanach on June 18th, 1993?

22 A. I assume so. I don't have that in front of me.

23 Yes, I do. I have it here.

24 Q. Do you have it?

25 A. Yes. At least a copy of it.

1 Q. As one of Conoco's representatives in that
2 Nearburg case, describe for us the similarities that we
3 were dealing with in that case, as they compare to this
4 case.

5 A. The two cases were very similar in that both
6 Conoco and Yates were concerned about the encroachment of
7 the proposed Nearburg well upon our acreage. We both
8 recognized the potential for interference and were
9 concerned about how we would implement a penalty on an
10 encroaching well.

11 In that case, we perceived that there were other
12 available locations which would be orthodox and recommended
13 that the case be denied as a result.

14 Q. Were Conoco and Yates in agreement about the
15 impossibility of crafting a meaningful penalty to be
16 imposed upon the Nearburg encroaching well location?

17 A. Yes, they were, and I believe that's reflected in
18 the testimony of that case.

19 Q. What are your recommendations for the Examiner,
20 Mr. Hardie? You've been involved in a number of these
21 cases. What do you suggest he do?

22 A. My recommendation, since there are alternatives
23 to the encroachment upon Conoco, is that Yates drill their
24 well north of their orthodox Cisco window unit and encroach
25 upon themselves. It's a better geologic location.

1 And by doing so, we eliminate the need to have to
2 deal with the problem of trying to apply penalties to
3 producing wells in Dagger Draw. We have an alternative,
4 and I suggest we take it.

5 Q. Are you aware of any other locations in North
6 Dagger Draw where there is an encroaching well, encroaching
7 upon offsetting operators, where the interests are
8 different, that's been approved by this Division?

9 A. I am aware of an instance where there is an
10 unorthodox Cisco well location, and I know that both -- the
11 well itself and the encroaching acreage is operated by
12 Texaco. That would be on the far --

13 Q. Let's look at Exhibit 1 --

14 A. -- left-hand side of the map.

15 Q. -- I think it shows on one of your displays,
16 doesn't it?

17 A. Yes, it does.

18 Q. Let's look at Exhibit 1.

19 A. On Exhibit 1, I'm not familiar enough with
20 townships to know which section this is, but it's on the
21 far right-hand side of the map, just west of Section 30.
22 If you'll look --

23 Q. Well, you're looking in Section 25.

24 A. Okay.

25 Q. All right, if you start in 29 where you are --

1 A. Yes.

2 Q. -- for the subject case, the next one to the west
3 is 30 --

4 A. Right.

5 Q. -- and then after that is 25?

6 A. Right, in the --

7 Q. All right.

8 A. -- in the adjacent township.

9 In the northeastern corner of that section,
10 there's a well labeled DD 3. That's the Texaco Dagger Draw
11 Number 3 well, which encroaches to the north on the Texaco
12 DD 1 well.

13 Q. Is that the single example --

14 A. That's the only one that I know of --

15 Q. -- of an unorthodox location?

16 A. -- and they're both operated by Texaco. I know
17 of no penalty involved with that.

18 Q. If the Examiner approves Yates' Application with
19 the imposition of a penalty, it will establish a precedent
20 for North Dagger Draw, will it not, sir?

21 A. Yes, it will.

22 MR. KELLAHIN: That concludes my examination of
23 Mr. Hardie. We move the introduction of his Exhibits 1
24 through 5 and then Exhibits 10 and 11.

25 EXAMINER CATANACH: Exhibits 1 through 5 and 10

1 and 11 will be admitted as evidence.

2 Mr. Carroll?

3 CROSS-EXAMINATION

4 BY MR. ERNEST CARROLL:

5 Q. Mr. Hardie, let's first focus on Exhibits 2, 10
6 and 11, if you might locate those in your stack of papers
7 in front of you.

8 A. Okay.

9 Q. Now, let's look at 2. With respect to the
10 positioning of the -- or the location of these wells on
11 this topographic aerial photograph of yours, did you go out
12 on the surface and actually verify the location of these
13 wells?

14 A. I did not. The other -- The completed wells, I
15 did not verify those locations on this surface.

16 Q. In fact, at the time of this photograph, none of
17 the completed wells were completed?

18 A. That is correct.

19 Q. There was no development in this area?

20 A. That is correct.

21 Q. And for purposes of this hearing, you have not
22 gone out and attempted to verify the correctness of the
23 actual location on your overlay, as opposed to this -- the
24 area depicted by the photograph, have you?

25 A. I have not gone to check to make sure those

1 depicted well locations that are completed are accurate.

2 What I did do was select corner section marks on
3 both the topographic overlay and the aerial photograph and
4 use those, make sure those matched exactly.

5 Now, what often occurs when you enlarge a
6 topographic map is that, even though the end points may
7 match, there may be some slight distortions in between.
8 Those distortions, although real, I think, are slight, and
9 I'm almost certain that's what results in this well symbol
10 appearing to be in the draw when in fact it could be moved,
11 say, 50 or 70 feet over and it would be on the back of that
12 draw.

13 Q. Well, now, Mr. Hardie, when was the last time you
14 were actually out on this location, in fact, that well that
15 we're talking about in the -- that's shown on your Exhibit
16 2 as being in the draw?

17 A. When was the last time I was there?

18 Q. Yeah.

19 A. On that location?

20 Q. On that location.

21 A. I have not been on that location.

22 Q. You've never been on that location?

23 A. I have not.

24 Q. So you cannot tell this Examiner that that
25 wellbore is adjacent to the cut bank of that draw, can you?

1 A. I cannot tell him that. I strongly suspect that
2 wellbore is not in the draw. That would be somewhat
3 foolish to drill there.

4 Q. Okay, and you heard Mr. Beardemphl's testimony
5 that it was not in that draw, and he had been there; is
6 that correct?

7 A. That is correct.

8 Q. And wouldn't you also strongly suspect that that
9 well was not right on the edge of that cut bank, because
10 you couldn't locate the rig and all the attendant equipment
11 that would be necessary for drilling a well right on the
12 edge of that draw, would you?

13 A. You can get within approximately a hundred feet
14 of the edge. Conoco has done it, and I suspect Yates has
15 too.

16 Q. All right. So if we applied those measurements,
17 those approximate measurements of yours, to the edge of
18 this cut bank, this well is probably, in all likelihood, at
19 least 200 feet misplaced by this diagram, isn't it?

20 A. If in fact the well is 200 feet away from the
21 bank of the draw, then that is correct.

22 Q. Well, now --

23 A. The other possibility that I assumed was that
24 there could have been some cut and fill. This is perfectly
25 conceivable. It's not BLM land, and the BLM would have no

1 jurisdiction over what was done to build this location.

2 Q. But Mr. Hardie, you don't know that, and you
3 could have gone out there and looked at that land and known
4 for sure before you appeared here, couldn't you?

5 A. I could have verified that location.

6 Let me also add that most of my measurements and
7 precision involved with this overlay were centered about
8 the proposed location. I did not concern myself with
9 deviations farther away from that.

10 Q. Well now, did you go out and specifically
11 determine -- I see no reference point on the photograph
12 itself for where that proposed unorthodox location would
13 lie.

14 A. The reference point was there. I plotted it on
15 the photograph and then erased it prior to xeroxing it.

16 Q. But how did you determine that reference point?
17 Where did it come from?

18 A. If you'll look -- raise the overlay, if you'll
19 look down at the bottom left-hand corner of that section,
20 there's a little black dot with a white line sticking out
21 of it. Those are placed on the aerial photograph,
22 indicating the corner sections.

23 What I did on the aerial photograph was to
24 connect up those dots on the aerial photograph, which would
25 indicate a section line. And that is my reference point by

1 which I enlarged the topographic map and laid it over the
2 aerial photograph.

3 Q. Again, your testimony is based on your
4 measurements on this, and nothing that was having gone out
5 on the land and done any specific measurements and placing
6 of that unorthodox location with actual reference points on
7 the ground, such as the edge of the bank, this road that we
8 see depicted or as you've testified. You didn't go and
9 measure that, did you?

10 A. I didn't measure it. I have in fact been out
11 there and, like the Yates representatives, I have walked
12 that Cisco orthodox window in which the proposed well was
13 originally staked.

14 And I can also point out that if you'll look at
15 the blue dashed line that represents the draw on the
16 topographic map, that that very closely matches the draw of
17 the aerial photograph, which is another indication that
18 they are at least close to being superimposed.

19 Q. Now, you say you have been out on Yates's lease
20 and walked this area in green; is that correct?

21 A. Looking at the staked flags and verifying that in
22 fact --

23 Q. When did you do that?

24 A. That would have been -- I was out there twice.
25 When Conoco was staking locations I walked out there, and

1 then the second time approximately two to three weeks ago.

2 Q. All right. Yates's flags out there the first
3 time that you went out there and walked this area?

4 A. They were.

5 Q. And would that have been -- What? In December of
6 last year? Is that -- are we talking about --

7 A. No, I think it was this year.

8 Q. This year?

9 A. Yes.

10 Q. Now, when you walked that area of those flags,
11 did you have Mr. Hurt with you?

12 A. Mr. Hurt?

13 Q. The BLM -- I think it's Hurt.

14 MR. KELLAHIN: It's Hunt.

15 MR. ERNEST CARROLL: Hunt, excuse me. I can't
16 read his handwriting.

17 THE WITNESS: No, I did not. I was with Conoco's
18 field foreman.

19 Q. (By Mr. Ernest Carroll) Have you ever been to
20 this area with Mr. Hunt?

21 A. No, I haven't.

22 Q. Have you talked personally to Mr. Hunt?

23 A. I have not.

24 Q. Now, let's talk about Exhibit Number 10. You
25 testified that this was a true and correct instrument. Did

1 you go to the BLM office and obtain Exhibit 10?

2 A. Yes, I did.

3 Q. All right. Now, did you attempt to talk to Mr.
4 Hunt concerning what was on this particular exhibit?

5 A. Yes, I did.

6 Q. And Mr. Hunt was available or not available?

7 A. He was not available, and I had driven from
8 Midland for a field meeting with the Dagger Draw field and
9 stopped by the BLM on my way back, requested to see Mr.
10 Hunt. He was not present, and so I requested to copy the
11 field documents which were used in determining where the
12 location should be.

13 Q. All right, when was that?

14 A. I could refer in my briefcase to my --

15 Q. Has it been several weeks?

16 A. It's been approximately two to three weeks ago.

17 Q. Okay.

18 A. I could give you a precise date.

19 Q. That's okay. It's been some -- several weeks
20 though?

21 A. Yes.

22 Q. Now, Exhibit 11, was that obtained at the same
23 time you obtained Exhibit 10?

24 A. It was all part of the same file.

25 Q. Now, I take it, then, with respect to these

1 penciled or inked-in notations on Exhibit 11, you have not
2 visited with Mr. Hunt concerning those, have you?

3 A. No, I have not.

4 Q. Did you try to contact Mr. Hunt after that one
5 attempted visit when you were there present in the BLM
6 office and he was not there?

7 A. No, I did not.

8 Q. Now, let's look down here at the bottom notation.
9 It says, "Evaluation: Move 330 feet south or at least 500
10 feet north."

11 Now, you testified that the moving of at least
12 500 feet was north of the orthodox location first proposed,
13 did you not?

14 A. Since this is a well-site evaluation for that
15 proposed location, that's a safe assumption.

16 Q. Ah. But it is an assumption on your part, is it
17 not?

18 A. Certainly, this is all assumptive. We don't have
19 Mr. Hunt here to testify to it.

20 Q. You did hear Mr. Beardemphl testify that he
21 walked to the 990 location and that he then took pictures a
22 hundred feet north of that and that Mr. Hunt and he
23 discussed the fact that it would be at least an additional
24 400 feet before they could have an approved location, did
25 you not?

1 A. I heard him say that, yes.

2 Q. That testimony is in direct contradiction of what
3 your assumption is from the way you read this, is it not?

4 A. That is absolutely correct.

5 Q. And you have done nothing, though, to verify with
6 Mr. Hunt, to correct, to -- to verify or to determine
7 whether or not your assumption is correct before you
8 testified to that fact before this Examiner?

9 A. Nor has Yates invited Mr. Hunt to come testify
10 that that's exactly what he's --

11 Q. Are you telling me, Mr. Hardie, that Mr.
12 Beardemphl is misrepresenting what happened out there on
13 the site --

14 MR. KELLAHIN: Objection, Mr. Examiner.

15 Q. (By Mr. Ernest Carroll) -- with Mr. Hunt?

16 MR. KELLAHIN: Counsel is arguing with the
17 witness.

18 I approached this subject an hour and a half ago
19 when I suggested it was hearsay to proceed the surface
20 issue based upon what Barry Hunt said or didn't say. I was
21 overruled, and you see the problem you get.

22 MR. ERNEST CARROLL: I don't see --

23 MR. KELLAHIN: He's arguing with the witness, Mr.
24 Examiner.

25 EXAMINER CATANACH: Well, I think you -- Can you

1 just calm down your line of questioning?

2 MR. ERNEST CARROLL: I'll turn the volume down,
3 Mr. Catanach, and I apologize.

4 Q. (By Mr. Ernest Carroll) Now, let's examine that
5 assumption of yours a little further by looking at this
6 aerial photograph that you have in Exhibit 2.

7 Now, the green boxes that you have here on the
8 overlay, they are 330 on a side, are they not?

9 A. That is correct.

10 Q. And the distance between the -- and let's just
11 talk about the two green boxes on our right-hand side, or
12 the eastern side of this quarter section. The bottom of
13 the uppermost green and the top of the bottommost green
14 would be 660 feet; isn't that correct?

15 A. I believe that is correct.

16 Q. All right. So midpoint between that would be 330
17 feet, correct?

18 A. That is correct.

19 Q. And just by using a little guesstimation here,
20 this dark line, which appears to be part of another channel
21 that runs kind of in a northeasterly direction, that would
22 appear to be at least halfway between the midpoint of that
23 distance, so it would be approximately 165 to 170 feet
24 north of that green window, wouldn't it?

25 A. That is correct.

1 Q. So if we were to believe your assumption, we
2 would have to say that by your proposed site that you said
3 would -- you think would be great, would be the 170 feet
4 north, you would have to put that location, which you're
5 recommending to this Commission, within that drainage ditch
6 shown on this aerial photograph, wouldn't you?

7 A. Absolutely.

8 Q. And you also heard the testimony of Mr.
9 Beardemphl when he stated that no well site would be
10 approved within either of the drainage sites out there on
11 this location?

12 A. I don't recall him saying that specifically, but
13 he may well have.

14 Q. Now, if we assume just the little exercise that
15 we just went through, and assuming that the BLM would not
16 allow a location to be within any of this floodplain area,
17 then that would immediately tell you that apparently Mr.
18 Hunt, in his last notation here, moved 330 feet south, or
19 at least 500 feet, that that -- from 500 feet would not be
20 from the orthodox location? That would make it
21 inconsistent, wouldn't it, if you made those assumptions?

22 A. If you made those assumptions. I don't make
23 those. It's not at all what one would logically conclude,
24 based on this form.

25 Q. But the assumptions that you are addressing, you

1 have never gone out and visited with Mr. Hunt to verify the
2 foundations upon which you start, have you?

3 A. No, I have not.

4 Q. Now, let's turn now to focus on some of the
5 geology matters that you testified to.

6 You made a statement that it would be unfair to
7 Conoco because the locating of this -- of the unorthodox
8 well which Yates is proposing it, would unfairly compete
9 with Conoco's proposed well, I believe the Joyce Federal 2.
10 Is that a fair statement of how you characterize the
11 problem?

12 A. Yes.

13 Q. Okay. What is the footage location, first of
14 all, of the Joyce Federal Number 2? I do not find it on
15 any of your --

16 A. No, it's not. It's 660 from the north line and
17 1980 from the west line. It's a standard location.

18 Q. What was the -- from the west line?

19 A. Yes.

20 Q. I didn't get the footage.

21 A. 1980.

22 Q. 1980. Now, for the well to actually compete and
23 affect the Joyce Federal Number 2 at its -- at this
24 location, the Aspden 2 would have to, in effect, drain or
25 cause some reduction in the amount of oil that the Joyce

1 Federal would produce; is that correct?

2 A. That is correct.

3 Q. And the way -- As things are proposed right now,
4 the unorthodox location and the proposed Joyce, there would
5 be some 990 feet separating those two wells; is that
6 correct?

7 A. That is correct.

8 Q. Do you have any studies in the North Dagger field
9 which show that wells that are separated by 990 feet have
10 in fact affected the other, any studies?

11 A. Yes.

12 Q. Where?

13 A. The reservoir engineer, Bob Beamer, will present
14 a study.

15 Q. You have not done any studies, then, with respect
16 to that; is that correct?

17 A. I've worked concurrently with Bob in that study.
18 He is the one who is going to present it.

19 Q. Well, Mr. Hardie, is it your position that these
20 wells will drain more than 40 acres in the North Dagger
21 Draw area?

22 A. I'd say that's highly likely.

23 Q. Highly likely. Do you have any specific examples
24 of that?

25 A. As I mentioned earlier, I think Mr. Beamer will

1 provide sufficient examples of standard spaced wells that
2 have interfered with each other.

3 Q. Now, you will agree with me, though, that if this
4 field were based on 40-acre standard statewide rules of 40-
5 acre proration units, the location picked by Yates would be
6 a standard location?

7 MR. KELLAHIN: Objection, Mr. Examiner. It's
8 irrelevant.

9 EXAMINER CATANACH: I agree with Mr. Kellahin,
10 Mr. Carroll.

11 Q. (By Mr. Ernest Carroll) Well, Mr. Hardie, do you
12 have an opinion as to whether or not the standard statewide
13 field rules for 40-acre spacings are inappropriate because
14 they allow drainage to other offsetting 40-acres?

15 MR. KELLAHIN: Objection, same question,
16 irrelevant.

17 Q. (By Mr. Ernest Carroll) Your Honor -- "Your
18 Honor". Mr. Catanach, I think that we do have -- The issue
19 here is what is the effect and what -- As Mr. Hardie so
20 very well said, we are faced with a dilemma. We're having
21 to cut the baby in two, so to speak. There are no hard and
22 fast ways of drawing a decision.

23 I think the only thing that we can do, then, is
24 look at past precedent.

25 The State of New Mexico has adopted for many,

1 many years the 40-acre spacing rule and the location
2 limits. That is one of the precedents that I think this
3 Division and the Commission are ultimately going to have to
4 crank into this decision, because it is not an easy one.

5 And I think, therefore, it is relevant, this
6 issue is relevant to what you're ultimately going to have
7 to do. I don't think you should arbitrarily throw out any
8 consideration when you're trying to reach a decision on
9 this very ticklish problem that we're faced with.

10 MR. KELLAHIN: Mr. Carroll proves my objection,
11 Mr. Examiner. He's speaking to the statewide oil spacing
12 rules, and this Division has consciously adopted different
13 rules for this reservoir. To compare statewide rules to
14 what's happening in Dagger Draw is irrelevant.

15 MR. ERNEST CARROLL: Mr. Catanach, I think Mr.
16 Kellahin has just proved the opposite of what he said.

17 What we've found was that field rules were first
18 established at 160 and that drilling evidence now shows
19 that that was ill conceived. That's why the field rules
20 were changed, but -- for not only North and South Dagger
21 Draw but also to try to get them in some kind of
22 conjunction, because it is found that this field should
23 have been developed probably on 40 acres.

24 That's why we allow for four wells on a 160-acre
25 spacing, because -- The problem, why we didn't just go to

1 it -- and I think this Examiner is well aware -- is that
2 because over time we have problems here with different
3 ownership. We couldn't arbitrarily go to 40-acre spacing
4 and throw away the 160, because we would be destroying
5 correlative rights and would have to go in and then
6 reallocate production among the varying ownerships.

7 The Division and Commission, when it ultimately
8 changed these rules, recognized that it could not go back
9 and rewrite correlative rights and rewrite the
10 misconceptions of the past. It just therefore adopted a
11 new way.

12 It was one of those things that I just talked
13 about. The Commission took into account its whole
14 experience to try to adopt a manner of -- a way of dealing
15 with the problem. And that was effectively drilling out
16 here and not wasting oil, because we knew that one well
17 would not produce 160 acres, but we had to take into
18 account all of these other issues.

19 So it did not throw out any of this information;
20 it considered it all and adopted rules.

21 And that's all I'm asking this Examiner to do, to
22 look at everything, consider it, and then appropriately
23 make a decision based on all the evidence.

24 EXAMINER CATANACH: Mr. Carroll, are you trying
25 to ascertain that the setbacks in this pool should be 330

1 feet?

2 I mean, is that where you're headed? Is that the
3 point you're trying to make?

4 MR. ERNEST CARROLL: Mr. Catanach, I am not -- I
5 don't think Yates Petroleum has come here today prepared to
6 say that, or advocate a change in the field rules.

7 EXAMINER CATANACH: I understand.

8 MR. ERNEST CARROLL: That may eventually come.

9 But what we're saying, that -- is, if we're
10 looking at the equities of the situation, which is what
11 we're doing, we should look at how the State has looked at
12 the equities in the past, and that's all I want you to take
13 into consideration here.

14 And that consideration is very relevant here,
15 because we have not gone beyond accepted norms by the --
16 New Mexico in the past.

17 EXAMINER CATANACH: Mr. Carroll, the accepted
18 norms currently, as they stand for the North Dagger Draw,
19 are 660-foot setbacks.

20 And in my examination of what Yates is trying to
21 do by drilling this location, I have to look at the 660 as
22 opposed to the 330, because those are the rules currently
23 in effect for the pool.

24 MR. ERNEST CARROLL: I agree with you, Mr.
25 Catanach.

1 And I am not suggesting that you should say, I'm
2 going to throw away those rules, because that application
3 is not here before you.

4 EXAMINER CATANACH: I understand.

5 MR. ERNEST CARROLL: However, you do have to
6 determine -- and it's an arbitrary -- One, the calculations
7 that both sides are going to furnish for a penalty, those
8 are a black art, if you please. I don't think anybody is
9 going to say it's any more exact, because no one can say
10 how much oil is out there and how much oil is going to do
11 it.

12 But we have some accepted norms of trying to deal
13 with that issue. The Commission has in the past dealt with
14 it in this manner.

15 What I'm saying is that that's an equitable
16 manner -- a thing of looking at it, and that you should
17 also consider, when you're trying to determine what amount
18 of percentage is appropriate, some of these other accepted
19 norms, and then that would be -- This location, if it had
20 been developed on 40 acres, would not have been an
21 unorthodox location.

22 And that's as far as I want -- and am suggesting
23 that you consider it, and that's why -- I'm not going to go
24 in depth; I just want his opinion as to those two questions
25 that I asked, and then I'm leaving. I just want you to

1 have the benefit of that.

2 EXAMINER CATANACH: Mr. Carroll, again, I can't
3 see how that -- I can see how you wish it would be relevant
4 to this case, but it's not.

5 The setbacks for this pool are 660 feet, they're
6 not 330. I know the normal setbacks for 40-acre units are
7 330.

8 If Yates wants to seek an application to change
9 those setbacks for this pool, they're free to do so. But I
10 don't think that it really has any relevance to this case,
11 and I don't think we should allow this line of questioning
12 to continue.

13 MR. ERNEST CARROLL: Well, the only other
14 statement -- and then I'll quit, Mr. Catanach -- is that at
15 some point in time, the relevance of 330 and drainage
16 factors and encroachment were considered in arriving at
17 that state rule.

18 That is equitable considerations.

19 I'm just saying, those same considerations -- You
20 should at least take note that that's been done in the past
21 and the Commission has come down that way, and that's as
22 far as that argument would go.

23 EXAMINER CATANACH: Okay. Are you going to
24 continue or -- Are you going to discontinue your line of
25 questioning in this?

1 MR. ERNEST CARROLL: If you direct me to, I
2 certainly will.

3 EXAMINER CATANACH: Well, again I don't see that
4 it's --

5 MR. ERNEST CARROLL: Okay.

6 EXAMINER CATANACH: -- that it's relevant.

7 MR. ERNEST CARROLL: All I'm establishing is for
8 the record why I think you should, because this case may
9 very well be heard again. And these issues -- I want them
10 fully addressed and fully out in front so that no one can
11 claim that they're being blindsided, but that's where we're
12 going.

13 EXAMINER CATANACH: I understand, and your
14 request for me to consider that has been taken, so --

15 MR. ERNEST CARROLL: All right.

16 Q. (By Mr. Ernest Carroll) The particular case that
17 -- Mr. Hardie, that Mr. Fant referred to, the Diamond case,
18 in fact, you testified in the Diamond case, did you not?

19 A. Yes, I did.

20 Q. And in fact, in answer to a question posed by Mr.
21 Kellahin, you made the following statement -- and this is
22 found at page 82 of the transcript.

23 MR. KELLAHIN: May I approach the witness with a
24 copy of the transcript, Mr. Examiner, so that he can read
25 along with Mr. Carroll?

1 EXAMINER CATANACH: Yes.

2 MR. KELLAHIN: You're in transcript 10,519?

3 MR. ERNEST CARROLL: I think so. Yes.

4 MR. KELLAHIN: And you're on page 82?

5 MR. ERNEST CARROLL: Page 82.

6 Q. (By Mr. Ernest Carroll) Mr. Hardie, are you with
7 us now?

8 A. Yes, I am.

9 Q. All right. And at the top of page 82 there is an
10 answer, and the question was, by Mr. Kellahin, "In your
11 opinion as a geologist, what factors should the Examiner
12 consider in determining a penalty to impose upon Yates'
13 well location if he approves that location?"

14 That was the question addressed to you; is that
15 correct?

16 A. That is correct.

17 Q. All right, and your answer was, "In order for the
18 penalty to be meaningful, we feel like it should be based
19 on an initial potential test of the well. Our experiences
20 so far have shown that wells in South Dagger Draw, because
21 of their lower structural position than north Indian Basin
22 wells, cannot produce 14 million cubic feet of gas per
23 day."

24 A. That's correct.

25 Q. Is that correct?

1 A. Yes.

2 Q. And then you went on to say, "So that a penalty
3 on 14 million cubic feet of gas would be meaningless, and
4 that it should be based on an initial potential test"; is
5 that correct?

6 A. That is correct.

7 Q. Part of the reason for your answer here is that
8 the well itself is what you wanted to -- This well was what
9 was encroaching, and you wanted it to directly affect the
10 well itself; is that correct?

11 A. That is correct.

12 Q. Are you suggesting to the Examiner today that the
13 Examiner should consider penalizing the actual 700 barrels
14 that are allocated to the entire southwest-quarter
15 proration unit?

16 A. I'm not necessarily suggesting any method of
17 penalization --

18 Q. Okay.

19 A. -- for North Dagger Draw wells.

20 Q. I was a little confused, but I believe -- what --
21 I think what you were actually proposing was that
22 determining of a penalty is so hard that the Commission
23 should -- or the Division -- the Examiner should consider
24 just denying the application, period?

25 A. That's not exactly what I'm -- The determination

1 of the penalty is one issue.

2 The implementation of that penalty is what I have
3 a problem with.

4 Q. Okay, what is your recommendation for
5 implementation?

6 A. My recommendation is that the location should be
7 denied, because I deem there to be other alternatives
8 which, although unorthodox, admittedly, would better
9 protect the correlative rights of the offset operators.

10 Q. So basically you have not made or given or
11 rendered an opinion as to how a penalty should be
12 calculated in your testimony today?

13 A. I cannot think of a way in which a penalty could
14 be implemented, so there's no point in trying to calculate
15 one.

16 MR. ERNEST CARROLL: Okay. May I have just a
17 moment, Mr. Catanach?

18 EXAMINER CATANACH: Uh-huh.

19 (Off the record)

20 MR. ERNEST CARROLL: I pass the witness, Mr.
21 Catanach.

22 EXAMINER CATANACH: I have no questions of this
23 witness.

24 MR. KELLAHIN: I request the witness be excused.
25 Call at this time Mr. Bob Beamer.

1 ROBERT BEAMER,
2 the witness herein, after having been first duly sworn upon
3 his oath, was examined and testified as follows:

4 DIRECT EXAMINATION

5 BY MR. KELLAHIN:

6 Q. Mr. Beamer, for the record would you please state
7 your name and occupation?

8 A. My name is Bob Beamer, petroleum engineer,
9 Conoco, Incorporated, Midland, Texas.

10 Q. On prior occasions, Mr. Beamer, have you
11 testified before the Division and qualified as an expert in
12 the field of petroleum engineering?

13 A. Yes, I have.

14 Q. Describe for us what has been your particular
15 involvement concerning this case?

16 A. I was asked to look for specific instances of
17 well-to-well interference, which I have done so and have
18 prepared testimony in concert with Mr. Hardie.

19 MR. KELLAHIN: We tender Mr. Beamer as an expert
20 petroleum engineer.

21 EXAMINER CATANACH: Mr. Beamer is so qualified.

22 Q. (By Mr. Kellahin) Mr. Beamer, when Conoco became
23 aware of Yates' request to have a well encroaching towards
24 their operated properties in the section to the south --
25 which is your Section 32, I believe it is -- how were you

1 made aware of their Application?

2 A. Through Mr. Hardie. And actually, we function as
3 a reservoir management team, and it came before the team.

4 Q. And what are the reasons to have a geologist and
5 an engineer working concurrently within your company,
6 within a certain reservoir pool?

7 A. Well, we think that it provides us with better
8 management of the reserve recovery.

9 Q. When we talk about your engineering conclusions
10 and calculations, that information has been integrated,
11 then, with Mr. Hardie's geologic conclusions and opinions?

12 A. Yes, it has.

13 Q. One of the issues of concern for Conoco was the
14 proximity of the Yates well to Conoco's wells in Section 32
15 and its proposed Joyce Federal 2 well, was it not?

16 A. Yes.

17 Q. How did you as a reservoir engineer go about
18 determining or trying to quantify whether the encroachment
19 to Conoco, in order to solve Yates's topographic problem,
20 was going to be at your expense?

21 A. Well, we looked at past production histories on
22 existing wells in the North Dagger Draw field, specifically
23 in this immediate area.

24 Q. What would you be looking for?

25 A. Examples of interference between standard

1 locations, which would be defined by a significant change
2 in production decline rates.

3 Q. Why is that important to you as a reservoir
4 engineer?

5 A. Well, it indicates to me that the wells are
6 interfering with each other. These wells probably have the
7 capability of draining greater than 40 acres. A well
8 closer to our lease naturally increases the drainage from
9 our property and damages the correlative rights.

10 Q. Based upon your review and study, how many
11 examples were you initially able to find of instances where
12 wells were at standard locations in this area and yet
13 interfered with each other?

14 A. Well, I'm prepared to show six examples. There
15 are others, of course, but I selected these because they
16 are more located towards thinning sections of the Cisco
17 reservoir, and we think it certainly applies more to our
18 situation.

19 Q. Did you apply appropriate reservoir judgments,
20 then, in looking for examples of interference that could be
21 characterized by you and Mr. Hardie as relevant to what may
22 occur if the Aspden Number 2 well is drilled in that part
23 of the reservoir?

24 A. Yes.

25 Q. And the difference, then, is one of degree,

1 insofar as the Aspden well would be at an unorthodox
2 location in relation to the Conoco well?

3 A. I would say so.

4 Q. All right, sir. Let's turn to your work, then.

5 If you'll look at Exhibit Number 6, identify the
6 display and then we'll talk about what you did.

7 A. Exhibit 6 is a copy of the Cisco/Canyon dolomite
8 isopach map in the immediate area of concern. We have
9 highlighted six well pairs that we have found evidence of
10 direct communication between the two wells.

11 Q. What kind of information did you look at that
12 caused you to reach that conclusion?

13 A. We looked at the past production histories on
14 each of the wells in any given well pair.

15 Q. All right. Let's turn -- Let's leave Exhibit 6
16 before you and turn to the first display of that
17 information, if you'll look at Exhibit 7 and look at the
18 top half of Exhibit 7. Let's look at the first comparison
19 of paired wells.

20 A. Okay. First of all, let me just clear the
21 exhibit for you a little bit.

22 What's plotted here are rate-versus-time plots
23 for two wells. The top one is comparing the Molly QD 1
24 with the Molly QD 2.

25 Q. All right. We look at Exhibit 6, then, and

1 that's over in the southeast quarter of Section 13. It's
2 the upper portion of the display on Exhibit 6?

3 A. That's right.

4 Q. The production information from the Molly QD 1,
5 which is the well in the southern portion of the section,
6 how is that plotted on Exhibit 7?

7 A. It's plotted as the solid line.

8 Q. And what is the source of that information?

9 A. Historic production data, taken from *Dwight's*.

10 Q. Is this all your work product?

11 A. Yes.

12 Q. How did you make the engineering judgment about
13 the 20-percent decline in the Molly QD 1 well?

14 A. That's simply an estimate of mine based on the
15 established trend of production. It's plotted on a
16 logarithmic scale. It's a relatively simple method of
17 determining a decline rate, just by looking at the trend,
18 straight-line trend.

19 Q. Prior to the production on the Molly QD 2 well,
20 which will be the dashed line on the display, if you'll
21 look at the bottom horizontal scale, that is in months, is
22 it not?

23 A. Yes.

24 Q. What did you approximate to be the average
25 decline in a percentage for the Molly QD 1 well for the

1 period from 1989 through early 1991?

2 A. Well, my estimate is approximately 20 percent.
3 There are differences in the production rates. I'm not
4 aware of what caused those. The main inference, however,
5 is that the decline rate appears to be steady and fairly
6 uniform.

7 Q. All right. In 1992, then, the production on that
8 well increases, does it not?

9 A. Yes.

10 Q. It steps up slightly on the curve?

11 A. It steps up significantly.

12 Q. All right. What -- Do you know what the reason
13 was for that?

14 A. No, I don't. I assume that there was some
15 remedial work done.

16 Q. All right. And then the well establishes another
17 decline; is that --

18 A. In my opinion, it establishes the same 20-percent
19 decline.

20 Q. All right. And then starting in 1992, continuing
21 through 1993, there is another decline established for
22 production from that well?

23 A. That's right.

24 Q. What is that decline?

25 A. Well, I've estimated it to be about 70 percent

1 per year.

2 Q. Did you investigate to determine what, in
3 reasonable engineering probability, was the explanation for
4 having the Molly QD 1 well go from a 20-percent decline
5 rate to a 70-percent decline rate?

6 A. Well, I looked in the immediate vicinity to see
7 whether any other well was completed or put on production
8 at roughly that time that could have caused that change.

9 Q. And what did you find?

10 A. I found that the Molly QD 2 was completed
11 approximately September of 1991, and that that appears to
12 have interfered with and significantly changed the decline
13 rate on the Molly QD 1.

14 Q. The Molly QD 2 decline production profile is the
15 dashed line?

16 A. That's right.

17 Q. Is it of engineering significance to you that in
18 1992 and 1993, both these wells have established the same
19 percentage of decline at approximately 70 percent?

20 A. Well, it indicates to me that they're draining
21 essentially the same reservoir.

22 Q. Does it indicate to you anything concerning their
23 interference with each other?

24 A. I'd say that the Molly QD 2 has definitely
25 interfered with the performance of the Number 1 well, and

1 it was fairly quick. I'd estimate about three months.

2 Q. Let's go to the next example, the bottom half of
3 Exhibit 7, if you'll lead us through the example, going
4 back to Exhibit 6, showing us the well pairs and describing
5 what occurs.

6 A. We're looking at Lehman 1 versus Lehman 11, and
7 it's just east of the well pair that was previously talked
8 about, southwestern quarter of Section 18.

9 Again, a long period of established production on
10 the Lehman 1 of about 30-percent decline.

11 Approximately four months after the Lehman 11 was
12 completed, there's a noticeable change, increase in the
13 average decline rate, which is paralleled by the Lehman
14 Number 11. And again, I attribute that to interference
15 effects.

16 Q. All right, sir, let's go now to Exhibit 8 and
17 look at the top half of that display and look at the pair,
18 Dagger 4 and Dagger 10.

19 A. Dagger 4 and Dagger 10 are located in the
20 southwest quarter of Section 19.

21 We see the same general trend, a stabilized
22 period of established decline by the Dagger 4 well, altered
23 soon after the Dagger Number 10 well was completed.

24 Q. What's your conclusion?

25 A. Interference, and it appears to me, again, that

1 they've established similar decline trends, which to me
2 indicates draining a common reservoir.

3 Q. All right, the bottom half of Exhibit 8, describe
4 those pairs and what your conclusion is.

5 A. The Pincushion 1 and the Dagger ZW 3 are located
6 in the southwest quarter of Section 30.

7 Again, the Pincushion 1 was the initial well on
8 completion and established 30-percent decline, changed
9 significantly as soon as the Dagger ZW 3 was completed.
10 Again, in my opinion, direct result of well-to-well
11 interference.

12 Q. Sir, if you'll turn to Exhibit 9, again let's
13 look at the top pair on that display sheet and find their
14 location on Exhibit 6.

15 A. The State 3 and the State 8, which are located in
16 the northwest quarter of Section 36.

17 The State 3 was the first well completed. It's
18 one of the farthest wells on the western edge of the
19 reservoir.

20 It looks like it established about a 45-percent
21 decline, beginning in 1991. Rather dramatic effect when
22 State 8 was completed, significant change in decline rate.
23 Again, parallel trends from the two wells.

24 Q. All right, sir. Then the final pair, the bottom
25 half of Exhibit 9, locate those two wells on Exhibit 6.

1 A. These are just immediately east of the last pair,
2 State 5 and State 7, located in the northeast quarter of
3 Section 36.

4 The State 5 well was completed first, established
5 decline. A significant change in decline rate when the
6 Number 7 well was completed.

7 All of these are essentially standard-location
8 40-acre wells.

9 The inference is that interference can occur very
10 quickly, even on a standard well location.

11 Q. Provide us your engineering conclusions, then,
12 with regards to opinions you may have about approving this
13 unorthodox location that Yates is requesting.

14 A. Well, we oppose it on the basis that it is
15 encroaching on us, it provides us with less than a full 40-
16 acre drainage area.

17 We are at risk anyway, being closer to the edge
18 of the dolomite fairway. We're downstructure.

19 We require a 40-acre drainage in order to develop
20 a commercial location. Their encroachment is going to deny
21 us that full 40-acre drainage.

22 Q. Have you, in conjunction with Mr. Hardie,
23 examined the parameters by which a production penalty might
24 be hypothetically imposed upon the Yates location?

25 Q. Well, we've discussed it, and Mr. Hardie has

1 expressed Conoco's opinion and that it would be very
2 difficult to implement.

3 Q. And do you concur in that opinion?

4 A. I do.

5 Q. And in fact, you were part of the technical team
6 that ended up in that conclusion, that you could not craft
7 a practical, appropriate penalty for this particular case?

8 A. That's true.

9 MR. KELLAHIN: That concludes my examination of
10 Mr. Beamer.

11 We move the introduction of his Exhibits 6
12 through 9.

13 EXAMINER CATANACH: Exhibits 6 through 9 will be
14 admitted as evidence.

15 Mr. Carroll?

16 MR. ERNEST CARROLL: Thank you, Mr. Catanach.

17 CROSS-EXAMINATION

18 BY MR. ERNEST CARROLL:

19 Q. Mr. Beamer, in looking at Exhibit 6 you have not
20 chosen to analyze any wells in Section 29, have you?

21 A. In Section 29? That's to the north -- or
22 that's -- That's the section of discussion; is that
23 correct?

24 Q. That's correct.

25 A. I don't believe the data was available to us,

1 production data. We don't own an interest. Binger Number
2 1, perhaps, but I don't recall looking at that particular
3 well.

4 Q. All of your examples are at least one mile
5 distance, and some of them go as high as two, two and a
6 half miles?

7 A. That's right.

8 Q. In looking at your Exhibits 7, 8 -- 7, 8 and 9,
9 you say -- you're measuring here decline of something; is
10 that correct?

11 A. Apparent decline rate on oil production, yes,
12 sir.

13 Q. All right. This decline rate is the oil only; is
14 that correct?

15 A. Yes, sir.

16 Q. The wells in both North and South Dagger Draw are
17 high-volume fluid producers, are they not?

18 A. Typically.

19 Q. And so these wells and all of the wells which you
20 analyzed, the six pairs, are producers of high volumes of
21 oil, water and gas?

22 A. They can be.

23 Q. Well, are any of the six pairs that you have
24 analyzed fall outside of that category where they do not
25 produce high volumes of water and oil?

1 A. Initially they had produced high rates, yes.

2 Q. All right. Now, your charts in all three
3 exhibits do not measure the total amount of fluid
4 production, do they?

5 A. No, they don't.

6 Q. So quite frankly, the total amount of fluid that
7 is being produced by each of these wells, in all
8 likelihood, they haven't changed throughout this period of
9 production for either of the wells?

10 A. I'm not sure that I would agree with that.

11 Q. Well, have you done a study where you have shown
12 that the actual fluid rates producing by each of these
13 pairs have declined, the same way that the oil has
14 declined?

15 A. Not for my particular instance. This was
16 prepared simply for simplicity.

17 Q. In fact, it is so simple that, really, what
18 you're measuring here may be merely the physical
19 limitations of the pumps that are downhole in these wells,
20 aren't you?

21 A. I don't think so. I suspect that most operators
22 out there are trying to pump these wells off.

23 Q. Well, what I'm talking about is your exhibits,
24 not the experience of the operators out there. I think --
25 Isn't it true that all this -- that these exhibits just

1 show a very small part of the picture, don't they?

2 A. They show the part of oil that is sold.

3 Q. Oil that is sold.

4 All right, let's look at first Exhibit Number 7.

5 Can you tell me that in the are to the right of this -- on
6 the Molly QD 1 and QD 2, where we have an established 70-
7 percent decline, did the liquids decline at the same 70-
8 percent rate?

9 A. I cannot answer that right now.

10 Q. All right. Now, let's go back into about the
11 middle part of this -- Okay.

12 Now, let's look about, starting the middle of
13 1991 --

14 A. Uh-huh.

15 Q. -- on the Molly QD 1 and QD 2.

16 A. Yes.

17 Q. All right. We see in about March or April a
18 dramatic jump in production, the amount of production, do
19 we not?

20 A. Yes, sir.

21 Q. Can you tell me why that happened?

22 A. I think I testified that I could not.

23 Q. Isn't it true that some remedial action, such as
24 changing the size of the downhole pump or installing a
25 downhole pump, could have caused that?

1 A. That's very possible.

2 Q. Very possible.

3 All right, now, let's move just slightly further,
4 and you draw a line, and this would be for the bottom well,
5 which would -- Well it's the Molly QD 1. And you show --
6 You've drawn a straight line to show your 70-percent
7 decline, have you not?

8 A. Yes.

9 Q. Actually, the point where the decline starts is
10 not in December of 1991, but is actually more like July or
11 August of 1991, isn't it?

12 A. The point that falls on that line, yes. I'm
13 simply trying to select trends.

14 Q. All right. So -- But then let's look. If the
15 decline starts in about August of 1991, the Molly QD 2
16 didn't come on till about that same period of time, did it?

17 A. Let's go back. I must have missed something.
18 Start your time reference again, please.

19 Q. All right, 1991 --

20 A. All right.

21 Q. -- we look at where the true decline begins, the
22 70-percent decline. It actually begins somewhere in the
23 area of about August of 1991?

24 A. That's subject to interpretation.

25 Q. You'll agree with me some engineers would say

1 that's when it started?

2 A. Absolutely.

3 Q. Okay. Now, we look at the beginning point or the
4 point that the Molly QD 2 -- Now, was this beginning point,
5 was that when it was actually put on production?

6 A. If you believe the state production records, that
7 would be the time it's put on production.

8 Q. Now, the Molly QD 1 and QD 2 are not Conoco-
9 operated wells, then?

10 A. That's right.

11 Q. Okay. So you just went to the records to get
12 your information?

13 A. Absolutely, public records.

14 Q. And you're telling me that there was no public
15 record available for Section 29?

16 A. We've tried to get *Dwight's* data for the past
17 year and a quarter, roughly, and it's not available.

18 Q. Okay. So -- But looking at your graph here --

19 A. Excuse me, it also requires a certain amount of
20 time to establish trends.

21 Q. Uh-huh.

22 A. I'm not sure when these wells in 29 were put on
23 production, but you -- It is required to have some time of
24 production to establish a trend.

25 Q. But you didn't investigate when the Boyd 1, the

1 3, the Binger, the Boyd 2 were drilled, did you?

2 A. I believe I stated that these six well pairs were
3 not the only well pairs that I had identified interference
4 with. I selected these because they more fit our needs.

5 Q. Your needs, all right.

6 Let's look back at the beginning point of -- The
7 Molly 2 goes on production in about August, and the Molly 1
8 immediately begins to decline.

9 Are you implying to the Examiner that these wells
10 have an immediate influence upon the offsetting pair?

11 A. Well, if you look at trends, it would appear to
12 be.

13 Q. Well, Mr. Beamer, you know that in the real world
14 that doesn't happen, don't you?

15 A. I won't say it doesn't.

16 Q. You won't say that. You've never encountered it,
17 have you?

18 A. I see evidence of it.

19 Q. Well, what you see is this evidence on this
20 chart?

21 A. Well, that's right.

22 Q. But you're not talking about, on this chart,
23 total fluid production, are you?

24 A. Total fluid production is not plotted.

25 Q. All right. Can you tell me and explain -- to all

1 of us in this room, because I think we'd all be interested
2 in -- how do you determine in the North and South Dagger
3 Draw fields the relationship between the water and the oil
4 that is in that reservoir? How do you explain that?

5 A. The relationship --

6 Q. How do we know what the oil column is going to be
7 at any given area? What are the parameters, what are the
8 physical properties or rules that govern that?

9 A. Well, I would say initial well tests. Certainly
10 logs are not very much of an influence, because they're
11 very difficult to evaluate. Production tests, whatever.

12 Q. Well, Mr. Beamer, what I'm interested in is, what
13 rules tell you how much of the total volume is going to be
14 oil at any given time, as opposed to water?

15 A. I believe both Yates and Conoco have estimated
16 that an oil-water contact in this reservoir is about minus
17 4300 feet.

18 Q. I'm not talking about oil-water contact. I'm
19 talking about when that stream is proposed, it's composed
20 of three constituents: gas, oil and water.

21 How can you determine -- What are the rules that
22 tell you that you can specifically know, one, that each of
23 these two wells in each of these pairs are going to produce
24 at the same proportion as the other well?

25 And, two, how do you determine those proportions?

1 A. You can't.

2 Q. That's what I thought.

3 Now, Mr. -- You've told me that Conoco doesn't
4 operate the Molly 1 and the Molly 2; that's correct, isn't
5 it?

6 A. That's right.

7 Q. Now -- So you've not done any studies to
8 determine, with respect to this decline of oil and the fact
9 they are going at the same rate -- you don't know, then, if
10 they are using the same size pump and whether or not those
11 pumps are producing at their maximum, do you?

12 A. No, I don't.

13 Q. And you don't know that if they put in a larger
14 pump in one of these wells, that you could actually produce
15 more fluid, do you?

16 A. I would assume you would, if you put in a bigger
17 pump.

18 Q. And if you did that, the oil rate would go up,
19 wouldn't it?

20 A. Very possible.

21 Q. And it could skew, then, this fact that these two
22 decline rates track each other, couldn't it?

23 A. I think it's -- has to be a little bit more than
24 coincidence that almost all of these well pairs established
25 parallel trends of decline once the second well is put on

1 production.

2 Q. Well, Mr. Beamer, maybe it's because of the
3 methodology you used.

4 As I look at what you've predicted here on
5 Exhibit 6, you have picked wells within the same proration
6 units. You have never crossed proration-unit lines.

7 Now, if your -- and let's take the top example,
8 the Molly 1 and the 2. If your analysis between the Molly
9 1 and the 2 are the same, then you should be able to say
10 that the Molly 1 and the Lehman Federal should likewise be
11 the same, shouldn't you?

12 A. All I'm saying is that 40-acre standard locations
13 will exhibit interference effects.

14 Q. And if we look at your Exhibit Number 7, we see
15 that your Molly 1 has a 70-percent decline, but the Lehman
16 1 has a 52-percent decline. Frankly, these decline rates
17 may be just subject to the different operators' procedures,
18 isn't it?

19 A. I don't think so. Lehman 1 and the Lehman 11 are
20 both in a thicker reservoir. The Molly wells are at the
21 western edge of the reservoir.

22 Q. Well, Mr. Beamer, you will agree with me that
23 when a well -- if a well interferes with another well, the
24 interference will be concentric in all directions, not just
25 in a north-and-south direction; is that right?

1 A. I'm not saying that this is the only interference
2 effect. I'm showing interference effects between two
3 standard locations.

4 Q. Okay, and the Lehman 1 -- Well, the Lehman Two
5 [sic], you don't see the same effect, though, from the
6 Molly 2 to the Lehman Two, do you?

7 A. From the Lehman -- What?

8 Q. The Lehman Two and the Molly 2?

9 A. The Lehman 1, the Lehman 11?

10 MR. FANT: That's the 11.

11 MR. ERNEST CARROLL: Is it the 11? I'm sorry, I
12 thought that was a Roman numeral.

13 THE WITNESS: So you're comparing it to what?

14 Q. (By Mr. Ernest Carroll) I'm just saying that
15 you've compared the wells north and south. What if we
16 compare east-west, you don't show -- The drainage effect is
17 not the same because your decline rates on Exhibit 7 are a
18 significant difference?

19 A. Well, I guess four of my six well pairs are
20 oriented north-south. We might infer, then, that we have a
21 dramatic interference effect to expect between Aspden 2 and
22 the Joyce Federal 2.

23 Q. Or we might infer that there are substantial
24 differences in the way operators produce their wells?

25 A. You could infer that.

1 Q. Now, let's drop down to the Lehman 1 and the
2 Lehman Two, and let's look -- It looks to me like the --
3 excuse me, Lehman 11, I apologize -- the Lehman 11 began
4 producing in about June, July of 1991; is that correct?

5 A. Yes.

6 Q. And the actual decline -- and we see a very
7 significant decline actually started a couple of months
8 prior to that on the Lehman Number 1; isn't that true?

9 A. On the Lehman 1?

10 Q. Yes.

11 A. I would suggest that the established 30-percent
12 decline on the Lehman 1 carried through, oh, probably
13 October of 1991.

14 Q. Yeah, but let's look at just a few months prior
15 to that. We see a dramatic increase.

16 It's quite possible that that operator went out
17 there and put a larger pump or changed some of the pumping
18 procedures or something, which, one, reflected in a very
19 large increase in production, and then accounts for the
20 decline of the production of oil; isn't that true?

21 A. Yes.

22 Q. And anyway, just looking at the -- just from
23 visually looking at this diagram, one could at least draw
24 the conclusion that the Lehman 11 began having an effect on
25 the Lehman 1 prior to it even going on production. That's

1 what this diagram says?

2 A. Subject to interpretation. I contend that my
3 examples show interference between standard 40-acre well
4 locations.

5 Q. And in every case, when you look at Exhibit 8 and
6 9, that when you do the analysis of when the second well
7 came on, the decline had already started prior to the
8 second well being put on production? That's shown in every
9 one of your exhibits?

10 A. No, I disagree.

11 Q. Well, which one doesn't it show?

12 A. Well, let's look at State 5 and 7, for instance.

13 Q. All right. Again, what the point here is where
14 you show a difference from a 30-percent -- where you choose
15 to place the line between a 30-percent decline and a 75-
16 percent decline; isn't that why you see that?

17 A. Yes.

18 Q. But the well, first of all, was in a decline
19 throughout that entire period, wasn't it?

20 A. I don't think there's any disagreement over that.

21 Q. All right. And in fact, it might be -- some
22 engineers might say the true decline should be measured up
23 through February of 1992, rather than beginning in July of
24 1992; isn't that true?

25 A. Some could.

1 Q. Yes.

2 Well, let me ask your opinion as to this
3 question. If we were to go and find out that there was no
4 drop in fluid production, would you agree with me that you
5 could not -- if total fluid production -- the decline in
6 total fluid production stayed the same -- Well, excuse me.
7 Let me -- I'm getting my question messed up.

8 If the total fluid production is not affected,
9 then you cannot say that these wells actually interfered,
10 can you?

11 A. I don't believe that's the situation. Reservoir
12 pressure is declining constantly.

13 Q. Well, just to account for constant -- Well, I
14 guess what the question really is, Mr. Beamer, shouldn't
15 you really be measuring total fluid production rather than
16 oil production?

17 A. I see a problem in that, in that we don't sell
18 water, so what records do you take for water production?

19 Q. Well, then, I guess you can automatically predict
20 how much water that your lease is going to produce, as
21 opposed to oil?

22 A. We make every reasonable effort to keep track of
23 water production. But again, the records would not be very
24 clear.

25 Q. In other words, you can't tell this Division

1 Examiner that underlying your southwest -- or your
2 northwest quarter of Section 32, that you've got X amount
3 of oil and X amount of water, and you cannot tell that
4 Division Examiner that really what might be affected would
5 be the production of water rather than the production of
6 oil?

7 You have no science available to you to predict
8 the differences?

9 A. Well, I would submit that they were both
10 declining.

11 Q. They were both declining. But you cannot tell
12 this Examiner that they will decline at the same rate or in
13 the same proportion?

14 A. Not without plotting the data.

15 Q. And you've never attempted to do that, have you?

16 A. I have not.

17 Q. As I understand your testimony, you have --
18 Basically, you're of the opinion that the Commission has
19 two alternatives available to it here.

20 The first alternative is just deny the
21 Application to allow that well to be drilled at that
22 location, the unorthodox location?

23 A. Yes.

24 Q. And that is, in your estimation, what you would
25 recommend?

1 A. From Conoco's point of view, absolutely.

2 Q. And as I understood it, you didn't recommend a
3 penalty -- If the Commission decides that it won't do that,
4 but does decide to grant the permit to drill at this
5 location, you did not recommend a penalty; is that correct?

6 A. That's correct.

7 MR. ERNEST CARROLL: I would pass the witness,
8 Mr. Catanach.

9 EXAMINATION

10 BY EXAMINER CATANACH:

11 Q. Mr. Beamer, how does the water cut in these
12 wells, how does that typically occur? Does that occur in
13 uniform fashion? The water cut increases as production
14 goes on?

15 A. Much of the water-cut performance is related to
16 how the well is completed, where is the lowest perforation?
17 So it can vary significantly.

18 Q. Can the water cut in a well abruptly change at
19 any point in time?

20 A. I would say an abrupt change would be caused by
21 some mechanical occurrence, rather than reservoir -- I
22 don't really anticipate an abrupt change in the reservoir
23 fluid production.

24 Q. Okay. Again, it's my understanding, as it is
25 Yates', that Conoco firstly recommends that this location

1 be denied?

2 A. Yes.

3 Q. Conoco is unwilling to submit a proposed penalty
4 for this well?

5 A. We have not considered a penalty for the reasons
6 stated, that we -- it's difficult for us to see how it
7 would be enforced.

8 Q. Is it your opinion that it cannot be enforced?

9 A. I don't think there are -- with the State
10 accounting system, I'm not sure how it can be enforced. I
11 don't know how you would track and apply a penalty to a
12 single well in this four-well proration unit.

13 Q. If you were to keep track -- an accurate track of
14 what the particular well was capable of producing, could
15 you then institute a penalty against that well, and would
16 it be effective?

17 A. That's possible. We haven't discussed the
18 penalty situation.

19 EXAMINER CATANACH: I have no further questions
20 of Mr. Beamer.

21 Anything further?

22 MR. KELLAHIN: Not with this witness, Mr.
23 Examiner.

24 Mr. Examiner, we at this time would move the
25 introduction of what I've marked as Conoco Exhibit Number

1 12. This is the sworn testimony, including direct and
2 cross-examination, of Dr. Boneau before this agency and a
3 certified court reporter.

4 It includes in the back of the proposed exhibit
5 all of Dr. Boneau's exhibits, with the addition of Yates
6 Exhibit 1, which was a locator map.

7 The testimony here is by Yates' engineer
8 concerning the implementation and construction of a penalty
9 in the northwest quarter of Section 31, which we've
10 described earlier in the presentation.

11 The reason it is submitted to you are for the
12 various admissions that Dr. Boneau has made that are
13 binding upon the Applicant today.

14 It is contrary to and inconsistent with the
15 presentation made by Mr. Fant. It includes a number of
16 reasons why, despite his best efforts, Dr. Boneau was
17 unable to craft an appropriate penalty, at the conclusion
18 of which, on page 174, I asked Dr. Boneau, "I think I
19 misunderstand the question. That penalty is not your
20 recommendation, is it, Dr. Boneau?"

21 His answer is, "No, no, my recommendation was
22 that the thing be denied because of the problems of
23 implementing such a penalty."

24 We think it's relevant, and we would request that
25 this portion of the transcript that directly relates to the

1 topic of the construction of the penalty and its
2 implementation and enforcement be introduced into the
3 record of this case.

4 MR. ERNEST CARROLL: Mr. Catanach, I'm going to
5 object to the consideration of this hearing, because Mr.
6 Kellahin is taking these opinions addressed by Mr. Boneau
7 totally out of context.

8 If you -- I believe -- You were the Hearing
9 Examiner. The issue here was the fact that there were
10 orthodox locations that were available. That's why Yates
11 took the position that there should be no penalty proposed
12 under those circumstances, because they did have -- and I
13 think that's what they ended up drilling this well on an
14 orthodox location.

15 This is not applicable here. It's totally
16 irrelevant. This stuff is taken out of context and has no
17 relevance today, and I would object to any consideration
18 because of that.

19 MR. KELLAHIN: Mr. Carroll misstates the issue.

20 Dr. Boneau's testimony was with regards to
21 constructing a penalty formula, and it had nothing to do
22 with the other topic in that case about the alternative
23 surface location, and it is directly relevant.

24 I have included his entire presentation, both the
25 direct and the cross.

1 MR. ERNEST CARROLL: Again, Mr. Examiner, I
2 disagree with Mr. Kellahin.

3 You were there. He doesn't present all of the
4 testimony. And the only way -- This is just an excerpt
5 that is taken out of context, it's inappropriate.

6 The only way that anything should be considered
7 from that hearing would be the entire transcript, which
8 then explains the position of Yates with respect to that
9 Application.

10 EXAMINER CATANACH: Mr. Carroll, what I will do
11 is, I will review the entire transcript, and I will see for
12 myself if it's relevant to this case, and I will make that
13 determination on my own.

14 I will admit this into evidence in this case, and
15 I -- as stated, I will review the whole transcript.

16 MR. ERNEST CARROLL: Thank you.

17 MR. KELLAHIN: That concludes our presentation of
18 evidence, Mr. Examiner.

19 It's already 12:20. Mr. Carroll and I can
20 probably talk the rest of the day about what we think you
21 ought to do.

22 If you prefer, I will waive closing arguments and
23 simply submit a proposed order in the case and let you
24 consider handling it in that manner.

25 If you prefer to have argument of counsel, I'm

1 prepared to go forward.

2 It's certainly your decision, Mr. Examiner.

3 EXAMINER CATANACH: Mr. Carroll, are you to
4 waive --

5 MR. ERNEST CARROLL: I would concur in Mr. --

6 EXAMINER CATANACH: -- closing statements?

7 MR. ERNEST CARROLL: -- Kellahin's statements.

8 EXAMINER CATANACH: Thank you.

9 MR. ERNEST CARROLL: I would like -- if -- the
10 Examiner to please tell us if he wishes a proposed order to
11 be submitted.

12 EXAMINER CATANACH: I do, from both parties, if I
13 could.

14 MR. ERNEST CARROLL: What kind of time frame
15 would you like that to be submitted?

16 EXAMINER CATANACH: Within two weeks.

17 MR. ERNEST CARROLL: Two weeks.

18 EXAMINER CATANACH: Is there anything further?

19 MR. KELLAHIN: No, sir. Thank you.

20 EXAMINER CATANACH: There being nothing further,
21 Case 11,235 will be taken under advisement.

22 Thereupon, these proceedings were concluded at
23 12:25 p.m.)

24 * * *

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 11235,
heard by me on April 6, 1985.

25 David R. Catant, Examiner
Oil Conservation Division


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL April 22nd, 1995.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 14, 1998