


## STATE OF NEW MEXICO

## ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

## OIL CONSERVATION DIVISION



IN THE MATTER OF THE HEARING )  
 CALLED BY THE OIL CONSERVATION )  
 DIVISION FOR THE PURPOSE OF )  
 CONSIDERING: )

CASE NO. 11,267

APPLICATION OF ARCH PETROLEUM, )  
 INC. )

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGSEXAMINER HEARING

BEFORE: MICHAEL E. STOGNER, Hearing Examiner

April 20th, 1995

Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Division on Thursday, April 20th, 1995, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, before Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

STEVEN T. BRENNER, CCR  
 (505) 989-9317

## I N D E X

April 20th, 1995  
 Examiner Hearing  
 CASE NO. 11,267

	PAGE
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>JACK ERWIN</u>	
Direct Examination by Mr. Carr	4
Examination by Examiner Stogner	18
<u>CHRIS BEZNER</u>	
Direct Examination by Mr. Carr	22
Examination by Examiner Stogner	39
REPORTER'S CERTIFICATE	45

\* \* \*

## E X H I B I T S

	Identified	Admitted
Exhibit 1	7	18
Exhibit 2	9	18
Exhibit 3	9	18
Exhibit 4	9	18
Exhibit 5	16	18
Exhibit 6	16	18
Exhibit 7	24	38

\* \* \*

## A P P E A R A N C E S

## FOR THE DIVISION:

RAND L. CARROLL  
Attorney at Law  
Legal Counsel to the Division  
State Land Office Building  
Santa Fe, New Mexico 87504

## FOR THE APPLICANT:

CAMPBELL, CARR & BERGE, P.A.  
Suite 1 - 110 N. Guadalupe  
P.O. Box 2208  
Santa Fe, New Mexico 87504-2208  
By: WILLIAM F. CARR

\* \* \*

1 WHEREUPON, the following proceedings were had at  
2 9:25 a.m.:

3 EXAMINER STOGNER: At this time I'll call Case  
4 Number 11,267.

5 MR. CARROLL: Application of Arch Petroleum,  
6 Inc., for special pool rules, Lea County, New Mexico.

7 EXAMINER STOGNER: Call for appearances.

8 MR. CARR: May it please the Examiner, my name is  
9 William F. Carr with the Santa Fe law firm Campbell, Carr  
10 and Berge.

11 We represent Arch Petroleum Corporation, and I  
12 have two witnesses.

13 EXAMINER STOGNER: Are there any other  
14 appearances?

15 Will the witnesses please stand to be sworn?

16 (Thereupon, the witnesses were sworn.)

17 JACK ERWIN,  
18 the witness herein, after having been first duly sworn upon  
19 his oath, was examined and testified as follows:

20 DIRECT EXAMINATION

21 BY MR. CARR:

22 Q. Would you state your name for the record, please?

23 A. Jack Erwin.

24 Q. And where do you reside?

25 A. In Midland, Texas.

1 Q. Mr. Erwin, by whom are you employed?

2 A. By Arch Petroleum, Inc.

3 Q. And what is your current position with Arch  
4 Petroleum, Inc.?

5 A. I'm a geologist.

6 Q. Have you previously testified before the New  
7 Mexico Oil Conservation Division?

8 A. No, I have not.

9 Q. Could you summarize for Mr. Stogner your  
10 educational background?

11 A. I graduated in December of 1982 from Stephen F.  
12 Austin State University with a BS degree in geology.

13 Q. And since graduation, for whom have you worked?

14 A. In January of 1983, I went to work for a small  
15 independent geologist by the name of Duane Hamilton. In  
16 mid-1984 I went to work for Grus Petroleum out of Midland,  
17 and in 1988 I went to work for Arch Petroleum.

18 Q. And since graduation, at all times you have been  
19 employed as a petroleum geologist, have you not?

20 A. That's correct.

21 Q. And are you familiar with the Application filed  
22 in this case on behalf of Arch Petroleum, Inc.?

23 A. Yes, I am.

24 Q. And have you made a study of the area surrounding  
25 the Justis-Fusselman field?

1 A. Yes, I have.

2 MR. CARR: Mr. Stogner, we tender Jack Erwin as  
3 an expert witness in petroleum geology.

4 EXAMINER STOGNER: Jack Erwin is so qualified.

5 Q. (By Mr. Carr) Mr. Erwin, would you initially  
6 summarize what Arch Petroleum seeks in this case?

7 A. We seek adoption of special pool rules for the  
8 Justis-Fusselman Pool, providing for a 10,000-to-1 gas-oil  
9 ratio.

10 Q. By way of background, we ought to advise the  
11 Examiner when this pool was originally established.

12 A. It was established by Order Number R-1143 on  
13 March 25, 1958.

14 Q. And what acreage did this pool originally  
15 include?

16 A. Originally, it comprised only the northwest  
17 quarter of Section 24, Township 25 South, Range 37 East.

18 Q. And that was in 1958?

19 A. Yes.

20 Q. The pool was subsequently expanded, was it not?

21 A. It was. Additional drilling occurred throughout  
22 the early Sixties, most of it in 1960, and the pool was  
23 expanded during those years.

24 Q. Was the last expansion in fact in 1960?

25 A. The last significant expansion. Some wells have

1 been drilled since to other formations that have been  
2 plugged back to the Fusselman. But in general, 1960 was --

3 Q. And the current pool boundaries were established  
4 at that time?

5 A. Yes.

6 Q. How many wells are currently producing from this  
7 field?

8 A. Currently there are five producing Fusselman  
9 wells in the field.

10 Q. And the pool is operated under statewide rules?

11 A. Yes.

12 Q. And what is the gas-oil ratio?

13 A. 2000 to 1.

14 Q. Let's go to what has been marked for  
15 identification as Arch Exhibit Number 1, and I would ask  
16 you to identify that for the Examiner and then review the  
17 information contained on this exhibit.

18 A. Okay. Exhibit Number 1 is just a blank base map  
19 showing the pool -- or the Justis-Fusselman Pool outline,  
20 and the leases and various operators of the leases  
21 throughout the pool.

22 Q. And what is Arch's acreage in this area?

23 A. Arch owns or has lease on the south half of  
24 Section 13.

25 Q. Could you identify for Mr. Stogner the five

1 current producing wells in the pool?

2 A. Yes. Well, they're actually marked on another  
3 map, but it would be the -- There's two wells in Section 25  
4 in locations H and I, and one well in Section 36 in  
5 location A. Then Arch owns two of the producers -- it's  
6 the south half of Section 13 -- the Number 9 in location K  
7 and the Number 8 in location N.

8 Q. So we've got two wells on the Arch lease, and  
9 then we go down to the southern end of the pool where there  
10 are three wells currently producing?

11 A. That's correct.

12 Q. Who are the other operators in this pool?

13 A. Arco and Meridian are the only current operators  
14 in the field. Texaco has also produced Fusselman wells in  
15 the field.

16 Q. And after you drilled or recompleted the well  
17 that is really the subject of this hearing and discovered  
18 you had a good well, did you contact Meridian, Arco and  
19 Texaco about this matter?

20 A. Yes, we contacted all three, and we have had no  
21 response from Meridian.

22 We talked about it briefly with Arco. They've  
23 never -- said they'd pass it on to engineering. They never  
24 got back to us.

25 And we contacted Texaco, and they advised us that



1 they had no objection.

2 Q. And Texaco is the immediate south offset  
3 operator?

4 A. That's correct.

5 Q. Okay. Is Exhibit Number 2 a copy of an affidavit  
6 confirming that notice of this Application has been  
7 provided to Texaco, Meridian and Arco in accordance with  
8 OCD rules and regulations?

9 A. Yes.

10 Q. Let's move now to what has been marked as Arch  
11 Exhibit Number 3. Would you identify that, please?

12 A. Arch Exhibit Number 3 is a structure map on top  
13 of the Fusselman formation.

14 Q. Now, Mr. Erwin, in reviewing your geological  
15 work, would it be easier for you to review both Exhibit  
16 Number 3, the structure map, and the subsequent exhibit,  
17 the cross-section, at the same time?

18 A. I think it would, yes.

19 Q. All right, let's take a minute and take out also  
20 the cross-section.

21 All right, Mr. Erwin, I would like for you to  
22 first identify on Exhibit Number 3 the location of the Arch  
23 wells in Section 13 --

24 A. Okay.

25 Q. -- and working with the trace for the cross-

1 section that is shown on Exhibit Number 3, review your  
2 geological work for Mr. Stogner.

3 A. Okay. The Learcy McBuffington Number 8 well is  
4 in location, then, approximately 330 from the south line  
5 and 2300 or possibly 1980 from the west line.

6 Q. And that's the well that is shown in the sort of  
7 center of the yellow-shaded area on the --

8 A. That's correct.

9 Q. Okay. The other well that you operate in 13 --

10 A. -- is due north of it, is the Number 9.

11 Q. Okay.

12 A. It's also colored red.

13 Q. Okay, let's go to the cross-section, and working  
14 with these two exhibits could you just review for the  
15 Examiner the geology of this field?

16 A. Okay, the Learcy McBuffington Fusselman field is  
17 actually a combination trap, primarily structural, but on  
18 the extreme or -- on the eastern edge of the Fusselman  
19 reservoir it becomes eroded off.

20 As you continue to the east, you'll encounter  
21 deeper production in the Ellenburger, Simpson and Montoya,  
22 but there's no Fusselman reservoir there at all.

23 As you can see on the cross-section, the base of  
24 the Fusselman fairly well conforms to the underlying  
25 formations. The top of the Fusselman is an erosional

1 unconformity surface, which is what my structure map is  
2 based on.

3 As you can see, looking at the cross-section, the  
4 Number 8 Learcy McBuffington, the well that we re-entered,  
5 was originally drilled in 11 of 1958. On the original  
6 completion they made a Montoya well out of that.

7 Q. That's the second well?

8 A. That's the second well from the north, yes.

9 And in 4-66, Gulf re-entered the well, perforated  
10 6696 to 6736 and completed in the Fusselman. The well  
11 produced three or four years. They abandoned those  
12 perforations and went back to the Montoya.

13 We bought the Learcy McBuffington lease and the  
14 wellbores, associated wellbores, in early 1994.

15 In 3 of 1995, we re-entered the wellbore,  
16 perforated seven holes in the very top of the formation,  
17 which was also DST'd on the original drill, had gas to  
18 surface in one minute at 15 million a day. They recovered  
19 50 feet of gas-cut mud, and the set of perforations where  
20 they had completed in the Fusselman was below that, as you  
21 can see on the cross-section.

22 We perforated our seven holes, we had no  
23 activity. We went in the next day with the PPI tool to  
24 break down individual sets of perfs.

25 As we got on bottom with the PPI tool, the well

1 came in on us. It sat there at about 2 to 2 1/2 million a  
2 day.

3 We left the PPI tool in the hole for the next  
4 three to four days, came out after that time period, and on  
5 our way out we tested each one of the perms to see what  
6 perms, if not all of them, were open. As it turns out,  
7 only the upper perforation was open, which is colored red  
8 on your cross-section. At that time we came out of the  
9 hole.

10 Approximately 14 to 16 days later we acidized the  
11 well, and a few days after that we put it on plunger lift.

12 As you work your way to the south, you can see  
13 the Fusselman on the second -- actually on the fourth well  
14 south, on the cross-section -- you can see that the  
15 Fusselman thins, and on the map you can see it just south  
16 of the colored yellow area on your structure map. The  
17 Fusselman is beginning to become very thin there, getting  
18 close to the erosional limit of the well.

19 That well was originally drilled in 1958, was  
20 plugged back to the Fusselman in 1968, perforated 6647 to  
21 6668. That well made only 10,000 barrels and 40 million  
22 cubic feet of gas.

23 The well -- If you draw your estimated gas-oil  
24 contact across, the Texaco C -- or the Texaco Coates C  
25 Number 10 well, which is the well south on the cross-

1 section, should have had or appeared to have had or been in  
2 the structural position to have a gas cap.

3 EXAMINER STOGNER: Okay, now --

4 THE WITNESS: Okay.

5 EXAMINER STOGNER: -- the Texaco -- Which Coates  
6 well?

7 THE WITNESS: C Number 10. It should be the  
8 fifth well down on the cross-section.

9 EXAMINER STOGNER: Okay, that's marked Tidewater  
10 Oil Company, which --

11 THE WITNESS: Yes.

12 EXAMINER STOGNER: Okay. So that's the one  
13 you're referring to?

14 THE WITNESS: That's right. That well was also  
15 drilled in 1958. It was actually completed in the  
16 Ellenburger, Simpson, Montoya.

17 And then in 1983 they shot or perforated -- I'm  
18 sorry, in 1976 they perforated 6704 to 6750, which is the  
19 lower set of perms on the cross-section.

20 And then in 1983 they perforated the upper set of  
21 perforations, 6584 to 6671. They acidized the upper set of  
22 perforations only, with 5000 gallons. The had an increase  
23 in water and an increase in oil, and the GOR actually went  
24 down, which was surprising to us as we were working through  
25 the field. We expected that to be a gas cap well. It has

1 no appearances of being so. I don't really have a good  
2 explanation why it's not.

3 As you can see, based on the structure map and  
4 the cross-section, the well is actually a little high to  
5 our well. There is a separation between the two little  
6 closed structures in the interior of the field. That may  
7 have something to do with it. There may be some sort of  
8 internal faults there. And, as evidenced by the Number 5  
9 well just to the north of the Texaco C 10, there may even  
10 be some sort of a stratigraphic separation, as indicated by  
11 that tight well.

12 So we feel like, although it's hard to explain  
13 logically, that we really have the only gas-cap well, or  
14 opportunity to produce gas, in the field.

15 Q. (By Mr. Carr) Now, as we go on down to the  
16 southern portion of the cross-section, are those wells  
17 included primarily just for background to show the  
18 remainder of the formation?

19 A. Yes, that's correct. I just wanted to get a real  
20 good idea of what the field was doing in its relationship  
21 to our well.

22 Q. Now, this exhibit shows the original oil-water  
23 contact?

24 A. Yes, based off DST and perforations it was fairly  
25 easy to come up with an estimated original oil-water

1 contact, which brings me to my next point.

2 We perforated the very northernmost well on your  
3 cross-section, the Number 9 Learcy McBuffington, in 2 of  
4 1995, which would be perforation 6700 to 6733. That zone  
5 was not tested. We thought there could possibly be some  
6 attic oil left there.

7 Perforated the well, acidized it, and it IP'd at  
8 9 barrels of oil 480 barrels of water. So we felt pretty  
9 certain that water encroachment had come up to at least  
10 that level.

11 If you look at the set of perforations on the  
12 third well north, third well down, you'll see the top  
13 perforated interval there, and it's just based upon  
14 perforations, is where I have drawn my estimated gas-water  
15 contact.

16 Although we feel like there's some skim oil left  
17 in the reservoir, we feel that essentially water is at the  
18 gas and may have even encroached a little bit into the  
19 original gas-oil contact, but at this point there's very  
20 little oil, if any, true oil column left in the reservoir.

21 Q. Geologically speaking, is your Number 8 well the  
22 only well that appears to have the ability in this  
23 reservoir to produce the gas that remains in the pool?

24 A. Yes, there's only two close structures that  
25 appear to be high enough to have any gas -- have a gas cap.

1 One of those has been tested and proven to be oil. The  
2 other close structures, if you would call them that, as you  
3 continue south through the field, have all been drilled and  
4 are all oil, and most of those have been depleted.

5 Q. Do you have anything else to add to Exhibits  
6 Number 3 and 4?

7 A. No.

8 Q. Let's go to what has been marked your Exhibit  
9 Number 5, the isopach. Will you identify that first and  
10 then review this briefly for Mr. Stogner?

11 A. I created an isopach just to basically back up my  
12 structure map to see exactly where my unconformity pinchout  
13 was located in the north-south sense throughout the field.

14 Q. This exhibit basically just confirms the  
15 structural interpretation?

16 A. Yes.

17 Q. Let's go to Exhibit Number 6. Mr. Erwin, can you  
18 first identify this and then explain what this shows about  
19 the reservoir?

20 A. Okay, the five current producers are colored red  
21 on your maps. The wells with squares around them are  
22 abandoned Fusselman producers with their last date of  
23 production directly underneath the square.

24 Q. And what does this show you?

25 A. Well, it shows in general, as you begin in a



1    downdip position, that the wells were watering out in the  
2    early Sixties or late Sixties, continued through, and if  
3    you kind of trace that back to the structural map, you'll  
4    see that the higher wells are actually -- begin to be  
5    abandoned in the early Nineties, with the five remaining  
6    producers left.

7           Q.    When you look at this, can you actually see the  
8    movement of the oil-water contact through the reservoir up  
9    the --

10          A.    In general, yes.

11          Q.    And the five producers are structurally high?

12          A.    Yeah, the five producers, if you'll look back at  
13    the structure map, are located where they're just getting  
14    their last -- remaining amounts of attic oil out of the  
15    reservoir. They're all real high water-cut wells.

16          Q.    Is it fair to say that this reservoir is  
17    substantially depleted and in its --

18          A.    Yes.

19          Q.    -- the last portion of its life?

20          A.    Yes.

21          Q.    Could you just summarize the geologic conclusions  
22    that you've been able to reach from your study of this  
23    reservoir?

24          A.    Well, in summary, the field is old, it's a strong  
25    water drive. Most of the wells in the field -- of an

1 original 37 producers, only five are remaining. All 37 had  
2 real high water cuts and were abandoned and plugged back to  
3 shallower zones. And the field is in the last stages of  
4 production.

5 Q. Do you geologically see some sort of separation  
6 between the gas-productive area in the north and the  
7 remainder of the --

8 A. Yes --

9 Q. -- field?

10 A. -- structurally and, to some degree,  
11 stratigraphically.

12 Q. Will Arch be calling an engineering witness to  
13 review that portion of this case?

14 A. Yes.

15 Q. Were Exhibits 1 through 6 either prepared by you  
16 or at your direction and under your supervision?

17 A. Yes.

18 MR. CARR: At this time, Mr. Stogner, we move  
19 into evidence Arch Petroleum, Inc., Exhibits 1 through 6.

20 EXAMINER STOGNER: Exhibits 1 through 6 will be  
21 admitted into evidence.

22 MR. CARR: And that concludes my direct  
23 examination of Mr. Erwin.

24 EXAMINATION

25 BY EXAMINER STOGNER:

1           Q.   Mr. Erwin, on your cross-section you showed the  
2   initial oil-water contact. Do you have any idea what the  
3   initial -- and I'm assuming that there is a gas-oil contact  
4   in the beginning?

5           A.   Yes. There were only a couple of wells in the  
6   field that actually DST'd the top of the Fusselman as they  
7   were going through it, and recovered only gas. The rest of  
8   the wells all flowed oil and mud to surface.

9                   One of those is our Learcy McBuffington Number 8,  
10   which you can see the bottom of the DST'd interval.

11                   The other well was the tight well, which is the  
12   fourth well from the north. As you can see, it also DST'd,  
13   came in at a much lower rate, but recovered only gas.

14                   Now, when they perforated the well, it was an oil  
15   well. So I don't know what conclusions you can draw there.  
16   But at a minimum, I would put the initial gas-oil contact  
17   somewhere below the base of that original DST in the Learcy  
18   McBuffington Number 8, at or below that DST.

19           Q.   Okay, I'm looking at the cross-section on the  
20   Number 8.

21           A.   Okay.

22           Q.   And where are you showing that DST to be?

23           A.   It should be the top 80 feet or so of the  
24   Fusselman. It's a kind of a slanted rectangle.

25           Q.   That -- okay, yeah, that shows the -- That is

1 showing the DST.

2           There wasn't any DST information? Oh, here it  
3 is.

4           A. Yes --

5           Q. I'm sorry, the way I had it folded --

6           A. 65- --

7           Q. -- from 6570 to 6670.

8           A. Yes.

9           Q. Is that what you have?

10          A. Uh-huh.

11          Q. And that corresponds with the little slanted  
12 line?

13          A. Yes.

14          Q. Now, you're showing that to be a gas-water  
15 contact today; is that correct?

16          A. Well, estimated, yes.

17          Q. Estimated.

18          A. Just based off the top of the surrounding  
19 perforations.

20          Q. Showing -- your current producers -- I guess the  
21 Number 8 is going to be the well that's going to benefit  
22 from this higher GOR?

23          A. Yes.

24          Q. Or do you anticipate recompleting one of the  
25 other wells up in the north?

1           A.    The only possible well would be the Learcy  
2   McBuffington Number 9.  And as you can see on the cross-  
3   section, we added those perfs already to the top of the  
4   reservoir.

5                   And like I said, we had a real high-water-cut  
6   well there, 9 barrels of oil and 480 barrels of water.  So  
7   there's really nothing left to do in the Fusselman on our  
8   lease.

9                   The other wellbores that we have in the area are  
10  either low and have watered out much earlier, or are east  
11  of the pinchout line and are deeper producers.

12           Q.    In your overall study of the area, are there any  
13  other Fusselman producing pools in the area?

14           A.    There is the North Justis-Fusselman Pool, which  
15  is approximately a mile and a half to the north.  If I can  
16  remember right, it's in Sections 1 and 2 of the same  
17  township and range.

18           Q.    Is it an old pool also?

19           A.    It was discovered approximately the same time.  
20  I'm not very familiar with it, other than just in  
21  generalities.

22           Q.    Same type of reservoir?  Have you been able to  
23  determine, or do you know?

24           A.    Well, just mapping through it on a regional  
25  sense, it's a structural reservoir.  I would assume that

1 it's, you know, a strong water drive as well. Most of the  
2 Fusselman reservoirs in that area and just across the state  
3 line in Texas have been. But I can't answer that for sure.

4 EXAMINER STOGNER: I don't have any other  
5 questions of this witness at this time. I may after I hear  
6 the reservoir engineer's testimony.

7 MR. CARR: Okay, Mr. Stogner. Then at this time  
8 we would call Mr. Chris Bezner.

9 EXAMINER STOGNER: I'm sorry?

10 MR. CARR: Chris Bezner.

11 EXAMINER STOGNER: Mr. Carr?

12 CHRIS BEZNER,  
13 the witness herein, after having been first duly sworn upon  
14 his oath, was examined and testified as follows:

15 DIRECT EXAMINATION

16 BY MR. CARR:

17 Q. Will you state your name for the record, please?

18 A. My name is Chris Bezner.

19 Q. And where do you reside?

20 A. In Midland, Texas.

21 Q. By whom are you employed?

22 A. Arch Petroleum.

23 Q. And what is your current position with Arch?

24 A. I'm an engineer.

25 Q. Mr. Bezner, have you previously testified before

1 this Division?

2 A. No, sir.

3 Q. Could you summarize for Mr. Stogner your  
4 educational background?

5 A. I graduated from UT Arlington in December of 1981  
6 with a BS in mechanical engineering.

7 I was employed by Gulf Oil Corporation in 1982 as  
8 a petroleum engineer, worked for Gulf Oil for several  
9 years, mainly in Hobbs, New Mexico. Chevron took over Gulf  
10 in the merger of 1986. I continued working for Chevron for  
11 a number of years until September of last year, at which  
12 time I went to work for Arch Petroleum as a petroleum  
13 engineer.

14 Q. Are you familiar with the Application filed in  
15 this case?

16 A. Yes, sir.

17 Q. And are you familiar with the Justis-Fusselman  
18 Pool and the wells located therein?

19 A. Yes, I am.

20 MR. CARR: Mr. Stogner, I would tender Mr. Bezner  
21 as an expert witness in petroleum engineering.

22 EXAMINER STOGNER: Mr. Bezner is so qualified.

23 Q. (By Mr. Carr) Mr. Bezner, when did Arch acquire  
24 its interest in this pool?

25 A. In 1994.

1 Q. And could you just very briefly summarize the  
2 efforts made by Arch to develop the acreage?

3 A. Okay, like I said, we acquired this lease.  
4 Basically, we have two wells that are currently productive  
5 in the Fusselman, and we have plugged back and worked over  
6 both of these wells.

7 Q. When you worked over the Number 8, what result  
8 did you obtain?

9 A. Like Jack Erwin mentioned earlier, we -- the well  
10 came in naturally, flowing gas over 2 million cubic feet a  
11 day, which kind of surprised us at the time.

12 Q. When you discovered you had this kind of a well,  
13 what did you do?

14 A. We immediately contacted the OCD in Hobbs, filed  
15 the required C-104 requesting a test allowable. We  
16 received a temporary allowable from Mr. Sexton, and we made  
17 an Application for this hearing.

18 Q. Let's go to what has been marked for  
19 identification as Arch Exhibit Number 6. These are a  
20 number of production plots.

21 A. Number 7.

22 Q. I'm sorry, Arch Exhibit Number 7.

23 A. Yeah. Yeah, Exhibit Number 7 is just a stapled-  
24 together series of production plots.

25 Q. Let's go to the first page of Exhibit Number 7 --



1           A.    Okay.

2           Q.    -- and identify what this is, and then review the  
3 information on this page of Exhibit 7.

4           A.    Okay, the first page is a plot of daily well  
5 tests from our Learcy McBuffington Number 8, since we  
6 recompleted it in March of 1995.

7                   It shows three curves. The attached diamonds are  
8 barrels of oil per day, the black squares are barrels of  
9 water per day, and then the triangles are MCF per day.

10                   It shows the well completed in the first part of  
11 March, as you see, producing up to 2000 -- 2500 MCF per  
12 day, flowing, and as Mr. Erwin indicated, out of just the  
13 upper set of perfs in the Fusselman.

14                   I'd like to just mention that it shows some tests  
15 of water production there. We think that's just load  
16 water, you know, that -- when we had to kill the well. It  
17 also shows some load oil there that may have been present  
18 in the casing before. But generally, it came in as a  
19 classic gas-cap well.

20                   It shows a point in the middle of March where we  
21 had to shut the well in to change out the packer. It took  
22 a few days, a day or two, to get the well back, get it back  
23 to flowing like it was, and it started on a decline.

24                   At the end of March, we acidized the well, just  
25 to try and clean it up a little bit. The well was down for

1 a couple of days and came back, again at a lower rate. So  
2 this caused us quite a bit of concern. The well was  
3 falling off.

4 And in the middle of April, it shows there, the  
5 gas production comes back up, is where we installed the  
6 plunger lift system. And we believe that it has helped to  
7 unload what little oil has been coming with the gas,  
8 basically, to help unload the reservoir. It also brought  
9 gas production back up to about 850 MCF per day, which is  
10 what it's producing today.

11 Q. Let's go to the next page of Exhibit Number 7.

12 A. Okay.

13 Q. Could you identify that and then review that for  
14 Mr. Stogner?

15 A. Okay, the rest of these plots are Aries plots  
16 showing, you know, decline -- It's a decline-curve program,  
17 basically showing barrels of oil per day with a decline  
18 curve picked through it. It also shows -- And that's the  
19 heavy solid line.

20 The solid line with the little squares are  
21 barrels of water per day.

22 And then the stars with the dashed line is GORs.

23 The first well shown is our well, the Learcy  
24 McBuffington Number 9. Again, it was completed in 1958.  
25 And I believe -- What I'm going to show is to tie together

1 our Learcy McBuffington Number 8 and all the other wells in  
2 the field, the downdip wells. They're operating under two  
3 different drive mechanisms, basically.

4 But our Number 8 well is a classic gas-cap, dry-  
5 gas well, basically. And all the other wells that are  
6 operating under -- as a bottom water drive show a much  
7 higher water production and much lower GORs.

8 I show -- All I show is production data from 1970  
9 on, which is the public data available.

10 The well by that time had already -- Water  
11 production had already increased to the point of increasing  
12 up to 200 to 300 barrels of water per day. It shows a  
13 steadily declining oil production to its present point at 6  
14 to 7 barrels of oil per day. And as you can see, the GOR  
15 fluctuates quite a bit, but as a general rule it stays  
16 under 1000.

17 Also I'd like to point out, on the right side of  
18 the plot there are some numbers that are calculated there.  
19 These are reserve estimates that the program spits out.  
20 And the reason I put those on there is just so it would  
21 print the cumulatives of both oil and gas. And so it gives  
22 the cumulatives in thousands of barrels of oil and gas in  
23 millions of cubic feet.

24 In all of these plots, I've calculated cumulative  
25 GORs. For this particular well, its cumulative GOR is only

1 800 to 1. So obviously it's producing under a different  
2 drive mechanism.

3 Again, our efforts in this well, in February of  
4 1995, we recompleted to the upper set of perfs -- and I'll  
5 be referring to this cross-section throughout -- the upper  
6 set of red perfs indicated on the cross-section, trying to  
7 get what little attic oil was left, acidized the well.

8 We brought on maybe a little bit more oil  
9 production, but the main thing we did was just bring on  
10 more water. The well's making about 480 barrels of water  
11 per day and only about 18 MCF. So it's at the oil-water  
12 contact. It's also watering out and on its last legs.

13 Q. And basically, this curve just shows a bottom-  
14 water-drive- --

15 A. Right --

16 Q. -- type reservoir?

17 A. -- right.

18 Q. All right. The next well on the exhibit is the  
19 Wimberly Number 2?

20 A. Right. The Wimberly Number 2, operated by Arco,  
21 on the cross-section is the third well from the left. It's  
22 the well directly south of us.

23 And as you can see from this production curve, it  
24 also was completed, I believe, in the late Fifties. But by  
25 the early Seventies its total production had declined to

1 the point of being uneconomic.

2 And as you can see in the cross-section, this is  
3 where the zone of interest has already started pinching out  
4 of just -- not that much pay there. So the well was  
5 abandoned in the Fusselman in 1976.

6 Again, you can calculate a cumulative GOR, and  
7 this calculates out to 2000 to 1.

8 Q. All right, let's go now to the next well, the  
9 Wimberly Number 5.

10 A. Okay, the Wimberly Number 5 is also operated by  
11 Arco. It wasn't completed until 1968.

12 And again, as you can see on the cross-section,  
13 the next well to the right, this is where the porosity  
14 really starts pinching out, and it's backed up by its  
15 production. Very low production rates.

16 It was abandoned in June of 1970. I only have a  
17 few months of data there.

18 And also, it only made about 14,000 barrels of  
19 oil, 40 million cubic feet. This calculates out to a  
20 cumulative GOR of about 3000. Again, a much lower GOR.

21 Q. Okay, Mr. Bezner, now let's go to the AB Coates C  
22 Number 10, the next well --

23 A. Okay.

24 Q. -- on the cross-section.

25 A. The AB Coates C Number 10 is a Texaco-operated

1 well. It's the well of particular interest, as Mr. Erwin  
2 has indicated.

3 It's structurally maybe even a little bit -- a  
4 few feet higher than our well, so you would expect to see  
5 evidence of a gas cap in it.

6 When we went back and reviewed its geologic data  
7 and I pulled up the production data to look for an analogy,  
8 the first thing that jumps out at you is, this is obviously  
9 not connected to our well. It's operating as more of a  
10 bottom water drive, even though it wasn't all that good of  
11 a bottom-water-drive well.

12 As Mr. Erwin has indicated before, this well  
13 shows the entire production history, because it was  
14 completed in 1976. You can see a steadily increasing water  
15 production rate, to where the water approaches almost 100  
16 barrels of water per day. Oil production has dropped down  
17 to about 10 barrels a day.

18 And this is when this Coates well was producing  
19 out of the lower set of perfs shown on the cross-section,  
20 shaded red. They're down in the green section. So  
21 obviously the well was watering out, in the last stages of  
22 its life.

23 This is where in 1983 Texaco recompleted the  
24 well, added the perfs in the very top of the Fusselman and  
25 acidized, and acidized only this upper set of perfs, trying

1 to bring in whatever was there. If there was any gas  
2 present here as a free gas cap, the well should have come  
3 in as a flowing gas well, just like ours.

4 What happened that's surprising is that they  
5 gained a little bit of oil production, the water production  
6 more than doubles to 200 barrels of water per day, and the  
7 GOR actually drops down to 1000. So...

8 And the GOR stayed pretty constant at 1000 for  
9 several years. So there's -- Basically, I can say pretty  
10 conclusively, there's no gas cap present in this well.

11 Q. And what is the current status of this well?

12 A. The well is currently shut in. You can see from  
13 the production plot, it declined down to about 9 barrels of  
14 oil, 30 to 40 barrels of water, in which case, in January  
15 of 1994, Texaco shut the well in.

16 Again, calculated from the cums, it produced a  
17 cumulative GOR of about 4000 to 1. And basically, like I  
18 said, I think this is our best case, showing separation  
19 between our well and any other wells in the field, and that  
20 this well is obviously producing under a bottom-water-drive  
21 mechanism, as opposed to a gas cap.

22 Q. Okay. Now, Mr. Bezner, we don't need, I don't  
23 think, to review each of the following production plots.

24 Let's skip the next one and go to -- what? The  
25 Ida -- two back, the Wimberly Number 5.

1           A.    Right, skip to the Ida Wimberly Number 5 -- it's  
2   operated by Arco -- and actually just show it as more of a  
3   classic bottom-water-drive oil well.  Again, it was  
4   completed in 1958.

5                   It shows steadily increasing water production  
6   rates until the middle Eighties, water production had  
7   peaked out at about 400 to 500 barrels of water per day.

8                   Since the early Seventies, you can see oil going  
9   on a steady decline, till it declines down to about 15  
10   barrels of oil per day.

11                   And throughout this time, you can see the GOR  
12   fluctuating between 1000- to 2000-to-1 GOR.

13                   This well calculates out to a cumulative GOR of  
14   2000 to 1, and the well was shut in in December of 1993.

15           Q.    Let's go back two pages, now --

16           A.    Okay.

17           Q.    -- and go to the Carlson A Number 2.

18           A.    Okay.  I'm going to skip two pages to the Carlson  
19   A Number 2.  This is the Meridian-operated well.  It's also  
20   one of the only few active wells in the field.

21                   It's also the best oil well in the field.  It  
22   recovered over 1 1/2 million barrels of oil.  Again, pretty  
23   indicative of a classic strong bottom-water-drive oil well.

24                   Increasing water production throughout its life,  
25   you can see it increasing up to the point where it even



1 goes off the scale, in 1990, unfortunately. But I can tell  
2 you that currently it's making over 2000 barrels of water  
3 per day.

4 The oil production declines. They apparently  
5 increase artificial-lift methods and get production up, but  
6 it keeps going back on a decline, where the well has  
7 declined down to about 70 or 80 barrels of oil per day.

8 And the GOR on this particular well, I believe,  
9 due to strong pressure support from the bottom water drive,  
10 stayed under 1000 to 1. The cumulative GOR for the well  
11 calculates out to only 400 to 1.

12 And again, the high oil cums of this well are  
13 pretty indicative. This is what you normally see in a  
14 strong bottom-water-drive recovery mechanism: high water  
15 cuts, low GORs.

16 Q. All right, let's move back two pages again to the  
17 Arnott Ramsay F Number 8.

18 A. Okay, the Arnott Ramsay F Number 8 is currently  
19 operated by Arco. It was a Chevron well. I'm showing it  
20 only because it's one of the only two other active  
21 producers in the field that's currently producing.

22 It also is downdip from our well, shows to be  
23 more of a bottom-water-drive oil well.

24 Water production increased up to a point of about  
25 300 barrels per day, in which case -- I'm not sure what

1 happened. I think they -- It wasn't economic to produce  
2 that much water. But you can see water production  
3 declining, oil production also declining to its current  
4 rate of about 16 barrels of oil per day.

5           Throughout most of the life, the GOR fluctuates  
6 quite a bit, but it stayed under 1000-to-1 GOR. And again,  
7 you calculate the cumulative GOR and this comes out about  
8 900-to-1 cumulative GOR.

9           Q. Okay, and the next page?

10          A. The next page is the last active producer in the  
11 field. It's kind of hard to read because the water  
12 production plot is over the title block there, but it's the  
13 State Y Number 8, operated by Arco.

14               It in the early Seventies was a pretty poor  
15 producer. Both water and oil were falling off to the point  
16 in 1983 they shut in the Fusselman, and apparently in 1988  
17 went back, recompleted the well or stimulated it, brought  
18 it back on.

19               And all it -- The well came in at about 100  
20 barrels of oil per day, fell off pretty drastically, and  
21 brought in a bunch more water. It's producing about 600  
22 barrels of water per day.

23               The GOR on this well, if you calculate a  
24 cumulative GOR, it's only 500 to 1. So just -- It's the  
25 only other active producer in the field.

1 Q. And then the last page in the exhibit is the  
2 total production for the pool?

3 A. Right, the last page shows the total production  
4 from the Justis-Fusselman field, with the disclaimer that  
5 this is only wells that produced after 1970. Those are the  
6 only wells that I could get -- you know, have decline  
7 curves for.

8 And it shows, again, on a total basis, more of a  
9 high-water-cut reservoir. Water production by 1970 had  
10 increased to the point of about 2000 barrels of water per  
11 day, up until 1993, before a lot of the wells got shut in  
12 due to the -- They would water out and be shut in. The  
13 field was producing at over 3000 barrels of water per day.  
14 Water production had declined down to about 100 barrels of  
15 oil per day, so it was a high-water-cut, bottom-water-drive  
16 field.

17 Again, from this you look at the cums, calculate  
18 a cumulative GOR for the field of 1300 to 1.

19 So all in all, the entire field, other than our  
20 well, is producing high-water-cut, bottom-water-drive  
21 reservoir.

22 Q. Mr. Bezner, could you just summarize for Mr.  
23 Stogner why it is that Arch is seeking a 10,000-to-1 gas-  
24 oil ratio for this pool?

25 A. Okay, we're seeking a 10,000 to 1 gas-oil ratio

1 basically because the current field rules of 2000 to 1  
2 would limit our well. We would either have to shut the  
3 well in for most of the month or pinch back on the choke to  
4 limit gas production.

5 Since installing plunger lift, you know, helped  
6 to get our gas production back, we've been advised by the  
7 manufacturer of the plunger lift that pinching back on the  
8 well would not be the proper way of operating. The best  
9 way to operate a plunger lift is to allow it to flow as  
10 much as possible, to try and keep the well -- any fluids,  
11 any oil or water that it accumulates, unloaded, keep the  
12 well flowing gas.

13 Q. If you're required to pinch the well back, is  
14 there a potential for permanent loss of reserves?

15 A. Yes, there is. The main thing that we're worried  
16 about -- You know, we've had a couple of cases where we've  
17 had to kill the well, and we had quite a time getting the  
18 well back. And every time we would kill it, it would come  
19 back at a lower gas rate.

20 So we kind of have the fear that if we ever have  
21 to pinch the well in or shut it in to live under the GOR  
22 allowable, there will come a point -- fairly soon, I  
23 believe -- that we may end up not being able to get the  
24 well back, and it will quit flowing gas.

25 Q. Is the portion of the reservoir we're talking

1 about here today, in your opinion, rate-sensitive in terms  
2 of the gas production?

3 A. Yeah, it's rate-sensitive, mainly because -- just  
4 because we want to keep the well flowing, that if we -- You  
5 know, like I said, if we have to pinch it back, increase  
6 the back pressure on the reservoir, we have fears of it  
7 loading up with water.

8 Q. If you are able to produce at the rates you're  
9 seeking, do you see any potential for reservoir damage?

10 A. No, sir.

11 Q. If the Application is granted, in your opinion  
12 would hydrocarbons be recovered through more efficient  
13 withdrawal than otherwise may be able to ultimately be  
14 obtained from this pool?

15 A. That's right, that's the main thing we're  
16 seeking.

17 We've -- Like I said, throughout all of this I  
18 think we've shown that we've discovered a little gas cap in  
19 this field, and we're the only ones that are in a position  
20 to produce it.

21 And the only way to produce it is to try and keep  
22 the well flowing at a higher gas rate. And all we're going  
23 to do is deplete the small gas cap, and it really won't  
24 affect anybody else in the field, I believe.

25 Q. If this Application was denied, in your opinion,

1 could, in fact, some of the gas be wasted, that is, left in  
2 the ground?

3 A. That's right.

4 Q. Will the correlative rights, in your opinion, of  
5 any other interest owner be adversely affected if this  
6 Application is granted?

7 A. No.

8 Q. You have contacted all the other operators?

9 A. That's right.

10 Q. No objection has been expressed?

11 A. No objections.

12 Q. In your opinion, is any other operator in a  
13 position where they would have the opportunity to recover  
14 this gas?

15 A. No, they're not.

16 Q. In your opinion, will approval of this  
17 Application be in the best interests of conservation, the  
18 prevention of waste, and the protection of correlative  
19 rights?

20 A. Yes, it will.

21 Q. Was Exhibit Number 7 prepared by you?

22 A. Yes, it was.

23 MR. CARR: At this time, Mr. Stogner, we move the  
24 admission of Arch Exhibit Number 7.

25 EXAMINER STOGNER: Arch Exhibit Number 7 will be

1 any recompletion --

2 A. No, sir.

3 Q. -- of any other wells in that gas cap?

4 A. If you look at our structure map, there's really  
5 no other wells capable of being recompleted to try and tap  
6 this gas cap, so this is our only opportunity.

7 Q. If you did a reservoir calculation, estimated  
8 life of reserves, how much work would that entail of you?

9 A. Really, it should be fairly simple. We have the  
10 structure map and the isopach. We just planimeter that,  
11 you know, take the porosity saturation and make an  
12 estimate. I could do that in a few days.

13 EXAMINER STOGNER: Mr. Carr, I'm going to ask  
14 your witness to provide that.

15 What I've been thinking about in this particular  
16 well, it's obvious that this is somewhat of a localized  
17 situation, and -- Let me ask you another question, and I'll  
18 lead into what I was thinking about here.

19 Q. (By Examiner Stogner) In the initial phase of  
20 the development of this pool, do you think the 2000-to-1  
21 gas-oil ratio was adequate, or do you think at that time it  
22 should have been higher?

23 A. I think in most cases it was adequate. Like I  
24 say, you can see from our production curves that most wells  
25 were hovering around 2000 to 1.

1           Q.   And this is a last-ditch effort to recover the  
2   attic production in this case, the attic gas, in a depleted  
3   pool?

4           A.   Right.

5           EXAMINER STOGNER:  Mr. Carr, what I was leading  
6   into, as you know, special pool rules goes out one mile  
7   further than the pool.

8           Not that there's that much exploration going on  
9   in there, but I think you can see a situation if there was  
10  some stepout production and for some oddball reason  
11  additional Fusselman production was discovered --

12          THE WITNESS:  Sure --

13          EXAMINER STOGNER:  -- then perhaps the 10,000  
14  to 1 --

15          THE WITNESS:  Definitely --

16          EXAMINER STOGNER:  -- affect that situation --

17          MR. CARR:  Yes, sir.

18          EXAMINER STOGNER:  -- and that's not what we're  
19  trying to do here.

20          MR. CARR:  No.

21          EXAMINER STOGNER:  This situation is a  
22  conservation of this gas cap --

23          MR. CARR:  Right.

24          EXAMINER STOGNER:  -- and because of the rules, I  
25  remember, I think, Arch, you came in and requested



1 originally a special gas allowable for this one well.

2 Our procedures just don't allow for that. But at  
3 the same time -- It shouldn't detract from it either, but  
4 at the same time, it should also make sure that  
5 conservation is going on otherwise.

6 And what I'm visualizing, perhaps, as long as  
7 this pool is active, as long as this well is active, or  
8 this particular area, then have the 10,000 to 1 for the  
9 pool.

10 But afterwards, after a certain limit, after a  
11 certain time, this particular well ceases to produce, then  
12 go back, revert back to 2000 to 1 so nobody will be  
13 affected, or additional production.

14 That's what I want to try to incorporate, and I'm  
15 going to ask your witness to provide that information for  
16 the record --

17 MR. CARR: Okay.

18 EXAMINER STOGNER: -- and perhaps, Mr. Carr, if  
19 you will help me draft an order that would be adequate for  
20 Arch to continue their production uninhibited for the  
21 remainder of this gas-cap production, whether it be two,  
22 three, ten, whatever, years, and then a smooth acquisition  
23 back into the 2000 to 1 so it wouldn't hamper conservation  
24 efforts and stepouts, or for anybody to take advantage of  
25 the situation.

1           MR. CARR: Mr. Examiner, would you also be  
2 interested in that order providing that it would have no --  
3 there would be no buffer zone or extraterritorial effect of  
4 the rule?

5           EXAMINER STOGNER: I thought about that too.  
6 Now, that's something else we can think about.

7           But if the pool definitely extends down,  
8 technical -- or geological, then there's no reason why that  
9 additional pool, or whatever the case may be, shouldn't be  
10 taken into this pool, because it is one common source of  
11 supply, as it has been for the last few years, as we can  
12 see by this [indicating Exhibit Number 4].

13           We could look into that. It might not be a bad  
14 idea, because there's no reason why you couldn't extend the  
15 pool boundaries as long as there's production. We can look  
16 into that.

17           MR. CARR: Okay. And If I understand you, then  
18 you'd like volumetric calculation and a proposed order?

19           EXAMINER STOGNER: At least you're helping me on  
20 those aspects such as that.

21           This calls for a little bit different situation,  
22 I believe. I -- Sometimes those special pool rules that  
23 should bound about pool boundaries --

24           MR. CARR: Uh-huh.

25           EXAMINER STOGNER: -- tend to get lost --

1 MR. CARR: Okay.

2 EXAMINER STOGNER: -- and -- But that's something  
3 we can investigate.

4 MR. CARR: Okay.

5 EXAMINER STOGNER: So with that, sir, I'd like  
6 for you to provide Mr. Carr the additional reservoir  
7 information --

8 THE WITNESS: Certainly.

9 EXAMINER STOGNER: -- estimates of reserves, even  
10 a decline curve, perhaps --

11 THE WITNESS: Okay.

12 EXAMINER STOGNER: -- of what we're looking at.  
13 That way, we'll have that on the record.

14 With that, Mr. Carr, I'm going to leave the  
15 record open on this case for a sufficient time for your  
16 witness to provide that information for us to get an order  
17 prepared or a rough draft prepared for the Director.

18 MR. CARR: Okay.

19 EXAMINER STOGNER: Anything further in this case?

20 MR. CARR: Nothing further, Mr. Stogner.

21 EXAMINER STOGNER: With that, that concludes  
22 11,267.

23 (Thereupon, these proceedings were concluded at  
24 10:20 a.m.)

25 \* \* \*


# CERTIFICATE OF REPORTER

STATE OF NEW MEXICO    )  
                                   )    ss.  
 COUNTY OF SANTA FE    )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL April 30th, 1995.

  
 STEVEN T. BRENNER  
 CCR No. 7

My commission expires: October 14, 1998

I do hereby certify that the foregoing is a complete and correct transcript of the proceedings in the Examiner hearing of Case No. 11267, heard by me on 13th April 1995.

  
 , Examiner  
 Oil Conservation Division