

STATE OF NEW MEXICO  
 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
 OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING )  
 CALLED BY THE OIL CONSERVATION )  
 DIVISION FOR THE PURPOSE OF )  
 CONSIDERING: )  
 )  
 APPLICATION OF MACK ENERGY )  
 CORPORATION )  
 \_\_\_\_\_ )

CASE NO. 11,268

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MICHAEL E. STOGNER, Hearing Examiner

April 20th, 1995

Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Division on Thursday, April 20th, 1995, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, before Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

STEVEN T. BRENNER, CCR  
 (505) 989-9317

## I N D E X

April 20th, 1995  
 Examiner Hearing  
 CASE NO. 11,268

	PAGE
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>JOHN T. ECHOLS</u>	
Direct Examination by Mr. Carr	4
Examination by Examiner Stogner	11
<u>MARK WILSON</u>	
Direct Examination by Mr. Carr	13
Examination by Examiner Stogner	21
REPORTER'S CERTIFICATE	26

\* \* \*

## E X H I B I T S

	Identified	Admitted
Exhibit 1	7	10
Exhibit 2	7	10
Exhibit 3	9	10
Exhibit 4	10	10
Exhibit 5	15	21
Exhibit 6	16	21
Exhibit 7	20	21

\* \* \*

## A P P E A R A N C E S

## FOR THE DIVISION:

RAND L. CARROLL  
Attorney at Law  
Legal Counsel to the Division  
State Land Office Building  
Santa Fe, New Mexico 87504

## FOR THE APPLICANT:

CAMPBELL, CARR & BERGE, P.A.  
Suite 1 - 110 N. Guadalupe  
P.O. Box 2208  
Santa Fe, New Mexico 87504-2208  
By: WILLIAM F. CARR

\* \* \*

1           WHEREUPON, the following proceedings were had at  
2   11:08 a.m.:

3           EXAMINER STOGNER: Hearing will come to order.  
4   Call next case, Number 11,268.

5           MR. CARROLL: Application of Mack Energy  
6   Corporation for compulsory pooling, Lea County, New Mexico.

7           EXAMINER STOGNER: At this time, call for  
8   appearances.

9           MR. CARR: May it please the Examiner, my name is  
10   William F. Carr with the Santa Fe law firm Campbell, Carr  
11   and Berge.

12           We represent Mack Energy Corporation, and I have  
13   two witnesses.

14           EXAMINER STOGNER: Are there any other  
15   appearances?

16           Will the witnesses please stand to be sworn at  
17   this time?

18           (Thereupon, the witnesses were sworn.)

19                     JOHN T. ECHOLS,  
20   the witness herein, after having been first duly sworn upon  
21   his oath, was examined and testified as follows:

22                     DIRECT EXAMINATION

23   BY MR. CARR:

24         Q. Will you state your name for the record, please?

25         A. My name is John T. Echols --

1 Q. And where do you --

2 A. -- and I'm from -- I'm from Midland, Texas.

3 Q. By whom are you employed?

4 A. I'm vice president of land of Tara-Jon  
5 Corporation and representing Mack Energy Corporation of  
6 Riverside, New Mexico.

7 Q. Mr. Echols, have you previously testified before  
8 this Division?

9 A. I have not.

10 Q. Would you summarize your educational background  
11 and work experience for Mr. Stogner?

12 A. I'm a 1979 graduate of Texas A&M University. I  
13 became a field landman in 1981, working for clients such as  
14 Eastland Oil Company, Samson Resources, Amoco Production  
15 Company and Arco.

16 In 1987 I went to work for Texaco, and left them  
17 in 1989, and have since been a consulting landman for  
18 Marathon Oil Company, Santa Fe Energy Resources, Atlantic  
19 Richfield Company, and Parker Parsley Producing.

20 Q. Mr. Echols, at all times since graduation, you  
21 have been employed as a petroleum landman?

22 A. I have not.

23 Q. You have not? How much of the work has been  
24 related to petroleum landman?

25 A. All but two years.

1 Q. Are you familiar with the Application filed in  
2 this case on behalf of Mack Energy Corporation?

3 A. Yes, I am.

4 Q. And are you familiar with the subject area?

5 A. Yes, I am.

6 MR. CARR: We tender Mr. Echols as an expert  
7 witness in petroleum land matters.

8 EXAMINER STOGNER: Mr. Echols is so qualified.

9 Q. (By Mr. Carr) Would you briefly state what Mack  
10 Energy Corporation seeks with this Application?

11 A. Mack Energy Corporation seeks an order pooling  
12 all interests from the surface to the base of the Drinkard  
13 formation, under the northeast quarter of the northwest  
14 quarter of Section 27, Township 16 South, Range 38 East,  
15 Lea County, New Mexico.

16 Q. Now, Mr. Echols, you propose to dedicate this  
17 acreage to a new well that's going to be drilled on the  
18 acreage at a standard location; is that right?

19 A. That's correct.

20 Q. Initially, there had been some plans to at least  
21 consider re-entering an old well on the tract. Those plans  
22 have been abandoned?

23 A. That's correct.

24 Q. Have you prepared exhibits for presentation here  
25 today?

1 A. Yes, I have.

2 Q. Let's go to what has been marked for  
3 identification as Mack Energy Exhibit Number 1, and I'd ask  
4 you to identify that and review it for Mr. Stogner.

5 A. This is a land plat of the area of interest, the  
6 northeast-northwest of Section 27. Also the land plat  
7 shows our location for the well and Drinkard wells in the  
8 area.

9 Q. And we are talking about the Garrett-Drinkard  
10 field; is that right?

11 A. Yes, sir.

12 Q. Let's go to Exhibit Number 2. Would you identify  
13 and review that?

14 A. Exhibit Number 2 is a working interest ownership  
15 for the well that we propose to drill.

16 As you can see, Chase Oil Corporation, Tara-Jon  
17 Corporation and Mark Wilson have the majority interest.  
18 Tierra Oil Corporation has agreed to join us in the well,  
19 and the remaining interests we're seeking to be force-  
20 pooled.

21 Q. If I look at this exhibit, we have interests to  
22 be force-pooled set forth on the bottom?

23 A. Yes.

24 Q. What percentage of the working interest at this  
25 time has been voluntarily committed to the well?

1 A. 94.3961 percent.

2 Q. And what we have set forth on the bottom portion  
3 of Exhibit 2 are certain mineral owners that you have not  
4 been able to reach a voluntary agreement with?

5 A. That is correct.

6 Q. Now, these are not all the mineral owners in the  
7 proposed spacing unit?

8 A. That is correct.

9 Q. How many were there initially?

10 A. Sixty-seven.

11 Q. And you have been able to reach voluntary  
12 agreement with all but those interest owners shown on this  
13 exhibit?

14 A. That is correct.

15 Q. Could you briefly summarize for the Examiner the  
16 efforts that you have made to identify, locate these  
17 people, and obtain their voluntary participation in this  
18 well?

19 A. The first thing that was done was, of course, a  
20 mineral takeoff from the records of Lea County, New Mexico,  
21 at which we took the last address in the records.

22 We sent letters to these people. After a certain  
23 time period, we sent second requests, sometimes third  
24 requests to some people.

25 We tried telephone calls, we tried death

1 certificates, we tried everything that we knew how to do,  
2 including the National Phone Book on CD-ROM, to try to  
3 locate these people if they had moved somewhere else in the  
4 country. We tried every way we knew to locate these  
5 people.

6 Q. Now, of the 11 individuals that are shown on  
7 Exhibit Number 2, you have addresses for them, and you've  
8 attempted to reach them at those addresses?

9 A. Yes, I have.

10 Q. You've been unable to date to make contact with  
11 any of the individuals shown on this --

12 A. I have been able to be in contact with two of the  
13 people, the Allie V. Cargill estate, and also David Neale.

14 Q. And have you been able to reach agreement with  
15 those individuals?

16 A. I was not able to.

17 Q. Is Exhibit Number 3 a compilation of the  
18 correspondence addressed to the people shown on Exhibit  
19 Number 2 with whom you've been unable to reach agreement?

20 A. Yes, it is.

21 Q. And these letters also contain copies of  
22 certified return receipts --

23 A. Yes, sir.

24 Q. -- and things of that nature, which confirm that  
25 you have, in fact, attempted to reach agreement --

1 admitted into evidence at this time.

2 Q. (By Mr. Carr) Mr. Echols, will Mack Energy also  
3 call a geological witness to review the technical portions  
4 of this case?

5 A. Yes, they will.

6 MR. CARR: That concludes my examination of Mr.  
7 Echols.

8 EXAMINER STOGNER: Thank you, Mr. Carr.

9 EXAMINATION

10 BY EXAMINER STOGNER:

11 Q. Mr. Echols, as far as those parties that do not  
12 appear on Number 2, have they all signed your agreement?

13 A. Yes, they have.

14 Q. Or have they just indicated that they'll --

15 A. The only one that we haven't got signed has been  
16 AnSon Gas Corporation, who had leasehold in there, and they  
17 agreed to farm out to us.

18 Q. And you expect to get an instrument signed --  
19 what? The next day or two?

20 A. Next day or two. Also, Tierra Oil Corporation,  
21 you received a fax from them. That was a case of  
22 misunderstanding between Bill Barnhill, the president, and  
23 Chris Barnhill, the new president, and also a delay in the  
24 mail.

25 We mailed them the AFE and operating agreement on

1 April 6th. They did not receive it until April 17th. They  
2 did call and say they were happy to participate with us in  
3 this well.

4 EXAMINER STOGNER: Okay. Thank you for covering  
5 that, because that fax will be made part of the record --

6 MR. CARR: Yes, sir.

7 EXAMINER STOGNER: -- from Tierra Oil Company  
8 that was faxed from the San Antonio yesterday.

9 Q. (By Examiner Stogner) So tell me about that last  
10 party, the 11th one. Is that really Shirley MacLaine?

11 A. I think it is. I had no response from Shirley  
12 McClain McLarty at all.

13 (Off the record)

14 Q. (By Examiner Stogner) And these are all  
15 undivided interests?

16 A. Yes, they are.

17 Q. That 40 acres is an undivided --

18 A. Yes, sir.

19 Q. This interest that you're force-pooling today, or  
20 interests in this well, is that just unique to this  
21 quarter-quarter section, or does that cover that quarter  
22 section?

23 A. It covers the entire quarter section.

24 Q. So if you step out, you're going to have to do  
25 the same thing again?

1 A. Yes, sir.

2 Q. How about the northeast of Section 27? Is that  
3 under the same lease or is that --

4 A. No, sir, it's different leases, of which we own  
5 the majority interest in there.

6 Q. Okay. So it's just unique to the northeast of 27  
7 -- or northwest --

8 A. Northwest.

9 Q. -- of 27?

10 A. Yes, sir.

11 Q. And the plan to re-enter the old well has been  
12 abandoned? That's not to be considered in this case?

13 A. That's not to be considered.

14 EXAMINER STOGNER: Okay, I have no other  
15 questions of this witness.

16 MR. CARR: Thank you, Mr. Stogner.

17 At this time we call Mark Wilson.

18 EXAMINER STOGNER: You may continue, Mr. Carr.

19 MARK WILSON,  
20 the witness herein, after having been first duly sworn upon  
21 his oath, was examined and testified as follows:

22 DIRECT EXAMINATION

23 BY MR. CARR:

24 Q. Would you state your name for the record, please?

25 A. Mark Wilson.

1 Q. Where do you reside?

2 A. Midland, Texas.

3 Q. By whom are you employed and in what capacity?

4 A. I'm self-employed.

5 Q. And in what capacity?

6 A. As a petroleum geologist.

7 Q. Mr. Wilson, have you previously testified before  
8 this Division and had your credentials as a petroleum  
9 geologist accepted and made a matter of record?

10 A. I have.

11 Q. Are you familiar with the Application filed in  
12 this case on behalf of Mack Energy Corporation?

13 A. I am.

14 Q. And are you familiar with the subject area?

15 A. I am.

16 MR. CARR: Are the witness's qualifications  
17 acceptable?

18 EXAMINER STOGNER: Mr. Wilson is so qualified.

19 Q. (By Mr. Carr) Mr. Wilson, you've prepared  
20 exhibits for presentation here today, have you not?

21 A. I did.

22 Q. Let's go to what has been marked for  
23 identification as Mack Energy Exhibit Number 5, the  
24 structure map, and I would ask you to review that exhibit  
25 for Mr. Stogner.

1           A.     Okay, Exhibit 5 is a structure map on top of the  
2     main Drinkard pay zone, in the Garrett-Drinkard field.

3                 The oil wells are shown with green triangles.  
4     Most of them are grouped in Section 28 and around 21.  
5     There is one stepout to the east in Section 22, the  
6     southeast-southeast of 22, a well that was drilled in 1991  
7     by Fina.

8                 The field was discovered, the Garrett-Drinkard  
9     field, in 1971, in the course of drilling for the Abo reef.  
10    The first well was completed 8-30-1971.

11                This Garrett-Drinkard field is about 13 miles  
12    east and three miles south of Lovington town site. It's on  
13    the north edge of the San Simon Channel, which connects the  
14    Midland Basin and the Delaware Basin, same Abo time and  
15    Drinkard time.

16                It's a stratigraphic trap in dolomites. It's in  
17    a belt of steep dip along the south side to the Abo reef  
18    trend, and the reef trend is shown by an anticlinal axis in  
19    the south part of 21, 22 and 23.

20                Our proposed drill site is shown with a red dot  
21    in the northeast quarter of the northwest quarter of  
22    Section 27. It's 1780 feet from the west line and 330 feet  
23    from the north line.

24                It is also about 350 feet northwest of an old  
25    well that was drilled by Texas Company, the Texas Ertel, a

1 Devonian test to 13,310 feet. It was plugged on 3-31-1950,  
2 about 20 years before the discovery of the Garrett field.

3 The Fina well is the most recent completion in  
4 the area. As I said, it's about a mile and a quarter east  
5 of where the main developed part of the field is, and this  
6 well was completed in 1991.

7 It's produced only about 9283 barrels of oil, up  
8 to 1-1-93. It has very low porosity and permeability,  
9 probably on the north edge of the porosity belt.

10 We have no good data to really tell us whether  
11 the porosity will improve as we go from there toward the  
12 field.

13 Q. All right. Let's go now to Exhibit Number 6.  
14 Can you identify that?

15 A. Exhibit Number 6 is a portion of the well log on  
16 the old Texas Ertel well that's on our spacing unit. The  
17 well was drilled in 1950.

18 And the second included on this log is the Tubb  
19 section and the Drinkard section and equivalent to the  
20 upper part of the Abo formation.

21 This is the only log that was ever released on  
22 the well. There was no porosity log released that we can  
23 find anywhere.

24 And on the right-hand side of this log there are  
25 two resistivity curves, there's a 32-inch limestone curve

1 and a short normal curve, which is the solid curve.

2 On the left side of the log there are two curves.  
3 The solid curve is an SP curve. And the broken curve, kind  
4 of wandering around all over the place, is a gamma-ray  
5 curve. In those days they didn't have very good  
6 calibration of the gamma ray.

7 On the far left side of the log are the  
8 stratigraphic units that we'll be discussing. The Tubb  
9 section is shown there from about 7900 to 8000. It's a  
10 sand zone. Immediately under that are four cycles in the  
11 upper part of the Drinkard, and they're labeled D-1 through  
12 D-4.

13 In correlating this well with the wells to the  
14 west over in the field, we found that the main field pay,  
15 which is D-4, is present in this wellbore. Also, the D-3  
16 zone is partially developed here.

17 We can't judge how much absolute porosity there  
18 is here, because we have no porosity log and we would have  
19 to rely upon these resistivity curves here. We can only  
20 say qualitatively that there is porosity in the D-3 and D-4  
21 zones, which are the main pays.

22 Also in the samples, on the left side of the log  
23 column, there is a series of X's from about 8200 down to  
24 nearly 8300 -- 8400 -- and that's porosity that was seen in  
25 samples.

1           There was some testing done when they drilled the  
2 well. DST number 4 was -- They tested the D-2 zone, which,  
3 looking at the resistivity curves, looks almost entirely  
4 tight. They recovered some oil- and gas-cut mud, about 30  
5 feet of oil- and gas-cut mud. And then they tested the  
6 upper part of the D-3 zone with about the same results, 52  
7 feet of oil- and gas-cut mud.

8           They didn't report any pressures. Probably if  
9 they had run them, they would have been 15-minute shut-ins  
10 and they wouldn't have had too much bearing on anything  
11 anyway.

12           The other thing I've plotted on this log is the  
13 oil-water contact, which can be seen there at just above  
14 8300 on the log, and that's derived from a study of the  
15 wells over in the field to the west and near those wells.  
16 I think it's quite accurate. You'll notice that it falls  
17 almost in the middle of the D-4, which is the main pay  
18 zone.

19           One reason we decided not to re-enter this well  
20 was that we felt like we needed to get all that D-4 pay  
21 zone up in the oil column. So we moved the location a  
22 little bit further north, which enabled us to do that.

23           As I say, data is inadequate to really make  
24 porosity calculations in here. Looking at resistivity  
25 curves showing lower porosity readings -- or lower

1 resistivities, rather -- down through the lower part of the  
2 D-3 and through the D-4, which would sort of correspond  
3 with the first porosity we see in the samples, and where  
4 there is a bulge in the SP curve, you would get the idea  
5 there is porosity there.

6           Whether or not there will be enough porosity to  
7 make a commercial well, we won't know until we get a modern  
8 porosity log on here -- say, a density neutron -- and do  
9 some testing.

10           At the moment, we are willing to take the chance,  
11 but we think that probably the odds are about one in three  
12 or one in four that we would come up with enough porosity  
13 to make the grade, especially in view of the fact that the  
14 Fina well back up to the northeast is relatively low in  
15 porosity. That will be the fight we'll have, is getting  
16 enough porosity.

17           Q.   Mr. Wilson, are you prepared to make a  
18 recommendation to Mr. Stogner concerning the risk penalty  
19 that should be assessed against any nonparticipating  
20 interests in this well?

21           A.   I am. I think it's relatively high risk, and I  
22 think that the 200-percent penalty will be what we'll be  
23 looking for.

24           Q.   Have you made an estimate of overhead and  
25 administrative costs to be incurred while drilling the well

1 and also while producing it if in fact it is successful?

2 A. Yeah, the -- On drilling-well basis, we figure  
3 about \$5000 per month, and I would prorate it. And on a  
4 producing-well basis, \$500 a month.

5 Q. Are these figures consistent with the figures in  
6 the joint operating agreement that's been accepted by other  
7 interest owners who are voluntarily in this --

8 A. That is correct.

9 Q. Do you recommend that these figures be  
10 incorporated into the Order that results from today's  
11 hearing?

12 A. I do.

13 Q. Could you identify what has been marked as Mack  
14 Energy Exhibit Number 7?

15 A. Okay, that's an AFE that was prepared by Mack  
16 Energy, who will be the operator.

17 And we have a dryhole cost there of \$284,500 and  
18 a completed well cost of \$537,800, and that would include  
19 pumping equipment and treatment of the Drinkard if  
20 necessary.

21 Q. Are these costs in line with what's charged for  
22 similar wells in the area?

23 A. I believe they are.

24 Q. Does Mack Energy Corporation seek to be  
25 designated operator of the well?

1 A. They do.

2 Q. In your opinion, will approval of this  
3 Application and the drilling of this well be in the best  
4 interests of conservation, the prevention of waste, and the  
5 protection of correlative rights?

6 A. I think so.

7 Q. How soon does Mack Energy plan to actually  
8 commence the well?

9 A. Probably in the first half of May.

10 Q. Were Exhibits 5 through 7 prepared by you or  
11 compiled under your direction?

12 A. They were prepared by me, except for 7.

13 Q. And you have reviewed 7, and it is in fact an  
14 accurate AFE for this well for Mack Energy?

15 A. That's correct.

16 MR. CARR: Mr. Stogner, at this time I would move  
17 the admission of Mack Energy Corporation Exhibits 5 through  
18 7.

19 EXAMINER STOGNER: Exhibits 5 through 7 will be  
20 admitted into evidence.

21 MR. CARR: And that concludes my examination of  
22 Mr. Wilson.

23 EXAMINATION

24 BY EXAMINER STOGNER:

25 Q. Mr. Wilson, the original proposal to re-enter the

1 well, could you enlighten me a little bit more on that  
2 since you are the technical witness?

3 A. I can. First off, the well was drilled in 1950,  
4 and so it is a relatively old well.

5 They ran the intermediate casing string down to  
6 around 5200 feet. And then after several attempts to  
7 cement that string, three or four attempts, they finally  
8 got to cement back up to about 800 feet from the surface.

9 And when they did not make a well here, then they  
10 went in and cut the casing off, about 792 feet. And we  
11 don't know how they did it, whether they shot it off, which  
12 they probably did back in those days. But assuming that  
13 they did that, then we figured that it would be awfully  
14 tough to get back into the place where they shot the casing  
15 off.

16 Also, there was another factor that entered into  
17 it, which I mentioned. That is that the oil-water contact  
18 plots in about the middle of this D-4 zone, which is the  
19 main pay, over in the field to the west. And we would  
20 prefer to have all of the D-4 zone in a higher structural  
21 position where we think it would be oil-bearing. That  
22 finally weighted it in favor of drilling a new hole.

23 Q. Okay. On the \$5000 and \$500 overhead charges,  
24 those figures appeared on the signed operating  
25 agreements --

1 A. Yes.

2 Q. -- of the other parties?

3 A. As a matter of fact, that's right. We put the  
4 deal together, we took in Mack as partners and operators in  
5 the thing. I'm carrying the working interest, and Tara-Jon  
6 Corporation is.

7 And when we made our agreement, we had to arrive  
8 at some numbers in the COPAS, and that's what we arrived at  
9 in the agreement. And those numbers were incorporated into  
10 the operating agreement, which is submitted to the other  
11 working interest owners.

12 Q. And this well is going to a TD of 8500; is that  
13 correct?

14 A. That's correct.

15 Q. Now, that won't quite make the Abo, but you're  
16 well within the Drinkard?

17 A. Yes, I think so. It's in a belt of steep dip  
18 here, and you don't have to move very far to change your  
19 drilling depths.

20 Q. And your casing program, 5 1/2 -- The other zones  
21 of interest, could you elaborate a little bit on that?

22 A. I really haven't done that much work on the other  
23 zones in here. There are scattered San Andres wells around  
24 the area.

25 For instance, there are two San Andres wells up