


STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING )  
CALLED BY THE OIL CONSERVATION )  
DIVISION FOR THE PURPOSE OF )  
CONSIDERING: )  
 )  
APPLICATION OF STRATA PRODUCTION )  
COMPANY )  
\_\_\_\_\_ )

CASE NO. 11,295



ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

June 1st, 1995

Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Division on Thursday, June 1st, 1995, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, before Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

STEVEN T. BRENNER, CCR  
(505) 989-9317

## I N D E X

June 1st, 1995  
 Examiner Hearing  
 CASE NO. 11,295

	PAGE
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>BRUCE STUBBS</u> (Engineer)	
Direct Examination by Mr. Cavin	5
Examination by Examiner Catanach	13
REPORTER'S CERTIFICATE	18

\* \* \*

## E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	6	12
Exhibit 2	8	-

\* \* \*

## A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL  
Attorney at Law  
Legal Counsel to the Division  
2040 South Pacheco  
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

STRATTON & CAVIN, P.A.  
320 Gold Avenue, SW  
Albuquerque, New Mexico 87102  
P.O. Box 1216  
Albuquerque, New Mexico 87103  
By: SEALY H. CAVIN, JR.

\* \* \*

1                   WHEREUPON, the following proceedings were had at  
2   9:53 a.m.:

3  
4  
5  
6  
7                   EXAMINER CATANACH: At this time I'll call Case  
8   11,295.

9                   MR. CARROLL: Application of Strata Production  
10   Company for a high-angle/horizontal directional drilling  
11   pilot project, special operating rules therefor, a  
12   nonstandard oil proration unit, and a special project  
13   allowable, Roosevelt County, New Mexico.

14                  EXAMINER CATANACH: Are there appearances in this  
15   case?

16                  MR. CAVIN: Yes, Mr. Examiner, my name is Sealy  
17   Cavin. I'm with the law firm of Stratton and Cavin in  
18   Albuquerque.

19                  I represent the Applicant, Strata Production  
20   Company. I have one witness to call.

21                  EXAMINER CATANACH: Any additional appearances?  
22   Please swear in the witness, Mr. Carroll.

23                  (Thereupon, the witness was sworn.)

24                  MR. CAVIN: Mr. Examiner, the first witness is  
25   Mr. Bruce Stubbs.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BRUCE STUBBS,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. CAVIN:

Q. Mr. Stubbs, I would ask that you please state for the record your name, address, employer and occupation.

A. My name is Bruce Stubbs. I'm employed by Strata Production Company as a consulting petroleum engineer.

Q. Mr. Stubbs, have you previously testified before the Division as a petroleum engineer?

A. Yes, I have.

Q. And have your credentials been made a matter of record?

A. Yes, they were.

Q. Okay. Mr. Stubbs, are you familiar with the Application in this case, 11,295?

A. Yes, I am.

MR. CAVIN: Okay. Mr. Examiner, are Mr. Stubbs' qualifications as a petroleum engineer acceptable?

EXAMINER CATANACH: Yes, they are.

MR. CAVIN: Okay. Mr. Examiner, unless there's some objection, we also plan to have Mr. Stubbs testify to certain land and geologic matters in this case.

EXAMINER CATANACH: Okay.

1           Q.    (By Mr. Cavin) Mr. Stubbs, would you please  
2   state for the Examiner the purpose of your Application, or  
3   Strata's Application, in this matter?

4           A.    Well, we have three things that we're requesting.

5                Number one, authority to re-enter the Sunrise  
6   Federal Number 1 and drill it directionally through the San  
7   Andres formation.

8                The horizontal section is going to penetrate  
9   three proration units, so we're requesting a nonstandard  
10  120-acre proration unit.

11               And in conjunction with that, we'd like an  
12  allowable of 240 barrels a day.

13           Q.    Okay. Mr. Stubbs, have you prepared or directed  
14  the preparation of any exhibits in connection with this  
15  Application?

16           A.    Yes, I have.

17           Q.    Okay. And is that Exhibit 1?

18           A.    Yes, sir.

19           Q.    Marked Applicant Exhibit -- Strata Exhibit 1?

20           A.    Yes, sir.

21           Q.    Okay. Mr. Stubbs, I would refer you to your  
22  Exhibit 1 and -- at page 1, and ask that you describe this  
23  page 1.

24           A.    This is a land ownership map. The area outlined  
25  by yellow is the Strata lease or the Murphy Operating

1 lease, which is going to be farmed out to Strata, and it's  
2 a 640-acre lease which covers the east half of 21 and the  
3 west half of Section 22.

4 The well that we're talking about re-entering is  
5 located in Section 21, in the southeast of the northeast,  
6 and it's indicated "Reading and Bates R&B Federal 21 Number  
7 2". It's now called the Sunrise Federal Number 1.

8 Q. Okay. Can you tell me what the yellow outline  
9 depicts?

10 A. The yellow is the lease. The orange is the area  
11 that we investigated to determine other operators and  
12 leasehold interest owners.

13 Q. Okay. And how did you determine who to give  
14 notice to?

15 A. Well, we pulled all the production history and  
16 determined if there was any operators in the area that had  
17 active wells, and then we obtained abstracts on those  
18 leases outlined by orange.

19 Q. Okay. To your knowledge, has proper notice been  
20 provided, or have you attempted to provide proper notice?

21 A. Yes, we sent out 21 certified notices to the  
22 indicated addresses, and out of those 21 we received seven  
23 of those back unable to be delivered. And I believe one or  
24 two of those people had passed away, and I'm not sure what  
25 happened to the other five or six.

1 Q. Okay. Are all the -- Are the parties that you  
2 were unable to deliver notice to identified at Exhibit  
3 Number 2, Strata Exhibit Number 2?

4 A. That's correct, I believe Exhibit B or Exhibit C.

5 Q. Yeah, Exhibit C to Exhibit 2?

6 A. Right.

7 Q. Okay, Mr. Stubbs. Do you know what the status of  
8 the subject lease is?

9 A. Yes, I do. You'll notice on the land plat that  
10 the lease expires today.

11 On May 10th, we made application to the BLM to  
12 extend that lease, and they granted a 60-day extension,  
13 plus 21 days that were remaining on the lease. So we have  
14 an extension until approximately August 20th.

15 Q. Okay, and is there common ownership throughout  
16 the lease?

17 A. I believe that's correct.

18 Q. Okay. Mr. Stubbs, next I would refer you to page  
19 2 of your Exhibit 1 and ask that you describe that for the  
20 Examiner.

21 A. This is the existing wellbore diagram of the  
22 Sunrise Federal Number 1, which was originally the Reading  
23 and Bates R&B Federal 2-21.

24 And it's properly plugged, it has 8 5/8 casing  
25 set to 2142 feet, and it was originally drilled to 4803 and



1 tested the San Andres, and they elected not to complete the  
2 San Andres and plugged the well.

3 Q. Okay. Next, I refer you to page 3 of Exhibit 1  
4 and ask you to describe that.

5 A. This is a well from the R&B Federal 21 Number --  
6 or a log from the R&B Federal 21 Number 2, and the two  
7 zones of interest are the P-1 and the P-2. The log  
8 calculations indicate water saturations in the 30-percent  
9 range.

10 The good news is, the drill stem test they ran  
11 did not recover any formation waters, and they had a slight  
12 show of oil.

13 They ran a second drill stem test below the P-3  
14 and did get some formation water out of that zone.

15 So we believe that the P-1 and P-2 are probably  
16 oil-productive; it's just real tight and doesn't have any  
17 natural fracture system at this particular point.

18 Q. Okay. Mr. Stubbs, at this time I would ask you  
19 to look at page 4 of Exhibit 1 and describe the diagram  
20 that's depicted there.

21 A. This is a schematic, indicating the approximate  
22 geometry that we hope to accomplish when we drill this  
23 horizontal well.

24 We're going to drill the horizontal section in an  
25 easterly direction. It will have approximately a 300-foot

1 radius, and it will extend horizontally approximately 2000  
2 feet.

3 The end of the horizontal section should be  
4 approximately 1000 feet from the closest lease line.

5 Q. Okay. At this time I refer you to page 5 of your  
6 Exhibit 1 and ask that you explain the significance of the  
7 structure map to the proposed operation.

8 A. Well, the main reason we want to try to go east  
9 with the horizontal section is, we believe there could be a  
10 little high to the east.

11 There's a well in the southeast of the southeast  
12 of 15, which is essentially flat to our location,  
13 indicating that there may be a high in between those two  
14 wells.

15 Any other direction is a downdip location, and we  
16 think we have our best shot going east and trying to get a  
17 little updip.

18 Q. Okay. I refer you to page 6 of your Exhibit 1  
19 and ask you to describe that schematic.

20 A. This is just a cross-section of what we envision  
21 the well to look like after we drill it.

22 The red intervals are the P-1 and P-2 zones, and  
23 the darker intervals indicate where the porosity is.

24 We want to drill the horizontal section down to  
25 the main porosity in the P-2, maintain a horizontal course

1 through the main porosity, and if everything is going as  
2 planned, we want to kick it back up and catch that upper  
3 part of the P-2, toward the end of the well.

4 Q. Okay. Mr. Stubbs, why do you believe a  
5 horizontal well is warranted in this case?

6 A. Well, there's been quite a bit of activity up in  
7 the Tom-Tom and Tomahawk that's indicated that horizontal  
8 drilling in the San Andres does enhance production.

9 At the existing location it appears that it's too  
10 tight to really be a commercial producer. If you ran pipe  
11 and completed it in the vertical wellbore, you would  
12 probably get a marginal well.

13 So the best hope for this lease in this  
14 particular project is probably a horizontal well, to try to  
15 intersect some natural fractures and get enough  
16 deliverability where it will be commercial.

17 Q. Okay. So in your opinion, a vertical well in  
18 this area is not a viable alternative to a horizontal well?

19 A. It doesn't appear to be.

20 Q. Do you believe that the drilling of the proposed  
21 well will prevent waste, both economic and actual?

22 A. That's correct.

23 Q. Mr. Stubbs, in your opinion will the correlative  
24 rights of any offset operators or interest owners be  
25 adversely affected by the drilling of the proposed well?

1           A.    I don't believe so. The end of the horizontal  
2 section, like I said, is over 1000 feet from any lease  
3 line, so it's quite a distance away from anyone else's  
4 leases.

5           Q.    Okay. And you believe that the allowable should  
6 be increased to 240 barrels of oil per day. What's the  
7 justification for that?

8           A.    Well, we're basically developing three proration  
9 units, and on page 4 that's the area that's shaded in  
10 green.

11                   The well starts out in the southeast of the  
12 northeast of Section 21, extends through the southwest of  
13 the northwest of 22, and into the southeast of the  
14 northwest of 22.

15                   So we've developed three proration units.

16           Q.    Okay. Mr. Stubbs, was Exhibit 1 prepared by you  
17 or under your direction or supervision?

18           A.    Yes, it was.

19                   MR. CAVIN: Okay. Mr. Examiner, I move for the  
20 admission of Exhibit 1.

21                   EXAMINER CATANACH: Exhibit 1 will be admitted as  
22 evidence.

23                   MR. CAVIN: Okay. Mr. Examiner, this concludes  
24 my direct examination of Mr. Stubbs.

25                   EXAMINER CATANACH: Okay.

## EXAMINATION

BY EXAMINER CATANACH:

Q. Okay. Now, Mr. Stubbs, the parties you've identified by Exhibit Number 2, those are offset operators you've identified or leasehold owners?

A. That's correct.

Q. Okay. Can you tell me what re-entry operations will consist of?

A. Well, we'll rig up a good-size pulling unit and we'll drill out the plugs to TD, and we'll spot a plug across the existing producing intervals, bring the top of the plug up to about 4100 feet, go back in, dress that plug off and kick the well off at about 4170 and then build our angle at about 19 degrees per hundred feet, which is an approximate 300-foot radius, and we hope to have the well horizontal at 4470, which is in that main porosity in the P-2 section.

And we'll extend the horizontal section for, say, 1000, 1200 feet, and if the drilling operations are smooth we'll try to kick it back up and go back through the top of that porosity in the P-2.

And the horizontal section will be approximately 2000 feet.

And once that's completed, we'll come back and run 5-1/2-inch casing to the top of the P-1, and we'll set

1 a formation packer shoe at about 4340 true vertical depth,  
2 which will be right on top of the P-1 zone.

3 Q. This is typically the way the wells have been  
4 drilled in the Tom-Tom field?

5 A. Pretty much, yeah. They're -- This is a little  
6 bit different.

7 They're using mostly slimhole over there, going  
8 through 5-1/2-inch casing.

9 In this one we're somewhat fortunate that it'll  
10 set casing, so we'll be able to use a 7 7/8 hole.

11 Q. Okay. Is the direction of the wellbore -- is  
12 that -- That's already been determined that's not going to  
13 change?

14 A. We don't think it's going to change. We want to  
15 drill it due east and try to move upstructure, yeah.

16 Q. You're not going to run any additional logs or  
17 anything once you get in the wellbore?

18 A. No, not the existing wellbore, no.

19 Q. Has there ever been any wells drilled to test  
20 what you've identified as that structure in Section 22?

21 A. No, the only well control we have is -- There's a  
22 well in, like I said, in the southeast-southeast of 15, our  
23 well in Section 21, and then just a few other scattered  
24 wells around there.

25 There's nothing other than geological projections

1 that indicate a structure, but there's either probably a  
2 structure there or it's flat between those two wells.

3 But if you go any other direction -- You can look  
4 at page 5. If you go any other direction you're moving  
5 downdip.

6 So east is the best direction.

7 Q. What's the closest production to this -- the  
8 wellbore?

9 A. Well, Exhibit 5, the Chaveroo Field, is about a  
10 mile away, there to the west.

11 Q. A mile to the west?

12 A. Yeah, uh-huh.

13 Q. The allowable in the Chaveroo is 80 barrels a  
14 day?

15 A. That's the statewide allowable, 80 barrels a day  
16 for a 40-acre proration unit.

17 Q. Okay. Do you propose to run a directional survey  
18 on the well?

19 A. That's correct.

20 Q. And this is a -- The project area you've  
21 identified, that's all commonly owned?

22 A. Right, it's common lease ownership. That federal  
23 lease 84,732 covers that 640-acre tract.

24 Q. So all the tracts in there are commonly owned?

25 A. Right, it's all one base lease.

1           A.    Are you the only working interest owner in that  
2 project?

3           A.    No, there's other partners, Strata has other  
4 partners.

5           Q.    You're not -- Your wellbore should never be  
6 closer than 330 feet from the outer boundary of the project  
7 area; is that correct?

8           A.    Yeah, I think -- Like it projects in page 4, I  
9 think the closest we'll ever be is 1000 feet to the eastern  
10 edge of the lease in Section 22.

11          Q.    Shouldn't get really any closer than 660 from the  
12 south?

13          A.    Right. It's 1980 from the north and 3300 feet  
14 from the south.

15          Q.    Okay.

16          A.    Closest place would be the end of the horizontal  
17 section, 1000 feet from the eastern edge.

18          Q.    There is no offset production in any of these  
19 sections in the San Andres?

20          A.    No, not right now.

21                I think the closest producer is up in Section 17,  
22 I believe. Yeah, Section 17.

23                EXAMINER CATANACH: Okay, I have nothing further  
24 of the witness, Mr. Cavin.

25                Do you have anything further in this case?



1 MR. CAVIN: No, Mr. Examiner, that concludes our  
2 presentation.

3 EXAMINER CATANACH: Okay. There being nothing  
4 further, Case 11,295 will be taken under advisement.

5 (Thereupon, these proceedings were concluded at  
6 10:10 a.m.)

7 \* \* \*

8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21 I do hereby certify that the foregoing is  
22 a complete record of the proceedings in  
23 the Examiner hearing of Case No. 11295,  
heard by me on June 1 1995.

24 David P. Catanach, Examiner  
Oil Conservation Division  
25


## CERTIFICATE OF REPORTER

STATE OF NEW MEXICO    )  
                                  )    ss.  
COUNTY OF SANTA FE    )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL June 3rd, 1995.

  
\_\_\_\_\_  
STEVEN T. BRENNER  
CCR No. 7

My commission expires: October 14, 1998