


STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION DIVISION



IN THE MATTER OF THE HEARING)
 CALLED BY THE OIL CONSERVATION)
 DIVISION FOR THE PURPOSE OF)
 CONSIDERING:)
)
 APPLICATION OF CONOCO, INC.)
 _____)

CASE NO. 11,349

REPORTER'S TRANSCRIPT OF PROCEEDINGSEXAMINER HEARING**ORIGINAL**

BEFORE: DAVID R. CATANACH, Hearing Examiner

July 27th, 1995

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, July 27th, 1995, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

STEVEN T. BRENNER, CCR
 (505) 989-9317

I N D E X

July 27th, 1995
 Examiner Hearing
 CASE NO. 11,349

	PAGE
EXHIBITS	3
APPEARANCES	5
APPLICANT'S WITNESSES:	
<u>TOM SCARBROUGH</u> (Landman)	
Direct Examination by Mr. Kellahin	6
Examination by Examiner Catanach	14
<u>THOMAS B. JOHNSON</u> (Geologist)	
Direct Examination by Mr. Kellahin	15
Examination by Examiner Catanach	30
<u>MATTHEW L. STANLEY</u> (Engineer)	
Direct Examination by Mr. Kellahin	35
Examination by Examiner Catanach	63
<u>JERRY W. HOOVER</u> (Engineer)	
Direct Examination by Mr. Kellahin	66
REPORTER'S CERTIFICATE	72

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	7	14
Exhibit 2	8	14
Exhibit 3	9	14
Exhibit 4	11	14
Exhibit 5	11	14
Exhibit 6	12	14
Exhibit 7	12	14
Exhibit 8	13	14
Exhibit 9	17	29
Exhibit 10	18	29
Exhibit 11	18	29
Exhibit 12	20	29
Exhibit 13	22	29
Exhibit 14	24	29
Exhibit 15	26	29
Exhibit 16	26	29
Exhibit 17	28	29
Exhibit 18	29	29
Exhibit 19	38	63
Exhibit 20	39	63
Exhibit 21	39	63
Exhibit 22	40	63
Exhibit 23	43	63
Exhibit 24	44	63
Exhibit 25	44	63
Exhibit 26	46	63
Exhibit 27	48	63
Exhibit 28	50	63
Exhibit 29	51	63
Exhibit 30	51	63
Exhibit 31	51	63
Exhibit 32	52	63
Exhibit 33	54	63

(Continued...)

E X H I B I T S (Continued)

Applicant's	Identified	Admitted
Exhibit 34	55	63
Exhibit 35	56	63
Exhibit 36	58	63
Exhibit 37	60	63
Exhibit 38	61	63
Exhibit 39	62	63
Exhibit 40	67	70
Exhibit 41	68	70
Exhibit 42	68	70
Exhibit 43	69	70
Exhibit 44	69	70
Exhibit 45	70	70
Exhibit 46	70	70
Exhibit 47	70	70

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

* * *

1 WHEREUPON, the following proceedings were had at
2 1:20 p.m.:

3 EXAMINER CATANACH: Call the next case, Number
4 11,349, Application of Conoco, Inc., for downhole
5 commingling and for two unorthodox gas well locations, Rio
6 Arriba County, New Mexico.

7 Are there appearances in this case?

8 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
9 the Santa Fe law firm of Kellahin and Kellahin, appearing
10 on behalf of the Applicant, and I have four witnesses to be
11 sworn.

12 EXAMINER CATANACH: Will the four witnesses
13 please stand and be sworn in at this time?

14 (Thereupon, the witnesses were sworn.)

15 MR. KELLAHIN: Mr. Examiner, Tom Scarbrough is
16 our first witness. He is a land expert with Conoco, resides
17 in Midland, Texas.

18 TOM SCARBROUGH,
19 the witness herein, after having been first duly sworn upon
20 his oath, was examined and testified as follows:

21 DIRECT EXAMINATION

22 BY MR. KELLAHIN:

23 Q. Mr. Scarbrough, for the record would you please
24 state your name and occupation?

25 A. My name is Tom Scarbrough. I'm a senior landman

1 with Conoco in Midland, Texas.

2 Q. On prior occasions, Mr. Scarbrough, have you
3 testified as an expert in matters of petroleum land
4 management?

5 A. Yes, I have.

6 Q. Pursuant to your employment in that capacity,
7 have you made yourself knowledgeable about the land title
8 arrangements within what is known as the San Juan 28-7
9 Unit?

10 A. Yes, I have.

11 Q. And based upon that information, have you
12 undertaken the task of tabulating the interest owners that
13 are entitled to share in production from the Dakota and the
14 Mesaverde reservoirs within that unit?

15 A. Yes, sir.

16 MR. KELLAHIN: We tender Mr. Scarbrough as an
17 expert witness in matter of petroleum land management.

18 EXAMINER CATANACH: He is so qualified.

19 Q. (By Mr. Kellahin) Let's turn to the first
20 display, if you'll unfold that. The San Juan 28 and 7 Unit
21 is a federal exploratory unit located in Rio Arriba County,
22 New Mexico; is that not true?

23 A. That is correct.

24 Q. When we look at Exhibit 1, what are we seeing?

25 A. Exhibit 1 is a map of the boundary of the 28-7

1 Unit. The Mesaverde participating area is shaded in red.
2 The offset Mesaverde operators are shown surrounding the
3 unit boundary.

4 Q. When we look at this display and see the symbols
5 for wells, are we looking only at Mesaverde wells?

6 A. Yes, sir.

7 Q. All right, sir, let's set that one aside for a
8 moment and look at the next display. Exhibit Number 2 is
9 what?

10 A. Exhibit Number 2 is the same type map. It shows
11 the San Juan 28-7 Unit boundary, and the Dakota
12 participating area is shaded in green. The offset
13 operators are operators of Dakota wells only.

14 Q. And again, when we look at the well symbols on
15 this display, Exhibit 2, those well symbols simply
16 represent Dakota wells?

17 A. That is true.

18 Q. As part of your work, have you caused a
19 tabulation to be made of all the offset operators for
20 either of the two reservoirs in terms of their identity and
21 their current addresses?

22 A. Yes, I have.

23 Q. In addition, are you knowledgeable about the
24 ownership within the unit as to the two reservoirs?

25 A. Yes, sir.

1 Q. Are there different participating areas within
2 the unit for each of the two pools?

3 A. Yes, there are.

4 Q. As a result of those differences in participating
5 areas, is it fair to conclude that there is not an identity
6 or a common ownership in each of the spacing units for
7 which you intend to commingle production?

8 A. That is true.

9 Q. There will be some small differences that occur
10 because of the participating areas?

11 A. Well, due to the size of the participating areas,
12 there will be differences in every ownership.

13 Q. All right.

14 A. Royalty ownership, the overriding royalty
15 ownership and the working interest.

16 Q. Okay, let's look at Exhibit 3. What are we
17 seeing on this display?

18 A. This is also a map of the San Juan 28-7 Unit,
19 which shows the type of acreage contributed to the unit.

20 The federal land is unshaded. It's white on the
21 map. It consists of about 28,000 acres. It covers 95
22 percent of the unit.

23 The red-shaded acreage is State of New Mexico
24 land, which consists of about four percent of the unit.

25 And the purple-shaded acreage is fee land, which

1 constitutes the remaining one percent of the unit area.

2 Q. Apart from the two unorthodox locations, your
3 company is seeking to downhole commingle Mesaverde and
4 Dakota production in three general categories, are you not?

5 A. Yes.

6 Q. You want to take some 14 existing Dakota wells
7 and add that production in a commingled fashion with
8 Mesaverde production?

9 A. That is correct.

10 Q. In addition, you want the authority to drill 17
11 new wells, initially approved as commingled
12 Dakota/Mesaverde wells?

13 A. Yes, sir.

14 Q. And then finally, you want an administrative
15 procedure for the balance of the undrilled spacing units
16 within the unit, by which you can go to the Aztec OCD and
17 get approval to produce those under an allocation formula
18 adopted and ordered by the Division here in Santa Fe?

19 A. That is correct.

20 Q. Those are the three things you're trying to do?

21 A. Yes, sir.

22 Q. All right. Let's look at the activity you have
23 undertaken with regards to the federal properties and the
24 federal interests within the unit. They're apparently
25 significant. When I look at Exhibit 3, most of this

1 acreage is federal acreage, is it not?

2 A. Yes, it is.

3 Q. As part of your regulatory approvals, have you
4 sought out approvals from the appropriate officer of the
5 Bureau of Land Management to authorize you to downhole
6 commingle all three categories of production?

7 A. Yes, we have.

8 Q. And how have you documented that for this
9 Examiner?

10 A. We have Exhibit Number 4, which is a letter from
11 the BLM, which grants approval of Conoco's proposed
12 downhole commingling plan.

13 Q. All right. In addition to the BLM approval for
14 commingling, have you sought out and obtained the approval
15 of the Commissioner of Public Lands, State of New Mexico,
16 for commingling as I've described it?

17 A. Yes, we have.

18 Q. And how have you documented that?

19 A. In Exhibit Number 5 is a letter from the
20 Commissioner of Public Lands stating that our proposed
21 downhole commingle procedure has been approved by their
22 agency, contingent upon like approval by the New Mexico Oil
23 Conservation Division and the Bureau of Land Management.

24 Q. All right, sir.

25 A. Which has already been received.

1 Q. Okay. In order to inform the parties entitled to
2 notice, either the offsets or the interest owners within
3 the unit, have you caused a summary of the Application to
4 be prepared, and is that what I'm looking at when I see
5 Exhibit 6?

6 A. Yes, it is.

7 Q. And was this part of the enclosures sent to all
8 the appropriate parties entitled to notice?

9 A. Yes, sir.

10 Q. This is what they got?

11 A. That is correct.

12 Q. In addition, they got copies of some maps that
13 help them visualize what you were trying to do in terms of
14 where the unit was and where these wells were?

15 A. That is right.

16 Q. All right. Identify for me Exhibit 7. What is
17 this?

18 A. Exhibit Number 7 is a listing of all the royalty
19 interest owners, carried working interest owners, working
20 interest owners, and overriding royalty interest owners, in
21 both the Mesaverde and Dakota participating area, within
22 the San Juan 28-7 Unit.

23 Q. All right, sir. And then finally Exhibit Number
24 8. Would you identify and describe what you have included
25 in this exhibit package?

1 A. Exhibit Number 8 consists of letters that we had
2 sent to the working interest owners in the San Juan 28-7
3 Unit, requesting their waiver to objection for the downhole
4 commingle project.

5 Q. Give us a general idea of the working interest
6 owners within the unit that have given you waivers or
7 consents to do this.

8 A. Out of the ten waivers that we have received,
9 their interest consists of over 95 percent of the total
10 working interest in the San Juan 28-7 Unit.

11 Q. Despite the caption on Exhibit 7, does this
12 summary of receipts also include the offset operators? You
13 have listed the various interest owners within the unit,
14 but does this not also include the offset operators that
15 you've identified from an earlier exhibit?

16 A. Yes, it does.

17 Q. Okay. And then you have the waivers that you
18 described in Exhibit 8.

19 Are you aware of anyone that's registered either
20 a written or a verbal objection to Conoco with regards to
21 this Application?

22 A. No, I'm not.

23 MR. KELLAHIN: That concludes my examination of
24 Mr. Scarbrough.

25 We move the introduction of his Exhibits 1

1 through 8.

2 EXAMINER CATANACH: Exhibits 1 through 8 will be
3 admitted into evidence.

4 EXAMINATION

5 BY EXAMINER CATANACH:

6 Q. Mr. Scarbrough, is it likely that the Dakota or
7 Mesaverde PA's will change at all?

8 A. The Dakota participating area is basically fully
9 expanded at this time. The Mesaverde participating area
10 has not undergone an expansion since, I believe, 1975.

11 Q. Are any of your proposed new wells located in an
12 area that's not in the Mesaverde PA?

13 A. No, sir, all of the new proposed locations are
14 within both the Mesaverde and Dakota participating area.

15 Q. The list of interest owners that you notified,
16 did that just include owners within the PAs?

17 A. Yes, it did. As far as the working interests,
18 royalty interests and overriding royalty interests is
19 concerned, yes.

20 Q. Are there certain interest owners that were
21 excluded from notification?

22 A. No, there were not. We did notify all the offset
23 operators as well. We notified all parties who are
24 currently a working interest owner or receiving revenues
25 from the Mesaverde or Dakota participating areas.

1 Q. That's not necessarily everybody within the unit,
2 is it?

3 A. Well, there's a possibility in the Mesaverde
4 formation that there are some lands which are undrilled
5 that are not located within a participating area.
6 Therefore, any owners who may own under those leases would
7 not be entitled to revenue at this time.

8 Q. Exhibit Number 6, is that what you have sent to
9 the interest owners?

10 A. Yes, sir, it is.

11 EXAMINER CATANACH: That's all I have of the
12 witness.

13 MR. KELLAHIN: Call Mr. Tom Johnson.

14 THOMAS B. JOHNSON,
15 the witness herein, after having been first duly sworn upon
16 his oath, was examined and testified as follows:

17 DIRECT EXAMINATION

18 BY MR. KELLAHIN:

19 Q. Mr. Johnson, would you please state your name and
20 occupation?

21 A. Thomas B. Johnson. I'm a geological advisor with
22 Conoco.

23 Q. And where do you reside, sir?

24 A. Midland, Texas.

25 Q. On prior occasions have you qualified as an

1 expert geologist before the Division?

2 A. Not in New Mexico, no.

3 Q. Summarize for us your education.

4 A. I received a bachelor of science degree in
5 geology from Winona State University in 1979.

6 Q. And summarize your general employment as a
7 petroleum geologist.

8 A. I was employed by Conoco in 1980 as an associate
9 geologist, working exploratory projects in the Appalachian
10 Basin for the first two years of my employment.

11 I then worked for the next two years on an
12 exploratory project that I was in charge of in southwest
13 Oklahoma through about mid-1984.

14 From 1984 to 1991 I worked development geology,
15 primarily in the west half of Oklahoma, in the Texas
16 panhandle.

17 In 1991 I was assigned to work the San Juan
18 Basin, which I work to this day.

19 Q. As part of your geologic duties since 1991, has
20 it included examining the geology for areas including your
21 company's interests within the San Juan 28 and 7 Unit?

22 A. Yes, it has.

23 Q. Conoco is currently the operator of that unit?

24 A. That's correct.

25 Q. And as operator, have you then continued to

1 examine the geology?

2 A. Yes, sir.

3 Q. And as a result of the geology, have you worked
4 with the engineering staff to determine the feasibility and
5 the practicality of downhole commingling production within
6 the unit from the Dakota and the Mesaverde reservoirs?

7 A. Yes, we work closely with engineering, as well as
8 other departments such as drilling.

9 MR. KELLAHIN: We tender Mr. Johnson as an expert
10 geologist.

11 EXAMINER CATANACH: He is so qualified.

12 Q. (By Mr. Kellahin) Let's start with a couple of
13 introductory displays, Mr. Johnson. If you'll turn to your
14 Exhibit 9 identify that display for us.

15 A. That is a stratigraphic chart showing the
16 Cretaceous producing horizons in the San Juan Basin. The
17 exhibit is modified after Molenaar.

18 What this exhibit shows, or was intended to show,
19 is just the intervals that we're talking about today. In
20 yellow -- The near-shore marine sandstones are colored
21 yellow. Nonmarine shales, siltstones and coals are the
22 orange color.

23 And in particular we're talking about the
24 Cliffhouse, Menefee and Point Lookout members of the
25 Mesaverde and the various members of the Dakota --

1 Twowells, Paguate, et cetera -- that are shown on the
2 bottom of the stratigraphic chart.

3 Q. All right, let's take those two reservoirs, then,
4 and go through the next series of geologic displays, and
5 perhaps we can do a couple of these concurrently.

6 A. I think that would be appropriate.

7 Q. Let's look at 10 and 11 side by side. And for
8 the record, identify what I'm looking at when I see Exhibit
9 10.

10 A. Okay, Exhibit 10 is a structure contour map
11 that's made on the top of the Cliffhouse sandstone, the
12 uppermost sandstone in the Mesaverde unit.

13 Q. Is that a commonly utilized marker point by which
14 to map structure when we're looking for Mesaverde
15 production?

16 A. Yes.

17 Q. All right. And then Exhibit 11 is what?

18 A. It's an exhibit similar to Exhibit 10. It's a
19 structural contour map on the top of the Graneros or Base
20 Greenhorn.

21 Q. All right. Now, both maps use the same criteria
22 in terms of color coding?

23 A. Yes, the darker shades, the red indicates deeper
24 depths, grading up to the lighter colors, indicates
25 shallower depths.

1 You can see we have regional dip, irregular
2 regional dip, from southwest to the northeast. Contour
3 interval is 50 feet on both maps. And again, nothing more
4 than irregular regional dip is exhibited. There are no
5 extreme structural flexures, no faulting, anything that you
6 might expect would enhance production or create any sweet
7 spots in any way, shape or form.

8 Q. When the engineers have studied the reservoir and
9 concluded it's a candidate for downhole commingling --

10 A. Yes.

11 Q. -- they've come up with three categories of well
12 types, existing Dakota, add to Mesaverde --

13 A. Correct.

14 Q. -- some new drills, and then the option in the
15 future for an administrative procedure for approximately 38
16 still-open locations?

17 A. That's correct.

18 Q. When we look at the geology, has existing
19 development in both reservoirs continued throughout both --
20 all areas of the unit?

21 A. Yes.

22 Q. So you have geologic data throughout the entire
23 unit for both reservoirs?

24 A. Yes, the unit's been fairly heavily drilled since
25 the 1950s, which was when most of the Mesaverde wells were

1 drilled.

2 I don't think we're going to find any surprises
3 in here, either from a structural standpoint or a
4 stratigraphic standpoint. There's quite a bit of well
5 control in the unit.

6 Q. All right. When we look at the structural
7 component, that is not a geologic item of importance in
8 determining the trapping mechanism for either reservoir, is
9 it?

10 A. No, this trapping mechanism in the 28-7 Unit, as
11 in most of the San Juan Basin, is purely a stratigraphic
12 mechanism.

13 Q. All right. And looking at structure in both
14 reservoirs, if the engineers reach a conclusion in one
15 portion of the reservoir as to commingling possibilities,
16 you don't see any change in geology that would make those
17 decisions different if they moved elsewhere in the unit?

18 A. No.

19 Q. All right. Let's set those aside, and let's go
20 to Exhibit 12.

21 Before we talk about what this means, describe
22 for us the identifications and the codes for the display.

23 A. Okay. Well, this is an outline of the 28-7 Unit,
24 which covers all of 28 North, 7 West, and portions of 27
25 North 7 West, Rio Arriba County, New Mexico.

1 The blue dots on the map with corresponding blue
2 number below represent Dakota wells, and the green dots
3 with black numbers above represent Mesaverde wells.

4 Q. You've got two lines of cross-section shown?

5 A. That's correct.

6 Q. Which one goes where?

7 A. We've got two cross-sections, A'-A and B'-B, both
8 starting from a common point in the northeast portion of
9 the unit, and both traversing from northeast to southwest
10 across the unit.

11 Q. A-A' is going to specifically look at which of
12 the two reservoirs?

13 A. A-A' is a cross-section that looks specifically
14 at the Mesaverde, and B-B' is a cross-section that looks
15 specifically at the Dakota.

16 Q. Is there a reason for the orientation of this
17 line of cross-section?

18 A. Yes, there is.

19 Q. What is it?

20 A. As a general statement, in fact, most of the
21 reservoirs in the San Juan Basin are deposited in a
22 northwest-southeast manner. Therefore, we run our cross-
23 sections from northeast to southwest, and it shows the
24 changes in the sandstones across the unit, the changes in
25 development, in thickness, in the reservoir quality, as

1 opposed to a strike section, which wouldn't show you the
2 changes that occur from northeast to southwest across the
3 unit.

4 Q. All right. Let's look at the first cross-
5 section. Exhibit 13, then, is the Mesaverde cross-section?

6 A. That's correct.

7 Q. If we can try to characterize the productivity of
8 the Mesaverde in the unit in terms of ultimate gas recovery
9 out of the Mesaverde, where are we having the better wells
10 located?

11 A. The better wells are located in the north and
12 northeast part of the 28-7 Unit.

13 Q. And let's start there, then. Let's start at A',
14 which is the right-hand side of the display, and have you
15 show the Examiner where those wells are being perforated
16 and where you're finding the productivity.

17 A. Okay. Well, this cross-section is hung on a
18 marker just above the top of the Cliffhouse. It breaks out
19 the Cliffhouse, the Menefee and the Point Lookout.

20 They're gamma-ray induction logs. You can see,
21 looking at the gamma-ray, particularly for the Cliffhouse
22 and Point Lookout, that the sands are fairly clean to the
23 northeast. And as you move along the Cliffhouse, from the
24 right-hand-most log, the number 218 well, moving along to
25 the 136 and so on, you can see that the sands stay well

1 developed by the kick of the gamma ray to the left.

2 This continues -- you see that -- stay in clean
3 development until you get past the 193, when the quality of
4 your Cliffhouse reservoir falls apart. It is very thin and
5 almost nonexistent as you continue on to the southwest.

6 Same thing shows up in the Point Lookout. The
7 sands are fairly well developed to the northeast where the
8 Mesaverde has better productivity in the unit, and as you
9 move to the southwest, again, reservoir quality
10 deteriorates and production becomes poorer.

11 Q. Is it fair to say that the Mesaverde wells have
12 been adequately perforated and completed in such a way that
13 those wellbores have had the opportunity to effectively
14 produce that reservoir?

15 A. Yes, they have, particularly the Cliffhouse and
16 the Point Lookout. There may be some isolated instances in
17 the Menefee, which are much shalier sands, although you
18 stall may contribute a little bit to production. But the
19 Cliffhouse and Point Lookout, there's very little potential
20 behind pipe.

21 Q. In terms of reservoir continuity, if the
22 engineers are seeing pressure depletion in various points
23 in the reservoir, is it logically -- is it logical
24 geologically to see an explanation for a pressure depletion
25 in an offset well?

1 A. Oh, certainly, you've got -- These are fairly
2 tight reservoirs. You've got porosities on the order of
3 nine to ten percent in the Mesaverde. Mesaverde has
4 qualified as a tight gas reservoir to receive Section 29
5 credits.

6 But there still is some pressure depletion in the
7 Mesaverde. Wells, again, have been drilled and many still
8 producing since the 1950s. The initial reservoir pressures
9 in the Mesaverde were on the order of 1200 to 1400 pounds,
10 and recently drilled wells show pressure in the 750 to 950
11 range.

12 So we have seen pressure depletion in the
13 Mesaverde.

14 Q. Geologically, then, you don't see any reason that
15 would preclude the Division from authorizing commingling of
16 the Mesaverde with the Dakota?

17 A. No.

18 Q. Let's look at the Dakota now. If you'll turn to
19 Exhibit 14, again, it has the same general orientation --

20 A. That's correct.

21 Q. -- line, and so let's start on the far right with
22 B', have you characterize these logs, and let's move then
23 to the southwest portion of the unit.

24 A. Okay, this is another stratigraphic cross-
25 section, again B'-B, which is hung on the top of the

1 Greenhorn limestone.

2 I show a breakout of the Greenhorn, the Graneros,
3 and then the various Dakota sands, the Twowells, Paguate,
4 Cubero and a dashed line to indicate the top of the Burrow
5 Canyon.

6 Unlike the Mesaverde, you can see that the Dakota
7 has more of a consistent development across the unit, and
8 correspondingly on production maps you'll see that there
9 isn't that sharp break between good production and poor or
10 no production.

11 Production -- Although there's some variability
12 in current rates and cumulative productions, the Dakota is
13 a little more consistently developed across the unit.

14 Q. Do you see any behind-the-pipe potential in the
15 Dakota?

16 A. There occasionally is behind-pipe potential in
17 the Dakota, but most of the wells in the 28-7 Unit have
18 been perforated and productive Dakota sands.

19 Q. Are we likely to find, in all reasonable geologic
20 probability, any untapped, potential high-pressure, high-
21 rate Dakota in the unit?

22 A. No, sir, we don't expect any surprises. This has
23 been a very heavily drilled unit, and the wells that have
24 been drilled have been completed in virtually all
25 productive intervals.

1 Q. Sir, let's look at Exhibit 15. Exhibit 15 deals
2 with the Mesaverde. You have mapped cumulative gas?

3 A. That's correct.

4 Q. All right, let's set that aside for a minute, and
5 let's get the other Mesaverde map out, which is Exhibit 16,
6 and that's going to be the daily rate map of the Mesaverde?

7 A. That's correct.

8 Q. All right, let's look at these side by side.

9 The mapping, the coloring and the contouring is
10 exclusive to either cum gas or gas rate, and there are not
11 components or parameters based upon geologic criteria?

12 A. That's correct.

13 Q. We're just looking at volumes and rate?

14 A. We're looking at volumes and rates, although
15 there's a relationship between the production that we see
16 on both the Mesaverde cum and daily rate map --

17 Q. All right.

18 A. -- that relates to the geology.

19 Q. Yeah. Let me get to that point in just a second.

20 Now, let's start with the cum gas map, and tell
21 us what you see.

22 A. The cum gas map, the darker colors indicate the
23 higher production. The darker reds are the highest
24 production and -- cumulative production -- and the lighter
25 colors, going to the yellows, are the lowest cumulative

1 productions.

2 You can see in the north and northeast part of
3 the unit is where we have the best cum production, even
4 though -- although there is some variability in the cums
5 that we see.

6 Q. All right. When we take this cum map and have
7 you analyze the geology, is there an explanation that you
8 see as to why cum gas is higher in the north part of the
9 unit?

10 A. Yes, that relates directly back to cross-section
11 A'-A that we looked at a moment ago. Where the sands are
12 developed in the northeast part of the unit, the production
13 is better. As you move to the southwest where the sand
14 quality deteriorates, the production drops dramatically.

15 Q. In order for the Examiner to find that he can
16 administratively approve on a unit-wide basis commingling,
17 he will want assurances that as you move to the south
18 portion, you're not going to improve in reservoir quality
19 such that he has, instead of marginal salvage operations,
20 high production rates and cum volumes that would justify
21 producing this as not commingled production; is he going to
22 see that here?

23 A. No, I don't think we'll find any surprises in the
24 Mesaverde. You've got Mesaverde penetrations and Dakota
25 penetrations that don't show up on these maps. We've got a

1 lot of control. We don't expect any surprises out here.
2 It's a fairly well developed unit, and we feel fairly
3 confident about where we're going to cross over from better
4 production to poor or no production.

5 Q. All right. Comments and observations about the
6 daily rate map on the Mesaverde?

7 A. Similarly to the cum map, you see, while there is
8 some variability in the daily rates to the -- in the north
9 part of the unit, that is where the best current daily
10 rates exist. They exist for the same reasons that the cums
11 are better in the northeast, and that is the sand
12 development.

13 Average current daily rates from the Mesaverde
14 are currently about 83 MCFD.

15 Q. All right. Let's look at the Dakota side of the
16 problem. Let's look at Exhibit 17 and 18, in connection
17 with each other.

18 Seventeen is the Dakota cum map, Exhibit 18 is
19 the Dakota daily rate map?

20 A. That's correct.

21 Q. Again, give us the conclusions about the two maps
22 and help us understand how they fit into the context of
23 your geologic study.

24 A. Okay. Well, as with the Mesaverde maps, we're
25 also color-coded with the deeper colors indicating areas of

1 higher cumulative production and higher daily rates.

2 As you saw in cross-section B'-B, the Dakota is
3 more uniformly developed across the unit, some variability,
4 reflecting some variability in cums and current daily rates
5 as well.

6 Current daily rates
7 MCFD for the Dakota. Average
8 a cumulative basis are about .

9 So you see a more un
10 and that is because of slightl
11 development across the unit.

12 Q. As we deal with the s
13 commingled wells and future new-drill commingled wells, do
14 you see the opportunity here for any significant primary
15 gas production out of the Dakota that would preclude
16 commingling?

17 A. No, again we expect no surprises. You've got
18 massive development all the way across the unit. It's
19 fairly heavily drilled, but we don't expect to encounter
20 anything new.

21 MR. KELLAHIN: That concludes my examination of
22 Mr. Johnson.

23 We move the introduction of his Exhibits 9
24 through 18.

25 EXAMINER CATANACH: Exhibits 9 through 18 will be

1 admitted as evidence.

2 EXAMINATION

3 BY EXAMINER CATANACH:

4 Q. Mr. Johnson, the 14 existing Dakota wells that
5 you intend to add the Mesaverde to, are those in one
6 general area in the unit, or are they --

7 A. Yes, they're in the northeast part of the unit.

8 Q. Northeast part of the unit.

9 Are these 14 existing Dakota wells -- are they
10 tracts that the Mesaverde has not been developed at all?

11 A. That's correct.

12 Q. There's no Mesaverde production?

13 A. There may be a few of them where the existing
14 production -- Well, there's one I know of where the
15 Mesaverde has been plugged back and recompleted to the
16 Fruitland, so there would have been production in the past.

17 So we have the opportunity in that case, if
18 sufficient reserves exist to justify the lower cost of
19 recompletion, to come back and add the Mesaverde in cases
20 like that.

21 Q. But as it stands right now, there's no Mesaverde
22 production on these units?

23 A. There are some that we're looking at where the
24 Mesaverde production has -- or was when I looked at it --
25 had dropped significantly. Those were possible

1 recompletions. We may not do those if Mesaverde production
2 in the existing wells has improved.

3 But for the most part, they are undeveloped in
4 the Mesaverde.

5 Q. There's no instance where this will be the third
6 Mesaverde --

7 A. No.

8 Q. -- on any of these units?

9 A. No.

10 Q. Okay. There's 17 wells you propose to drill as a
11 new DHC. Are those also located in the northeast part of
12 the unit?

13 A. Yes, sir, they are.

14 Q. On those units, would that be typically a second
15 well in the Dakota?

16 A. It will be the 160-acre infill. There are --
17 Where we propose the new drills, there's currently no
18 Dakota or Mesaverde; it's an empty quarter section, as far
19 as those two horizons are concerned.

20 Q. So they're all the second well on the proration
21 unit?

22 A. In the proration unit, yeah, the 160 infill.

23 Q. In the Dakota, not necessarily the Mesaverde?

24 A. Yes.

25 MR. KELLAHIN: Yes, what? Yes, it's a new drill

1 in both pools?

2 THE WITNESS: Yes, that's correct, in both pools.

3 Q. (By Examiner Catanach) In addition to the 17
4 wells, is there additional potential for new drills in the
5 unit?

6 A. Well, we're asking for the -- I believe it was 34
7 in the southwest part of the unit. That would be something
8 that may be done at some point in the future, if we got
9 much, much better gas prices and got all our costs
10 optimized.

11 But those we're not looking at doing in the near
12 future. Those -- for some time in the future -- If we're
13 going to do them, we're going to have to do those
14 commingled. There's no doubt about it.

15 Q. Did you say 34?

16 A. It's 38, excuse me.

17 Q. In the southwest part of the unit?

18 A. That's where they're located, yes, in the south
19 and southwest, out of that Mesaverde, better Mesaverde
20 productive --

21 Q. Those would fall under subsequent administrative
22 approval?

23 A. I think we're seeking that now.

24 Q. Right, okay.

25 The -- Have you identified the 17 and the 14 well

1 specifically?

2 A. Yes, we have, and the engineer will be presenting
3 a map showing those locations.

4 Q. All right. You mentioned something about an
5 average producing rate. Was that derived by -- Was that an
6 average production rate?

7 A. Yes, I have an average producing rate of -- from
8 the -- current producing rate from the Mesaverde of about
9 83 MCFD, and from the Dakota of about 70. And that's just
10 the total number of wells, or completions in those, divided
11 by the daily rates, or vice-versa.

12 Q. In the newly drilled wells and in the Mesaverde
13 wells that you're going to add to the Dakota, do you expect
14 any high producing rates?

15 A. No, after the initial decline -- And these wells
16 decline hyperbolically. They come on at a fairly high
17 rate, but then they quickly decline and level off to a
18 constant, predictable decline rate.

19 We expect a range of about from 200 to 600 MCFD,
20 stabilized production after that initial decline. We don't
21 expect anything huge.

22 Q. 200 to 600 stabilized right after the initial
23 decline?

24 A. Yes, and I'm speaking a little bit of
25 engineering. And if I misspeak, our engineer can clarify.

1 Q. Is that in both the zones?

2 A. Yes.

3 Q. In the southwest part of the unit, would you
4 expect that range to go down considerably?

5 A. Oh, yes. Yes, that would. The Dakota may not
6 change much, but the Mesaverde, yeah, we don't expect those
7 kinds of rates down there. Or certainly it would be at the
8 low end of that range at best.

9 Q. The main produced intervals in the Mesaverde in
10 this unit are the Cliffhouse and Point Lookout?

11 A. That's correct.

12 Q. Menefee is not much --

13 A. We will -- If there's some clean and developed
14 Menefee -- and even the clean Menefee is not as clean as
15 the clean Point Lookout and clean Cliffhouse. It's
16 shalier, more of a siltstone.

17 But if it shows a clean-up and it shows some
18 resistivity and we have indications of gas shows and some
19 favorable log characteristics, we will attempt to add it to
20 the flow stream.

21 EXAMINER CATANACH: That's all I have of the
22 witness.

23 MR. KELLAHIN: Our next witness is Matt Stanley.

24 Mr. Stanley is the reservoir engineer on the
25 project.

1 MATTHEW L. STANLEY,
2 the witness herein, after having been first duly sworn upon
3 his oath, was examined and testified as follows:

4 DIRECT EXAMINATION

5 BY MR. KELLAHIN:

6 Q. Mr. Stanley, would you please state your name and
7 occupation?

8 A. Yes, sir. Matthew Lee Stanley. I'm a senior
9 reservoir engineer with Conoco, Incorporated, in Midland,
10 Texas.

11 Q. And you reside in Midland?

12 A. Yes, sir.

13 Q. On prior occasions, have you testified before the
14 agency?

15 A. No, I have not.

16 Q. When and where did you obtain your degree in
17 engineering?

18 A. I graduated from New Mexico Institute of Mining
19 and Technology in Socorro, in May of 1984 with a bachelor
20 of science in petroleum engineering.

21 Q. You and Mr. Catanach were not there at the same
22 time, were you?

23 EXAMINER CATANACH: Not quite.

24 Q. (By Mr. Kellahin) No hard feeling between you,
25 nothing personal. Here we need to disclose --

1 A. He's probably not a Socorro native either.

2 Q. Describe for us your function here with regards
3 to what you've done in this project. I assume that you
4 were the project engineer that took the lead in doing the
5 engineering work to determine whether commingling was
6 appropriate.

7 A. Yes, sir, one of my primary responsibilities when
8 I moved down to Midland Division in 1992 was to study the
9 infill drilling and development potential of the unit.

10 Q. How long have you been working on that project,
11 Mr. Stanley?

12 A. The main project was completed in 1993, and we
13 became the operator of the 28-7 Unit in March of this year,
14 hence were here before the Commission to try to optimize
15 the development, that we saw potential existed in the unit.

16 Q. The Application that you're presenting to Mr.
17 Catanach, is this the same information and request that you
18 have provided to the Bureau of Land Management?

19 A. Yes, it is.

20 Q. And is this the same concept and request that you
21 applied for and received approval from the Commissioner of
22 Public Lands?

23 A. Yes, it is.

24 Q. And based upon your study, do you have
25 conclusions and opinions that support approval of this

1 Application?

2 A. Yes, I do.

3 MR. KELLAHIN: We tender Mr. Stanley as an expert
4 reservoir engineer.

5 EXAMINER CATANACH: He is so qualified.

6 Q. (By Mr. Kellahin) Let's take a moment and have
7 you summarize for us your major engineering conclusions,
8 and then we'll look at the reasons that support those
9 conclusions.

10 A. Sure. One of the things that's evident, probably
11 evident from the geologist's maps, is that this is a fairly
12 marginal unit. We're talking about production from the
13 1950s, and the average cums of 1.3 to 1.4 BCF in the
14 Mesaverde and lower in the Dakota.

15 So it's obvious that this is fairly marginal
16 production, yet there are a number of locations where we
17 know hydrocarbons exist in the ground in the Mesaverde and
18 Dakota, and we would like to somehow develop those.

19 In the course of studying the unit, we basically
20 proved that the only way to further development of the
21 hydrocarbons in the unit is to downhole commingle. What
22 this allows us to do is to reduce the drilling costs,
23 development costs, in the unit.

24 The other thing it allows us to do over the dual
25 situation is to improve the recovery from both zones. We

1 have a liquid-loading problem in the unit, and we need to
2 address that. We're trying to address that through the
3 downhole commingling.

4 And I think we'll show in the exhibits here that
5 the potential loss of reserves, when you compare a dual
6 versus a commingle, amounts to several million dollars'
7 worth of reserves.

8 And that's another main reason for trying to
9 commingle in the unit.

10 I'll try to address the three categories, if you
11 will, of commingles that we're seeking to have approval
12 for, and also any potential problems with Rule 303 that
13 might exist.

14 Q. As a result of your work, are you able to make a
15 recommendation to the Examiner on an allocation formula to
16 apply?

17 A. Yes, sir, I am. I've done some extensive
18 modeling work in the area, and I'll use that to show you
19 how we propose to allocate fairly the reserves from the two
20 zones when they're commingled.

21 Q. Let's go through your study. Let's start with
22 Exhibit 19. Perhaps that's a good one to look at. And
23 then we'll hold it available because I think it's a pretty
24 good reference map.

25 A. Yeah, I think some questions were being asked

1 about this --

2 Q. All right, sir, let's talk about this one for a
3 moment, then. Help us understand your locator.

4 A. Okay. Again, you see the outline of 28-7 Unit on
5 here and the Dakota participating area. That was simply
6 the map we chose to put all these symbols on.

7 The blue dots are the 17 staked locations that we
8 have out in the unit.

9 The green circles represent the wells that we
10 were looking at for possible recompletion commingles with
11 the Mesaverde formation.

12 And the red dots are the potential future
13 commingle locations, Mesaverde-Dakota, in the unit.

14 Q. All right, sir. Let's hold that aside and then
15 look at some of the other tabulation of data.

16 First of all, identify for the record what
17 Exhibit 20 is.

18 A. Exhibit 20 is simply a list of the staked
19 locations that we currently have in the unit.

20 Q. All right. These are the 17 new drills?

21 A. Yes, sir.

22 Q. All right. After that, Exhibit 21 is what?

23 A. These are the additional undrilled Mesaverde
24 quarter sections, the 38 wells.

25 Q. In each instance, then, this would be the infill

1 or the second well for both pools? Do we have some
2 exceptions?

3 A. There's some exceptions in the Mesaverde where
4 the PA has not been expanded, and there may be shut-in
5 wells. So there's not a currently producing well in
6 those --

7 Q. All right, I didn't ask you this right.

8 A. I'm sorry.

9 Q. When I'm looking at a 320 in the Dakota and a 320
10 in the Mesaverde, are all these open 160s --

11 A. Yes, sir, they are.

12 Q. -- that are common to both pools?

13 A. Yes, sir, they are.

14 Q. All right. Exhibit 22, what's this?

15 A. Exhibit 22 is a list of the wells that we're
16 looking at for possible recompletion commingles. They're
17 existing Dakota wells, and we'd be looking at adding the
18 Mesaverde pay in the well as a commingle with the existing
19 Dakota production.

20 Q. As we look at the proposed 14 existing Dakota
21 wells to add the Mesaverde to, do you as a reservoir
22 engineer see any material difference in any of these wells
23 to cause you to exclude any of those wells as candidates
24 for commingling?

25 A. No, sir, I don't. In fact, the wellbore

1 configuration in these wells emphasizes the need for us to
2 commingle. We cannot dual these locations because of the
3 size of the casing.

4 Q. Okay. When we look at the new drilled 17
5 locations as they are distributed in the reservoir, as a
6 result of your work do you see any material difference as
7 we move among those 17 locations to exclude any of them?

8 A. No, I don't, I sure don't.

9 Q. And is your engineering work consistent with the
10 geologic conclusions that were expressed concerning the
11 fact that as we move to the south in the reservoir, we're
12 moving to less reservoir quality, and therefore less
13 productivity in both reservoirs?

14 A. I see the same thing on the type-curve work and
15 the modeling that I've done.

16 Q. All right. Let's talk of the next topic, which
17 is the next few displays. It is to have you quantify and
18 illustrate this liquid-loading problem issue.

19 Give us a quick summary of what's the problem and
20 how are we going to fix it.

21 A. Okay. Basically, these are gas wells which
22 produce minor amounts of condensate and water.

23 What happens, though, as the reservoir pressure
24 and wellbore pressure declines and the rate declines, is
25 that these liquids can no longer be flowed up the tubing.

1 So what happens, the liquids eventually build up
2 downhole and hurt our production. It causes the production
3 to drop below what would be considered a normal production
4 rate, because we're increasing the bottomhole pressure,
5 we're increasing the liquid saturation near the wellbore
6 and potentially introducing a scale problem.

7 So we see the hydrocarbon production dropping off
8 as the liquids load up in the wellbores.

9 Q. Now, is that characteristic of what we're seeing
10 with existing Dakota wells, or is it true of the Mesaverde
11 as well?

12 A. It's true of both zones.

13 Q. All right. Let's take an example. If we've got
14 a well that's currently a single Dakota, it's plunger-
15 lifted, you've exhausted your efficiency on that well and
16 you still have a liquid-loading problem. By adding the
17 Mesaverde to those wells, what do you achieve?

18 A. What we achieve by adding the Mesaverde to those
19 wells is additional gas influx into the wellbore to allow
20 for the expansion that's required to lift the plunger to
21 the surface.

22 So what it's going to allow us to do is to get
23 the Dakota production back on its normal trend, because
24 we're able to lift the liquids off the Dakota.

25 Q. All right. You've identified the issue. Now,

1 let's try to quantify it. If you look at Exhibit 23, can
2 you give us a range of the problem?

3 A. Yes, sir. Exhibit 23 is a compilation of 27
4 wells that have plunger lift in the unit. And you can see
5 from September of 1994 through February of 1995, we've had
6 a significant drop in production from these wells.

7 What happened in this time period is,
8 operatorship shifted to Conoco, and there was the necessary
9 removal of some of the equipment that controlled the
10 plungers that were traveling to remove the liquids from the
11 wellbores.

12 When this equipment was removed, the liquids
13 could no longer produce to surface, and we had a loading
14 problem, and you see the subsequent drop in production
15 rate.

16 And this is a combination of Mesaverde and Dakota
17 wells, the 27 wells that we knew that existed in the unit
18 that had plunger lift.

19 And again, for both zones we see significant drop
20 in production due to the liquid-loading problem.

21 Q. What are the numbers?

22 A. Okay, the numbers -- We see a drop from 2.4
23 million a day, roughly, to about a million a day. So a
24 very severe drop in production during that time period,
25 when the plungers weren't operating efficiently.

1 Q. All right. Let's give the Examiner two examples,
2 one from the Dakota and one from the Mesaverde, where we
3 can see typically the performance of each category of well
4 that exhibits this problem. Let's look at 24 and 25
5 together.

6 A. Okay.

7 Q. 24 is what?

8 A. 24 is an example from a Dakota well. It's the
9 Number 134E. It's up in the northeast portion of the unit.

10 Q. 25 is what?

11 A. And 25 is a Mesaverde well, Number 44. It's also
12 up in the northeast portion of the unit.

13 And on both of these I'm going to try to show the
14 potential reserve loss if we weren't able to plunger-lift
15 these wells.

16 Q. All right, show us.

17 A. Okay, 134E, to the best of my knowledge, plunger
18 lift was installed in 1989. Prior to then, the well had to
19 be blown down continually to try to lift liquids from the
20 wells.

21 Basically, a well gets blown to atmosphere during
22 this time. There's a loss of lots of hydrocarbons to the
23 air. And you can see that the well just did not produce
24 very often. It was shut in for lengthy periods there.

25 After the plunger lift was installed, you can see

1 a much more uniform production history, much like what you
2 would expect from a typical gas well.

3 And I calculated a minimum reserve increase for
4 installing plunger lift on this well of about 250 million
5 cubic feet. And there's an associated liquid hydrocarbon
6 increase as well. It's relatively minor.

7 Q. Are these characteristic of both categories of
8 wells throughout the unit?

9 A. Yes, sir, they are.

10 Q. So when we look at Dakota wells in other portions
11 of the unit, they are going to exhibit a liquid-loading
12 problem that can be minimized by downhole commingling?

13 A. That's correct.

14 Q. And the same is true of the Mesaverde?

15 A. That's correct.

16 Q. So not only are the existing Dakota wells
17 candidates to commingle to solve the liquid problem, the
18 new drills are going to have the same problem that you can
19 avoid by initially drilling them as commingled wells?

20 A. That's correct. In fact, in some of the most
21 recently drilled wells we've already seen some liquid-
22 loading problems. In fact, one well dropped to zero MCF
23 per day recently in the Mesaverde because of the liquid-
24 loading problem.

25 And because of the casing and tubing design in

1 that well, we're having a very difficult time removing the
2 liquids from the Mesaverde side.

3 And I want to point out that it's also the time
4 in the wellbore's life that they're seeing the highest
5 pressure they'll ever see. So I want to emphasize that
6 these are the highest pressures these wells will ever see,
7 and we're still having a liquid-loading problem and the
8 associated loss of reserves.

9 Q. Let's turn to Exhibit 26 and have you identify
10 and describe that display.

11 A. Okay, Exhibit 26 is a very simplified force
12 calculation on a plunger-lift operation. Basically, it's
13 just P_1/V_1 equals P_2/V_2 , if you will, from when the plunger
14 is at the bottom of the hole to when it's at the surface.

15 If you look carefully, there's a solid line
16 traveling diagonally through the graph. That's just where
17 force upward equals force downward when the plunger is at
18 the surface.

19 Now, I did not put any liquid load on here. I
20 did not put any slippage or friction, so it's very
21 simplified.

22 And for the red and blue case that you see on
23 here, those are the typical dual configurations that you
24 would see out in San Juan Basin. And you can see that for
25 the simplified case they're both near the upward force

1 equals downward force, or below that point.

2 When we go to the commingled case, which is with
3 4-1/2-inch casing, we can see that it's always above the
4 line. That's why we're able to lift the liquids in the
5 case of a commingled well and not able to do it with dual
6 completion.

7 Q. You described that you had taken reservoir data
8 and constructed a computer-assisted model?

9 A. Yes, sir.

10 Q. What was the purpose to do that?

11 A. The purpose to do that was, we knew there was
12 some depletion in the reservoir through time. We wanted to
13 confirm to ourselves that there were still reserves to be
14 had in the infill location, so that was one of the
15 purposes.

16 The other purposes that kind of grew from there
17 was to see, well, once we knew we needed commingling, you
18 develop this unit, is there a fair way to allocate
19 production? And what would the commingling do for us in
20 terms of the potential crossflow or other problems that
21 might exist?

22 Q. As part of the modeling effort, then, you were
23 able to determine there were additional recoverable gas
24 reserves that could be achieved in the unit most
25 efficiently by commingling?

1 A. Yes, sir.

2 Q. And that you figured out downhole commingling was
3 the only practical option by which to increase that
4 production?

5 A. Particularly in light of the liquid loading. I
6 cannot simulate that easily when I run a model, so
7 everything you're going to see coming up in my models does
8 not include liquid loading. I just want to get that out.

9 But all the -- Even with that aside, all the
10 modeling work indicated we needed to commingle in order to
11 efficiently develop the reserves here.

12 Q. Well, the model, then, would give you your
13 best-case --

14 A. Best case.

15 Q. -- most optimistic results, and we know real
16 world would be worse?

17 A. Yes, sir.

18 Q. All right. And then finally you can use the
19 model to help you come up with an allocation formula?

20 A. That's correct.

21 Q. All right. Let's look at the input data, if you
22 will, on Exhibit 27, by which you set up your model.

23 A. Okay, because of the lack of pressure-transient
24 data in the unit, I needed some method to determine rough
25 permeabilities, skins, drainage areas, and so forth, to try

1 to get an idea of what the typical well's parameters are,
2 the reservoir parameters, drainage area and so forth.

3 What I utilized was a series of Fetkovitch type
4 curves in which you plot production versus time on a log-
5 log scale and fit that to type curves in a transient low
6 period and depletion period for the well.

7 From that fit of the data points, you can
8 calculate your skin for your well, permeability, assuming
9 you know a thickness. And entering a porosity number,
10 then, you can enter -- you can calculate an area of
11 drainage, as well as a potential recovery factor for that
12 area and ultimate recovery from the well.

13 Q. All right. You get your model set up, and then
14 you're going to have to validate it by calibrating it to
15 actual data of some kind?

16 A. That's correct. I used --

17 Q. What did you calibrate against?

18 A. Okay, I calibrated to a series of Fetkovitch type
19 curves for all the Dakota wells and all the Mesaverde wells
20 in the unit, at least all that had curves that were normal.
21 Wells that were shut in for long periods of time, I could
22 not fit, obviously. But wells that had smooth curves, I
23 could look at all those. And it was over 50 wells in the
24 Dakota and the Mesaverde that I was able to derive this
25 type of information from.

1 Q. Once you calibrate your model and start putting
2 in all these reservoir values for which you have confidence
3 and then you'll run your model and try to match gas-
4 production histories; is that what you did?

5 A. In this case, all I did was take the average
6 values to see -- Well, does that represent the infill wells
7 that we saw in the Eighties?

8 Q. All right, let's do that. Do you have an example
9 of how you did that?

10 A. Yes, sir.

11 Q. Exhibit 28?

12 A. Exhibit 28 is a plot showing the average
13 production for the 1980s infill Dakota wells, along with
14 simulations for the unit based on the data that I've just
15 described.

16 Q. Why did you use the 1980 infill wells?

17 A. The 1980 infill wells represent a period later in
18 the life of the reservoir, where there's been some pressure
19 depletion, and we know we're even farther down the line
20 now.

21 I wanted to get an idea on calibrating this model
22 that we're matching the pressure history, as well as the
23 rate decline through time has been depleted somewhat, the
24 pressure in the area.

25 Q. All right. Are you satisfied with the match?

1 A. Yes, I am. I think all the points basically
2 follow within reason, with the real numbers here.

3 Q. All right. When we move over to Exhibit 29,
4 then, what do we see?

5 A. Exhibit 29, rather than taking an average for all
6 the 1980s wells, I pulled three wells at random from the
7 northeast portion of the unit and plotted those with what I
8 call Dakota base model run. And you can see that those
9 curves fall right in line with what the model is
10 predicting.

11 Q. Did you also try to validate your model by
12 looking at pressure information?

13 A. Yes, sir.

14 Q. And how did you do that?

15 A. On the next plot, if you'll turn to Exhibit 30,
16 you see the decline in Dakota pressure through time, based
17 on shut-in pressures at the surface that the states
18 required the operators to gather.

19 And the red blocks in there are the model
20 numbers, and the blue triangles are the actual data from
21 the field. And again, I think the match is very good.

22 Q. All right. We're talking about the Dakota and
23 how you've calibrated and validated and matched Dakota
24 parameters. What did you do on the Mesaverde?

25 A. Mesaverde was very similar, constructed a model,

1 and input the 1980s infill wells onto this graph along with
2 the various model runs. And again, the curves basically
3 overlies each other.

4 Q. Okay, now that you've got your model set up where
5 you're satisfied as an engineer that it's accurate,
6 reliable and can make forecasts upon which you can spend
7 money and do things, did you make some forecasts?

8 A. Yes, sir, I did.

9 Q. And what's shown on Exhibit 32?

10 A. On Exhibit 32, what I'm looking at is -- I'm
11 making a series of model runs, and what I'm varying is the
12 permeability and pressure that we might see in the new
13 infill locations, the 17 wells that we have proposed, as
14 well as possible future locations.

15 And what you see on this plot, the blue blocks
16 represent both Dakota and Mesaverde cumulative production at the
17 end of ten years. And the green diamonds, if you will,
18 represent the rate at the end of that ten-year period for
19 those various model runs.

20 Q. On the left side of the display, then, the rates
21 for Mesaverde, I don't see any point in here where you're
22 going to be above 200 MCF a day.

23 A. No, sir. Again, it's very typical of the unit,
24 the averages that we're seeing now, 70 to 80 MCF per day,
25 these wells, because they want them produced as long as ten

1 years. But they're dropping down in that range as well.

2 Q. And the best you can see on the gas recovery, the
3 cum for Dakota is just shy of 700,000. And then on the
4 Mesaverde side, the best forecast is up somewhere under
5 900,000?

6 A. That's correct.

7 Q. All right. You're going to use that information,
8 then, later when you look at your cost components and try
9 to figure out which is the most efficient way to do this
10 and whether you can afford to do it any other way?

11 A. Yes. We use these cases to develop our economic
12 models to determine, can we access these potential reserves
13 in the unit? And what's the best way, if we can?

14 Q. One of the issues that we commonly talk about is
15 whether you can make informed decisions on commingling
16 based upon an initial rate, and I think the geologist
17 described that in the first two to three months we have a
18 rate that suddenly falls drastically on decline?

19 A. Yes, sir.

20 Q. How did you address finding out what happens and
21 whether what you saw happen is typical of both reservoirs
22 in the unit?

23 A. Okay, again, if you look back at the previous
24 plots, the match of the model production and the actual
25 infill location is very good.

1 I also compared the 1994 infill wells with the
2 models to see, are they still valid? Because I was
3 comparing 1990s data. Now I have 1994 data -- Or 1980s
4 data.

5 Now I have 1994 data. Do the models still
6 reflect what we're seeing when we're infill drilling in the
7 unit?

8 Q. All right.

9 A. And Exhibit 33 shows that.

10 Q. All right. Show us the conclusions off of
11 Exhibit 33.

12 A. Okay. I'd like first to concentrate on the two
13 upper lines.

14 The star represents two base-case totals, the
15 Mesaverde and Dakota commingle case. That's the total
16 production we see at the end of three months and the end of
17 six months.

18 What we see in the kind of magenta -- whatever
19 color that is -- blocks is the actual 1994 total at the end
20 of three and six months.

21 Now, those are dual wells. All I'm doing is
22 adding the Mesaverde and Dakota production to get those
23 numbers.

24 So those are the average rates for the 1994
25 infill wells, compared to the base-case model runs. And

1 again, there's a very good comparison.

2 Q. All right, let's turn to the issue of costs. If
3 you'll look at Exhibit 34, you're summarized for us the
4 historical and projected costs --

5 A. Yes, sir.

6 Q. -- for the different kinds of wells that might be
7 drilled.

8 A. Okay.

9 Q. Summarize that for us.

10 A. First, in the upper box, I have some historical
11 numbers. Highlighted in red are the 1994 average from the
12 28-7 Unit. The average cost for the duals was \$785,000.

13 Conoco's benchmark for a dual that we drilled
14 last year was \$724,000, so basically in the same range.
15 And there's a couple of them that Meridian oil -- they dual
16 wells for about \$740,000. The AFEs that come into Conoco
17 are for about that amount.

18 What we did when it became apparent that we were
19 going to take over the unit was, we got a team of drilling
20 engineers, production engineers and reservoir engineers and
21 geoscientists together to see how can we possibly reduce
22 the costs in this unit so that we can develop these infill
23 locations.

24 And you see in the lower box here what we've come
25 up with for protected costs if we are able to put together

1 a drilling program so we get some economies of scale, and
2 if we're able to commingle. You see the cost drops from
3 last year's \$785,000 to \$545,000.

4 Q. Help me understand this economy of scale. The
5 project is a project where you will have authority, within
6 certain guidelines and decisions by the Examiner, to go
7 ahead, plan for, budget, buy materials, equipment for a
8 comprehensive plan for commingling?

9 A. That's correct. If we're able to commingle, then
10 we'll be able to buy our casing in large quantities, our
11 tubing, our separators, and all of that we'll realize an
12 economy of scale by ordering in large volumes.

13 Q. Rather than doing these one at a time?

14 A. That's correct.

15 The other economy of scale, is in talking with
16 the various drilling contractors, our drilling engineers
17 have revealed to us that the lowest cost that we'll be able
18 to get is if we're able to put a drilling package together,
19 such as the 17 wells that we've staked.

20 Q. All right, let's look at the economics now to
21 understand why you've concluded that it's -- the only
22 practical means to do this is with commingled production.

23 A. Okay. If you'll look at Exhibit 35, these are
24 just some generic economics for those base model cases.

25 Again, those are optimistic, because there's no liquid

1 loading in there.

2 If you'll look at the blue triangles up at the
3 top, that's for the Mesaverde and the Dakota base cases
4 combined in a commingle. So those are the flow streams for
5 the commingle case.

6 And what you see on the X axis is various
7 development costs. And I've highlighted on there the cost
8 for the 1994 duals and the projected commingle cost if
9 we're able to realize these economies of scale.

10 And you can see that based on \$1.18/MCF gas
11 price, even last year's projects are pretty marginal, below
12 15-percent rate of return. Our actual gas price out in the
13 unit right now is below 90 cents.

14 Q. If I'm reading the horizontal scale, I'm going to
15 pick a point, I guess, halfway between the \$500,000 and the
16 \$600,000, which is your projected commingling cost, the
17 \$545,000?

18 A. Yes, sir.

19 Q. I'm going to read vertically, and I'm going to
20 find that on the commingled case we can just barely break
21 20 percent --

22 A. That's correct.

23 Q. -- initial rate of return.

24 A. And I might add that that's not our risk case.
25 We've obviously tried to develop the best locations already

1 in the unit. We're coming down to the worse and worse
2 locations. So when we look at a risk case, it's even worse
3 than that.

4 Q. All right. And this doesn't include the liquid
5 loading-issue that increases the risk?

6 A. That's correct.

7 Q. So your best case in the better part of the
8 reservoir shows a 20-percent rate of return?

9 A. That's correct.

10 Q. It doesn't let you do it any other way, does it?

11 A. There's really no other way to develop these
12 locations. And currently Conoco's hurdle for tight gas --
13 We typically look for profitability index of about 2. That
14 would be about a 26-percent rate of return on these flow
15 streams.

16 Q. All right, let's look at another way to approach
17 that issue. If you'll identify and describe 36, Mr.
18 Stanley --

19 A. Okay.

20 Q. -- Let's talk about that.

21 A. What I wanted to show here is a worse case --
22 some of the worse locations that we're getting into, lower
23 permeabilities, lower pressures -- and combine those two
24 worst. Now, it's not the worst cases that we saw in the
25 previous graphs, but it's a little worse than the base

1 cases.

2 And you can see the effect that that has on the
3 rate of return. The combined-case rate of return for our
4 commingled costs is now down around 15 percent at best.
5 And again, that's not for current gas prices.

6 Q. You said earlier that you had examined all the
7 issues under Rule 303 in terms of the regulatory
8 limitations on commingling, and you found that you could
9 satisfy all of those?

10 A. Yes, sir.

11 Q. When we look at those technical issues, is there
12 any problem with regards to the compatibility of fluids or
13 gases?

14 A. No, sir, the gases -- the BTU content is
15 essentially the same, the Mesaverde and Dakota. The water
16 analyses that we've seen from the unit are basically the
17 same, and there's no compatibility problem there.

18 Q. Commingling the production is not going to result
19 in reduced value for the product?

20 A. No, it won't.

21 Q. Any kind of pressure-differential issue that
22 should be of concern in terms of crossflow?

23 A. Okay, in terms of crossflow there's not a
24 concern.

25 If you read the rule, the reservoir pressures do

1 exceed the limit. The Dakota reservoir pressure is between
2 1700 and 2500. At least that's our estimate. And the
3 Mesaverde is between 750 and 950.

4 But during the time of production, there will be
5 no crossflow, because the producing pressure is much lower
6 than the reservoir pressure.

7 And because these wells are tight, even during a
8 shut-in period, we don't see anywhere close to reservoir
9 pressure in the bottom of the hole. In fact, if you look
10 at the state seven-day tests, there's only a 45-percent
11 difference on average between the Dakota and Mesaverde on
12 that seven-day test.

13 Q. Do you have a recommendation on how to establish
14 a method for allocating production?

15 A. Yes, I do, and it's based on these model runs,
16 which we've shown are realistic, and the next exhibits
17 address that.

18 Q. All right, let's talk about that.

19 A. Okay, this next -- I know it's a little busy.
20 This Exhibit 37, what I've done here is take a Dakota case
21 and compared that to six Mesaverde runs, where I varied the
22 pressure and/or permeability.

23 And what I've plotted here is the percent of
24 production from the Mesaverde formation through time. You
25 see some early variability because the Dakota pressure is

1 higher than the Mesaverde. But as the wells decline
2 hyperbolically, the percent of production from the
3 Mesaverde becomes almost constant. And this extends on
4 throughout the life of the well.

5 So based on what we see on this plot here, we can
6 test the Dakota zone for three months, test the Mesaverde
7 zone for three months, and then allocate production fairly,
8 based on those three-month tests.

9 Q. And you could do it on a one-time test?

10 A. Yes, sir.

11 Q. We wouldn't have to readjust and reallocate over
12 the life of the well?

13 A. That's correct.

14 Q. Okay. Is that what you propose to do?

15 A. Yes, it is, for the 17 new wells, that's correct.

16 Q. All right. What do we do for the existing Dakota
17 wells to which we add the Mesaverde?

18 A. For the existing wells, what we do is take the
19 base Dakota decline and project that out into the future
20 and assign the incremental production to the Mesaverde
21 formation.

22 Q. Okay. All right, sir, and then we get to the
23 last display, I think, is Exhibit 39.

24 A. Okay, yeah, 38 is just a comparison. We didn't
25 really talk about it. It's one Mesaverde case versus a

1 series of Dakota cases, so you can see it doesn't matter
2 which reservoir you're sensitizing, the results are the
3 same.

4 Q. And that's the conclusion and the point of that
5 display?

6 A. Yes, sir.

7 Q. All right, 39 then?

8 A. Thirty-nine is a plot to show what would happen
9 if a well were shut in for a lengthy period of time. Would
10 we have some crossflow?

11 And if you look at the kind of greenish-colored
12 diamonds at the end of the plot, that shows the production
13 from the Dakota that could possibly enter the Mesaverde
14 formation during an extensive shut-in period.

15 We don't anticipate that we would ever have this
16 occur out in the unit. If we did, we would address it by
17 setting a bridge plug or somehow addressing the crossflow.

18 But this potential problem, although it's very
19 minor, really pales in comparison to the loss of reserves
20 that we'll see if we're not allowed to commingle.

21 Q. Were Exhibits 19 through 39 prepared by you or
22 compiled under your direction and supervision?

23 A. Yes, sir, they were.

24 MR. KELLAHIN: That concludes my examination of
25 Mr. Stanley.

1 We move the introduction of his Exhibits 19
2 through 39.

3 EXAMINER CATANACH: Exhibits 19 through 39 will
4 be admitted as evidence.

5 EXAMINATION

6 BY EXAMINER CATANACH:

7 Q. Mr. Stanley, on your 17 new drills, how would you
8 -- Would you complete one zone and test it?

9 A. The proposal is to complete the lower zone, which
10 is the Dakota, first, test it for that three-month period,
11 flowing down the sales line --

12 Q. Uh-huh.

13 A. -- and then come uphole -- Set a bridge plug,
14 come uphole, complete the Mesaverde section, test it for
15 three months, use the rates at the end of those periods,
16 then, to allocate production when we finally pull the
17 bridge plug and commingle.

18 Q. Has the BLM agreed to this procedure for
19 allocation?

20 A. Yes, sir, they have. In fact, if their engineer
21 told us that he's seen the same thing farther south in the
22 Basin on some of the work that he's done.

23 Q. Fourteen existing wells, we're just going to take
24 your Dakota decline and project that to give you some daily
25 rates or monthly rates or --

1 A. What we'd probably do is have an average for a
2 year, so that then we can account for it much easier.

3 Q. Anything over that would be attributed to the
4 Mesaverde?

5 A. Yes, sir.

6 Q. You've essentially determined that dual
7 completions are not going to be economic in this type of
8 situation?

9 A. No, if you look at the ideal, best cases, the
10 rates of return still aren't fantastic.

11 And when you consider the liquid-loading on top
12 of that, knowing that those were the ideal cases, it's
13 really -- When you look at a risk case, it's not viable.

14 Q. Now, your ideal situation represents -- What kind
15 of situation are we talking about?

16 A. When I run a simulation, I can't have any liquid-
17 loading in the wellbore, at least not easily. So it's just
18 a gas well flowing with no liquid-loading, no scaling, no
19 induced saturation near the wellbore because there's a
20 liquid saturation in the wellbore, or a liquid level in the
21 wellbore.

22 So you're looking at a lot of idealized cases
23 here, and the model runs just don't reflect reality in
24 terms of constant production at those rates.

25 Q. Now, you did this for various rates of

1 production?

2 A. What you see on the different models are -- Which
3 exhibit are you referring to? I'm sorry.

4 Q. Well, I'm looking at 36, 35.

5 A. Okay. If you look at Exhibit 36, that's Dakota
6 model Case A and Mesaverde model Case 4A, which -- There's
7 a variation in pressures, I believe, for those two cases,
8 from the base case, which is the previous exhibit. And the
9 blue triangles represent the rate of return that we would
10 see for various costs for those two cases, combined as a
11 commingle.

12 If you refer to -- What exhibit is it? Exhibit
13 32, that will give you an idea of how the cumulate recovery
14 varied on those model runs at the end of ten years.

15 So you have Case 4A on the Mesaverde side and
16 Case A on the Dakota side there.

17 Q. Okay. On the new drills, you're not going to
18 install any plunger-lift-type situation?

19 A. Initially, I think there will be enough gas flow
20 to where we won't. But we will set up the tubing string in
21 the casinghead to where we can, and that would probably be
22 a year or two down the road.

23 Q. Is there any -- Is there appreciable condensate
24 produced from either of these zones, and is that going to
25 be a problem for allocation?

1 A. No, it's not. The average cum to date in the
2 Dakota is about 6900 barrels, and for the Mesaverde it's
3 7500. So they're very comparable, similar gravities.

4 EXAMINER CATANACH: That's all I have of the
5 witness at this time, Mr. Kellahin.

6 MR. KELLAHIN: We need to take about five minutes
7 and put the topographic exceptions for these locations into
8 the record, Mr. Examiner.

9 To do so, I'd like to call Mr. Hoover.

10 JERRY W. HOOVER,
11 the witness herein, after having been first duly sworn upon
12 his oath, was examined and testified as follows:

13 DIRECT EXAMINATION

14 BY MR. KELLAHIN:

15 Q. Mr. Hoover, for the record would you please state
16 your name and occupation?

17 A. I'm Jerry Hoover. I'm a petroleum engineer. My
18 current title is Senior Conservation Coordinator with
19 Conoco.

20 Q. And where do you reside?

21 A. Midland, Texas.

22 Q. On prior occasions have you qualified as an
23 expert petroleum engineer?

24 A. Yes, I have.

25 Q. As part of your current duties, are you

1 ultimately responsible for assisting your company with
2 regulatory approvals for locations?

3 A. That's correct.

4 Q. On occasion you've run across locations that
5 don't meet the standard location dimensions of the various
6 pool rules, don't you?

7 A. Yes.

8 Q. Have you found some in this case?

9 A. Yes, we have.

10 Q. Let's look to see what they are.

11 A. All right. If you'll look at the first exhibit
12 in this packet, titled Number 40, it's a section of a
13 topographic map along the eastern side of the 28-7 Unit.

14 In the red circles we show most of the new
15 drills. This area doesn't cover quite all of them. I
16 think there are 14 here.

17 This is just to give you an idea of the
18 tremendous problems we have in locating wells in this area.
19 You can see the tremendous relief in the terrain in this
20 area. There are dropoffs of up to 1000 feet off these
21 mesas, down into the valleys. So I think it was remarkable
22 that there were only two wells out of this entire program
23 that we could not stake at standard locations.

24 Q. Find those two wells for us.

25 A. You will see those on Exhibit 40 at the bottom

1 right-hand corner with the black arrows, Number 125M and
2 Number 157M.

3 Q. In what particular or generalized way are they
4 unorthodox locations?

5 A. They are not the required setback from the edge
6 of the spacing unit.

7 Q. Okay. What else have you shown?

8 A. Turning to Exhibit 41, which is stapled with 42
9 and 43, all deals with Well Number 125M.

10 We've shown first in 41 the C-102, showing the
11 location that it's staked at. You'll note that the 1140
12 feet from the west line certainly meets the standard for
13 the pool. We're shy 210 feet on our location from the
14 northern boundary.

15 Q. You're supposed to be 790, aren't you, from
16 the -- both --

17 A. That's correct.

18 Q. -- from the boundaries of both pools?

19 A. That's correct.

20 Q. What's the next display?

21 A. 42 is, again, a topographic plat. I've outlined
22 for you in red the section in which this well is located to
23 give you a little perspective.

24 You can see from the contours on the topographic
25 map, around the spotted well, how tremendous the relief is.

1 This well is actually located down in the Gomez Canyon, and
2 we tried to move far enough south from that section line in
3 order to get it the prescribed 790 feet from the line, and
4 that's just as far up that canyon as we could move the
5 location and still stake it.

6 Q. Exhibit 43, what does that show?

7 A. Forty-three is a site plan showing the proposed
8 drilling location. I've underlined in red all those things
9 which were restrictions to us, mesa slopes, a deep arroyo
10 on one side, a sandstone ridge and an arch site on the
11 other. We were able to squeeze the location in there to
12 the BLM's requirements.

13 Q. Is there any other location within this 160 acres
14 that would be standard and yet meets all the topographic
15 and surface limitation requirements?

16 A. There was not.

17 Q. All right, sir, let's turn to the next one, which
18 is the Well Number 157M, and --

19 A. That's correct.

20 Q. -- and identify for us Exhibit 44.

21 A. All right, Exhibit 44, down in Unit P of the
22 section, you can see, meets the requirement from the south
23 boundary. It is the prescribed 790 feet.

24 We were 78 feet short from the east line of
25 meeting the required 790 feet.

1 Q. All right, Exhibit 45.

2 A. 45, if you'll look at the topographic map, you
3 can see again the tremendous relief in the southeast
4 quarter of that highlighted section. The Gomez Canyon
5 again comes across that quarter section, which was one of
6 our problems. There were also a number of arch sites which
7 we'll see on the following exhibit, Number 46.

8 Q. And then finally Exhibit 47?

9 A. Yeah, 46, you can see it's surrounded by
10 identified arch sites.

11 Forty-seven, then, is the complete site plan,
12 showing everything, showing the archeological sites,
13 showing an existing well that's already there. It shows
14 the proposed fencing that we negotiated with the BLM in
15 order to protect these arch sites.

16 Literally, this exact location is the only spot
17 the BLM would approve in this quarter section. We could
18 not push it one foot further to the west.

19 MR. KELLAHIN: Thank you, Mr. Hoover.

20 Mr. Examiner, we move the introduction of Mr.
21 Hoover's Exhibits 40 through 47.

22 EXAMINER CATANACH: Exhibits 40 through 47 will
23 be admitted as evidence.

24 MR. KELLAHIN: That concludes our presentation.

25 EXAMINER CATANACH: I have no questions of this

1 witness. He may be excused.

2 Is there anything further, Mr. Kellahin?

3 MR. KELLAHIN: No, sir.

4 EXAMINER CATANACH: There being nothing further,
5 Case 11,349 will be taken under advisement.

6 (Thereupon, these proceedings were concluded at
7 2:48 p.m.)

8 * * *

9
10
11
12
13
14
15
16
17
18 I do hereby certify that the foregoing is
19 a complete record of the proceedings in
the Examiner hearing of Case No. 11349,
20 heard by me on July 27 19 85.
David R. Catanach, Examiner
21 Oil Conservation Division
22
23
24
25


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL August 4th, 1995.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 14, 1998