


NEW MEXICO OIL CONSERVATION COMMISSION

COMMISSION HEARINGSANTA FE, NEW MEXICOHearing Date APRIL 11, 1996 Time: 9:00 A.M.

NAME	REPRESENTING	LOCATION
Frank Gray	Texaco E & P	Midland, Tx
GARY STEPHENS	BLM	Santa Fe
MARK SCHMIDT	NM State Land Office	Santa Fe
	Byham	SF
Ned Kendrick	Montgomery & Andrews	SF
Ruth Andrews	NM OGA	SF
Raye Miller	Marbob Energy	Artesia
Bill Floyd	NMED	Santa Fe
Bill Olson	OCD	Santa Fe
Susan Gieseth	S.m. Stoller Corp	Albq.

ILLEGIBLE


STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION COMMISSION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION COMMISSION FOR THE)
PURPOSE OF CONSIDERING:)

CASE NO. 11,391

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION COMMISSION TO ENACT)
A NEW RULE ESTABLISHING RADIATION)
PROTECTION STANDARDS FOR THE DISPOSAL)
AND TRANSFER FOR DISPOSAL OF NATURALLY)
OCCURRING RADIOACTIVE MATERIALS (NORM))
ASSOCIATED WITH THE OIL AND GAS)
INDUSTRY, AND WHICH ARE NOT SUBJECT TO)
REGULATION UNDER THE ATOMIC ENERGY ACT)
OF 1954, AS AMENDED)

ORIGINAL



REPORTER'S TRANSCRIPT OF PROCEEDINGS
COMMISSION HEARING

BEFORE: WILLIAM J. LEMAY, CHAIRMAN
WILLIAM WEISS, COMMISSIONER
JAMI BAILEY, COMMISSIONER

April 11th, 1996
Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Commission on Thursday, April 11th, 1996, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

STEVEN T. BRENNER, CCR
(505) 989-9317

I N D E X

April 11th, 1996
 Commission Hearing
 CASE NO. 11,391

	PAGE
APPEARANCES	3
OVERVIEW:	
Edmund H. Kendrick Chairman, NORM Disposal Task Force	5
PRESENTATIONS BY TASK FORCE MEMBERS:	
R. Frank Gray, Texaco Discussion of First Three Disposal Options	20
Raye Miller, Marbob Discussion of Injection Disposal Option	29
PRESENTATIONS BY TASK FORCE AGENCY REPRESENTATIVES:	
Roger Anderson, Environmental Bureau Chief, Oil Conservation Division	52
Bill Floyd, Program Manager, Radiation Licensing and Registration Section, New Mexico Environment Department	55
Mark Schmidt, Environmental Engineer, New Mexico State Land Office	58
Gary Stephens, Onshore Minerals Program, Bureau of Land Management	59
REPORTER'S CERTIFICATE	69

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	6	-

* * *

A P P E A R A N C E S

FOR THE COMMISSION:

MARGARET CORDOVANO
Assistant General Counsel
Energy, Minerals and Natural Resources Department
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR THE OIL CONSERVATION DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
2040 South Pacheco
Santa Fe, New Mexico 87505

CHAIRMAN, NORM DISPOSAL TASK FORCE:

MONTGOMERY & ANDREWS, P.A.
325 Paseo de Peralta
P.O. Box 2307
Santa Fe, New Mexico 87504-2307
By: EDMUND H. KENDRICK

ALSO PRESENT:

DAVID R. CATANACH
UIC Director/Hearing Examiner
New Mexico Oil Conservation Division

* * *

1 WHEREUPON, the following proceedings were had at
2 9:05 a.m.:

3 CHAIRMAN LEMAY: I shall now call Case Number
4 11,391, which is the matter called by the Oil Conservation
5 Commission to establish new rules and regulations
6 concerning radiation protection standard disposable options
7 for NORMs.

8 And with that, I would like to know who will be
9 making appearances in this case.

10 MR. KENDRICK: I'm Ned Kendrick with Montgomery
11 and Andrews law firm. I'm a member of the Task Force and I
12 will be presenting testimony.

13 And there are eight members of the Task Force
14 here. Seven of us will be making short presentations.
15 We're going to try not to take too long but just to go over
16 the rule. And then our eighth member, David Catanach, will
17 be available to answer questions.

18 If you like, I could name the people who will --

19 CHAIRMAN LEMAY: If they're going to give
20 testimony that would be fine, or they could stand -- We
21 need to swear them in anyways.

22 Will those giving testimony please stand and
23 raise your right hand?

24 (Thereupon, the witnesses were sworn.)

25 CHAIRMAN LEMAY: I think they'll be introduced

1 when they come up.

2 MR. KENDRICK: Okay.

3 CHAIRMAN LEMAY: So are there any other
4 appearances in Case Number 11,391?

5 MR. CARROLL: Rand Carroll on behalf of the Oil
6 Conservation Division. I have no witnesses.

7 CHAIRMAN LEMAY: Thank you, Mr. Carroll.

8 Any statements? Well, we'll take statements
9 after, if there's anything.

10 With that, we shall begin. Mr. Kendrick?

11 MR. KENDRICK: Okay, thank you.

12 Mr. Chairman, members of the Commission, as I
13 said, I'm Ned Kendrick, chairman of the NORM Disposal Task
14 Force, and I'd like to give you just a brief overview on
15 how we're going to proceed today.

16 I am going to give some background on the
17 proposed rule, how it came about, what our thinking was in
18 developing the rule.

19 Then Frank Gray with Texaco will discuss three of
20 the disposal options in the rule.

21 Raye Miller with Marbob will discuss one disposal
22 option, injection, which has four subparts.

23 And I believe four agency representatives on the
24 Task Force will each support the rule, so you can get the
25 sense that this is supported by various governmental

1 agencies. That will be Roger Anderson with OCD, Bill Floyd
2 with New Mexico Environmental Department, Mark Schmidt with
3 the State Land Office, and Gary Stephens with the Bureau of
4 Land Management.

5 And then I guess it's up to you as to whether you
6 would like us to break after each witness and you can ask
7 us questions, or wait till the whole presentation. I guess
8 you can -- or ask us as we go.

9 CHAIRMAN LEMAY: How about a little of both?

10 MR. KENDRICK: Okay, I'll leave it up to you to
11 do it as you see fit.

12 Okay, the Task Force, just by way of background
13 -- Well, first maybe I need to introduce our Task Force
14 Exhibit 1, which is our Task Force report, and I believe
15 you all have copies. That is the final report of the NORM
16 Disposal Task Force to the Chairman of the Oil Conservation
17 Commission, dated March 14, 1996. So that is the exhibit
18 we'll be working off of today.

19 So by way of background, the Task Force was
20 appointed pursuant to this case, which was opened in
21 September of 1995, and I believe the Oil Conservation
22 Commission appointed the Task Force in October of 1995.

23 The Task Force has met six times since then and
24 developed a draft rule and a report summarizing the rule
25 and giving some background.

1 And so as we go through the Task Force report,
2 you'll see that the Exhibit A, Attachment A, is the list of
3 the 12 Task Force members, representatives of the oil and
4 gas industry, and four agencies, and the Southwest Research
5 and Information Center.

6 Then Attachment B to the Task Force report shows
7 the minutes of our six meetings and the attendance lists.

8 And then Attachment C is Subpart 14 of 20 NMAC
9 3.1, which is the Environmental Improvement Board NORM
10 regulations, which the regulations today are implementing.

11 So by way of background, I think you should all
12 know that NORM disposal regulations have been worked on for
13 -- or NORM regulations have been worked on for over five
14 years. Back in -- I first became aware of the problem back
15 in 1991, when an operator had NORM waste on his lease and
16 was not able to dispose of it. It was a BLM lease, and the
17 BLM would not allow any disposal of that NORM without any
18 state regulations.

19 So that started a four-year process where the
20 Environmental Improvement -- the EIB and then the NMED
21 developed proposed NORM regulations. And those regulations
22 were finalized last August, and they cover the transfer,
23 transport, storage and disposal of NORM waste.

24 Now, what this Task Force was charged with doing
25 is developing disposal regulations that implement the EIB

1 regulations. So let me refer you to page 3 of the Task
2 Force report.

3 Our first job was to look at the NORM disposal
4 section of the EIB regulations at Section 1407. And I
5 think that this is important, that this Task Force was
6 really keying off of the EIB NORM regulations, which had a
7 much wider scope than our proposed regulations. Our
8 proposed regulations are just disposal regulations.

9 So we had to go through the EIB regs and look at
10 all the disposal options mentioned and determine which
11 options we needed to implement. So on page 3 and 4 is the
12 discussion of the disposal options mentioned in the EIB
13 regs, and our decision on whether or not we needed to
14 implement those options.

15 Now, the first two options were, the disposal of
16 regulated NORM on or near the surface of the ground, we
17 determined, duplicated option number 4 on page 3. So we
18 didn't implement that one specifically.

19 The second option was really not one that the OCD
20 had to implement. That dealt with NORM that was already on
21 the ground. If it was on the ground before August of 1995,
22 which is when the EIB disposal regulations were adopted,
23 that NORM could be left in place and maybe disked but not
24 transported anywhere. That disposal option already exists
25 without the OCD rule being -- without the OCD rule dealing

1 with that option.

2 Then the other options, disposal in nonretrieved
3 flowlines and pipelines, that's definitely an option that
4 we need to implement, and the same with disposal at
5 commercial or centralized facilities, which is the fourth
6 one listed. Same with the fifth one, disposal in plugged
7 and abandoned wells, and the sixth one, disposal by
8 injection.

9 Those are all -- Those are really the four
10 options we determined that we needed to address.

11 And then the seventh one listed here is
12 alternative methods of disposal.

13 We decided that the four options that we need to
14 address were sufficient at this time and that maybe if
15 somebody identifies other good options in the future, we
16 can have later rule-making to address them at that time.

17 So a big part of our job is really deciding, you
18 know, what is our charge, which option should we develop
19 regulations for? So as I say, the EIB regs were a starting
20 point, and we determined those four options were the ones
21 we should address.

22 Then there's another introductory point here.
23 The NORM that we're addressing is called regulated NORM,
24 which is defined in the EIB regulations as NORM exceeding
25 certain levels. And the regulation we propose has a

1 definition of regulated NORM that makes the reference to
2 the Environmental Improvement Board regulations. It's -- I
3 think we mention it here in the report. "Regulated NORM is
4 defined as NORM with a concentration of greater than 30
5 picocuries per gram of radium 226 above background".

6 COMMISSIONER WEISS: Where are you reading that?

7 MR. KENDRICK: I'm sorry, I'm reading from page 2
8 of the report, towards the bottom of the first paragraph,
9 in Section 3.

10 And also I would refer you to Attachment 7 to the
11 report, which is the proposed rule, and the very first item
12 in that proposed rule is a definition of regulated NORM,
13 which has that -- with those thresholds. So...

14 COMMISSIONER WEISS: And that's attachment what?

15 MR. KENDRICK: Attachment F. Attachment F is the
16 proposed rule developed by the Task Force. So this is
17 really the meat of what we're discussing today.

18 And as I was saying, the regulated NORM is north
19 with "a concentration greater than 30 picocuries per gram
20 of radium 226 above background, or NORM with a maximum
21 exposure reading at any accessible point that is greater
22 than 50 microroentgens per hour, including background
23 levels."

24 And that's an important connection. We've
25 basically been handed that definition of regulated NORM

1 from the EIB regs, and we're taking that definition and
2 going forward with it in this regulation.

3 So once we determined the scope of the rule, the
4 scope to include those four disposal options, we went ahead
5 and just analyzed once more OCD jurisdiction and convinced
6 ourselves that, yes, OCD and OCC do have jurisdiction over
7 radioactive materials. And a discussion of that
8 jurisdictional analysis is on page 5 of the Task Force
9 report and in Attachment E to the report. And I'll just
10 briefly summarize.

11 NORM is not a hazardous waste under Subtitle C of
12 the Resource Conservation and Recovery Act, because it's
13 neither a listed hazardous waste nor a characteristic
14 hazardous waste, so it's not regulated by the Environment
15 Department under its Hazardous Waste Act.

16 NORM as an oilfield waste is exempt from the
17 State Solid Waste Act, so it's not regulated by the New
18 Mexico Environment Department under the Solid Waste Act.

19 NORM is an oilfield waste regulated by OCD under
20 the Oil and Gas Act. And because of its radioactive
21 properties, it is also under the New Mexico Environment
22 Department jurisdiction, under the State Radiation
23 Protection Act. And the EIB regulation, NORM regulation,
24 is pursuant to that State Radiation Protection Act.

25 So there's really dual jurisdiction between the

1 two agencies, ED and OCD. So we satisfied ourselves that
2 we indeed have jurisdiction to be regulating NORM.

3 There's one -- I'll try to hurry this up, but
4 there's one kind of side issue that we looked at -- it
5 doesn't directly relate to the Commission's jurisdiction --
6 and that is, we recognize that the Rocky Mountain Low Level
7 Radioactive Waste Board, which sits up in Denver, has
8 jurisdiction over NORM in this state.

9 That's a -- The Rocky Mountain Low Level
10 Radioactive Waste Compact consists of three states, New
11 Mexico, Nevada and Colorado. And that body has claimed
12 jurisdiction over oilfield NORM. And so that even once we
13 get this regulation adopted, that allows for disposal of
14 NORM in New Mexico, operators will still have to go through
15 this Board up in Denver to get approval to dispose of NORM
16 in New Mexico.

17 So that troubles a lot of members of the Task
18 Force and of the industry, so we're working that Board up
19 in Denver to get amendments to the Rocky Mountain Compact
20 to exempt NORM that is disposed under our proposed
21 regulation.

22 So -- And that's going to take several years, so
23 for the next two or three years, operators will still have
24 to deal with the Rocky Mountain Low Level Radioactive Waste
25 Board, in addition to the Oil Conservation Division, in

1 disposing of NORM.

2 That's just an item for your information that's,
3 I guess, outside your jurisdiction, but it's a little bit
4 troubling.

5 Okay. And then moving to the rule itself, we
6 made an effort to build on existing OCD rules. We tried
7 not to start from scratch.

8 One of the options actually is a new option:
9 Leaving NORM in nonretrieved flowlines and pipelines is a
10 new concept, and that's new with all the other disposal
11 options built upon existing OCD rules.

12 I guess as a final note, the last section of the
13 rule deals with the notification and hearings. Each
14 disposal option has its own notification requirements and
15 hearing requirements, but there's still a lot of discretion
16 given to the Director of the OCD to require additional
17 notification and hold hearings. Hearings are optional for
18 two options: the nonretrieved-flowline-disposal option and
19 the plugged-and-abandoned-well-disposal option. And
20 actually a third one, a disposal -- sort of conventional
21 disposal by injection, as opposed to EOR injection and
22 other kinds of injection. And for those I just mentioned,
23 hearings are optional, if requested and if the Director
24 decides to hold a hearing. For all other disposal options
25 hearings are mandatory.

1 Okay. I think I've kind of run through all the
2 general background and preliminaries and how we got to
3 where we are today. So I could answer questions now or
4 turn it over to Frank Gray to talk about specific disposal
5 options.

6 CHAIRMAN LEMAY: Commissioner Weiss, do you have
7 any questions at this point?

8 COMMISSIONER WEISS: I'm not -- I have some
9 questions, but I don't think you're the person to ask.

10 MR. KENDRICK: Okay.

11 COMMISSIONER WEISS: You have various -- Is there
12 an EIB person here?

13 MR. KENDRICK: Yes, there is. Bill Floyd from
14 the Environment Department will -- he could probably talk
15 about how his program relates to the proposed program we
16 have.

17 COMMISSIONER WEISS: I'm interested in how the
18 standards were set.

19 MR. KENDRICK: Okay.

20 COMMISSIONER WEISS: That's one question I have.

21 MR. KENDRICK: Okay.

22 COMMISSIONER WEISS: And another -- the other
23 question -- Maybe you have people to answer these.

24 The other question I have is, how many instances
25 of cases do we have in New Mexico where these records -- or

1 these -- the exposures are exceeded every year or month
2 or -- the past five years?

3 MR. KENDRICK: I think there has been some
4 information gathering that's proprietary. I think the New
5 Mexico Oil and Gas Association has done a survey and maybe
6 even David Boyer here at OCD in the past has collected some
7 information.

8 COMMISSIONER WEISS: Those are the two questions
9 I had.

10 MR. KENDRICK: Okay.

11 COMMISSIONER WEISS: Whoever wants to answer them
12 is fine.

13 MR. KENDRICK: Okay. Well, I think in terms of
14 setting the limits for defining regulated NORM, I think
15 some- -- maybe Bill Floyd or Raye Miller, who's served on
16 the ED Task Force, could answer that.

17 And in terms of our experience in New Mexico, I
18 can just say that through the New Mexico Oil and Gas
19 Association, that there have been a lot of operators who
20 are concerned, who would like to know how to dispose of
21 NORM properly and would like the safeguard of having an
22 agency say, If you do it this way, you're in compliance
23 with law, and that can decrease exposure to liability, to
24 have some kind of government standard on proper disposal.

25 So we know there's interest out there. And as

1 for the exact numbers, I don't know, but maybe someone can
2 give you that information.

3 CHAIRMAN LEMAY: Commissioner Bailey?

4 COMMISSIONER BAILEY: There's a question.

5 CHAIRMAN LEMAY: I'm sorry. Yes, Ruth?

6 MS. ANDREWS: I'll be happy to try to answer your
7 question.

8 Approximately four years ago, we did some data
9 gathering on regulated NORM in the State of New Mexico.
10 The incidents were far and few between.

11 However, we were dealing with an industry that
12 didn't have a real awareness of how to do the surveying,
13 and I believe the industry members here will agree with me
14 that in looking at the data, we felt that it might be
15 skewed because of lack of proper training of the people
16 doing the surveying.

17 So our focus here was to get something in place
18 so they were aware it might be a problem, that they got the
19 proper training, and we're in that mode now.

20 So at this time it appears it is a very small
21 problem, but we won't know until we really get into
22 complying with the regulation.

23 CHAIRMAN LEMAY: Thanks, Ruth.

24 Commissioner Bailey?

25 COMMISSIONER BAILEY: Ned, I don't know if you're

1 the proper person to answer this one, but you did mention
2 that this remediation diskings of NORM-contaminated soils in
3 place was under the EIB jurisdiction?

4 MR. KENDRICK: Correct.

5 COMMISSIONER BAILEY: How is this going to
6 dovetail with OCD guidelines and requirements for pit
7 closures on well sites? Is there potential conflict or
8 confusion for operators here?

9 MR. KENDRICK: Well, I think the EIB jurisdiction
10 is fairly limited in terms of NORM that's in place on the
11 ground before August of 1995.

12 But you're right, conceivably there could be dual
13 jurisdiction if there is that kind of NORM on the ground at
14 a pit. I imagine an operator would have to comply with
15 this EIB rule, which is actually, I think, fairly easy to
16 comply with. It's basically diskings it in place until the
17 regulated NORM, which would be at a level above the
18 thresholds, would then be -- the NORM would basically be
19 kind of mixed in with the dirt until it didn't exceed the
20 threshold level. So it would be a kind of a disposal by
21 spreading it out a bit in place.

22 I think just basically both agencies would have
23 jurisdiction. That would just be one little piece of it
24 that the Environment Department would have.

25 COMMISSIONER BAILEY: Okay, because it sounds

1 like there is potential conflict for remediation of
2 contaminated soil at the well site down to OCD standards,
3 and the requirement of disking in place.

4 MR. KENDRICK: Yeah, you know, I suppose you
5 wouldn't have to disk it in place. I mean, you could --
6 That's an easier solution.

7 I mean, if that soil had hydrocarbons that had to
8 be removed because of OCD regulations, then the NORM in the
9 soil could be removed and disposed of in another way, in a
10 commercial disposal facility or --

11 COMMISSIONER BAILEY: And at that point it would
12 go under OCD regulations?

13 MR. KENDRICK: Right, right, I think the disking
14 in place is really an additional option. If it it's more
15 practical and doesn't conflict with any other rule, it's
16 allowable.

17 But if the OCD had other requirements for that
18 soil containing NORM, then I think OCD rule would prevail
19 and the disking in place probably would not be an option,
20 if there are other reasons for handling the soil
21 differently. So I think that's --

22 COMMISSIONER BAILEY: That's all.

23 CHAIRMAN LEMAY: Yeah?

24 MR. MILLER: Mine may be more explanation than
25 you want. I'm Raye Miller with Marbob Energy.

1 There are two different concepts. Where we have
2 most of our pit closures currently is in the northwest. We
3 don't have radium 226 in evidence in any of our production
4 wells in the northwest. As a result, the pits there would
5 not have this type of problem.

6 In looking at the pits in the southeast, pits
7 that have been actually tested do not show levels of
8 regulated NORM. There may be some NORM there, but it may
9 -- or so far it is not evidenced as regulated NORM.

10 The concept of the diking in place was to allow
11 for an area where a heater treater, free-water knockout,
12 water tank might have been cleaned, and there was material
13 on the soil. At the time these regulations were instituted
14 to actually handle that material, it was really not
15 conceived as dealing with the pits, because our incidence
16 of pits having regulated NORM have, so far, we've tested,
17 not indicated that that is a problem.

18 It was really designed for a different concept.
19 It was actually pipe-cleaning, scale out of vessels that
20 had been -- was on the ground presently, scattered or
21 however it was there, to actually be addressed as being
22 able to be disked in place to relieve the regulated
23 problem.

24 COMMISSIONER BAILEY: Thank you, Raye.

25 CHAIRMAN LEMAY: Thanks, Raye.

1 Anything else?

2 COMMISSIONER BAILEY: Huh-uh.

3 CHAIRMAN LEMAY: Okay. You may continue, Mr.
4 Kendrick.

5 MR. KENDRICK: That concludes my presentation.

6 CHAIRMAN LEMAY: Okay.

7 MR. KENDRICK: I think Frank Gray will now
8 discuss nonretrieved flowlines.

9 CHAIRMAN LEMAY: Okay.

10 MR. GRAY: I'm Frank Gray with Texaco Exploration
11 and production out of Midland. I've been with Texaco for
12 27 years, in various engineering and managerial positions,
13 most recently for the last three years as Regulatory
14 Compliance Manager for New Mexico.

15 Today I'll be addressing the first three disposal
16 options that we've considered under the Task Force. As Ned
17 mentioned, these options are designed to work in
18 conjunction with the existing OCD rules where they apply to
19 that particular operation, and simply to supplement those
20 so that we did not rewrite or include in this regulation
21 those existing rules that existed.

22 The first item I will be discussing is the
23 nonretrieved flowlines and pipelines. I will go through
24 and hit the high points of the regulation in all of these
25 three cases.

1 Under this proposed regulation, the Division will
2 consider leaving flowlines and pipelines that contain NORM
3 in the ground, provided they protect the environment,
4 public health and fresh water.

5 The applicant desiring to leave a line in the
6 ground must submit an application to the Division,
7 indicating the pipeline layout across its entire length,
8 with legal description at both ends, contained on a form
9 C-102.

10 In addition, operator must provide the results of
11 a radiation survey conducted at the accessible points, and
12 along -- surface along the complete pipeline route.

13 The operator must also furnish the type of
14 material which the pipeline had been used for, and also the
15 procedure to be used for flushing the hydrocarbons or
16 produced water from that pipeline at the time of
17 abandonment.

18 The operator must furnish an explanation as to
19 why it is more beneficial to leave the pipeline in the
20 ground, rather than to retreat it. And he must also
21 furnish proof of notice of the proposed abandonment to all
22 surface owners where the pipeline is located.

23 Under procedure of this abandonment, the operator
24 must give the OCD District office 24 hours prior notice
25 before beginning work on the abandonment. As a condition

1 of abandonment, the accessible points must be permanently
2 capped so that they cannot be inadvertently opened at a
3 later date.

4 In general, there can be no additional regulated
5 NORM placed in this pipeline prior to its abandonment,
6 other than that which was in the line at the time that the
7 abandonment was determined to be the option to be used.

8 Any pipeline that does not exhibit regulated
9 NORM, as per the definition we described, may be abandoned
10 without such application to the OCD, as it has been done
11 over the many years of operation in the oilfield.

12 If it's determined in the abandonment that an
13 appurtenance -- in other words, a riser or a valve -- on
14 the pipeline, is demonstrating regulated NORM levels and
15 the operator desires to remove that appurtenance that is
16 reading high, such that no accessible point or surface
17 level above the pipeline now exhibits regulated NORM
18 levels, the pipeline may be abandoned by simply giving
19 notification to the OCD and following all of the rules of
20 this regulation except notification to the surface owner.

21 That completes the nonretrieved flowline section.
22 Did you want me -- If you want to discuss this particular
23 part before I go on to the next, or -- I can go ahead and
24 cover all three, whichever way you'd rather do it.

25 CHAIRMAN LEMAY: Well, let's see what -- on this

1 section, if we have any questions.

2 Commissioner Weiss?

3 COMMISSIONER WEISS: I have no questions.

4 CHAIRMAN LEMAY: Commissioner Bailey?

5 COMMISSIONER BAILEY: Produced water is exempt
6 from the NORM regulation?

7 MR. GRAY: The water itself is, that's correct.

8 COMMISSIONER BAILEY: Injection lines where
9 produced water is used for waterfloods, they would also be
10 exempt and would not have to --

11 MR. GRAY: No, they would be a pipeline, still,
12 that would have to be evaluated for its merit as to whether
13 it contains regulated NORM. But the actual water in the
14 line would not -- does not contain the NORM.

15 COMMISSIONER BAILEY: Okay, but the produced--
16 water pipelines would need to be --

17 MR. GRAY: That's correct.

18 COMMISSIONER BAILEY: -- fall under regs?

19 MR. GRAY: That's correct.

20 CHAIRMAN LEMAY: One, Frank. What happens if you
21 at some point make the option disposable, but at a future
22 date for some land-use reasons you want to take the
23 pipeline up? Is that also another option, to take that
24 pipeline up and do something with it?

25 MR. GRAY: I would think that would be between

1 you and the leaseholder, the surface owner, whether it be
2 State Land Office or private or whatever, that if you
3 wanted to recover that line, you would have to make the
4 arrangements for the damages and so forth.

5 And then obviously you would have to -- under the
6 EIB regulations, if you were dealing with something that
7 demonstrated regulated NORM levels, you would have to
8 follow all the required personnel protection and all of the
9 things prescribed under that.

10 But there would not be a provision to have to get
11 approval from the OCD for that retrieval, I don't think.

12 CHAIRMAN LEMAY: We're talking what amounts to --
13 I say "temporary", temporary in terms of geologic time, a
14 temporary measure here to keep the pipe in the ground so
15 that there's no contamination that could affect humans and
16 so forth.

17 But at some future date I could also visualize,
18 like we see all over, that land being used for a different
19 purpose and the pipeline having to come out. That would
20 then go over to the EIB regulations or ED?

21 MR. GRAY: I believe that's correct, myself, yes.

22 CHAIRMAN LEMAY: Okay, thanks.

23 Why don't we continue, unless we have another
24 question?

25 MR. GRAY: Okay, the next item is commercial or

1 centralized surface waste management facilities.

2 The Division will consider proposals for disposal
3 of NORM in commercial and centralized facilities, again,
4 provided such is performed in a manner to protect the
5 environment, public health and fresh waters.

6 The Division approval is contingent on the
7 applicant obtaining a Rule 711 permit for the facility and
8 complying with the requirements specifically related to
9 regulated NORM as described below, those being, all
10 requests for authority to receive and dispose regulated
11 NORM must be set for hearing by the Division in order for
12 the operator to obtain or modify a Rule 711 permit.

13 A request to dispose of this regulated NORM at a
14 facility previously permitted under Rule 711 will be
15 considered a major modification of that facility and still
16 will have to be considered at a hearing.

17 The hearing request must contain complete plans
18 for the facility, including the sources of the regulated
19 NORM to be handled, radiation survey results, quantities of
20 regulated NORM to be disposed, and the monitoring proposals
21 that they would utilize to monitor that NORM.

22 A copy of the Rule 711 permit for the facility
23 must be submitted. Also, proof of public notice of the
24 application, as required by Rule 711, must be submitted.
25 Also, there must be evidence of issuance of a specific

1 license pursuant to the ED, Subpart 14 and Subpart 13, and
2 any other authorizations required by law.

3 Under the procedures for operation, the operating
4 procedures that are protective of the environment and fresh
5 waters and public health will be established in the
6 Division's order. Any person desiring to dispose of
7 regulated NORM in a surface-waste-management facility must
8 furnish the regulated NORM information to the facility
9 operator in order that he might submit Form C-138, as
10 required under Rule 711. The facility operator must
11 receive Division approval of this C-138 prior to receiving
12 the regulated NORM at the facility from the operator.

13 That concludes that section, if you have some
14 questions on that.

15 CHAIRMAN LEMAY: Commissioner Weiss?

16 COMMISSIONER WEISS: I have no questions.

17 CHAIRMAN LEMAY: Commissioner Bailey?

18 COMMISSIONER BAILEY: Will approval of the C-138
19 be done on the District level or at the Santa Fe level?

20 MR. GRAY: I believe it will be on the Division
21 level; isn't that right? Yeah, at this level.

22 CHAIRMAN LEMAY: Question. What does this
23 "[- -96]" refer to on each one of these things?

24 MR. GRAY: Rand, would you like to address that?

25 MR. CARROLL: Mr. Chairman, the "[- -96]" refers

1 to the effective date of the order, or of the rule. So
2 once this order is signed, we will then make the next
3 deadline for publication in the *New Mexico Register*. It's
4 not effective till published. We'll find out when it will
5 be published and then insert that date.

6 CHAIRMAN LEMAY: Okay, it's nothing to do with
7 what we're talking about.

8 MR. CARROLL: No, it's --

9 CHAIRMAN LEMAY: I thank you. I don't have
10 anything, Frank.

11 MR. GRAY: The third option I'll be discussing is
12 downhole disposal in wells to be plugged and abandoned.

13 Again, the Division will consider these proposals
14 in wells that are being plugged and abandoned, provided
15 that this operation protects the environment, public health
16 and fresh waters and is in accordance with Division rules
17 pertaining to well plugging and abandonment.

18 This is specifically the case I discussed where
19 we referenced the existing rules, and then we have items
20 that must be done to supplement that plugging and
21 abandonment operation.

22 A P-and-A Form C-103 must be completed by the
23 applicant and be submitted to the Division for approval.

24 In addition to all other information on the P-
25 and-A, the form must specifically state that regulated NORM

1 will be placed in the wellbore on that application.
2 Application must identify the depths at which the NORM will
3 be placed, radiation survey results conducted on the NORM
4 to be disposed, the procedure to be used to place the NORM
5 in the wellbore, and the specific form of the regulated
6 NORM to be placed in the wellbore, that being scale, pipe,
7 dirt, whatever type of NORM it might be.

8 The notice of the submittal of an application to
9 dispose of regulated NORM in a P-and-A'd well must be sent
10 to the surface owner and the mineral lessor.

11 All P-and-A procedures routinely required by the
12 Division must be followed unless specifically superseded by
13 instructions of the Division to facilitate this NORM
14 disposal.

15 No work may be commenced by the operator until
16 the Application for the NORM disposal and P-and-A'd well
17 has been approved by the Division.

18 And the cement plug located above the regulated
19 NORM and the surface plug must be color-dyed with red iron
20 oxide to warn people that this is a NORM site.

21 In general, the regulated NORM must be disposed
22 at a depth of at least 100 feet below the lowermost known
23 underground source of drinking water, commonly referred to
24 as a USDW zone, and there must be evidence that there is
25 cement across this USDW zone in the well.

1 And any abnormally pressured zones in the
2 wellbore need to be addressed in the application.

3 And that concludes the P-and-A option.

4 CHAIRMAN LEMAY: Commissioner Weiss, any
5 questions?

6 COMMISSIONER WEISS: I have no questions.

7 CHAIRMAN LEMAY: Commissioner Bailey?

8 COMMISSIONER BAILEY: No.

9 COMMISSIONER WEISS: You covered it well, Frank.
10 Very good.

11 CHAIRMAN LEMAY: Thank you, I have no questions.

12 MR. GRAY: Raye will now address the injection
13 option.

14 MR. MILLER: Good morning, my name is Raye
15 Miller. It's spelled R-a-y-e M-i-l-l-e-r. I'm with
16 Marbob Energy Corporation in Artesia, New Mexico.

17 Obviously, I was a member of the OCD NORM Task
18 Force. I also served on the ED NORM Task Force. I've had
19 a lot of fun with NORM for the past few years.

20 In injection there are actually four categories
21 of injection, or subcategories of different injection
22 options: disposal wells, EOR wells, above-fracture-pressure
23 injection, and commercial disposal. And if you don't mind,
24 I'd actually rather discuss them in reverse order.

25 The shortest section, if you look at it, winds up

1 being the commercial disposal section. But short is not
2 always sweet. The most onerous requirements are placed on
3 commercial disposal. Besides meeting the requirements that
4 are required for other types of NORM injection, these
5 facilities must meet Subpart-13 and -14 requirements.
6 Those requirements are extremely difficult. It's ED
7 requirements, but they are extremely onerous.

8 The injection above frac pressure, it may strike
9 a lay person as an extreme concept, but in reality this
10 procedure is actually regularly used as a normal completion
11 technique for oil and gas wells.

12 Since the addition of pressure, though, adds a
13 slight additional risk, more requirements have been placed
14 on the applicant than for regular injection disposal.

15 EOR injection actually can in some cases be a
16 very good option, particularly if the NORM originated from
17 the lease where the injection is to occur. In essence,
18 there, we would be putting the material back where it came
19 from.

20 Yet operators and regulators alike have a concern
21 in an EOR project for the ultimate recovery of the most
22 hydrocarbons possible. Hence, there are additional
23 requirements over normal disposal injection regarding
24 making sure that we're not hurting the recovery of
25 hydrocarbons.

1 Disposal wells, regular injection disposal wells,
2 have several requirements which must be met before approval
3 will be granted. While these steps may be perceived by
4 some, particularly in industry, as onerous and much more
5 complex than are required for an option such as plugging
6 and abandonment, it is an attempt to provide safeguards to
7 ensure that disposal in injection wells has been given the
8 proper economic and environmental analysis.

9 I believe that the requirements set forth in each
10 section are appropriate and that the work of the committee
11 has given OCD a very workable but yet protective rule.

12 Also, I would actually urge the Commission to try
13 to adopt these rules with as few changes or additions as
14 possible. It may seem a little funny, but there actually
15 was a method to our madness in the way these proposed rules
16 were developed, and I believe that the rule as it is
17 presented is not only economically viable, but also very
18 environmentally sound.

19 Before I close and answer your questions, I'll
20 try to go back and talk about a couple of items that were
21 raised earlier.

22 The question regards how much incidence of
23 regulated NORM do we actually have in the industry?

24 When ED actually formed its committee, there was
25 a lot of non-knowledge by most of the members on the

1 committee, including myself.

2 At one point, to try to understand how much of a
3 problem that we were actually dealing with, we actually set
4 up to have field trips in both the southeast and the
5 northwest part of the state. ED brought several people,
6 most of the members of that task force came. We wound up
7 taking, or asking, several operators, including the company
8 that I work for, to actually volunteer to be surveyed.
9 There were, I think, two independents in the southeast and
10 a couple of independents and a major in the northwest that
11 volunteered to be surveyed.

12 At the time that the survey was done, it was done
13 randomly. In other words, not the operator but the people
14 who were actually associated with ED came down. We picked
15 well sites at random to go survey in each operator's wells.

16 At that time, the company that I worked for
17 operated in excess of 500 wells. I don't remember the
18 exact numbers, but I think 20 different locations were
19 actually picked out of our group.

20 In the northwest, there was no incidence of
21 radium 226 identified at any location that was surveyed in
22 that random test, and the information that I received from
23 operators in the northwest or larger companies that operate
24 many wells is that they don't actually see radium 226 in --
25 or they don't find that type of NORM contamination in any

1 of their facilities.

2 Radium 226 is like a mineral, gold, you know.
3 You don't find gold veins all over. It appears that it
4 just is not present in the geological formations that we're
5 dealing with at this time in the northwest.

6 The only incident of radium-226 contamination
7 that was discovered in the northwest was actually found in
8 a pipe yard, in one joint of tubing at one of the
9 independents' facilities. And upon review, it was
10 determined that that was in all likelihood a purchased item
11 that had been purchased from out of state and that the
12 contamination was there when it was purchased and that it
13 was not related to the San Juan Basin.

14 There is some potential for NORM in the
15 northwest, but it is fairly limited and would appear to be
16 lead 210, not radium 226.

17 Radium 226 is a gamma emitter, lead 210 is
18 actually an alpha or a beta emitter. In other words, if
19 you have lead-210 contamination inside of a pipe, it would
20 not be evident by an outside examination because the alpha
21 and beta emissions would not penetrate the pipe. The pipe
22 would actually act as a shield. But there are in the ED or
23 EIB regulations, there are regulations regarding alpha and
24 beta emissions, as well as gamma.

25 In the southeast, there is some incidence of

1 radium 226. We wound up in the surveys that were done down
2 there, at the different operators, randomly picked sites,
3 we found only one -- one or two sites that actually had any
4 elevated reading. I shouldn't say elevated, I should say
5 regulated reading.

6 You have an ability today to actually have
7 instruments that will find -- In other words, we have
8 radiation in all of the soil, and as a result you have a
9 background level of radiation, and that varies from site to
10 site. Most of the stuff in the southeast part of the state
11 has a reading of 10 to 12 as a background level.

12 So when we're talking about a survey regulated
13 rate of 50 being regulated, you're actually talking about
14 an effective rate of somewhere in the neighborhood of 38 to
15 40, because you're going to pick up a normal background in
16 any location of 10 to 12.

17 The incidents of regulated NORM were one or two
18 in the southeast. They were actually identified in either
19 a heater treater or a water tank on location. All of the
20 wells that were surveyed, we surveyed the wellheads, the
21 pipelines, the flowlines, the tank batteries. The only
22 places that we could actually -- In fact, it was a very
23 frustrating process, because we were, you know, new kids
24 out with meters, you know -- on other words, doing what you
25 would expect.

1 You know, we wanted to see some results, and it
2 was very difficult to get any type of elevated readings
3 except on separators, free-water knockouts or water tanks.

4 NORM -- Or radium 226 is water-soluble, it's not
5 oil-soluble. As a result, I don't believe that you'll have
6 a radium-226 problem at your refineries, because they're
7 processing crude oil.

8 The incidence is fairly low, and our company has
9 actually surveyed -- at this point we have surveyed all of
10 our facilities.

11 We don't have -- and in fact, the only incident
12 at that time that they found on our company was, we
13 surveyed our entire pipe yard, we surveyed our entire
14 warehouse of parts, and we finally found one elbow that had
15 a regulated NORM level. It was in the warehouse and, you
16 know, we were going through with our NORM meter just across
17 racks of fittings and parts, and this one was actually
18 identified as having an elevated reading. It was a
19 regulated NORM. And it -- We buy a lot of salvage
20 materials. It was not perceived by the owners as actually
21 having occurred at one of our leases.

22 We have since surveyed all of our facilities, and
23 at the time of survey and presently, we don't believe we
24 have any regulated NORM, even though we operate still close
25 to 500 wells.

1 In the areas where we are seeing readings above
2 background of 10 or 12, the highest incidents are at free-
3 water knockouts, water separators, or heater treaters, or
4 in water tanks themselves.

5 It appears that the location a NORM is most
6 likely to be, where you have changes in pressure, changes
7 in temperature, or changes in flow direction. Largely, the
8 radium 226 precipitates out in scale, and it takes large
9 volumes of fluid having moved through to yield a small
10 problem, or the amount of scale -- You know, it took a lot
11 of fluid moving through before this scale actually formed.

12 In regards to the limit that was picked or this
13 50 micro R, you may wonder if there was science or a reason
14 that that level was chosen. And unfortunately, the answer
15 is that largely that was a compromised position between a
16 desire for the environmentalists who served on the
17 committee to have no reading above background -- or every
18 reading above background as being a regulated reading, and
19 the industry's desire to have as high a reading as
20 possible, because the incidence -- or the number of cases
21 of regulated material that would have to be dealt with
22 become greater -- or lesser, the higher the number is.
23 They become greater, the lower the number is. Fifty was
24 the compromised number.

25 The problem -- and, you know, one of the

1 arguments that I used as to why it should not have been any
2 lower than that is because K-Mart, Wal-Mart, sell Coleman
3 mantle lanterns, replacement mantles for your Coleman
4 lantern, on their shelf. Well, those mantles actually have
5 a higher than 50 reading, and I mean, you know, it's
6 sitting on the shelf at K-Mart.

7 It becomes hard to justify if we, you know, sell
8 them to people, why the industry should then be regulated
9 to deal with a problem at a lower level than that. Some of
10 your nut products actually contain levels of radioactivity
11 that would actually be regulated NORM. In other words,
12 don't put any nuts in your pipelines. But some of your
13 nuts -- And we consume them as humans.

14 I mean, there are several in the industry that
15 are just adamant that by choosing a level of 50, we have
16 over-regulated ourselves. And indeed, I can sympathize
17 with them.

18 But there was also a need to have a threshold to
19 where the environmentalists felt like that largely if it
20 was under this threshold, it was safe for the general
21 public, it was safe for the workers, if there was not an
22 endangerment. And they felt like they had compromised away
23 by going that high, and industry obviously would have liked
24 higher limits.

25 I'm sure that's probably not the answer that you

1 would have liked to have heard as to how we came up with
2 that limit, but that's the reality of how some of that was
3 determined.

4 I'd be happy to answer any questions, and I thank
5 you for your consideration.

6 CHAIRMAN LEMAY: Commissioner Weiss?

7 COMMISSIONER WEISS: Who all was involved in this
8 committee you just discussed? Let me phrase it
9 differently. Was Los Alamos National Lab or Sandia
10 National Laboratories involved? They know more about
11 radiation than anybody in the world.

12 MR. MILLER: Right. The actual people who served
13 on the committee were industry representatives. Chris
14 Shuey, who's on this committee, Southwest Research and
15 Information. There were two additional environmentalists
16 or -- You know, I mean, that was their trademark. There
17 was a lady from the southeast who was an organic vegetable
18 farmer there in our area who was extremely adamant about
19 radiation concerns. There was a member of one of the
20 Indian tribes on -- It was a very broad-based panel.

21 We actually, you know, tried to get as much
22 information -- We had a lot of presentations by a lot of
23 different folks, and what I found was that you're right,
24 the level of radiation that we're talking about when we
25 talk about a 50 micro R, does not relate to what people at

1 Los Alamos or Sandia see as being significant.

2 Now, you've got to weigh on the other side that
3 the concern is that this -- let's say tubular material,
4 pipe that the oil business has, at some point when it is no
5 longer usable by industry, may be sold or given away to the
6 general public, and the general public could construct
7 swing sets in school yards out of this material. And as a
8 result, there can become a real apprehension or fear that,
9 you know, your regulatory limits should be extremely low
10 because of possible exposure to the general public.

11 And I recognize your concern or the direction of
12 your concern, but unfortunately -- and that's what -- You
13 know, one of my fellow oil people in the southeast called
14 me the other day and he says, These regulations are
15 terrible, they're terrible.

16 And I says, Well, now, what's the problem?

17 And he says, Well, you know, this is just another
18 set of stuff, just like ED, and, you know, he didn't agree
19 with the limit.

20 And I says, But hold on a minute. You know, what
21 we're doing with OCD -- or you all -- is trying to put in
22 place the follow-up regulations to allow for the disposal
23 options.

24 The debate about the limits and the 50 micro R
25 was actually -- If that's the area of concern, it should

1 have been addressed in the EIB or ED discussion, because,
2 you know, that's their rule. All we're doing is building a
3 building block that allows for viable disposal options in
4 our work here.

5 COMMISSIONER WEISS: Yeah, my concern is, there's
6 no science involved. I think that regulations should be
7 based on science. I see this as regulatory overkill, which
8 infuriates, I suspect, a great deal of the population in
9 America. This is bad policy.

10 MR. MILLER: It does, but the industry felt like
11 that, you know -- and you know, obviously we were
12 compromising, but we didn't have -- In other words, where
13 the 50 number actually comes from is, there is a
14 calculation that can be made with the 50 that gets to a
15 general population exposure level for a year that assures
16 folks that, you know, largely they can be using one of
17 these pieces of pipe as the bedpost for your bed, and if
18 it's below 50 you would still be under the accepted level
19 of exposure for general population for a year.

20 And I understand, but at the same time, where the
21 problem originated from was, Conoco had a policy of
22 actually surveying their facilities before abandonment for
23 possible NORM. They had internal company guidelines that
24 said, you know, if a level has -- exceeds some level, we
25 will not just, you know, sell it to the general public or

1 move it from the site.

2 They actually surveyed a facility in the
3 southeast part of the state. It had elevated levels. They
4 contacted the BLM, asked for guidance as to what they
5 should do with that facility, and the BLM says, We want it
6 off.

7 Well, the problem is that getting it off, the
8 only option available to them at that time, because of the
9 absence of ED/EIB regulations, OCD/OCC disposal options,
10 was for them to make application to transport that material
11 to Envirocare at Utah. Their company saw the fact that by
12 taking NORM -- oilfield NORM material to Envirocare, that
13 they were in a potentially larger liability position,
14 ultimately, than trying to deal with it on location or
15 through some type of disposal.

16 Transportation costs are extremely high. The
17 disposal cost is another factor. And then the fact that
18 disposed materials in Envirocare in Utah are commingled.
19 Other folks' stuff is worse than what we're dealing with
20 here.

21 But as a result, they needed a set of regulations
22 that will allow them to handle and manage, whether it's a
23 real problem or a perceived problem, to actually handle it,
24 and the disposal options that we've set forth here are some
25 of the most sound.

1 The easiest disposal option is in the P-and-A
2 wellbore. If you kind of analyze -- or as an operator if
3 you analyze what it would take to actually meet the
4 different requirements or the criteria under here, P-and-A
5 wellbore is probably the easiest criteria to actually meet.

6 If you had a volume of material that could be
7 placed in a -- which Conoco did at that time, it could have
8 been placed in a 10,000-foot wellbore, because they were in
9 the process at that time of abandoning, plugging and
10 abandoning wellbores at that site -- if it could have been
11 placed in those wellbores in a confined environment, under
12 the way these regulations are done, they would have had a
13 cost-effective solution to the problem.

14 It is placed at a level below drinking water,
15 it's placed in an area where there should not be any
16 potential exposure or harm to the general public, to the
17 workers, it's back in the ground where it came from.

18 It's -- Yeah, that was whole driving force, and
19 it became a thing where they were up against the wall. The
20 BLM didn't care what they did, but they wanted it off the
21 BLM location.

22 Conoco brought in a team of specialists from
23 Louisiana, they took the material out of the vessels,
24 placed it in containers, left it on location while they
25 sought solutions, whether it be envirocare or other

1 options. The material leaked out of those containers, it
2 oxidized after sitting there for a while, leaked out of the
3 containers. They had then soil contamination.

4 They brought in specialists again dealing with
5 NORM, cleaned up the soil, cleaned up the containers, put
6 it in a fiberglass 210 tank, put all of the suits and stuff
7 that folks the used at the cleanup of that facility, and
8 it's still there. It's waiting on disposal options that
9 are economically viable and protective of the companies for
10 long-term liability --

11 COMMISSIONER WEISS: Well, as I understand it,
12 Conoco had a real problem, and Marbob will never have a
13 problem.

14 MR. MILLER: Quite honestly, this phenomenon
15 should be a short-term phenomenon, because what companies
16 are finding is that by the knowledge that there is the
17 potential of a problem and the cost associated, just like
18 what Conoco has gone through, if you do -- if you recognize
19 that a particular well or lease has the potential for
20 generating over time regulated NORM, if you monitor that
21 facility, then you just schedule your maintenance and stuff
22 to make sure that the vessels are cleaned or whatever prior
23 to the accumulation of material that will get you to a
24 regulated level.

25 Once we solve what problems are out there because

1 of the lack of knowledge of years ago, I honestly believe
2 that you'll see, once the problem with the Rocky Mountain
3 folks are out of the way, that there will be a series of
4 disposal applications. But then the next year you probably
5 will have 20 percent or less of what you had the year
6 before, and ongoing there will be very few applications for
7 disposal because companies will endeavor to not let their
8 facilities actually have regulated NORM.

9 COMMISSIONER WEISS: Would this scenario you just
10 described occur without this rule?

11 MR. MILLER: Yes. In fact, folks are even in a
12 position where there's more need to not have regulated
13 NORM, because at that point the companies are in a position
14 where Envirocare is the only alternative, and none of us --
15 I mean, I would not want my company to have material on
16 that facility.

17 At this point what the companies are doing is,
18 they're storing it on their locations or in their yards
19 where there is more risk to them, because they don't want
20 that option where they may be part of a superfund site in
21 the year 2010 and the liability associated with it.

22 But these options piggy-back on the back of ED
23 and are actually -- We in industry see these as very
24 progressive. In fact, the options that are proposed here
25 are better and more flexible than are in place in any other

1 state, and other states have much larger problems. But the
2 regulatory agencies and all here have been very cooperative
3 and -- in working in these groups of trying to formulate an
4 understanding of -- that these are workable and
5 environmentally safe options.

6 COMMISSIONER WEISS: This is a difficult question
7 to resolve. I see no evidence of this ever harming anyone.
8 The fact is, I suspect the trees that were cut down and the
9 injuries that were involved in that type of work far exceed
10 anything that we're going to prevent in this regulation and
11 rule.

12 MR. MILLER: But if you do not wind up -- If you
13 did not adopt this rule, then there would be no disposal
14 options available for industry, outside of going to Utah
15 and putting it in a radioactive disposal facility, and
16 that's sad.

17 In other words, when we have an option, by
18 putting it in a P-and-A wellbore the company retains
19 liability. I mean, we don't ever escape liability for --
20 You know, I mean if the wellbore leaks on a normal P-and-A
21 job, then I have to go back in and re-fix it, you know,
22 there's some problem with the actual plugging.

23 But it winds up being in a position where the
24 companies perceive that their liability ongoing, they know
25 where it is, they know how they plugged the well, and the

1 material is confined. In other words, if it's approved,
2 it's very cost-effective, it's very environmentally sound,
3 it's a tremendous benefit for industry.

4 COMMISSIONER WEISS: I have no other questions.
5 Thank you.

6 CHAIRMAN LEMAY: Commissioner Bailey?

7 COMMISSIONER BAILEY: Are there requirements for
8 operators to survey their equipment pipelines, et cetera,
9 prior to abandonment?

10 MR. MILLER: Yes, those are all contained in the
11 ED rules, EIB rules. There are specific requirements. In
12 other words, before any material can be sold to the general
13 public, it had to be surveyed. Prior to workers working on
14 vessels, there's a requirement to survey.

15 But all of those standards are actually contained
16 in the ED rules and --

17 COMMISSIONER BAILEY: So even though we don't see
18 them here in the OCD rules --

19 MR. MILLER: Right.

20 COMMISSIONER BAILEY: -- there are --

21 MR. MILLER: There are requirements that are very
22 applicable to the industry and the way they conduct
23 business.

24 And there is the ability -- and I was questioned
25 by an independent operator out of Roswell the other day.

1 He says, Well, you know, can I sell a piece of equipment to
2 another operator? And I says, Yes.

3 In other words, the rules specifically allow for
4 operators to transfer between themselves for use of the
5 same manner, this -- I mean, there's a real lack of
6 knowledge by some of our smaller independents as to what
7 they're required to do and what is available to them.

8 But those rules have already been promulgated and
9 are there. It's a thing where we feel like -- and I call
10 myself an endangered species because we feel like we're
11 attacked on so many different fronts that until, you know,
12 something hits you and -- You know, he saw that the
13 Commission was considering NORM regulations, and so when he
14 read what had been submitted by NMOGA to him, he didn't
15 know exactly what he could or couldn't do.

16 He didn't have a survey instrument. I provided
17 him with the information how for \$800 he can figure out if
18 he has any problems or not. And as operators, we need to
19 know that.

20 But those rules are already in place. Operators
21 just need to have a knowledge level and awareness raised as
22 to what they need to do.

23 COMMISSIONER BAILEY: And they cover each one of
24 these options that are the --

25 MR. MILLER: Yes. In fact, their rules are

1 much -- have a lot more in them. But these options were
2 agreed to, and that's one of the reasons that the
3 environmental community was not as active in participating
4 in this development, because these options were already
5 agreed to as being options that were acceptable under the
6 ED rule.

7 COMMISSIONER BAILEY: That's all.

8 CHAIRMAN LEMAY: Just a couple questions, Raye.

9 One, on the injection above frac pressure, I
10 don't see any reference to a tracer survey in this case,
11 just gamma-ray survey. Is that something you would
12 anticipate being required after -- so it doesn't get out of
13 zone, you know it's not out of zone?

14 MR. MILLER: Well, you know, obviously I think
15 it's a thing where we have not restricted OCD's or your
16 all's ability to make such requirements.

17 One of the questions, and probably what you will
18 have is, your folks will be looking at what type of
19 evidence the folks are presenting, you know, these three --
20 the model results predicting frac propagation, expected
21 height, extension and direction. You know, your folks are
22 going to be looking at what type of cement is behind the
23 pipe, what types of formations we're looking at, what the
24 over layers, under layers are actually -- you know, what
25 the porosity of this zone, the permeability of it is,

1 versus the layers above and below.

2 There's nothing here that would not give you the
3 ability as a requirement of approval that they do that.
4 But then what we felt like was that we tried to craft these
5 rules, that they didn't place a 1996 technology on
6 something that by the year 2010 may not be applicable.

7 And so as a result, we tried to stay away from,
8 you know, a lot of specifics such as a tracer survey,
9 because you can get to a point, you know, where technology
10 has changed to where that wouldn't be the appropriate way
11 to actually have the feeling. And yet if it's defined in
12 the OCD rule that you run a tracer survey, then all of a
13 sudden you're running tracer surveys even though it's not
14 something that's really applicable in the future.

15 CHAIRMAN LEMAY: Just one other quick question.
16 Was it the intention of the committee to bring K-Mart under
17 our OCD disposal rules and regs?

18 (Laughter)

19 MR. MILLER: It goes back to the science of the
20 Fifties. I guarantee you, there's -- In fact, one of my
21 close associates down there by the name of Frank Yates has
22 chewed on me more than once because of the fact that
23 there's more radiation to airline pilots than there is from
24 oil industry, 50 micro R. And I mean --

25 CHAIRMAN LEMAY: Because my colleague,

1 Commissioner Weiss, is referring to those specific
2 examples.

3 MR. MILLER: Well, I don't want to have K-Mart in
4 my jurisdiction.

5 CHAIRMAN LEMAY: Yeah, we don't want them under
6 our jurisdiction either.

7 Thank you, you may be excused.

8 Additional questions?

9 Okay, Mr. Kendrick?

10 MR. KENDRICK: Mr. Chairman, Ned Kendrick again.
11 I have just a couple points to reinforce that Raye made.

12 CHAIRMAN LEMAY: Yes.

13 MR. KENDRICK: In terms of the science behind the
14 thresholds, when we define -- when we were proposing to
15 define regulated NORM, there was some input by the
16 Radiation Technical Advisory Council. They're a group
17 mainly of Los Alamos scientists, I believe. And in that
18 group is required by law to approve of any EIB regulation
19 dealing with radiation.

20 So once the EIB approved the more sweeping NORM
21 regulation, we had to go through a whole process of getting
22 the RTAC to approve, and then they ask lots of probing
23 questions about the science.

24 And even though they didn't propose the
25 thresholds, they studied them and concluded that they made

1 sense.

2 So there's a little bit of a scientific basis, if
3 you will, in terms of scientific review of those standards.

4 COMMISSIONER WEISS: And if the standards would
5 have been a factor of 10 higher, what would have happened
6 from them?

7 MR. KENDRICK: I mean, it's possible they would
8 have -- I mean -- Hard to say.

9 COMMISSIONER WEISS: You got no input, though,
10 other than okay?

11 MR. KENDRICK: True, yeah, they blessed them,
12 they looked at them. But they didn't formulate the
13 standards, so...

14 And the other point that Raye made about if we
15 didn't have this disposal option, or these disposal
16 options, producers would have to, say, on a BLM lease or
17 elsewhere, have to truck their waste up to Envirocare in
18 Utah, which is, a), very expensive, b), somewhat dangerous
19 in terms of any accidents en route, liability created by
20 transportation, and then c), as Raye said, you're taking a
21 terrible chance dumping your NORM waste into a huge
22 facility that you don't have control over. If that became
23 a superfund site, you'd be responsible party on the hook
24 for paying part of the multi-million-dollar cleanup.

25 So in that scenario, the disposal is out of your

1 hands, and you're exposed to a lot of potential liability.

2 So we see ourselves as creating some options,
3 making things better for operators, giving them something
4 they can lawfully do with the NORM waste and minimizing
5 their liability.

6 CHAIRMAN LEMAY: Thank you very much.

7 Let's take a 15-minute break before we get on to
8 our next witness.

9 (Thereupon, a recess was taken at 10:23 a.m.)

10 (The following proceedings had at 10:41 a.m.)

11 CHAIRMAN LEMAY: Okay, we shall resume.

12 MR. ANDERSON: Mr. Commissioner -- Mr. Chairman,
13 Commissioners, my name is Roger Anderson. I'm the
14 Environmental Bureau Chief for the Oil Conservation
15 Division, and I'd just like to make a brief statement for
16 the record and then answer any questions you might have.

17 I was a member of the NORMs Task Force which
18 developed this proposed draft rule, and the Division --
19 It's my opinion and the Division's opinion that this
20 proposed rule fills the mandate of the Division to protect
21 public health and the environment and fresh waters, and the
22 Division does support the adoption of this rule as it is
23 written.

24 CHAIRMAN LEMAY: That's the kind of testimony we
25 like, short and sweet.

1 Commissioner Weiss?

2 COMMISSIONER WEISS: I have no questions.

3 CHAIRMAN LEMAY: Commissioner Bailey?

4 COMMISSIONER BAILEY: I have one.

5 CHAIRMAN LEMAY: Yes.

6 COMMISSIONER BAILEY: I look at Attachment G,
7 prepared by Exxon, concerning disposal of slurrified NORM
8 waste in EOR injection wells, and I look at the proposed
9 rule, section -- having to do with injection in EOR
10 injection wells and the requirements for issuing the
11 permit, page 6 of the proposed rule, Number B, under 3,
12 "such injection will not cause an increase in the radiation
13 level of Regulated NORM produced from the EOR interval..."
14 et cetera.

15 How difficult will that demonstration be required
16 for applicants, in view of Attachment G?

17 MR. ANDERSON: I'd prefer to defer that question
18 to David Catanach, who's the UIC Director, who will
19 actually be the one that would be approving those type of
20 operations.

21 COMMISSIONER BAILEY: Okay, I was under the
22 assumption that your Bureau would be --

23 MR. ANDERSON: No, those type of applications are
24 required to go to hearing, and it would be an Examiner
25 hearing. They would be applied to first through the UIC

1 program --

2 COMMISSIONER BAILEY: Oh, okay.

3 MR. ANDERSON: -- as an EOR project. That's
4 correct, isn't it?

5 MR. CATANACH: Yeah. My name is David Catanach.
6 I work for the Engineering Bureau here with the Division.

7 Your question, Ms. Bailey, is how --

8 COMMISSIONER BAILEY: How difficult is this
9 demonstration requirement, in view of the statements of the
10 second paragraph, Attachment G, that says that the
11 significance of radium in EOR projects is nil?

12 MR. CATANACH: My understanding is that what
13 Exxon has put forth here is that the concentration should
14 not increase in the producing wells within an EOR project.

15 I don't know what kind of evidence or testimony
16 we're going to be requiring at the hearing to demonstrate
17 this at this point, because we haven't -- I mean, we
18 haven't been through this.

19 COMMISSIONER BAILEY: Okay, this is one that's --
20 as you go along, you'll see --

21 MR. CATANACH: Yeah, but they're going to have to
22 submit some kind of evidence to demonstrate that.

23 COMMISSIONER BAILEY: Like computer modeling?
24 Would you require that?

25 MR. CATANACH: I don't think it would be as

1 sophisticated as computer modeling. Something less than
2 that, I suspect.

3 COMMISSIONER BAILEY: Good, thank you.

4 CHAIRMAN LEMAY: Additional questions,
5 Commissioner Bailey?

6 COMMISSIONER BAILEY: No.

7 CHAIRMAN LEMAY: Thank you.

8 Mr. Anderson, you may be excused.

9 MR. FLOYD: Mr. Chairman, members of the
10 Commission, my name is Bill Floyd. I'm Program Manager of
11 the Radiation Licensing and Registration section for the
12 New Mexico Environment Department.

13 I'd like to begin by saying that feedback I've
14 received from other states and from the regulated community
15 and also from the NORM experts nationwide, it all tends to
16 indicate that New Mexico's Subpart 14, our regulations
17 pertaining to NORM in the oil and gas industry, is looked
18 on extremely favorably by all sides concerned.

19 Unlike other states, we don't go into radon flux
20 measurements. We try to keep our regulations as being as
21 user friendly as we could, without having the industry go
22 out and invest in all kinds of expensive equipment and
23 different types of wet-chemistry lab tests. We're basing
24 our definition of regulated NORM primarily on meter
25 readings, and only then what chemistry required, but we

1 have tried to keep it as simple as we possibly can.

2 I would like to also mention that, as Ned pointed
3 out, we do have a seven-member Radiation Technical Advisory
4 Council, whose members are appointed by the Governor for
5 five-year terms. We currently have two scientists from Los
6 Alamos and two from Sandia, as well as members of the
7 medical community on that RTAC, and we did get input from
8 them concerning our proposed regulations.

9 Another thing that was not pointed out, the
10 Conference of Radiation Control Program Directors, which is
11 made up of individuals from all 29 agreement states, as
12 well as the NRC and EPA and other federal agencies have
13 worked on what they call Part N of the suggested state
14 regulations for the control of radiation, and that covers
15 NORM.

16 They worked on that for ten years, and these
17 limits, those limits and the contamination limits are based
18 not only on what other states have adopted but also what,
19 you know, people in the regulatory community nationwide
20 have worked on for ten years. The 50 micro R per hour is
21 based on the allowable dose, annual dose limit for members
22 of the public, for continuous exposure.

23 So it's not a number just, you know, grabbed out
24 of a hat. It does have a scientific basis.

25 With these items in mind, I would like to express

1 the Environment Department's recommendation that these rule
2 changes be approved to allow for the disposal options
3 allowed in Subpart 14 of the Radiation Protection
4 Regulations. They are compatible with Subpart 14 and would
5 allow Subpart 14 to go into effect.

6 Any questions?

7 CHAIRMAN LEMAY: Commissioner Weiss?

8 COMMISSIONER WEISS: Yes, does risk -- Is that
9 involved in your determination? Was it involved in the
10 determination of these limits or -- this 50-millirem, or is
11 that just a number that you got from the literature?

12 MR. FLOYD: It involves risk. I think that as a
13 member of the New Mexico -- or an employee of the New
14 Mexico Environment Department, you know, our mission is to
15 protect the public health and safety and the environment.
16 And we take into account the risk factor. And again, that
17 was based on information gathered over a number of years
18 from the CRCPD and also on regulations adopted by other
19 states, primarily Texas and Louisiana.

20 So yes, risk is involved.

21 COMMISSIONER WEISS: That was my only question.

22 Thank you.

23 CHAIRMAN LEMAY: Commissioner Bailey?

24 COMMISSIONER BAILEY: No questions.

25 CHAIRMAN LEMAY: I don't have any either.

1 Thank you, Mr. Floyd. I personally thank you for
2 being involved in our task force too.

3 MR. SCHMIDT: Mr. Chairman, members of the
4 Commission, my name is Mark Schmidt. I am the
5 Environmental Engineer with the New Mexico State Land
6 Office. I'm a registered professional engineer here in the
7 State of New Mexico, and I am representing the State Land
8 Office on this task force.

9 The New Mexico State Land Office manages
10 approximately 9 million acres of surface and 13 million
11 acres of subsurface resources. These resources are held in
12 trust for generating revenues to support the public schools
13 and other beneficiary institutions.

14 The duties of the State Land Office include not
15 only the maximization of revenue from the land but
16 protection of the land's value from waste and depredation.

17 I believe that the rule before the Commission is
18 consistent with the mandate of the New Mexico State Land
19 Office. I think the rule provides for practical disposal
20 options that are consistent with the industry, the OCD and
21 the State Land Office. The rule provides for notification
22 to the land owner, as well as identification of the actual
23 disposal sites. And I also believe the rule provides
24 protecting the long-term assets of the trust.

25 Thank you.

1 CHAIRMAN LEMAY: Commissioner Weiss?

2 COMMISSIONER WEISS: I have no questions.

3 CHAIRMAN LEMAY: Commissioner Bailey?

4 COMMISSIONER BAILEY: No questions.

5 CHAIRMAN LEMAY: Nor do I. I want to thank you
6 again --

7 MR. SCHMIDT: Thank you.

8 CHAIRMAN LEMAY: -- for participating with the
9 Task force, Mr. Schmidt.

10 MR. STEPHENS: Mr. Chairman, Commissioners, my
11 name is Gary Stephens. I work for the US Bureau of Land
12 Management, and I'm a representative on the Task Force. I
13 have worked in the Department of the Interior's Onshore
14 Minerals Program here in New Mexico for the last 19 years,
15 the last seven years here in New Mexico, in the BLM's state
16 office. My environmental management duties consist of
17 developing policies for environmental compliance and
18 assisting in the development of environmental protection
19 rules and procedures.

20 Now, early on in this process, the Bureau of Land
21 Management determined that because NORM materials were
22 exempt from regulation under Subtitle C of the Resource
23 Conservation and Recovery Act, and because it's not
24 regulated or administered by any BLM rule, that management
25 of NORM was discretionary with field managers.

1 Testimony has already been given earlier today by
2 Mr. Miller and Mr. Kendrick as to how that discretion
3 manifested itself in the field.

4 This issue and these findings led BLM's
5 Washington, D.C., headquarters office to direct my office
6 to participate and play an active role with the State of
7 New Mexico's study and potential rules for NORM. And
8 therefore the Bureau of Land Management fully supports this
9 rule-making effort.

10 That's the conclusion of my statement. Thank
11 you. I'll answer any questions.

12 CHAIRMAN LEMAY: Commissioner Weiss?

13 COMMISSIONER WEISS: One question.

14 Do you, Mr. Stephens, see that this problem
15 will -- which is small now, will go away with time?

16 MR. STEPHENS: The problem that this rule will
17 make go away is the lack of approvable disposal methods for
18 NORM and NORM waste. The problem that we wanted to address
19 here was the lack of disposal options.

20 The oil and gas industry did not have a -- at
21 least the way that the Bureau of Land Management saw it, an
22 approvable method of disposal that would sufficiently
23 protect the public interest and to address the issue of
24 liability, not only to the industry but to the federal
25 government as well.

1 We did not want to establish federal rule-making
2 in this regard, and so we were fully amenable to
3 participating on the State of New Mexico's rule-making
4 effort for that reason.

5 COMMISSIONER WEISS: My question was more related
6 to the issue of NORMs. Will they go away as operators --
7 do you view this that the concentrations will be kept
8 dilute enough where's no problem again?

9 MR. STEPHENS: NORMs will exist, and they will
10 not go away. This will help eliminate the NORMs from
11 exposure to the public and will remove them from the human
12 environment.

13 COMMISSIONER WEISS: I have no other questions.
14 Thank you.

15 CHAIRMAN LEMAY: Commissioner Bailey?

16 COMMISSIONER BAILEY: No questions.

17 CHAIRMAN LEMAY: Nor do I.

18 Again, I want to thank you for your contribution,
19 participating with the Task Force.

20 MR. STEPHENS: You're welcome.

21 MR. KENDRICK: Ned Kendrick again. That
22 concludes the Task Force's testimony.

23 CHAIRMAN LEMAY: Okay. Maybe right now, if we
24 have any questions, since this is rule-making, we generally
25 will be a little more casual, if that's okay, and if any of

1 my fellow Commissioners have a question, they might ask
2 you, and you could answer it or direct it to someone who --

3 MR. KENDRICK: Sure. We just finished our direct
4 testimony, but we're all available to answer questions.

5 CHAIRMAN LEMAY: Are there any other questions of
6 the witnesses?

7 I guess I'll start with Commissioner Weiss.

8 COMMISSIONER WEISS: No, I think I've heard all
9 the testimony I need. Thank you.

10 CHAIRMAN LEMAY: Commissioner Bailey?

11 COMMISSIONER BAILEY: I have no other questions.

12 CHAIRMAN LEMAY: I might have one that's been
13 kind of bothering me, and I don't know who to direct it to.

14 I guess the comment was made, which I didn't
15 know, that there's no NORMS up in the northwest, that they
16 didn't find any. I've had -- Is that a correct statement?

17 MR. KENDRICK: Raye probably is the expert on
18 that, but it's my understanding that maybe there are more
19 alpha and beta emitters in the northwest that do not
20 penetrate the pipe, so if you take an external reading they
21 don't show up and the people and the environment are not
22 affected by it.

23 I think that may be the distinction, that there's
24 more gas produced in the northwest and less radium 226,
25 which seems to be more in the water, produced water in the

1 southeast.

2 CHAIRMAN LEMAY: Well, maybe the primary question
3 starts with -- I'm familiar with a little of the uranium
4 production up there in the Morrison formation. You've got
5 uranium production from the Brushy Canyon. I hope there's
6 no oil and gas being produced from that same formation,
7 because it's got to be radioactive, doesn't it?

8 MR. KENDRICK: Right. I know, it seems
9 incongruous.

10 CHAIRMAN LEMAY: Frank, do you -- does that --

11 MR. GRAY: The indications we have had up there
12 are that the background readings up there are higher,
13 directly proportional with the uranium mining and uranium
14 in the soil, and they're in the 18 or 19 range, I believe
15 we found in the survey.

16 Then when we look at the production facilities,
17 that we have, the readings, including background, are very
18 seldom over 25 to 30.

19 So we have such a -- a very small amount of
20 actual radium 226 associated with the production. We just
21 have a higher background reading associated with the
22 uranium.

23 CHAIRMAN LEMAY: I assume if you get next to a
24 uranium mine, you would have some pretty good background
25 readings there.

1 That really answers my question I had. I can't
2 think of anything else at this point.

3 Does anyone else have any questions on the rule-
4 making?

5 Yes, Ruth?

6 MS. ANDREWS: If I might make a statement --

7 CHAIRMAN LEMAY: Sure.

8 MS. ANDREWS: -- NMOGA strongly supports this
9 rule-making. We will continue to monitor and build data on
10 NORM in New Mexico, and if we feel there's a demonstration
11 that the ED regulation is unnecessary, we will certainly
12 ask that it be dropped from the books.

13 CHAIRMAN LEMAY: Okay, thank you very much, Ruth.
14 Commissioner Weiss?

15 COMMISSIONER WEISS: Yes, this is addressed to
16 whoever.

17 It's come to my attention that there are now
18 training courses available for NORM, and this is -- appears
19 to be a new cottage industry springing up. From what I've
20 heard, maybe there's not a lot of need for that. I'd
21 appreciate some comments along those lines.

22 MR. KENDRICK: Well, I think there was planned to
23 be some training up in the northwest at the recent Four
24 Corners meeting. And you're right, there wasn't a lot of
25 interest, and I think that seminar was dropped. But maybe

1 Ruth could field that one.

2 MS. ANDREWS: It is a new cottage industry.
3 NMOGA is not supporting the activities of any of these
4 groups. We are not in a position to determine their
5 experience in giving courses, what their technical
6 qualifications might be.

7 We are urging our members to be very careful
8 about taking these courses, to make sure that they are
9 valid courses.

10 They may be necessary. We would like our
11 surveyors to be trained.

12 COMMISSIONER WEISS: You mentioned that during
13 the course of your investigations you learned how to
14 properly sample, take readings or however it is you measure
15 NORMs. Is that knowledge readily available to the
16 industry?

17 MS. ANDREWS: I would expect as we move forward
18 these courses will be offered in that area. There are some
19 scheduled for the Hobbs and Artesia areas in April, this
20 month. And the operators themselves will have to determine
21 the credentials of the people giving those courses. We
22 would not undertake to determine whether they're valid or
23 not. But we would hope that they will get training.

24 Raye, can you help me here?

25 MR. MILLER: Well, it winds up in a thing where

1 actually to comply with the regulations that are in place
2 regarding NORM, it is not very difficult to become
3 knowledgeable enough with the proper equipment to actually
4 protect yourself, to make sure that you don't have above 50
5 micro R readings, which become regulated NORM.

6 But there is the threshold of having an awareness
7 that, one, you need to own an instrument, and secondly, how
8 to utilize that instrument, that many of the operators are
9 just in the process of crossing.

10 You know, we have actually created a move or, you
11 know, this problem has created a move for a company in
12 Sweetwater, Texas, Ludlow Manufacturing. They produce
13 Model 3 detectors, and I use a Model 44-2 probe, and with
14 carrying case and batteries and a check source it runs you
15 about \$800. They have a nice little system, and they take
16 Visa. You call them over their 800 number, they ship
17 direct to you, you've got you an instrument.

18 Once you have the instrument, you need to get
19 with someone. The way that I got trained was by one of
20 Exxon's people actually showing me how to utilize the
21 instrument.

22 The key with radiation is the fact that, if the
23 vessel is here, if I measure right next to the vessel I get
24 one reading, and as I move away from the vessel, I get a
25 lower reading. It's an exponential decline. In other

1 words, the distance that you hold your instrument away will
2 affect the reading that you're actually getting, and it's
3 not a linear decline, my understanding.

4 See, sometimes I get to talking these things, and
5 my cohorts over here always wonder whether I really know
6 what I'm talking about or not.

7 But as a result, one of the questions becomes --
8 gathering a lot of survey data, is, if the same person
9 didn't conduct all the surveys, you know, how close were
10 they actually to the vessel when they were surveying?
11 Because then the readings that they did could have a
12 dramatic impact as to whether or not it was properly
13 recorded.

14 COMMISSIONER WEISS: Well, these techniques are
15 going to be -- they're available to industry and well
16 known, I assume?

17 MS. ANDREWS: If I might add, the Environment
18 Department has an approval process for trainers, and as I
19 understand, there are only two groups now who have been
20 approved?

21 MR. FLOYD: Yes, we do. Our regulations call for
22 certification of any individual or a company offering
23 training in New Mexico. And currently I think we have
24 three companies out of Louisiana offering training. And
25 I've seen the course outlines of these training programs.

1 I must say, I'm very impressed. It doesn't look like a
2 fly-by-night type organization.

3 Of course, any company in New Mexico that would
4 choose to offer this type of training, all they have to do
5 is apply with us and we will review their credentials and
6 certify them too if they are found to be qualified.

7 MS. ANDREWS: And we would in turn be telling our
8 members to only use people who have been approved by the
9 agency, because that's the only certified training that
10 they can use.

11 COMMISSIONER WEISS: Thank you.

12 CHAIRMAN LEMAY: Is there anyone else that wants
13 to make a statement in the case, or additional questions or
14 -- or anything?

15 Well, I want to express my appreciation to you,
16 Ned, and the Task Force members. I think you've done an
17 excellent job in covering all bases and bringing this in
18 very condensed, concise form to the Commission. My tanks
19 again to all of you.

20 And we shall take this case under advisement.
21 Thank you very much.

22 (Thereupon, these proceedings were concluded at
23 11:02 a.m.)

24 * * *

25


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Commission was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL April 16th, 1996.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 14, 1998