

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY )  
THE OIL CONSERVATION DIVISION FOR THE )  
PURPOSE OF CONSIDERING: )

CASE NO. 11,514

APPLICATION OF READ AND STEVENS, INC., )  
FOR AN UNORTHODOX INFILL GAS WELL )  
LOCATION AND SIMULTANEOUS DEDICATION, )  
CHAVES COUNTY, NEW MEXICO )

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

May 16th, 1996

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, May 16th, 1996, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

## I N D E X

May 16th, 1996  
 Examiner Hearing  
 CASE NO. 11,514

	PAGE
EXHIBITS	3
APPEARANCES	4
APPLICANT'S WITNESSES:	
<u>JAMES P. BRANNIGAN</u> (Geologist)	
Direct Examination by Mr. Padilla	6
Cross-Examination by Mr. Bruce	14
Examination by Examiner Catanach	15
Further Examination by Mr. Bruce	19
<u>LES M. CARNES</u> (Engineer)	
Direct Examination by Mr. Padilla	20
Cross-Examination by Mr. Bruce	29
Redirect Examination by Mr. Padilla	32
Examination by Examiner Catanach	33
UMC WITNESS:	
<u>BRETT JAMESON</u> (Engineer)	
Direct Examination by Mr. Bruce	36
Cross-Examination by Mr. Padilla	43
Redirect Examination by Mr. Bruce	48
Examination by Examiner Catanach	48
Further Examination by Mr. Bruce	51
REPORTER'S CERTIFICATE	53

\* \* \*

## E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	7	14
Exhibit 2	12	14
Exhibit 3	21	29
Exhibit 4	24	29
Exhibit 5	27	29
Exhibit 6	27	29
Exhibit 7	35	-
Exhibit 7A	36	-

\* \* \*

UMC	Identified	Admitted
Exhibit 1	37	43
Exhibit 2	38	43
Exhibit 3	38	43

\* \* \*

## A P P E A R A N C E S

## FOR THE APPLICANT:

PADILLA LAW FIRM, P.A.  
1512 South St. Francis Drive  
P.O. Box 2523  
Santa Fe, New Mexico 87504-2523  
By: ERNEST L. PADILLA

## FOR UMC PETROLEUM CORPORATION:

HINKLE, COX, EATON, COFFIELD & HENSLEY  
218 Montezuma  
P.O. Box 2068  
Santa Fe, New Mexico 87504-2068  
By: JAMES G. BRUCE

## FOR MATADOR PETROLEUM COMPANY:

CAMPBELL, CARR, BERGE and SHERIDAN, P.A.  
Suite 1 - 110 N. Guadalupe  
P.O. Box 2208  
Santa Fe, New Mexico 87504-2208  
By: WILLIAM F. CARR

\* \* \*

1           WHEREUPON, the following proceedings were had at  
2   12:10 p.m.:

3           EXAMINER CATANACH: Call Case 11,514, which is  
4   the Application of Read and Stevens, Inc., for an  
5   unorthodox infill gas well location and simultaneous  
6   dedication, Chaves County, New Mexico.

7           Call for appearances.

8           MR. PADILLA: Mr. Examiner, Ernest L. Padilla,  
9   Padilla Law Firm, P.A., for the Applicant in this case.

10          I have two witnesses to be sworn.

11          MR. BRUCE: Mr. Examiner, Jim Bruce from the  
12   Hinkle law firm in Santa Fe, representing UMC Petroleum  
13   Corporation.

14          I have one witness.

15          MR. CARR: May it please the Examiner, my name is  
16   William F. Carr with the Santa Fe law firm Campbell, Carr,  
17   Berge and Sheridan.

18          We represent Matador Petroleum Company in this  
19   matter, in support of Read and Stevens. I have no  
20   witnesses.

21          EXAMINER CATANACH: Okay, will the witnesses  
22   please stand to be sworn at this time?

23          (Thereupon, the witnesses were sworn.)

24          MR. PADILLA: Mr. Examiner, I've placed two sets  
25   of exhibits at your table up there, and at this time we

1 call Jim Brannigan.

2 JAMES P. BRANNIGAN,

3 the witness herein, after having been first duly sworn upon  
4 his oath, was examined and testified as follows:

5 DIRECT EXAMINATION

6 BY MR. PADILLA:

7 Q. Mr. Brannigan, please state your full name.

8 A. James Patrick Brannigan.

9 Q. Where do you reside?

10 A. Roswell, New Mexico.

11 Q. Are you a consulting geologist for the Applicant?

12 A. Yes, I am.

13 Q. Mr. Brannigan, have you previously had your  
14 credentials accepted as a matter of record before the Oil  
15 Conservation Division --

16 A. Yes, I have.

17 Q. -- as a petroleum geologist?

18 A. Yes.

19 Q. Mr. Brannigan, have you made a study of the  
20 geologic area in question here today?

21 A. Yes, I have.

22 MR. PADILLA: Mr. Examiner, we tender Mr.  
23 Brannigan as an expert petroleum geologist.

24 EXAMINER CATANACH: Any objection?

25 MR. BRUCE: No, sir.

1 EXAMINER CATANACH: Mr. Brannigan is so  
2 qualified.

3 Q. (By Mr. Padilla) Mr. Brannigan, would you tell  
4 the Examiner briefly what this Application is about from a  
5 geologic standpoint?

6 A. From a geological standpoint, Read and Stevens  
7 would like to drill a location in the south half of Section  
8 26 of 15 South, 27 East, in the Buffalo Valley field.

9 Field rules call for wells to be drilled in the  
10 northwest quarter and the southeast quarter. One well was  
11 drilled in the southeast quarter; it did not encounter  
12 economic amounts of sand. And doing more geology, we find  
13 that we have a thicker channel to be drilled in the  
14 southwest quarter of Section 26.

15 Q. Mr. Brannigan, have you prepared exhibits for  
16 introduction at this hearing?

17 A. Yes, I have. I put exhibits together and also  
18 worked with Bill Bradshaw putting together the cross-  
19 sections.

20 Q. You have two exhibits; is that right?

21 A. Yes, I do.

22 Q. And what are they?

23 A. Exhibit 1 is a -- actually two cross-sections,  
24 A-A', which is an east-west cross-section, going through  
25 the proposed location, and also cross-section B-B', which

1 is a north-south cross-section.

2 Q. Let's turn to Exhibit Number 1 and have you  
3 identify that, please.

4 A. Well, the A-A' cross-section, which is an east-  
5 west cross-section, is a cross-section that shows the  
6 channels -- Actually what it is, it's crossing the  
7 channels. The B-B' cross-section goes down the axis of the  
8 channel. The sands for the most part in the Buffalo Valley  
9 run in a north-south direction.

10 One thing I want to add too is, there's several  
11 fields that are in this geographical area, but they don't  
12 have any geological reason -- there is no geological reason  
13 for the differentiation of the Springer Basin field in 14-  
14 27, the Buffalo Valley field in 15-27, the Diamond Mound  
15 field in 15-27, 16-27, and the Duffield field in  
16 16-27. There are four or five different fields in this  
17 area, all producing out of the lower Pennsylvanian  
18 clastics.

19 Q. UMC Petroleum operates a well in the  
20 Diamondback -- Diamond Mound Pool, immediately to south of  
21 the proposed location; is that right?

22 A. That's correct.

23 Q. Mr. Brannigan, is the Buffalo Valley-Penn Pool  
24 prorated??

25 A. Yes, it is.



1 Q. Is the Diamond Mound prorated?

2 A. To the best of my knowledge, it is not.

3 Q. Mr. Brannigan, let's get back to the cross-  
4 section. I want you to explain to the Examiner from this  
5 cross-section whether or not the Diamond Mound and the area  
6 of the proposed location in the Buffalo Valley  
7 Pennsylvanian Gas Pool is a common source of supply.

8 A. Okay, you can see from the -- especially the B-B'  
9 cross-section, you can see the well, the Read and Stevens  
10 well, the Number 8 Harris, which is the well on the left  
11 side of the B-B' cross-section -- you can see that what  
12 we're calling the main pay in the Atoka channel is the same  
13 interval, even though that's in the Buffalo Valley field,  
14 when you come down through the proposed location to the UMC  
15 well, the Number 2 White State, you can see that even  
16 though it's in a different field, it's in the Diamond Mound  
17 field, it's actually producing out of the same channel.

18 Q. Mr. Brannigan, the logs shown on this cross-  
19 section have -- or the wells shown on the cross-section  
20 have cumulative production, do they not?

21 A. Yes, they do.

22 Q. What is the cumulative production shown on  
23 Exhibit 1 for the wells that are shown on there?

24 A. Okay, if you refer to cross-section A-A', the  
25 well on the very left side of the cross-section, which is

1 in Section 27 -- it's the Number 3 Harris Federal that Read  
2 and Stevens drilled -- that well never produced any gas at  
3 all. It's -- right now, I believe it's just -- I don't  
4 know if it's a shut-in gas well or what the status of that  
5 well is, but it's never produced even one MCF of gas. The  
6 importance of that is that it shows that it's outside the  
7 limits of the proposed channel we're trying to hit.

8 The Read and Stevens Number 8 Harris has  
9 currently made over 5.3 BCF.

10 The well on the east end of A-A', which is the  
11 Number 4 Harris, that well has made a little over a half a  
12 BCF and encountered just a very skinny part of the eastern  
13 edge of the channel.

14 The --

15 Q. Is that -- Is there supposed to be a decimal  
16 place on that cumulative production on that exhibit? My --

17 A. No, it's actually -- It's 577 MMCF.

18 Q. Okay, very good.

19 A. It's approximately a half a BCF, a little more  
20 than half a B.

21 And then the UMC well, which is the Number 2  
22 White State, has currently made about 5.3 billion cubic  
23 feet, also.

24 Q. And which wells are operated by Read and Stevens?

25 A. Currently, all the wells on both cross-sections

1 are operated by Read and Stevens, except for the UMC Number  
2 2 White State well, which is the easternmost -- or the  
3 southernmost well on the B-B' cross-section.

4 Q. What are the producing characteristics of the  
5 well located in the existing proration unit for which you  
6 want an infill well? What is the well producing at this  
7 rate today?

8 A. You mean current production?

9 Q. Its current production.

10 A. I believe the UMC well is about 700 MCF a day,  
11 and the Read and Stevens well is about a million.

12 Q. So --

13 A. But I'm just guessing at that.

14 Q. Does our next witness know those figures?

15 A. Yes, he does.

16 Q. Do you have anything else on the cross-section?

17 A. Well, I think the importance of the cross-section  
18 is that when you refer to A-A', what it's showing you is  
19 that when you run an east-west cross-section through the  
20 proposed location, what you have is a great-looking sand in  
21 the Number 8 Harris Federal that Read and Stevens has  
22 drilled. When you go to the left or the west and the  
23 Number 3 Harris Federal, you don't have that sand at all.  
24 And when you go farther to the east, the Number 4, what  
25 you're catching is actually the eastern edge of that

1 particular channel system.

2           So what we're seeing, for all intents and  
3 purposes, the middle well or the Number 8 Harris in the  
4 northwest quarter of Section 26, is right in the thickest  
5 part of the channel.

6           Now, what happens when you go over to the B-B'  
7 cross-section, which is the north-south cross-section, what  
8 you have then is both the UMC well and also the Read and  
9 Stevens Number 8 Harris, right down the axis of the  
10 channel, and you can see on that cross-section the  
11 characteristics that both wells are about the same and  
12 actually the production is about the same too.

13           Q. Does your next exhibit show sand thickness?

14           A. Yes, it does, Exhibit Number 2 is a map that I  
15 put together. It's on what I'm calling the lower  
16 Pennsylvanian clastics which, for all intents and purposes,  
17 is the main-pay Atoka channel sand that's referred to on  
18 the cross-section A-A' and B-B'.

19           And what it's showing out here is that, again  
20 what we talked about before, the general geometry of the  
21 channel sands in the Buffalo Valley are north and south.

22           And what this is also showing is that the A-A'  
23 cross-section, where the Number 3 Harris is out of the  
24 channel essentially, then you come over to the guts of the  
25 channel in the Number 8, and then over to the Number 4,

1 which is on the eastern edge of the channel system.

2 Now, when you go to B-B', what it's showing you  
3 is that you go from the Number 8 Harris to the proposed  
4 location, down to the Number 2 White State well that UMC  
5 operates, and again you're in the thickest part of that  
6 channel system.

7 Q. How would you characterize the sands in general  
8 terms, between where the existing location is and the  
9 proposed location --

10 A. Well --

11 Q. -- in terms of --

12 A. -- in terms of -- we expect to be -- When we  
13 drill our well, we expect to be in the axis, or the middle  
14 of this north-south-trending channel. So we expect when we  
15 drill our well to have as much porosity as both -- and as  
16 much pay as both the Number 8 Harris and Number 2 White  
17 State.

18 Q. In your opinion, would a well at the proposed  
19 location allow Read and Stevens to obtain its fair share of  
20 the underlying reserves in the south half of Section 26?

21 A. Yes, and the reason I say that is because the  
22 well that's currently producing in the south half of  
23 Section 26, the Number 4 Harris, was a very poor well. The  
24 average production in the Buffalo Valley is about -- and  
25 this takes in all 80-some wells -- about 2.5 BCF. And this

1 well has only made about 500 -- a little over half a BCF.

2 Q. Mr. Brannigan, do you have anything further on  
3 Exhibit Number 2?

4 A. No, I sure don't.

5 Q. Mr. Brannigan, in your opinion, would approval of  
6 this Application be in the best interests of conservation  
7 of oil and gas?

8 A. In my opinion, I believe that there's going to be  
9 reserves that are going to be left in the ground if Read  
10 and Stevens is not allowed to drill in the southwest corner  
11 of Section 26.

12 MR. PADILLA: Mr. Examiner, we tender Exhibits 1  
13 and 2 and pass the witness at this time.

14 EXAMINER CATANACH: Exhibits 1 and 2 will be  
15 admitted as evidence.

16 Mr. Bruce?

17 MR. BRUCE: Mr. Carr, do you have any questions?

18 MR. CARR: I have no questions of this witness.

19 CROSS-EXAMINATION

20 BY MR. BRUCE:

21 Q. Just a couple, Mr. Brannigan. I just want to  
22 clarify on your Exhibit 1, you are expecting the proposed  
23 location to produce from basically the exact same interval  
24 as the existing Read and Stevens -- What is it? Harris Fed  
25 Number 8 to the north, and the UMC White State Number 4 to

1 the south?

2 A. Exactly.

3 Q. In looking at your Exhibit 2, you're hoping to  
4 get, you know, roughly 30 feet of net sand?

5 A. About 32 feet, we expect, right.

6 Q. Okay. Now, looking at this, couldn't you drill a  
7 well on the western edge of the southeast quarter and still  
8 get about 30 feet of net sand?

9 A. There's a possibility that we could do that.

10 Q. Okay. So you could probably get the same thing  
11 by drilling in the southwest quarter as you get in the  
12 southeast quarter?

13 A. Except that we would experience more drainage  
14 from the half a BCF that's already been completed out of  
15 the Number 4 Harris.

16 MR. BRUCE: I don't have any further questions,  
17 Mr. Examiner.

18 EXAMINATION

19 BY EXAMINER CATANACH:

20 Q. Mr. Brannigan, by moving the well north to a  
21 standard location, what would you be losing in terms of the  
22 net sand?

23 A. Well, actually by moving it to the north, we  
24 would still be unorthodox. The Buffalo Valley rules call  
25 to be drilled in the northwest quarter and the southeast

1 quarter of the sections.

2 So essentially what we'd have to do is -- We're  
3 in Unit N right now. We would have to move into Unit O in  
4 order to be, I believe, orthodox.

5 MR. PADILLA: Mr. Examiner, in looking at the  
6 advertisement, I neglected to say that at the beginning of  
7 the hearing, the advertisement states Unit O, and it should  
8 be Unit N. The footage is correct, but the unit is wrong.  
9 I will point out that the notices for this hearing were on  
10 footage rather than unit letter.

11 EXAMINER CATANACH: Okay. So you guys are  
12 drilling in the wrong quarter section, basically?

13 THE WITNESS: That's right, that's right.  
14 There's been numerous cases of wells in the Buffalo Valley  
15 where the Commission has allowed operators to drill in the  
16 northeast of the southwest quarter because of geology.

17 Q. (By Examiner Catanach) In terms of the setback  
18 requirements, you're still encroaching towards the section  
19 to the south, though; am I correct?

20 A. Well, I believe our location is 1980 from the  
21 west and 990 from the south, so I believe the standard  
22 location on a normal 320 would be 660 from the south, so  
23 we're actually 330 feet farther north than we might be able  
24 to be on a standard location.

25 Q. Is the Atoka the only producing sand out here?



1           A.   Well, that's a good question, because we've got  
2   the Springer Basin field to the north in 14-27 that the  
3   Commission has designated as Morrow. Then you get down to  
4   the Buffalo Valley, and they just called the Buffalo Valley  
5   Penn, and that would consider everything from the Cisco to  
6   the base of the Morrow.

7                   Then you go to the Diamond Mound; up until to a  
8   few years ago it was the Diamond Mound Atoka and Morrow.  
9   Now what they've done is, they've separated -- Back, I  
10  believe, in 1989 or 1991 the designation of the Diamond  
11  Mound was split into a separate Diamond Mound Atoka and a  
12  separate Diamond Mound Morrow.

13                   Then you go farther to the south, into the  
14  Duffield field, and again you're into the Penn again, where  
15  it's -- Is it Morrow? Is it Atoka? I really don't -- The  
16  geology is exactly the same, whether you can differentiate  
17  between Morrow or Atoka. These are channels that were  
18  deposited in lower Pennsylvanian time.

19                   I really believe that the only way you can really  
20  differentiate on whether you are in a Morrow channel or an  
21  Atoka channel is by looking at microfossils. I've worked  
22  this area for -- well, since 1983, and depending on -- If  
23  you go to Yates Petroleum to sell them a deal in the  
24  Buffalo Valley, they call it Morrow. If you go to Read and  
25  Stevens, they call it all Atoka. If you go to some other

1 operators, they just want to call it lower Penn.

2 Is there a Morrow in this area? Probably. Is  
3 there Atoka? For sure. But I don't really think it  
4 matters as far as the geology is concerned.

5 Q. Basically, the pay you're showing on these cross-  
6 sections are the ones you're going to be -- the wells  
7 you're going to be completed in?

8 A. Yes, that's right. There are more channels up  
9 here. There are probably in the Buffalo Valley field,  
10 Diamond Mound, probably four or five major channels that  
11 produce in those fields. But in this case we're looking  
12 for this main pay in the Atoka.

13 Q. The two lower sands in the Number 8 well, one of  
14 them is producing, the other is not; is that correct? Or  
15 one of them is perf'd in the Number 8 well?

16 A. Yes.

17 Q. These two lower intervals --

18 A. Right, right, but I'm not using that as pay.  
19 Even though they perforated that interval, I'm not using  
20 that as a pay interval.

21 The reason -- Two reasons. One -- Well, the main  
22 reason is because the gamma ray may be a little bit too  
23 high.

24 Although I might add, there are wells out here in  
25 the Buffalo Valley-Diamond Mound trend where you have some

1 crossover with APIs as high as 70 API units that still  
2 produce very economical amounts of gas. So in some cases  
3 it could be shaley, in some cases it could be uranium  
4 salts.

5 EXAMINER CATANACH: That's all I have of the  
6 witness.

7 MR. BRUCE: Could I ask a couple of questions?

8 EXAMINER CATANACH: Sure.

9 FURTHER EXAMINATION

10 BY MR. BRUCE:

11 Q. What does pressure data show up here? Does this  
12 indicate that reserves will be left in the ground?

13 A. You're asking a geologist about engineering data.  
14 I have to defer that question to somebody with that  
15 expertise. I really don't know.

16 Q. Okay. But you said -- did say you believe that  
17 reserves would be left in the ground if the well was not  
18 drilled on --

19 A. That's right, and I'm basing that on reserve data  
20 that I saw from our expert witness, the engineer.

21 Q. The next?

22 A. Right.

23 MR. BRUCE: So -- Never mind.

24 MR. PADILLA: Mr. Examiner, we'll call Les  
25 Carnes.

1                                    LES M. CARNES,  
2    the witness herein, after having been first duly sworn upon  
3    his oath, was examined and testified as follows:

4                                    DIRECT EXAMINATION

5    BY MR PADILLA:

6            Q.    Mr. Carnes, would you please state your full  
7    name?

8            A.    Les M. Carnes.

9            Q.    Mr. Carnes, where do you live?

10          A.    Midland, Texas.

11          Q.    Are you a consulting engineer in this case for  
12    Read and Stevens?

13          A.    Yes, I am.

14          Q.    Mr. Carnes, have you previously testified before  
15    the Oil Conservation Division and had your credentials  
16    accepted as a reservoir engineer?

17          A.    Yes, I have, and they've been accepted.

18          Q.    Have you been -- Have you testified in other  
19    capacities, other than as a reservoir engineer before the  
20    Division?

21          A.    Yes, I have.

22          Q.    And what capacity?

23          A.    Operation matters, production, drilling costs and  
24    so forth.

25          Q.    Mr. Carnes, you're primarily testifying today

1 about reservoir engineering; is that right?

2 A. Yes, that is correct.

3 Q. You have some other exhibits that deal with --  
4 that require operational expertise and drilling expertise,  
5 correct?

6 A. Yes, they're prepared by Read and Stevens.

7 MR. PADILLA: Mr. Examiner, we offer Mr. Carnes  
8 as a reservoir engineer and as a drilling and production  
9 engineer as well.

10 EXAMINER CATANACH: Any objection? Mr. Carnes is  
11 so qualified.

12 Q. (By Mr. Padilla) Mr. Carnes, let's turn to what  
13 you have prepared as Exhibit Number 3 and have you identify  
14 that for the Examiner, please.

15 A. Exhibit 3 is a map showing the estimated ultimate  
16 recoveries and how they change throughout most of the  
17 Buffalo Valley-Penn and Diamond Mound-Morrow fields.

18 The contours are for each two BCF of gas, for --  
19 And that's estimated ultimate recovery; we'll refer to it  
20 as EUR.

21 Q. Mr. Carnes, would you orient the Examiner to  
22 where the proposed location is going to be, or is located?

23 A. Yes, I will. The proposed location in the  
24 southeast of the southwest of Section 26 of 15 South, 27  
25 East is about in the middle of the exhibit, on the map.

1           Q.    Is that the well with the smaller red circle,  
2   with an arrow on it?

3           A.    Yes, it is.

4           Q.    Okay.  Where is the boundary between the Buffalo  
5   Valley and the Diamond Mound Pools?

6           A.    The boundary is the north section line of  
7   Sections 33, 34, 35 and 36 of 15 South, 27 East.  
8   Everything north of that line, including the proposed well,  
9   is in the Buffalo Valley-Penn field, and south of there  
10  it's the Diamond Mound.

11          Q.    What are you trying to illustrate by your -- Now,  
12  I take it that you drew these contour lines based on  
13  estimated ultimate recovery?

14          A.    That's correct.

15          Q.    And what are you trying to illustrate by the  
16  contour lines?

17          A.    Jim Brannigan testified that the average  
18  estimated ultimate recovery for over 80 wells that have  
19  produced some quantities of gas in these two fields is  
20  about 2.5 billion cubic feet, or BCF, and this illustrates  
21  where wells that have better than average EURs are located,  
22  and they're in a trend north-south, if we start in Section  
23  14 of 15-27, running all the way down through Section 35 of  
24  15 South, 27 East, and illustrate the high EURs expected in  
25  some of those wells on that trend.

1           Q.   Now, right in the sections in line with the  
2 proposed location north and south, does that also conform  
3 to Mr. Brannigan's geology, that the reservoir is north-  
4 south oriented?

5           A.   I believe it does.

6           Q.   Okay. Now, you've shown some wells colored in  
7 red here. What do those mean? What does the red coloring  
8 indicate?

9           A.   I have colored in red -- I think there are 11  
10 wells on this exhibit that are located in either the  
11 southwest or the northeast quarters of a particular  
12 section, to demonstrate that those wells would not conform  
13 to the current field rules for the Buffalo Valley-Penn  
14 field.

15                   Now, three of those wells are located -- three of  
16 the 11 in the Diamond Mound field, and no hearing was  
17 required to drill those, either in the northeast quarter or  
18 the southwest, because there's greater flexibility in that  
19 pool, which was formed several years after the Buffalo  
20 Valley-Penn field was formed.

21           Q.   Now, let's look at the existing well and the  
22 proposed location on the south half of Section 26. What do  
23 your contour lines show in terms of those two locations?

24           A.   It would indicate that the current well, that's  
25 in the south half of 26, for a 320-acre proration unit is

1 going to be far below average for those two fields, with an  
2 EUR of only .6 billion, while other wells on the trend will  
3 be much higher, and the expected wells should be somewhat  
4 higher than are around the average or better.

5 These contours do not indicate that that well  
6 will recover over 6 billion; simply they just honor the  
7 control points.

8 Q. Okay. Do you have anything further with regard  
9 to Exhibit Number 3?

10 A. Yes, just a brief statement that the discovery  
11 well for the Buffalo Valley-Penn field in the southeast of  
12 the southwest of 35 of 14 South, 27 East, is in the  
13 southwest quarter, as were several other good wells in that  
14 pool, and had -- Now, the discovery well did not have to  
15 have the Conservation Division approval to drill there,  
16 because it was the discovery well. And after the field  
17 rules went into effect in 1969, then permission and  
18 approval of the Commission had to be granted, and there are  
19 several wells that fit into that category, and they were  
20 approved.

21 Q. Let's go on to Exhibit Number 4 and have you  
22 identify that for the Examiner, please.

23 A. Exhibit 4 is the same isopach map as Mr.  
24 Brannigan presented and has prepared for this matter, but  
25 it also shows the drainage areas for four wells that have



1 produced that offset the proposed well.

2 Q. Which are those four wells?

3 A. They include Harris Fed Number 8 in the northwest  
4 quarter of 26, Harris Fed 4 in the southeast quarter of 26,  
5 White State Number 2 in the northwest quarter of 35, and  
6 the Harris Fed Number 7 in the northeast quarter of Section  
7 34, and all in 15 South, 27 East.

8 Q. How did you -- Now, you have some little -- or  
9 some data and some squares by each of those wells. Tell us  
10 what is contained in those squares.

11 A. In each square I have shown what I believe to be  
12 the EUR, the estimated ultimate recovery, from those four  
13 wells, and the drainage area. I do consider those to be on  
14 the conservative side, because of the net pay shown for  
15 each of the wells.

16 For example, the Harris Fed Number 8, which is  
17 the well that holds the proration unit for the north half,  
18 the 320 acres in the north half of 26, is estimated to have  
19 9.3 BCF as the ultimate recovery. And then based on  
20 volumetric calculations of recovery per acre-foot, I've got  
21 a drainage area of 347 acres.

22 Q. What do you have for the existing well on the  
23 south half of Section 26?

24 A. The well you're referring to is the Harris Fed  
25 Number 4, and that well with the .6 BCF EUR will have a

1 drainage area of about 80 acres.

2 Q. How about the UMC well?

3 A. The UMC well in Section 35 is expected to recover  
4 about 6.9 BCF or 7 BCF of gas with a drainage area of 400  
5 acres.

6 Q. Finally, the last well in Section 34, what do you  
7 have for that?

8 A. There, with even a full BCF of gas, it's a  
9 thicker section with 23 feet of pay, and the drainage area  
10 is a little over 60 acres.

11 Q. Now, looking at Mr. Brannigan's geology and also  
12 looking at the two wells, the one in Section 34 and the  
13 existing well in Section -- south half of Section 26, those  
14 circles look pretty even; is that right?

15 A. Yes, one of them is for 62 acres and one of them  
16 for 84 acres, so there's not much difference.

17 Q. As far as geology is concerned, they also look  
18 pretty equal as well, right?

19 A. Well, the exception is that there's more net pay  
20 in the well in Section 34. It has designated to have 23  
21 feet of pay versus only 15 feet in the southeast quarter of  
22 26.

23 Q. What kind of expected ultimate recovery will you  
24 have from the proposed location?

25 A. For the proposed location I've looked at, it's

1 simply on undrained area, and I have calculated 94 acres  
2 that will not be drained by any of the existing wells. And  
3 as Mr. Brannigan testified, with 32 feet of pay and 94  
4 acres and a recovery of 866 MCF per acre-foot, we should  
5 realize about 2.5 to 2.6 BCF of additional gas.

6 Q. In terms of economics, do you expect on that  
7 basis to have -- pay out a well, be able to drill a well  
8 and not waste your money, or Read and Stevens' money, in  
9 drilling that well?

10 A. I do, based on the AFE that Read and Stevens has  
11 prepared, which I believe is the next exhibit.

12 Q. Okay, let's go into that. What's the bottom line  
13 on that exhibit? How much is the well going to cost?

14 A. The well is estimated to cost \$472,100 to drill  
15 and equip, ready for production.

16 Q. You didn't prepare this AFE, did you?

17 A. No, I did not. That was prepared by the  
18 operator, and they feel they can drill that well for  
19 \$472,000 or less.

20 Q. Have you independently reviewed this AFE and  
21 satisfied yourself that it's approximately correct?

22 A. Yes, I have.

23 Q. Let's look at Exhibit Number 6 and have you  
24 identify that, please.

25 A. Okay, Exhibit 6 is an economic appraisal of what

1 the cash flow from the 2.6 billion cubic feet of gas would  
2 do as far as the economic return for a well that cost  
3 \$472,000.

4 Q. What conclusions do you draw from this exhibit?

5 A. This exhibit would show that it would be an  
6 attractive rate of return, and it's based on 100 percent of  
7 the working interest and 80-percent net revenue interest.  
8 And it indicates that the well would pay out in less than  
9 one year and have a profitability index or a return on  
10 investment of over seven to one at 100-percent average  
11 annual rate of return or better.

12 Q. Mr. Carnes, this Application also calls for  
13 simultaneous dedication of the proposed well and the  
14 existing well in the south half of Section 26; is that  
15 right?

16 A. Yes, I believe it does.

17 Q. Is it Read and Stevens' plan to allocate the  
18 production between the two wells to satisfy the allowable  
19 requirements?

20 A. It's my understanding that the allowable for that  
21 south half would be shared between the two wells.

22 Q. Mr. Carnes, in your opinion would approval of  
23 this Application be in the best interests of conservation  
24 of oil and gas?

25 A. Yes, it would.

1           Q.    Can you tell the Examiner how -- Can you  
2 elaborate on that opinion?

3           A.    Well, I believe that the proposed location will  
4 drain reserves that otherwise would not be recovered with  
5 existing wells. And with a favorable relationship between  
6 the cash flow of that proposed well and the cost to drill,  
7 it's a very economical venture and would not waste any, you  
8 know, additional drilling cost.

9           Q.    Mr. Carnes, would approval of this Application  
10 allow Read and Stevens to recover its fair share of  
11 production from the south half of Section 26?

12          A.    Yes, I believe it would.

13               MR. PADILLA: Mr. Examiner, we tender Exhibits 3  
14 to 6, and we'll pass the witness at this time.

15               EXAMINER CATANACH: Exhibits 3 through 6 will be  
16 admitted as evidence.

17               Mr. Carr?

18               MR. CARR: I have no questions of Mr. Carnes.

19               EXAMINER CATANACH: Mr. Bruce?

20               MR. BRUCE: Just a few, Mr. Examiner.

21                               CROSS-EXAMINATION

22 BY MR. BRUCE:

23           Q.    Looking at your Exhibit 4, Mr. Carnes, you  
24 calculate drainage, and you've assumed radial drainage  
25 here, haven't you?

1           A.    Yes, the drainage can take any shape and form  
2           that the reservoir will allow it to.  It could -- Even  
3           though it's a north-south trend, it could be draining east-  
4           west or radial.

5           Q.    Or it could be draining, say, oblong in a north-  
6           south direction?

7           A.    Could be.

8           Q.    And if that's the case, this southwest quarter is  
9           already being drained by the Read and Stevens and UMC  
10          wells, is it not?

11          A.    Could be partially drained.  I do not believe it  
12          would be adequately drained.

13          Q.    Okay.  And did I understand you correctly when  
14          you said there were 94 acres unaffected at this point?

15          A.    Based on this map, and I think that's a very  
16          conservative estimate.

17          Q.    Now, Mr. Carnes, maybe you can't answer this  
18          question.  I don't know how long you've been involved in  
19          this area with Read and Stevens.  But, you know, the UMC  
20          Number 1 and 2 wells were drilled before the Harris Fed  
21          Number 4.  Why didn't Read and Stevens use the data from  
22          those two wells to move the Harris Fed Number 4 further to  
23          the west?

24          A.    I'd have to check the completion dates.  Do you  
25          have those?  I know the well in the southeast quarter, I

1 think was drilled in 1981; I'm not sure --

2 Q. Yeah, the White State Number 1 was drilled in  
3 1980, and that's in the southeast quarter of Section 35,  
4 and the White State Number 2 in the northwest quarter of  
5 Section 35 was drilled in August of 1981, and then the  
6 Harris Fed Number 4 was drilled in late November of 1981.

7 A. Okay. Well, it depends on when the wells go on  
8 stream. There was really little if any production data  
9 from the White State 2 at the time they drilled Harris Fed  
10 Number 4, so there might have been a different geological  
11 interpretation, but I can't answer it for sure for Read and  
12 Stevens.

13 Q. Okay. Also on your Exhibit 4, the drainage map,  
14 wouldn't this imply a constant sand thickness in your  
15 radial drainage?

16 A. I used the wellbore; yes, it would, it would  
17 imply that. There's some zones that have perforated that  
18 haven't been considered by the geologist involved here.  
19 This is a case where the engineer thinks the geologist is  
20 conservative. That usually doesn't happen.

21 Q. Now, getting back to questions I asked Mr.  
22 Brannigan, does the pressure data in this area indicate  
23 that reserves are being left in the ground?

24 A. The pressure data would in many cases be unique  
25 to each well. It can drain its own area without affecting

1 another well.

2 The original pressure is around 3200 to 3300 in  
3 some of these wells, which is a gradient of .375 p.s.i. per  
4 foot of depth.

5 You can have wells that make .6 billion. Because  
6 of the limited drainage, their pressure depletion on a time  
7 basis would take place at the same rate as a well that will  
8 make 9 billion.

9 So it is very difficult to determine  
10 interference, if that's what you're asking about.

11 Q. But what are the pressures in the Harris Fed  
12 Number 8, the Read and Stevens well to the north and the  
13 White State Number 2, the UMC well, to the south? Do you  
14 have that data?

15 A. The pressures are usually determined based on a  
16 required 24-hour shut-in at the surface, and I believe the  
17 Commission stopped reporting that data in 1993.

18 Q. Do you have any data --

19 A. I don't have anything later than that.

20 MR. BRUCE: That's all I have, Mr. Examiner.

21 MR. PADILLA: I have one question of Mr. Carnes.

22 REDIRECT EXAMINATION

23 BY MR. PADILLA:

24 Q. You were asked a question in cross-examination  
25 about why the well was drilled in the southeast quarter, if



1 other wells -- Well, let me restate the question.

2 You were asked the question about why the well  
3 was drilled in the southeast quarter. In fact, it  
4 conformed to spacings or location -- well-location  
5 requirements; isn't that right?

6 A. It did conform to those requirements, and at the  
7 time the geology might have been different so that they  
8 decided to drill it there to conform with the spacing  
9 requirements and the field rules.

10 MR. PADILLA: That's all I have.

11 EXAMINATION

12 BY EXAMINER CATANACH:

13 Q. Mr. Carnes, do you know what the current  
14 producing rate of the Number 4 well is?

15 A. The Number 4 is making approximately 30 MCF per  
16 day.

17 Q. Do you know at what point in time that well will  
18 be abandoned?

19 A. Unless Read and Stevens, the operator, has some  
20 plans for that well, it shouldn't be too long, because the  
21 economic limit rates at the current gas prices, I believe,  
22 are between 25 and 30 MCF per day.

23 Q. Will the effect of drilling the new well -- will  
24 that tend to reduce the recoveries of the Number 2 well to  
25 the south and the Number 8 well to the north?

1           A.    I do not believe that it will right now. The two  
2   White State wells, based on radial drainage, should be  
3   interfering with each other, and as I understand it there's  
4   a very gentle decline of 12 percent per year on the White  
5   State Number 2, the performance.

6           Q.    Mr. Carnes, do you know what the current  
7   allowable situation is in the Buffalo Valley?

8           A.    It's my understanding that every six months  
9   there's a hearing to discuss the allowables for the Buffalo  
10   Valley Penn wells, and operators will appear at that time  
11   to propose any changes.

12                  Right now, the two best wells, the Harris Fed  
13   Number 8 in Section 26, and the Harris Fed Number 9 in 23  
14   to the north, are around 33,000 MCF per month or 1000 MCF a  
15   day.

16                  But I understand from Jim Morrow, one of your  
17   proration experts, that a well that's capable of more than  
18   that can actually receive that allowable with a  
19   recommendation from the operator. And so you could have  
20   then the top allowable at 45,000 or higher per month, if  
21   that well was capable of producing that and there was a  
22   market for the gas.

23           Q.    Do you have an estimate on what the new well may  
24   initially produce?

25           A.    I think the new well will be capable of 1500

1 today.

2 Q. So what you're in essence telling me is that you  
3 don't think that they'll be restricted, due to the  
4 proration system?

5 A. I don't believe that it would.

6 MR. BRUCE: Mr. Examiner, I was at the most  
7 recent proration hearing, and I think the allowable is 33  
8 MMCF per month for wells in the --

9 THE WITNESS: Yeah, that's what I stated.

10 MR. BRUCE: Yeah.

11 Q. (By Examiner Catanach) Okay. It's your opinion,  
12 Mr. Carnes, that that well is necessary in order to  
13 effectively drain the remainder of that south half of that  
14 section?

15 A. Yes, sir, it is.

16 Q. And that's the optimum location in which to  
17 accomplish that?

18 A. I believe it is.

19 EXAMINER CATANACH: I have anything further of  
20 this witness. He may be excused.

21 MR. PADILLA: I have nothing else.

22 EXAMINER CATANACH: Okay.

23 MR. PADILLA: Mr. Examiner, I tendered Exhibit 7,  
24 which are notices. I noticed right before the hearing that  
25 we had a short letter from UMC -- the hearing. I have the

1 letter also that was sent to all interested parties, and  
2 I've marked that as Exhibit 7A, and I only have the  
3 original for that. I'll tender that. But the list of  
4 people is on there, people who received exhibits --

5 EXAMINER CATANACH: And these, Mr. Padilla, these  
6 represent the offset operators who were entitled to notice  
7 under the current rule?

8 MR. PADILLA: Yes.

9 BRETT JAMESON,  
10 the witness herein, after having been first duly sworn upon  
11 his oath, was examined and testified as follows:

12 DIRECT EXAMINATION

13 BY MR. BRUCE:

14 Q. Would you please state your name and city of  
15 residence for the record?

16 A. Yes, it's Brett Jameson, Parker, Colorado.

17 Q. And what is your occupation and who is your  
18 employer?

19 A. I'm a senior development engineer for UMC  
20 Petroleum Corporation.

21 Q. Have you previously testified before the  
22 Division?

23 A. No, I have not.

24 Q. Would you please briefly outline your educational  
25 and employment background?

1           A.    Yes, I graduated from Texas Tech University with  
2   a bachelor's in petroleum engineering in 1988 and have  
3   worked over the last seven years for several companies:  
4   Exxon, GLG Energy, General Atlantic, and UMC Petroleum.

5           Q.    And does your area of responsibility as a  
6   petroleum engineer at UMC include southeast New Mexico?

7           A.    Yes, it does.

8           Q.    And are you familiar with the engineering matters  
9   related to Read and Stevens' proposed well?

10          A.    Yes, I do.

11               MR. BRUCE:  Mr. Examiner, I would tender Mr.  
12   Jameson as an expert petroleum engineer.

13               MR. PADILLA:  No objection.

14               EXAMINER CATANACH:  He is so qualified.

15          Q.    (By Mr. Bruce)  Mr. Jameson, would you refer to  
16   UMC's Exhibit 1 and identify that for the Examiner?

17          A.    Yes, Exhibit 1 is a net sand map of the  
18   referenced Morrow or Atoka sand that is producing out of  
19   the Read and Stevens wells in Section 26 and the UMC wells  
20   in Section 35.

21               On that map it shows the same general trend,  
22   north-south type of channel system, that is contiguous  
23   across our lease line into theirs.

24          Q.    And the north-south trend is the same as  
25   discussed by Mr. Brannigan; isn't that --

1           A.    Yes, it is.

2           Q.    Okay.  And in your opinion, will drainage be  
3 along this north-south trend?

4           A.    Yes, the drainage would be right along the  
5 channel system there.

6           Q.    Okay.  Would you move on to your Exhibit 2?  What  
7 does that display?

8           A.    Exhibit 2 is a bubble map, not showing drainage  
9 radiuses but just showing relative production cumulatives  
10 from the wells in the leases in question, similar to  
11 cumulative numbers that Read and Stevens have brought up in  
12 the Harris Federal 8, 5.4 BCF; Harris Federal 4, about half  
13 a BCF; and then our White State 2, 5.4 BCF; and White State  
14 1, 3.6 BCF.

15          Q.    Okay.  And so, at least just looking at Sections  
16 26 and 35, the Harris Number 8, Read and Stevens' well, and  
17 then UMC's White State Number 2 are fairly equivalent  
18 wells?

19          A.    Correct.

20          Q.    Let's move on to your Exhibit 3.  Would you  
21 identify that for the Examiner and discuss its contents to  
22 show what you're trying to state there?

23          A.    Exhibit 3, starting in the upper left-hand part  
24 of the spreadsheet here, is current recoveries, and below  
25 that we have the two UMC wells in Section 35, and then the

1 two Read and Stevens wells in Section 26.

2 It shows the current rates in those two sections,  
3 being, you know, equivalent of about a million cubic feet a  
4 day of production. The cumulatives for the two leases show  
5 that we've cum'd a little bit more gas, 9.2 BCF versus 6.1,  
6 and that the estimated ultimate recovery in the two  
7 sections show that we will recover about 13.6 BCF, and  
8 they'll recover 10.2 BCF.

9 And this is all through decline curve analysis.  
10 We estimate we'll recover 4.3 or have that 4.3 remaining,  
11 and they have about 4 BCF remaining.

12 Towards the bottom part of the sheet, what I'm  
13 assuming here is that we are all in a common pool and it is  
14 contiguous in nature and is in pressure communication.

15 I assume that their new well, I have labeled  
16 "Proposed Well", would come on at 900 million or 900 MCF a  
17 day, which I guess is a little below what they're  
18 estimating, 1.5 million a day.

19 And then I took a percentage of these new rates,  
20 taking into account the new proposed well. And what I  
21 could do by that, then, is to estimate the remaining  
22 reserves, how those remaining reserves would be split up  
23 among those wells, based on the current rate.

24 What that shows in the last column is that UMC  
25 could lose 1.4 BCF of reserves due to interference in our

1 White State Number 1 and White State Number 2.

2 Q. Now, if this proposed well did come in at a  
3 substantially higher rate, could this affect your  
4 calculations?

5 A. Yes, certainly, that well, then, would recover --  
6 or potentially recover more reserves than I'm showing here,  
7 and therefore interfere with our wells to a greater degree.

8 Q. What type of data do you have on bottomhole  
9 pressures in this area?

10 A. The last data that I have is in 1992, which was a  
11 state-required 24-hour shut-in, and that showed that the  
12 Harris Federal Number 8, which is their good well in  
13 Section 26, was at about 1350 p.s.i., and our White State  
14 Number 2 in Section 35 was at about 1000 p.s.i.

15 Obviously, this is a 24-hour shut-in, and it's --  
16 a much longer shut-in would be preferred to see what  
17 reservoir pressure is, you know, to get a better comfort  
18 factor of reservoir pressure. But this is all we have.

19 Q. But it's still -- It does show a significant  
20 pressure depletion in this area?

21 A. That's correct. Virgin pressures were, you know,  
22 in the 3300 to 3500 p.s.i. range. So there has been  
23 significant depletion.

24 Q. Have you calculated drainage areas of the Read  
25 and Stevens Harris Fed Number 8 and the UMC White State



1 Number 2 wells?

2 A. Yes, I have, and I did it fairly similar to how  
3 Read and Stevens did, in that I maintained a constant net  
4 sand in that drainage are, which, you know, looking at our  
5 map, may be incorrect. You should probably reduce the net  
6 sand across that acreage. But I calculated about 360 acres  
7 for the Harris Federal Number 8 and about 420 acres for the  
8 White State Number 2.

9 Q. In you opinion, will drainage in this area of the  
10 reservoir be radial?

11 A. No, it will not.

12 Q. In your opinion, would it be more oblong,  
13 trending along the north-south axis of the reservoir?

14 A. Yes.

15 Q. Now, based on your testimony, will Read and  
16 Stevens' proposed well recover any new reserves?

17 A. Not based on my -- on the data that I have in  
18 hand. I think the only way to determine that would be to  
19 have some prolonged pressure buildups performed on the  
20 existing wells and possibly do some interference testing to  
21 see what kind of interference, you know, you have between  
22 wellbores.

23 Certainly the state data of 24-hour shut-ins show  
24 that, you know, you are depleting the reservoir at a fairly  
25 consistent rate, constant rate.

1 Q. So the Read and Stevens well, the existing Number  
2 8 well, and the UMC Number 2 well, will recover all the  
3 reserves in this area, in your opinion?

4 A. I believe so.

5 Q. As a result, should the proposed well be drilled?

6 A. No, it should not.

7 Q. Now, if the OCD were to approve the well, in your  
8 opinion, should there be a penalty on production?

9 A. Yes, I believe there should be.

10 Q. And what would you propose?

11 A. I would propose a minimum of 65 to 70 percent. I  
12 would base that on the fact that their well is 990 off of  
13 the section line between Section 26 and Section 35. Our  
14 White State Number 2 is making about 700 MCF a day. So I  
15 would, you know, expect that their well should only make  
16 about half of that rate, since it's twice as close to the  
17 lease line as our well.

18 Q. And your White State Number 2 is 1980 off the top  
19 of that common lease line?

20 A. Correct.

21 Q. And so you're just factoring 990 in over the  
22 total distance? 990 divided by 990, plus 1980, if I may?

23 A. That's right.

24 Q. Okay. Now, were Exhibits 1 through 3 prepared by  
25 you or under your direction?

1           A.    Yes, they were.

2           Q.    And in your opinion, is the denial of the Read  
3   and Stevens Application in the best interests of  
4   conservation and the prevention of waste?

5           A.    Yes.

6           MR. BRUCE:  Mr. Examiner, at this time I would  
7   move the admission of UMC's Exhibits 1 through 3.

8           EXAMINER CATANACH:  Exhibits 1 through 3 will be  
9   admitted as evidence.

10                               CROSS-EXAMINATION

11   BY MR. PADILLA:

12           Q.    Mr. Jameson, are you making a case for 640-acre  
13   spacing here?

14           A.    No, sir.

15           Q.    In fact, spacing for both pools is 320 acres;  
16   isn't that right?

17           A.    That is correct.

18           Q.    Every owner there is entitled to recover his fair  
19   share of production or fair share of reserves underlying  
20   each 320-acre proration unit; is that right?

21           A.    That is correct.

22           Q.    If your geology conforms with the geology of Read  
23   and Stevens, has not the southwest corner of Section 26,  
24   not been drained by Read and Stevens?

25           A.    I'm sorry, could you restate that again?

1           Q.    If your geology, which is in general agreement  
2   with the Read and Stevens geology, is -- Well, you've  
3   essentially agreed with Read and Stevens on geology; isn't  
4   that right?

5           A.    That's correct.

6           Q.    There are reserves in the southwest quarter of  
7   Section 26 that have not been drained; is that right?

8           A.    No, I would say the Harris Federal Number 8 has  
9   drained down into that quarter section, along the trend.

10          Q.    But spacing -- You're not challenging 320-acre  
11   spacing; isn't that right?

12          A.    No, I'm not.

13          Q.    Spacing, the way the current rules say, one well  
14   to 320 acres, right?

15          A.    That's correct.

16          Q.    The Application of Read and Stevens would throw  
17   in the production currently from the Harris Federal Number  
18   4, into, for purposes of allowable, upon the 320-acre  
19   proration unit consisting of the south half of Section 26,  
20   right?

21          A.    Correct.

22          Q.    Okay. Now, do you disagree with Read and Stevens  
23   that that Harris Federal Number 4 has not drained the  
24   southwest quarter of Section 26?

25          A.    Yes, I would agree with that. I would say the

1 Harris Federal 8 has probably drained that area.

2 Q. It has drained the entire southwest quarter?

3 A. It has drained along the channel system trend.  
4 If we were to planimeter that area of the trend that is  
5 approximately -- I'm eyeballing this -- 400 acres,  
6 extending from the northwest to the southwest of Section  
7 26, I would say that would be the drainage area that the  
8 Harris Federal has drained.

9 Q. And at the same time, you're saying that the  
10 Harris Federal Number 8, and your well, the White State  
11 Number 2, is draining the southwest quarter?

12 A. Yeah, I just -- The Harris Federal 8, I believe,  
13 would be -- would have drained that southwest quarter.

14 Q. All of it?

15 A. Like I said, until we had better pressure data, I  
16 think it would be difficult to say at this time how drained  
17 that southwest quarter is. But with the pressure data we  
18 have, yeah, it's drained down to 1300 p.s.i.

19 Q. And you're saying there are no reserves in the  
20 southwest quarter?

21 A. I'm saying the reserves that are in the southwest  
22 quarter will be recovered by the Harris Federal 8. There's  
23 still 4 BCF of reserves remaining to be recovered by the  
24 Harris Federal 8.

25 Q. Well, you've also proposed a penalty. If you're

1 saying the Harris Federal Number 8 is draining the  
2 southwest corner of Section 24, perhaps we ought to  
3 penalize the White State Number 2 well, because it's closer  
4 to the lease line.

5 A. The production in the Section 26 and the  
6 production in the Section 35 right now are both a million a  
7 day, so I think you've got equivalency there.

8 Q. Yeah, but if you're doing it on a footage basis  
9 and you're saying these two wells are the ones that are  
10 draining that southeast quarter, then realistically you  
11 ought to penalize the White State Number 2, right?

12 A. Actually, the White State Number 2 is making 700  
13 a day, and the Harris Federal 8 is making a million a day,  
14 so you'd have to work the numbers out.

15 Q. But you're working solely on footage in your  
16 proposed penalty?

17 A. Yeah, that was the only actual mathematical type  
18 of argument that I could come up with. If anybody has any  
19 other potential --

20 Q. Well, you're throwing in pressure data --

21 A. -- you know, penalty calculations, I'd be  
22 interested to hear them.

23 Q. Well, you're throwing in pressure data now, and  
24 stuff like that. But the only proposal you had was based  
25 on footage, right?

1           A.    That is correct.

2           Q.    And you don't disagree that spacing is on 320  
3 acres?

4           A.    No, sir, I don't.

5           Q.    And you're not prorated, correct? Your well is  
6 not prorated?

7           A.    Yeah, I believe that's correct.

8           Q.    And you can produce your well at any rate that  
9 you can?

10          A.    That's correct.

11          Q.    Mr. Jameson, you could have put your well closer  
12 to the section line, to the north line of Section 35,  
13 right?

14          A.    As I understand the field rules, yes.

15               MR. PADILLA: One moment, Mr. Examiner.

16          Q.    (By Mr. Padilla) Mr. Jameson, on your Exhibit --  
17 let's see, Number 3, on your estimated ultimate recovery,  
18 you're still going to produce approximately 3 BCF more gas,  
19 right?

20          A.    You mean estimated ultimate recovery for our  
21 section versus your section?

22          Q.    Right.

23          A.    Yes, that's correct.

24               MR. PADILLA: I have nothing further, Mr.  
25 Examiner.

1 MR. BRUCE: A couple of follow-up questions.

2 REDIRECT EXAMINATION

3 BY MR. BRUCE:

4 Q. If this new well is drilled, Mr. Jameson, they'll  
5 have -- what? Two wells that at their guess, 2500 MCF per  
6 day, competing against your 700-MCF-per-day well; is that  
7 correct?

8 A. Yes, but based on my analysis, you know, I'd want  
9 to put in our White State 1, which would be 380. So --

10 Q. Okay, so 2500 versus one million?

11 A. Correct.

12 Q. Or I mean 1000?

13 A. Correct.

14 Q. It would still be a substantial advantage?

15 A. Yeah, it would be worse than what I'm presenting  
16 here on Exhibit 3.

17 MR. BRUCE: Okay, that's all I have, Mr.  
18 Examiner.

19 EXAMINATION

20 BY EXAMINER CATANACH:

21 Q. Mr. Jameson, has the White State Number 2  
22 contributed to the drainage of the southwest quarter of  
23 Section 26?

24 A. Again, that would be hard to determine without,  
25 you know, trying to do volumetrics along the isopach to see



1 exactly where that would extend, but it's certainly  
2 possible.

3 Q. Well, how have you determined that the Harris  
4 Federal Number 8 has drained that southwest quarter?

5 A. Again, you know, you're going along this trend,  
6 and so it would have to be in a north-south direction, not  
7 in a radial direction, as our exhibits have shown, or  
8 estimated.

9 Q. Well, your White State Number 2 is located closer  
10 to the southwest quarter than the Harris Federal Number 8.  
11 Do you think -- Is that significant in terms of drainage?

12 A. Yeah, it depends on what you're calling the  
13 southwest quarter. If you're looking at the middle of the  
14 southwest quarter, I'd have to get out a ruler, but they're  
15 actually closer. If you're talking about their south line  
16 of the section, yes, we are closer.

17 Q. With the current data, you can't really pinpoint  
18 what areas these wells have drained or will drain; is that  
19 correct?

20 A. That's correct, sir.

21 Q. Now, you stated that it was your opinion that you  
22 didn't think the new well would recover any new reserves.  
23 What is that statement based on?

24 A. That statement's based on the only available  
25 pressure data, which shows that virgin reservoir pressure

1 was 3300 p.s.i. We're now in the neighborhood of 1000 to  
2 1300 p.s.i., which, because the White State 2 and the  
3 Harris Federal 8 are relatively similar in pressure, would  
4 make you think that you're having a fairly, you know,  
5 continuous drawdown of reservoir pressure, and therefore  
6 the area between them has probably been drawn down, you  
7 know, along that same -- at that same rate.

8 Like I said, you know, better bottomhole pressure  
9 data, I think, would be required to really prove or  
10 disprove whether new reserves could be recovered.

11 Q. Mr. Jameson, based upon the reservoir geometry,  
12 is it likely that Section 26 initially had more gas in  
13 place than Section 35?

14 A. I would have to, you know, planimeter the area.  
15 But visually looking at it I would say, yes, it probably  
16 did.

17 Q. Now, are you guys proposing that the new well  
18 just be allowed to produce at 65 percent of its potential;  
19 Is that what you're proposing?

20 A. Actually, at half of the White State Number 2  
21 rate, which would be 350 MCF a day. Yeah, that would come  
22 out to the same thing. 65 percent of a million a day, I  
23 think, is the allowable. So that is correct.

24 Q. So you're actually proposing to limit it to a  
25 rate of 350 MCF a day?

1 A. Yes, sir.

2 Q. And that would accomplish what?

3 A. I believe that would accomplish, assuming like  
4 I've put in this spreadsheet, that Section 26 and 35 are a  
5 set volume that is going to be recovered by existing  
6 production, then that will allow that they will not -- the  
7 proposed well will not produce reserves from our lease.

8 Q. That would effectively -- In your opinion, that  
9 would effectively limit the drainage area of that new well  
10 to the southwest corner of Section 26?

11 A. Yes, in essence.

12 EXAMINER CATANACH: I have nothing further of the  
13 witness.

14 Is there anything further of this witness?

15 MR. BRUCE: Yeah, I just wanted to clarify one  
16 thing, Mr. Examiner.

17 FURTHER EXAMINATION

18 BY MR. BRUCE:

19 Q. He was -- I think your question was a 65-percent  
20 allowable. What you were proposing was a 65-percent  
21 penalty, wasn't it?

22 A. That's correct, 65-percent penalty of a million a  
23 day, which would be 350 a day.

24 Q. Do you have anything further to add?

25 A. The only thing further I would like to add is

1 that UMC purchased these properties in 1989, actually under  
2 -- General Atlantic Resources purchased these properties in  
3 1989, and then we merged into UMC.

4 But we have produced more gas to date than Read  
5 and Stevens has. That in essence happened before we  
6 purchased the properties. We bought the properties based  
7 on extrapolating decline curves, and assumed that there  
8 wouldn't be any further development because of the  
9 orientation of the field rules.

10 And so we don't -- you know, that's what our  
11 objection is, I guess, is that we don't feel like we should  
12 be penalized because our predecessor cum'd more gas than  
13 Read and Stevens. Either due to geological interpretation,  
14 luck or whatever, our wells were drilled on trend better  
15 than the Read and Stevens wells, and so we probably  
16 recovered more for that reason, and I just wanted to bring  
17 that point up.

18 EXAMINER CATANACH: Okay, anything further?

19 MR. BRUCE: Not for me.

20 EXAMINER CATANACH: Okay, there being nothing  
21 further, we will take this case under advisement.

22 (Thereupon, these proceedings were concluded at  
23 1:28 p.m.)

24 \* \* \*

25


## CERTIFICATE OF REPORTER

STATE OF NEW MEXICO    )  
                                   )   ss.  
 COUNTY OF SANTA FE    )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL May 21st, 1996.

  
 STEVEN T. BRENNER  
 CCR No. 7

My commission expires: October 14, 1998

I do hereby certify that the foregoing is a complete record of the proceedings in the Examined hearing of Case No. 1154, heard by me on May 16 1996.

  
 \_\_\_\_\_, Examiner  
 Oil Conservation Division