

STATE OF NEW MEXICO


ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION COMMISSION

IN THE MATTER OF THE HEARING CALLED BY
THE OIL CONSERVATION COMMISSION FOR THE
PURPOSE OF CONSIDERING:

APPLICATION OF YATES PETROLEUM
CORPORATION FOR AMENDMENT OF THE SPECIAL
POOL RULES AND REGULATIONS FOR THE NORTH
DAGGER DRAW-UPPER PENNSYLVANIAN POOL AND
FOR THE CANCELLATION OF OVERPRODUCTION,
EDDY COUNTY, NEW MEXICO

APPLICATION OF YATES PETROLEUM
CORPORATION FOR AMENDMENT OF THE SPECIAL
POOL RULES AND REGULATIONS FOR THE SOUTH
DAGGER DRAW-UPPER PENNSYLVANIAN POOL AND
FOR THE CANCELLATION OF OVERPRODUCTION,
EDDY COUNTY, NEW MEXICO



CASE NOS. 11,525

and 11,526

(Consolidated)

REPORTER'S TRANSCRIPT OF PROCEEDINGS
COMMISSION HEARING

ORIGINAL

BEFORE: WILLIAM J. LEMAY, CHAIRMAN
WILLIAM WEISS, COMMISSIONER
JAMI BAILEY, COMMISSIONER

(Volume I)
September 18th, 1996
Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Commission, WILLIAM J. LEMAY, Chairman, on Wednesday, September 18th, 1996 (Volume I), at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

September 18th, 1996 (Volume I)
 Commission Hearing
 CASE NOS. 11,525 and 11,526 (Consolidated)

	PAGE
EXHIBITS	3
APPEARANCES	4
OPENING STATEMENTS	
By Mr. Carr	12
By Mr. Kellahin	19
APPLICANT'S WITNESSES:	
<u>RANDY G. PATTERSON</u> (Landman)	
Direct Examination by Mr. Carr	32
Cross-Examination by Mr. Kellahin	52
Examination by Mr. Bruce	68
Examination by Commissioner Bailey	69
Examination by Commissioner Weiss	69
Examination by Chairman LeMay	70
<u>BRENT MAY</u> (Geologist)	
Direct Examination by Mr. Carr	73
Cross-Examination by Mr. Kellahin	96
Examination by Commissioner Bailey	106
Examination by Commissioner Weiss	107
Examination by Chairman LeMay	107
<u>ROBERT S. FANT</u> (Engineer)	
Direct Examination by Mr. Carr	110
Cross-Examination by Mr. Kellahin	179
Examination by Mr. Bruce	228
Redirect Examination by Mr. Carr	231
Examination by Commissioner Bailey	233
Examination by Commissioner Weiss	238
Examination by Chairman LeMay	247
REPORTER'S CERTIFICATE	256

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	34	52
Exhibit 2	75	96
Exhibit 3	80	96
Exhibit 4	84	96
Exhibit 5	89	96
Exhibit 6	91	96
Exhibit 7	115	179
Exhibit 8	120	179
Exhibit 9	122	179
Exhibit 10	123	179
Exhibit 11	126	179
Exhibit 12	129	179
Exhibit 13	131	179
Exhibit 14	135	179
Exhibit 15	139	179
Exhibit 16	144	179
Exhibit 17	149	179
Exhibit 18	152	179
Exhibit 19	154	179
Exhibit 20	157	179
Exhibit 21	161	179
Exhibit 22	163	179
Exhibit 23	166	179
Exhibit 24	168	179
Exhibit 25	174	179

* * *

Conoco	Identified	Admitted
Exhibit A	64	65
Exhibit 6	22	-

* * *

A P P E A R A N C E S

FOR THE COMMISSION:

LYN S. HEBERT
Deputy General Counsel
Energy, Minerals and Natural Resources Department
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR YATES PETROLEUM CORPORATION
and NEARBURG EXPLORATION COMPANY:

CAMPBELL, CARR, BERGE and SHERIDAN, P.A.
Suite 1 - 110 N. Guadalupe
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: WILLIAM F. CARR

FOR CONOCO, INC.:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

(Continued...)

A P P E A R A N C E S (Continued)

FOR MARATHON OIL COMPANY:

MONTGOMERY & ANDREWS, P.A.
325 Paseo de Peralta
P.O. Box 2307
Santa Fe, New Mexico 87504-2307
By: EDMUND H. KENDRICK

FOR JAMES T. JENNINGS:

PADILLA LAW FIRM, P.A.
1512 South St. Francis Drive
P.O. Box 2523
Santa Fe, New Mexico 87504-2523
By: ERNEST L. PADILLA

FOR MEWBOURNE OIL COMPANY
and UNIT PETROLEUM COMPANY:

HINKLE, COX, EATON, COFFIELD & HENSLEY
218 Montezuma
P.O. Box 2068
Santa Fe, New Mexico 87504-2068
By: JAMES G. BRUCE

* * *

1 WHEREUPON, the following proceedings were had at
2 8:25 a.m.:

3 CHAIRMAN LEMAY: We shall now call Case 11,525,
4 the Application of Yates Petroleum Corporation for
5 amendment of Special Pool Rules and Regulations for the
6 North Dagger Draw-Upper Pennsylvanian Pool and for
7 cancellation of overproduction, Eddy County, New Mexico,
8 and consolidate that case, without objection, with Case
9 11,526, which is the Application of Yates Petroleum
10 Corporation for amendment of Special Pool Rules and
11 Regulations for the South Dagger Draw-Upper Pennsylvanian
12 Pool and for the cancellation of overproduction.

13 Can I call for appearances in Cases Number 11,525
14 and 11,526?

15 MR. CARR: May it please the Commission, my name
16 is William F. Carr with the Santa Fe law firm Campbell,
17 Carr, Berge and Sheridan. I would like to enter my
18 appearance in this case for Yates Petroleum Corporation and
19 also enter an appearance for Nearburg Exploration Company.

20 (Off the record)

21 CHAIRMAN LEMAY: Mr. Kellahin?

22 MR. KELLAHIN: Mr. Chairman, I'm Tom Kellahin of
23 the Santa Fe law firm of Kellahin and Kellahin. We're
24 appearing on behalf of Conoco, Inc., this morning, and I
25 have two witnesses to be sworn.

1 At the appropriate time I'll have comments about
2 liking these two cases. We're opposed to the
3 consolidation, and I'll explain that when the time comes.

4 CHAIRMAN LEMAY: Fine, okay.

5 Mr. Kendrick?

6 MR. KENDRICK: Mr. Chairman, I'm Ned Kendrick
7 with the Santa Fe firm Montgomery and Andrews, entering my
8 appearance for Marathon Oil Company.

9 We're actually -- I guess we're entering an
10 appearance in both cases if they're consolidated, but if
11 they're separated we're just entering an appearance in
12 11,526, the South Dagger Draw case.

13 CHAIRMAN LEMAY: Okay.

14 Ernie?

15 MR. PADILLA: Mr. Chairman, my name is Ernest L.
16 Padilla, Padilla Law Firm in Santa Fe, New Mexico,
17 appearing for James T. Jennings.

18 CHAIRMAN LEMAY: For who?

19 MR. PADILLA: James T. Jennings.

20 CHAIRMAN LEMAY: For Jim Jennings?

21 MR. PADILLA: Yes, sir.

22 MR. BRUCE: Mr. Chairman, Jim Bruce from the
23 Hinkle law firm in Santa Fe, and I'm here representing
24 Mewbourne Oil Company and Unit Petroleum Company.

25 CHAIRMAN LEMAY: And who?

1 MR. BRUCE: Unit Petroleum.

2 CHAIRMAN LEMAY: Unit, U-n-i-t. Thank you, Mr.
3 Bruce.

4 MR. CARROLL: May it please the Commission, my
5 name is Rand Carroll, appearing on behalf of the Oil
6 Conservation Division. I have no witnesses at this time.

7 CHAIRMAN LEMAY: Okay, thank you very much.

8 At this time I think we'll swear in the
9 witnesses, then hear Mr. Kellahin's objection to
10 consolidation.

11 Will those that are about to give testimony in
12 these cases, separate or together, please stand and raise
13 your right hands?

14 (Thereupon, the witnesses were sworn.)

15 CHAIRMAN LEMAY: Mr. Kellahin, do you want to
16 tell us why you don't want these cases consolidated?

17 MR. KELLAHIN: Yes, sir. Perhaps I could
18 expedite that by simply making my opening presentation to
19 you. During the course of that I can describe for you our
20 concerns about how the cases are linked, and then you can
21 decide how you want us to make that presentation.

22 CHAIRMAN LEMAY: Okay. Just a point of
23 clarification. Were these cases consolidated for purposes
24 of testimony for the Division hearing?

25 MR. KELLAHIN: Yes, they were, Mr. Chairman.

1 MR. CARR: Mr. Chairman before we get into Mr.
2 Kellahin's opening statement, I am the Applicant in the
3 case and I really do have the right to go first, and I
4 would like to do that.

5 And before we get into opening statements, there
6 is another matter that I must bring to the Commission's
7 attention.

8 Yesterday afternoon I received from the Division
9 a copy of a letter from a Mr. Bob Ireland of Conoco, dated
10 September the 9th. In what is reminiscent of tactics of
11 Doyle Hartman, we have a rambling tirade in which this
12 individual purports to know a great deal about this case,
13 about the activities of Yates, about the activities of the
14 OCD and Mr. Gum and about the law.

15 None of it is sworn testimony. The accusations
16 are the kinds of accusations that must be responded to
17 before they can be considered. An individual who makes
18 comments like that has to come forward and take his oath
19 and be subjected to cross-examination.

20 To suggest that the letter is not designed to
21 affect the outcome of this case is absolutely ridiculous.
22 The letter was addressed to you, Mr. LeMay. It was copied
23 to Commissioner Bailey, it was copied to Commissioner
24 Weiss, and to Jennifer Salisbury, the individual to whom
25 two of you report.

1 If this is to be considered, we have to have a
2 right to have Mr. Ireland here to cross-examine him,
3 because our due-process rights are violated if that does
4 not occur. And after he testifies, perhaps we would have
5 to also have Mr. Gum before the body. We're not suggesting
6 that is the appropriate thing to do.

7 What we are suggesting --

8 MR. KELLAHIN: Objection, Mr. Chairman.

9 MR. CARR: We are -- State your objection.

10 MR. KELLAHIN: Yes, sir. Point of procedure, Mr.
11 Chairman. I'm aware of Mr. Ireland's letter. I did not
12 write the letter. If Mr. Carr wants to have it introduced
13 as evidence in this proceeding, we need to decide how to
14 handle that. My understanding of the procedures here are
15 that that letter is not evidence before you, and you simply
16 disregard it. And yet Counsel wants to comment on the
17 letter on the record. We need to clear up how to do that.

18 MR. CARR: I'm not suggesting, Mr. Chairman, that
19 Mr. Kellahin wrote the letter. He wouldn't do that.

20 I am suggesting that the letter came from one of
21 the parties. I am telling you that if it is included in
22 the record, we have to do other things that we don't want
23 to do, and I'm asking you on the record to declare that it
24 will not be part of the record, it will not be considered.

25 CHAIRMAN LEMAY: Mr. Kellahin, is that your

1 recommendation, that it not be part of the record and not
2 considered?

3 MR. KELLAHIN: It is not part of the record, Mr.
4 Chairman. It's not one of my exhibits. I don't propose to
5 call Mr. Ireland. I read the letter. We will cover all
6 the issues that Conoco feels appropriate in the appropriate
7 way before this forum this morning, and perhaps this
8 afternoon, but I think Mr. Carr is premature in suggesting
9 that we need to debate the contents of the letter. They're
10 not evidence before you.

11 MR. CARR: I'm not intending to debate the
12 contents of the letter. If anything is premature, it is
13 one of the parties trying to *ex parte* the Commission, and
14 all we're asking is that when we go into this the field be
15 level, we present our own cases with sworn testimony, and
16 that this Commission simply declare they will not consider
17 that letter.

18 CHAIRMAN LEMAY: So it's both your
19 recommendations that we ignore the letter and not consider
20 it in the case?

21 MR. KELLAHIN: Yes, sir.

22 (Off the record)

23 CHAIRMAN LEMAY: Okay, let the record reflect
24 that this letter that came from Bob Ireland of Conoco,
25 addressed to me with copies to both Commissioners and

1 Secretary Salisbury, that that not be considered in this
2 case and be -- the ex parte communication, and will no
3 longer be considered. It never was considered, and it
4 won't be.

5 Will that satisfy you, Mr. Carr, and you, Mr.
6 Kellahin?

7 MR. KELLAHIN: It was Mr. Carr's problem.

8 CHAIRMAN LEMAY: Fine. Well, it won't be
9 considered, Mr. Carr.

10 MR. CARR: Thank you, Mr. Chairman.

11 CHAIRMAN LEMAY: Oh, a note of clarification for
12 the record. I don't think Commissioner Weiss reports to
13 Secretary Salisbury. That is, he's with the Petroleum
14 Recovery Research Center in Socorro, and Secretary --

15 MR. CARR: I understood he was designated to sit
16 by her.

17 CHAIRMAN LEMAY: He's the Secretary's designee
18 but does not report to her.

19 MR. CARR: I was concerned she would have
20 questions that she would direct to her designee. But I
21 appreciate your ruling.

22 May it please the Commission, the case before you
23 raises some very important questions for the Commission to
24 resolve. The answers to those questions are going to
25 really determine how the North Dagger Draw-Upper

1 Pennsylvanian Pool and the South Dagger Draw-Upper
2 Pennsylvanian Associated Pool are developed in the future.
3 And as you know, these are the largest oil-producing pools
4 in the State of New Mexico.

5 The answers to the questions that are presented
6 to you today are also going to determine if the Oil
7 Conservation Commission and Division will meet their
8 responsibilities to prevent the waste of oil.

9 What we're dealing with is a very complicated
10 reservoir, and I'll direct you to my map. Mr. Kellahin and
11 I have the war of the maps going on. But what we've got
12 is, we have one reservoir, and it was initially -- In the
13 early Seventies, there were a couple of discoveries. But
14 what we discovered as development occurred was, in fact,
15 one reservoir, North Dagger Draw, South Dagger Draw and
16 Indian Basin-Upper Penn. It is all basically one
17 continuous reservoir that extends through this area.

18 The zones are continuous, but we're going to show
19 you that the producing characteristics well by well may be
20 very different.

21 As I noted, the pools were discovered in the
22 early 1970s, and the operators and the Oil Conservation
23 Division have been called on numerous times to revise and
24 develop rules that will govern how this particular
25 reservoir is developed. And it is because it is perhaps

1 the most complicated oil reservoir ever in the State of New
2 Mexico.

3 But one thing has always been known about this
4 reservoir, that along with the production of oil,
5 substantial volumes of water are produced. And it has long
6 been understood that it is more efficient to produce this
7 reservoir at high rates, because at high rates water cut
8 drops, more oil is produced, and waste is prevented.

9 And that's also the reason that over the years
10 the rules have been adopted and revised, basically to
11 accommodate production from the better wells in the pool,
12 because when they're curtailed waste does occur.

13 Initially, when wells were produced -- or drilled
14 and produced in this reservoir, they came on at very high
15 rates and quickly experienced very rapid production
16 declines.

17 In 1995, however, certain wells in primarily the
18 northern portion of the field -- they came on strong, but
19 they did not experience the decline that had been typical
20 of wells drilled earlier in the development of this
21 reservoir.

22 A meeting occurred between representatives of
23 Yates and the District Supervisor for the Artesia Office in
24 mid-1995 concerning this phenomenon. At that meeting the
25 problem was discussed, and the problem was not resolved.

1 And during 1995 and 1996, Yates and certain other operators
2 continued to drill wells in the pool, produced at very high
3 rates, did not experience the production decline that wells
4 developed earlier in the life of the reservoir, and these
5 wells became overproduced.

6 And as a result of this practice, a number of
7 spacing units in the pool are substantially overproduced.
8 Yates has a lot. The overproduction is over 900,000
9 barrels of oil.

10 The Division Supervisor and representatives of
11 Yates met again in April of this year, and at that meeting
12 Yates proposed to cut wells back on these units to the
13 current allowable limit of 700 barrels of oil per day and
14 also to immediately bring this matter to Santa Fe in the
15 form of hearings to try and determine what could be done
16 with this phenomenon in this reservoir.

17 Yates curtailed the wells, Yates filed the
18 Applications and an Examiner hearing was scheduled for May
19 2nd, 1996.

20 On April 26th, Conoco filed its entry of
21 appearance and requested a continuance of these cases,
22 stating that it had not been provided adequate time to
23 prepare for the hearing. Conoco requested that the
24 Examiner hearing be continued to June 13, 1996.

25 Because of our agreement with Mr. Gum to bring

1 these cases to Santa Fe as quickly as possible, we have
2 responded to the request for the continuance, stating we
3 did not object to it, but because of our agreement we could
4 not concur in it.

5 On April 29th, the Division denied the request,
6 would not let the case be rolled back to the June 13th
7 because of the urgency of the issue presented. The case
8 was heard May the 2nd and 3rd, and an order was not entered
9 for 104 days. It came out August the 14th, 1996.

10 We've known that curtailing wells caused waste,
11 and we will show you that during that 104 days while we
12 waited for an order, over 21,000 barrels of oil that were
13 recoverable May the 2nd became unrecoverable and were
14 wasted.

15 The orders from the Division address two issues.
16 The first one was the overproduction. And before the
17 Examiner, Yates requested that the overproduction be
18 canceled. It showed that waste would be caused by
19 restricting the overproduced wells, and it presented
20 evidence that correlative rights had not been violated by
21 the overproduction.

22 Conoco opposed. Conoco argued that additional
23 study was needed and expressed concerns that its
24 correlative rights were and had been impaired.

25 The Division ruled by denying the request to

1 cancel the overproduction, by reducing the allowables for
2 the overproduced units to 350 barrels a day. They cut the
3 allowable for these units by 50 percent. They required
4 that all spacing units be brought back into balance within
5 18 months. And they required monthly reporting on progress
6 by the operators of those overproduced units, progress
7 reported to the Artesia office, showing monthly what they
8 were doing to get the wells back into balance.

9 The Division also denied the request to increase
10 the allowables in these pools. That was the second
11 question presented and addressed by those orders.

12 Instead of ruling on the technical data at that
13 hearing, and although we presented data from over 280 wells
14 that had been accumulated for a period of over 25 years,
15 the Division dismissed the arguments as premature.

16 The Division did not exercise its expertise and
17 competence in oil and gas matters, in engineering matters,
18 in matters related to geology, but instead decided to form
19 a committee of operators and to tell that committee that
20 they should study the pool for 18 months and come back then
21 and report and recommend changes in the rules. They also
22 said that if when we came back in 18 months, we didn't
23 basically have a unanimous agreement, they stated they
24 would not change the rules.

25 Faced with this, faced with what we believe is

1 compelling evidence that in the 104 days, 21,000 barrels of
2 oil were wasted, we filed for a *de novo* hearing.

3 The same day we filed for *de novo* hearing, we
4 sought a stay of the orders pending this hearing and an
5 opportunity for you to review these questions. And the
6 stay was granted. And even though the stay was granted, we
7 have curtailed our wells and we are producing them now at a
8 350-barrel-a-day limit, the limit imposed by the Division
9 Order.

10 At the hearing today we're going to call three
11 witnesses. Randy Patterson is the Secretary of Yates
12 Petroleum Corporation, and he's going to review the
13 historical development of the rules for the pool, and he's
14 then going to make recommendations as to how the Commission
15 should deal with the current overproduction.

16 We'll call Brent May, a geologist. He'll review
17 generally the geology of the reservoir, and he's going to
18 show you that as we move across the field, even though you
19 can correlate zones well by well, that there's a
20 compartmentalization of the reservoir that you can see from
21 a geologic point of view that affects how wells produce.

22 And finally we'll call Robert S. Fant, the
23 petroleum engineer who's primarily responsible for Dagger
24 Draw development for Yates, and he's going to present the
25 results of the engineering work that Yates has done over

1 the years to try and understand this complicated reservoir.
2 He's going to make recommendations to you for increases in
3 the allowables for these pools. And he's going to show you
4 that without a substantial increase in the allowables,
5 waste, substantial waste, is going to occur.

6 I would reserve the right to respond to the
7 request not to continue the cases until after Mr.
8 Kellahin's opening.

9 CHAIRMAN LEMAY: Thank you, Mr. Carr.

10 Mr. Kellahin?

11 MR. KELLAHIN: Thank you, Mr. Chairman.

12 Mr. Carr's display shows you part of the
13 relationship in this dolomite reservoir. It's a long
14 fairway. The reservoir has been managed with three
15 separate sets of pools and their pool rules.

16 The little bump in the contour here, occurring in
17 the separation between the two townships, this is the
18 approximate southern limit of North Dagger Draw. When you
19 get down below that area, you're in South Dagger Draw,
20 which is a transition area into Indian Basin-Upper Penn.
21 And when we come before the Commission every six months and
22 talk about the prorated gas allowable for Indian Basin,
23 this is what we're talking about, down here in the southern
24 unit.

25 You're going to hear testimony from the various

1 witnesses about what we've characterized a violation area.
2 That violation area occurred in North Dagger Draw. Over on
3 the eastern flank there are about six sections involved
4 over in this violation area. I have reproduced the
5 violation area on my display, and I'll describe that for
6 you in a moment.

7 While the geologists are in agreement that this
8 is a continuous dolomite fairway, where geologically you
9 can see the continuity of the reservoir, the storage of
10 fluids is substantially different.

11 North Dagger Draw is an oil pool. It makes
12 substantial amounts of water. The testimony is that this
13 is not an active water drive, simply pressure depletion.
14 But in doing so, you produce lots of water.

15 You get into the transition area in South Dagger
16 Draw, and there is a very thin oil rim and, depending upon
17 how you make those completions in the transition area in
18 South Dagger Draw, you may get a gas well or an oil well.

19 And when you get down into South Dagger Draw
20 and -- I'm sorry, Indian Basin, and you get into the gas
21 cap.

22 Let me describe for you how the rules, then, have
23 been handled up to now.

24 In North Dagger Draw we have 160-acre oil
25 spacing. The spacing allowable is 700 barrels of oil a day

1 for the 160 acres. Operators are permitted to drill
2 additional wells, other than one. Some operators have
3 chosen to drill as many as four.

4 And as a result of drilling as many as four per
5 160, there is competition that occurred commencing in March
6 of 1995 between Yates and Nearburg, where we contend an
7 excessive number of wells were drilled. And the manner of
8 producing those wells caused those operators, particularly
9 Yates, to overproduce the oil allowables significantly.
10 The evidence will show that that number is more than a
11 million barrels of oil.

12 So one of the issues for you to resolve is the
13 accountability for failure to comply with the Division
14 rules. It's a significant violation, and you have to
15 decide what happens.

16 The gas-oil ratio in North Dagger Draw is --
17 10,000 to 1, is it? I think it is. The gas-oil ratio in
18 North Dagger Draw is 10,000 to 1. And so the spacing
19 units, the 160 acres, can produce 7 million MCF a day.

20 When you get down into South Dagger Draw, the
21 transition area, those rules provide for 320-acre spacing
22 units. The oil allowable is 1400 barrels of oil a day for
23 the 320. And there is a 7000-to-1 GOR limit in the pool,
24 which allows those spacing units to produce a maximum gas
25 allowable of 9.8 million MCF a day.

1 When you get down to Indian Basin, the proration
2 system down there is such that those wells are on 640 gas
3 spacing and their current allowable is, I think, 6.5
4 million a day.

5 The competition that occurred in North Dagger
6 Draw between Yates and Nearburg has caused substantial
7 overproduction. My display here, which I think is Conoco
8 Exhibit Number 6 -- We'll have copies for all of you when
9 it's our turn to present. But it will show that for each
10 of the numbered tracts, and simply to keep track of them,
11 we have numbered all of the 160-acre spacing units with a
12 number.

13 In association with those spacing units there is
14 a name associated with the operator of that spacing unit.

15 And then you'll find a date and a number in red.
16 At that particular point in time, those numbers represented
17 the magnitude of overproduction. For example, in the
18 southeast quarter of 28, Yates operated that spacing unit,
19 and as of July 1st of this year it's 240,000 barrels of oil
20 overproduced.

21 The evidence will demonstrate to you that Tim
22 Gum, the supervisor in Artesia for the Oil Conservation
23 Division, in about March of this year, discovered that
24 Yates had significantly overproduced and was overproducing
25 their North Dagger Draw spacing units, and he went to Yates

1 in March of 1996 to discuss with them the problem and what
2 if anything they would do to make it up.

3 He did not at that time require them to engage in
4 any effort to make up the overproduction. He required that
5 they not accumulate any further overproduction.

6 In response, then, in April, the testimony is
7 that Mr. Bob Fant and others with Yates would see Mr. Gum,
8 and instead of developing a plan to make up this
9 overproduction, Yates proposed to file an Oil Conservation
10 Division application, which would simply cancel the
11 overproduction.

12 In addition, they were seeking changes in the
13 rules which would allow them, then, to go forward and
14 produce these wells at capacity, or at least at the
15 capacity, the substantial capacity of these submersible
16 pumps.

17 If their request is approved, then for all
18 practical purposes these pools are not prorated.

19 They're asking in North Dagger Draw that the oil
20 allowable go from 700 barrels a day to 4000 barrels a day.
21 The gas-oil ratio would stay the same, and the gas
22 allowable for that pool then becomes 40 million.

23 They've linked that request with a companion case
24 in South Dagger Draw and simply have multiplied the numbers
25 so that by linking the cases together, they're going to ask

1 in South Dagger Draw that the oil allowable goes from 1400
2 barrels a day to 8000 barrels of oil a day and that the gas
3 allowable now becomes 56 million a day.

4 Our evidence is going to be that there is no
5 logical reason to do those kinds of things, that what we
6 have here is a question about the producing rules for North
7 Dagger Draw, and that's an issue that we think is separate
8 and removed from the violations.

9 In order to have a basis to ask for the request,
10 Yates is contending that at higher oil withdrawal rates,
11 total fluid withdrawals, that the oil cut goes up. They're
12 contending that you can produce more oil at high rates in
13 the reservoir.

14 Our technical evidence is that there is
15 significant risk of offset drainage that has occurred
16 because of the Yates activity, and our geologist and
17 engineer, Mr. Hardie and Mr. Beamer, are going to
18 demonstrate to you the impact that this activity has had on
19 Conoco's operated properties.

20 We are on the south edge of this rim in North
21 Dagger Draw. We've got this Joyce Federal spacing unit
22 with the Savannah well down here in the northeast of 32.
23 We're offsetting some of the higher violations that are
24 occurring.

25 The problem for us is that the technical evidence

1 will demonstrate that this oil-productive dolomite, as we
2 move into the area where Conoco has its interest, is
3 relatively thin, and so the excessive pressure depletion
4 that's occurred by the overproduction has put us in a
5 position where we're never going to catch up. We have been
6 permanently damaged by the activities of Yates in violating
7 the rules.

8 We are not going to be able to restore reservoir
9 pressure after it's been withdrawn. There's no active
10 replacement for the pressure. And as a consequence of
11 exceeding the rules, Yates afforded themselves the
12 opportunity to enjoy production in the reservoir at a time
13 when reservoir pressure was higher. We're going to provide
14 you pressure information to show you the magnitude of that
15 impact upon us.

16 The Division Examiner heard this dispute back on
17 May 2nd, and I will share with you not only my prehearing
18 statement but a copy of his Order, so you can see how he
19 crafted a solution.

20 First of all, he denied Yates's Application to
21 forgive the overproduction. And he required them and any
22 other operator in violation to commence activities to
23 reduce their withdrawals so that they could not exceed more
24 than 350 barrels of oil a day out of a spacing unit, but in
25 addition required that they make up that overproduction

1 within 18 months.

2 In addition, the Order dismissed the contention
3 that Yates advanced that reservoir waste was occurring and
4 you had to simply produce all these wells at capacity. He
5 deferred that to an industry/operators' committee and asked
6 that committee to be formed and to go about investigating
7 the details of that issue and to report back within a time
8 frame to the Oil Conservation Division.

9 The problem Conoco has with the Order is not the
10 fact that the oil production is required to be made up. We
11 certainly would like that made up. We think that if you
12 shut these wells in now, that's appropriate. Our evidence
13 is that you can shut these wells in and not cause damage.

14 Our dilemma is that even if you shut in all these
15 spacing units that are in violation, we are still not
16 protected. It is late in the life of the pressure in the
17 reservoir, and we're permanently harmed, and we can't think
18 of anything to do. And we can ask these experts when they
19 testify. We can't think of anything to do to balance the
20 ledger, and that's the problem.

21 The two witnesses I'm presenting to you are:

22 Mr. Bill Hardie. Mr. Hardie has had extensive
23 experience in North Dagger Draw and South Dagger Draw.
24 He's analyzed this reservoir thoroughly. He's going to
25 provide you the geologic presentation.

1 In addition, he's worked with Robert Beamer, a
2 reservoir engineer, and together they've analyzed the
3 engineering information and the geologic information, and
4 they'll provide you with their expert opinions and
5 conclusions, at the end of which it will be our request
6 that this Commission take action to immediately shut in the
7 violating spacing units and at least afford us some
8 opportunity to reduce the magnitude of damage that's
9 occurred to us.

10 Thank you, Mr. Chairman.

11 CHAIRMAN LEMAY: Thank you, Mr. Kellahin.

12 Were there additional opening statements in the
13 case? Mr. Carroll.

14 MR. CARROLL: Mr. Chairman, the Division stands
15 by the Order issued by the Division.

16 CHAIRMAN LEMAY: Thank you.

17 Mr. Carr, do you want to respond to the -- I
18 assume -- within that -- I never heard the arguments why
19 they shouldn't be consolidated. Do you still not want them
20 to be consolidated?

21 MR. KELLAHIN: Let me show you how I've organized
22 my presentation, and you can tell me how you'd like to
23 proceed.

24 Mr. Beamer and Mr. Hardie have organized their
25 presentation so they have distinct exhibits and testimonies

1 in North Dagger Draw. We have a separate set of
2 presentations for South Dagger Draw.

3 Our position is that while this is a continuous
4 dolomite reservoir, we're dealing with substantially
5 different fluids. North Dagger Draw can be handled
6 separate and alone as an oil pool. We get down into the
7 transition area where we're really dealing with a gas pool.
8 We can handle them separately.

9 You may remember that modifications have been
10 made in South Dagger Draw, separate and independent from
11 either Indian Basin or North Dagger Draw, the last change
12 of which was to take South Dagger Draw, which is an
13 associated oil and gas pool, and prior to I think 1993
14 precluded simultaneous dedication of oil and gas wells in
15 the same spacing unit. Mr. Hardie and Conoco was
16 instrumental in asking the Division to change that rule.
17 And so now you can have simultaneous dedication.

18 So historically we've had cases where we've
19 treated them differently. And our examination of the
20 evidence is pointed directly at North Dagger Draw. That's
21 the violation area, that's where all this overproduction
22 occurred. And the only reason to talk about South Dagger
23 Draw is, they're somehow linked by Yates with this
24 multiplier and allowables.

25 We think they could be heard separately. If you

1 would rather hear them together, you'll have to give me
2 some flexibility because my presentations have been
3 organized where we're going to divide our presentation into
4 two parts.

5 CHAIRMAN LEMAY: Mr. Carr?

6 MR. CARR: Mr. Chairman, Mr. Kellahin stated that
7 Conoco could handle them separately and has prepared its
8 presentation in that fashion.

9 I would agree with Mr. Kellahin that the bulk of
10 the evidence presented will address North Dagger Draw.

11 I would disagree with him that the reason we're
12 looking at all of this at one time is because Yates has
13 somehow linked them together. There were separate
14 discoveries and the pools grew together.

15 And it wasn't because -- The boundary between the
16 pools isn't because there was an engineering study and it
17 said the North performs one way, the South another. It's
18 because as they marched toward each other, that's where
19 they met.

20 And so it's always been, as these rule changes
21 have come before you, the policy of the Division, or at
22 least the approach of the operators to consider them
23 together.

24 In 1991, when the rules we're living under today
25 were adopted, Yates and Conoco came before you together,

1 and they said the rules are -- the pool merges, it's one
2 big reservoir and that we ought to try to keep, to the
3 extent possible, compatible rules.

4 The case was consolidated, both pools, before the
5 Examiner. And to wait until commencement of the hearing to
6 suggest that now we're going to march a new direction in
7 presenting these matters is nothing more, I suggest, than
8 an attempt to surprise us. I mean, we could sit here and
9 present our exact case twice.

10 We've prepared the case as a *de novo* appeal of
11 the one Order that addressed two pools, and we have a
12 presentation that is one presentation that addresses two
13 pools.

14 We think you can sort out whether or not there is
15 some reason to have different rules or modify the rules in
16 one pool as opposed to the other. But we have one
17 presentation, and we think we should go forward that way,
18 and we oppose separating them. We think they should be
19 consolidated. Otherwise, we present the same case twice.
20 And I understand you have tomorrow, but we may not need
21 that if we can go and just get this thing over as we had
22 anticipated doing.

23 We can certainly accommodate Conoco breaking
24 their evidence down into two separate reservoirs, if that's
25 how they've elected to look at it.

1 CHAIRMAN LEMAY: Give us just a minute.

2 (Off the record)

3 CHAIRMAN LEMAY: Okay, we'll hear the cases as
4 consolidated. And you can make your presentation
5 separately if you wish; we can link them together, Mr.
6 Kellahin.

7 MR. KELLAHIN: Thank you, Mr. Examiner.

8 CHAIRMAN LEMAY: Okay, shall we begin?

9 MR. CARR: At this time, Mr. Chairman, we would
10 call Mr. Randy Patterson.

11 Mr. Chairman, we have had more people show up
12 than we had sets of exhibits for, and if anyone needs an
13 additional set of our exhibits, we can -- if you'll give me
14 your name, I can provide those to you within a week.

15 CHAIRMAN LEMAY: Was there a motion to
16 consolidate the record of the Examiner hearing?

17 MR. CARR: So moved.

18 CHAIRMAN LEMAY: Any objection?

19 MR. KELLAHIN: I'm sorry, Mr. Chairman?

20 CHAIRMAN LEMAY: A move to consolidate the record
21 of the Examiner hearing in this case?

22 MR. KELLAHIN: I have no objection.

23 CHAIRMAN LEMAY: No objection, the record will be
24 consolidated for purposes of this case.

25 Mr. Carr?

1 RANDY G. PATTERSON,
2 the witness herein, after having been first duly sworn upon
3 his oath, was examined and testified as follows:

4 DIRECT EXAMINATION

5 BY MR. CARR:

6 Q. Would you state your name for the record, please?

7 A. My name is Randy G. Patterson.

8 Q. Mr. Patterson, where do you reside?

9 A. Artesia, New Mexico.

10 Q. By whom are you employed?

11 A. I'm employed by Yates Petroleum Corporation.

12 Q. What is your current position with Yates
13 Petroleum Corporation?

14 A. I'm the land manager, as well as the secretary of
15 the corporation.

16 Q. And basically what do your duties entail at
17 Yates?

18 A. I manage the land department and --

19 Q. -- act as secretary?

20 A. -- act as secretary of the corporation.

21 Q. Mr. Patterson, have you been called on before to
22 testify before this Commission?

23 A. Yes, I have.

24 Q. In the past, have you -- has your testimony
25 primarily focused on land matters?

1 A. Yes, for the most part, dealing with land.

2 Q. Are you familiar with the efforts of Yates
3 Petroleum Corporation to develop its properties in North
4 Dagger Draw and South Dagger Draw?

5 A. Yes, sir.

6 Q. Are you familiar with the status of the lands in
7 these pools and wells operated thereon by Yates?

8 A. Yes, sir.

9 Q. Are you familiar with the Applications that have
10 been filed by Yates in each of these cases?

11 A. Yes, sir, I am.

12 Q. And today are you authorized here to speak for
13 Yates Petroleum Corporation at this hearing?

14 A. Yes, sir, I am.

15 Q. Have you prepared an exhibit for presentation
16 here today?

17 A. Yes, sir.

18 MR. CARR: We would tender Mr. Patterson as an
19 expert in petroleum land matters.

20 CHAIRMAN LEMAY: His qualifications are
21 acceptable.

22 Q. (By Mr. Carr) Mr. Patterson, could you first
23 identify what has been marked Yates Petroleum Corporation
24 Exhibit Number 1?

25 A. Yes, sir, and if I might step over here to the

1 map and point out some features to you --

2 MR. CARR: And Mr. Chairman, I would note that
3 the map on the easel differs from the map that has been
4 distributed to the extent that we have attempted to place
5 the pool boundaries on the map that's on the easel.

6 I also would qualify that by telling you that I
7 did that and I've already been advised that I was in error,
8 but the error is relatively small. The pool boundaries
9 basically change, but what Mr. Patterson will be talking
10 about will be the other matters shown on this exhibit.

11 THE WITNESS: Yates Exhibit Number 1 is the land
12 map which shows the area of the Dagger Draw pools. It
13 shows the development in the pools, North Dagger Draw in
14 this area, South Dagger Draw in this area, and then
15 continuing on down into the Indian Basin field, as Mr.
16 Kellahin has pointed out.

17 Each individual spacing unit is shown, both the
18 North Dagger Draw, as being 160-acre spacing, and South
19 Dagger Draw, being 320-acre spacing.

20 There's a color code on your map that will
21 indicate the operatorship of the wells. Yates wells are
22 shown as black dots, Conoco wells are shown as blue dots,
23 Nearburg-operated wells are shown as red or magenta sort of
24 dots, and then other operators are shown in yellow.

25 Also, the ownership percentage of each spacing

1 unit is shown in respective corners of the proration units,
2 and you can see the legend at the bottom of the map showing
3 that the upper right-hand corner, the numbers and the
4 colored triangles in the upper right-hand corner, are Yates
5 interests.

6 The color code, red, a red triangle would
7 indicate a high-percentage well, 76 to 100 percent. A
8 yellow would be a 51- to 75-percent interest in the spacing
9 unit. A green color code in the triangle would be 26- to
10 50-percent interest in the spacing unit. And then a blue
11 would be a smaller interest in the spacing unit.

12 So the upper right-hand corner would show Yates'
13 interest, the upper left-hand corner will show Conoco's
14 interests, and then in the lower left-hand corner
15 Nearburg's interest will be shown in these respective
16 spacing units, so that you kind of get an idea of the
17 ownership of each one.

18 The Sawbuck Waterflood Project is shown here with
19 lines connecting the area, showing the Sawbuck Waterflood
20 Pilot Project.

21 Q. (By Mr. Carr) And that's in the South Dagger
22 Draw?

23 A. That is correct, that's in the South Dagger Draw
24 area.

25 Of course, each individual well location is

1 spotted with the respective name of the well next to each
2 well location.

3 Also, according to our geologist and engineers,
4 the limits of the reservoir have been shown in a dark black
5 line. I tried to outline where this thing exists, in our
6 opinion.

7 And then, of course, as was already mentioned,
8 the Indian Basin field moves on down toward the south part
9 of the map.

10 Q. Mr. Patterson, on Mr. Kellahin's easel he's shown
11 the overproduced area. Could you just generally point out
12 where that overproduced area is on this map?

13 A. Yes, the overproduced area is the west part of
14 Section 27, Section 28, Section 29, and part of Section 21,
15 up here in North Dagger Draw.

16 Q. Are you familiar with the development of the
17 rules which govern these pools?

18 A. Yes, sir.

19 Q. And when were the first special rules for the
20 pool adopted by this Division?

21 A. I believe that was in 1973.

22 Q. And what happened at that time?

23 A. Mr. Roger Hanks was then an operator in that --
24 in the Dagger Draw area, and he made the request in 1973
25 for the first rules. Mr. Hanks had six wells at that time,

1 and then he asked for a pool to be created for these wells
2 and asked for 320-acre spacing and a 427-barrel-of-oil-per-
3 day allowable.

4 Q. What justification did he present for those
5 rules?

6 A. Well, I have actually pulled some quotes out of
7 the 1991 hearing, for Mr. Jerry Hoover of Conoco. Mr.
8 Hoover said at that time, His only justification for the
9 spacing at that time was that these wells were producing
10 with a high water cut, and from an operational expense
11 point of view he did not feel like he could afford to
12 develop on smaller spacing.

13 Q. And Mr. Hoover there was -- when he says "he",
14 that means Mr. Hanks, does it not?

15 A. Yes, Mr. Hanks said that.

16 Q. And what did the OCD do with that request?

17 A. OCD granted the request by adopting temporary
18 rules in 1973, and that was Order Number R-4691.

19 Q. What happened at the hearing on the permanent
20 rules?

21 A. In 1976, Mr. Hanks again came to the Division
22 when permanent rules were being considered and requested a
23 downspacing to 160-acre units, because in three years of
24 operation this pressure test extrapolated back to within
25 100 pounds of the original pressure. That's again a quote

1 from Mr. Jerry Hoover at the 1991 hearing.

2 His assumption from that was that he was not
3 efficiently draining the large areas that he had thought he
4 might.

5 Q. And so what did the Division do at that time?

6 A. The Division entered Order Number R-4691-A,
7 reducing the spacing to 160 acres.

8 Q. Did Mr. Hanks again come to the Division in 1976
9 concerning the rules for these pools?

10 A. Yes, he did, and again I'll quote Mr. Jerry
11 Hoover of Conoco.

12 In September of 1976, Hanks came back again and
13 requested an increase in the allowable up to 350 barrels
14 per day. His statement was that he had several wells which
15 were producing higher than 267, that had been given in
16 4691-A, and several new wells that he had drilled were
17 initially coming in above that allowable, so he asked for
18 the increase to 350 barrels of oil per day. This was
19 granted in Order 4691-B.

20 Q. In summary, what was Mr. Hanks attempting to do
21 with the special pool rules?

22 A. Well, Mr. Hanks asked and the Division granted
23 rules which set allowables at levels that would not
24 restrict the best well in the pools.

25 Q. Now, Mr. Patterson, there have been some other

1 hearings on gas-oil ratios, but I want you to focus on
2 spacing and oil allowables. Are you familiar with the 1991
3 hearing that addressed rules for these pools?

4 A. Yes, sir.

5 Q. And what happened at that time?

6 A. Well, on February 7, 1991, there were a request
7 by Conoco in Case 10,221 to increase the oil allowable in
8 the North Dagger Draw-Upper Pennsylvanian Pool from 350
9 barrels of oil per day to 700 barrels of oil per day.

10 Q. And why was that additional allowable needed?

11 A. Again, I've pulled some quotes from the
12 transcript of that particular hearing, the February 7,
13 1991, hearing, and I'll give you several quotes.

14 Mr. Clyde Finley, who was then an engineer for
15 Conoco, said, We needed to downspace, they had multiple
16 wells on 160-acre units and needed additional allowable to
17 accommodate additional wells on these spacing and proration
18 units.

19 That was a quote.

20 Q. Was drainage discussed by Mr. Finley at that
21 time?

22 A. Yes, Mr. Finley said that, Wells in the Dagger
23 Draw are draining much smaller areas than 160-acre spacing.
24 Wells were draining as little as 52 acres. So to be
25 conservative, Conoco used 60 acres in its volumetric

1 calculations.

2 Q. Mr. Patterson, was there testimony at that time
3 concerning the potential for interference between wells in
4 these pools?

5 A. Yes, sir, Mr. Finley continued and testified
6 that, We are finding that additional wells are acting
7 almost independently of the original wells with production,
8 pressure histories, et cetera, that equal or are better
9 than the original wells, and therefore the allowables for
10 the original wells should be applied to the additional
11 wells to allow additional density in the existing proration
12 units.

13 He also testified that additional wells on 160-
14 acre proration units are producing as good or better than
15 the original wells.

16 Q. What was Mr. Finley's testimony about oil cuts in
17 this pool?

18 A. Mr. Finley said that by drawing down wells at
19 very rapid rates, the matrix is allowed to contribute in
20 the dolomite. As we draw down, we tend to get better water
21 cuts.

22 Q. Did he see evidence of the development of a
23 secondary gas cap?

24 A. Again quoting from Mr. Finley, No evidence of the
25 development of a secondary gas cap.

1 Q. How did Conoco testify about correlative rights
2 in this case?

3 A. Again, Mr. Finley testified in February of 1991,
4 Pressure data also showed that with higher rates and
5 increased withdrawals, there was no negative impact on
6 correlative rights. He said they saw no potential for
7 correlative-rights impairment.

8 Q. Now, the Conoco Application addressed which
9 reservoir, which pool?

10 A. That was the North Dagger Draw Pool.

11 Q. Did Yates join in that case?

12 A. Yes, we did join in that case.

13 Q. And did you not have also a companion case
14 addressing the South Dagger Draw?

15 A. Yes, we did. We felt that since the North and
16 South Dagger Draw were the same type rock and the same
17 reservoir, that the per-acre allowables and such should be
18 continued on down. So we did join with a compatible case
19 in the South Dagger Draw.

20 Q. Can you summarize the argument that was presented
21 to the Division? Just summarize what was presented at that
22 time.

23 A. Well, Conoco sought to substantially increase the
24 oil allowables, because it had proration units that could
25 produce more than the allowable that existed, and their

1 data showed that, first, wells produced more efficiently
2 with less water at higher rates, and secondly that wells in
3 the pool drained such small areas that they were not
4 draining the acreage dedicated to them. And certainly they
5 were not draining offsetting properties. They were, again,
6 just as Mr. Hanks did, seeking allowables limits that would
7 not restrict the best well in the pool.

8 Q. And what did the Division do with this joint
9 Application?

10 A. The Division increased the allowables by Order
11 Number R-4691-D.

12 Q. How do the arguments that are being presented
13 today by Yates compare to the arguments that were presented
14 in 1991?

15 A. The arguments that we will make with our
16 technical witnesses today are essentially the same
17 arguments that were presented in 1991.

18 Q. Mr. Patterson, what are the current rules in
19 effect as of today for each of these pools?

20 A. Mr. Kellahin has already hit those points, but
21 the current rules in each of the pools for North Dagger
22 Draw now are 160-acre spacing, a depth-bracket allowable of
23 700 barrels of oil per day and a gas-oil ratio of 10,000 to
24 1.

25 In South Dagger Draw, that field is spaced on 320

1 acres. The depth bracket allowable is 1400 barrels of oil
2 per day, and the gas-oil ratio is 7000 to 1.

3 Q. When did Yates first acquire its interest in
4 these pools?

5 A. Yates has owned interest in this area back during
6 the time that Roger Hanks was there. Before that time,
7 they've owned leases and interest in that area for many,
8 many years.

9 Q. Has Yates been actively developing this property
10 since that time?

11 A. Yes. They did not actively pursue the drilling
12 early on when Mr. Hanks was, because they felt that the
13 technology was not there to produce the wells properly.

14 But in 1989 and 1990 they began to feel that they
15 had the technology to produce the wells, and they began
16 drilling, and they have been drilling actively and
17 continually since, until today.

18 Q. Now, we're here today, Mr. Patterson, because
19 there are certain proration units in these pools on which
20 wells have substantially overproduced the assigned
21 allowable. When did you become aware of that situation?

22 A. Last year, sometime in 1995, the management of
23 Yates Petroleum did become aware that certain wells in this
24 field, certain new wells, were not declining as rapidly as
25 the usual well in the area, or what was typical, and that

1 if those wells did not decline, they would and were
2 becoming overproduced.

3 Q. And what did Yates do to respond to the
4 situation?

5 A. Mr. Bob Fant of our engineering department met
6 with the District Office in Artesia to discuss how to
7 handle this situation.

8 Q. Was any agreement ever reached with the Division
9 concerning how the situation was to be handled?

10 A. At that time there was no agreement reached. It
11 was a discussion.

12 Q. And when did you next become aware of the
13 magnitude of this situation?

14 A. This spring Mr. Gum contacted us, the Supervisor
15 of the Artesia District, and wanted to meet with us because
16 he had learned that this area was overproduced. And it's
17 my understanding that Mr. Gum wanted us to give him our
18 ideas on what to do about the situation.

19 Q. And did Yates meet with Mr. Gum?

20 A. Yes, sir, representatives, Mr. Brian Collins, who
21 is the operations manager now at Yates Petroleum, Mr.
22 Pinson McWhorter, engineering manager, and Mr. Bob Fant did
23 meet with Mr. Gum.

24 Q. And what was the outcome of that meeting?

25 A. At that meeting, our representatives proposed to

1 Mr. Gum to curtail the production in the overproduced
2 spacing units and bring those back to the allowable rate of
3 700 barrels of oil per day.

4 And we also proposed to immediately seek from the
5 Division, from the Oil Conservation Division, an order to
6 address the overproduction in the pool. It's my
7 understanding that Mr. Gum agreed with this proposal.

8 Q. Did Yates curtail wells pursuant to that
9 agreement?

10 A. Yes, we did.

11 Q. And did Yates immediately seek a hearing to deal
12 with the overproduction in these pools?

13 A. Yes, sir, we immediately asked for that hearing.

14 Q. Could you briefly state what Yates Corporation
15 sought and seeks in these cases?

16 A. At the May, 1996, hearing Yates Petroleum asked
17 under Case 11,525, which applies to the North Dagger Draw-
18 Upper Pennsylvanian Pool, that the special depth bracket
19 allowable be increased to 4000 barrels of oil per day for
20 each 160-acre spacing unit, proration unit, and we also
21 requested the cancellation of all overproduction in the
22 pool on the date the requested depth bracket allowable
23 would become effective.

24 In Case 11,526, which applies to the South Dagger
25 Draw-Upper Pennsylvanian Pool, we requested that the

1 special depth bracket allowable be increased to 8000
2 barrels of oil per day for each 320-acre proration unit and
3 likewise cancellation of all overproduction in the pool on
4 the date the requested depth bracket allowable would become
5 effective.

6 Q. Mr. Patterson, aren't these requested depth
7 bracket allowables extremely high rates?

8 A. That was my reaction when our engineers told me
9 first that they were going to request 4000 barrels in North
10 Dagger Draw. I said that seems awful high. Why do you
11 want to do that?

12 Then they explained to me the technical data,
13 that we have some wells that are capable of producing 2500
14 barrels of oil a day and 1700, 1800 barrels of oil a day,
15 and so therefore the request for 4000 barrels of oil a day
16 in the North Dagger Draw is merely doing what Mr. Hanks did
17 early on and what Conoco did in 1991, and that is to ask
18 the Commission to increase the allowable so as not to
19 restrict the highest producers in the field.

20 Q. When was this case originally set for hearing?

21 A. The case was set on May 2, 1996.

22 Q. And did Yates seek or concur in a continuance for
23 that hearing date?

24 A. Yates Petroleum did not seek a continuance of
25 that hearing. Conoco requested a continuance. They asked

1 us about a continuance, and we advised them and the
2 Division on April 29th that we did not object to the
3 continuance but, because of our agreement with Mr. Gum,
4 that we would immediately seek an order of the Division to
5 solve this problem. We felt we could not join in a request
6 for a continuance, so we did not.

7 Q. And was that request granted?

8 A. No, the Division did not grant the continuance,
9 because they felt it was too urgent. The Division said,
10 and I quote, There appears to be an urgent need to commence
11 with these proceedings.

12 Q. And when was that case actually heard?

13 A. That case was heard on May 2nd, 1996.

14 Q. And when was an order entered by the Division in
15 this matter?

16 A. The Order was entered by the Division on August
17 14, 1996.

18 Q. And Yates will present testimony and evidence on
19 the impact of that delay on the reservoir with its
20 technical witnesses; is that right?

21 A. Yes --

22 Q. And what --

23 A. -- we will.

24 Q. -- generally, in summary, will be the impact as
25 we define it?

1 A. I understand that we estimated that over 2200
2 [sic] barrels of oil were lost. They became unable to be
3 produced and were wasted in the 104 days it took to issue
4 the Order.

5 Also, we incurred additional operating expenses
6 in excess of \$200,000 because of burning up pump motors and
7 having to change out those bottomhole pumps.

8 Q. Mr. Patterson, the lost reserves were estimated
9 to be what? 2200 or 22,000 barrels of oil?

10 A. I'm sorry, 22,000 barrels.

11 Q. How did the Division rule on the Application of
12 Yates?

13 A. The Division denied the request for an increase
14 in the pool allowables in paragraph 1 of the Order. It
15 reduced -- The Order reduced the allowable rate on the
16 overproduced units to 50 percent of the normal allowable
17 limit, or reduced that ability to produce to 350 barrels of
18 oil per day.

19 The Order further required that all
20 overproduction be made up within 18 months of August 15th,
21 1996. The Order required the operators of overproduced
22 units to report monthly to the Supervisor of the Artesia
23 District Office as to the status of production from all
24 wells in the affected units.

25 The Order established a committee to be formed of

1 operators in the pools, to review the rules for those
2 pools, and it set the last Examiner hearing in January,
3 1998, as a date for the committee to make a recommendation
4 for rule changes.

5 The Order also announced that it would not change
6 the rules for these pools in 1998 unless there was a,
7 quote, cooperative recommendation from the committee,
8 unquote, for new rules.

9 Q. Is Yates currently restricting production from
10 these spacing units?

11 A. Yes, Yates Petroleum is restricting production
12 from these overproduced units. Even though the Order was
13 stayed, we have pulled the production back on these
14 overproduced spacing units and are producing at or below
15 the 350-barrels-of-oil-per-day limit, which was put forth
16 in the Division Order.

17 Q. Mr. Patterson, what does Yates Petroleum
18 Corporation recommend to this Commission be done about the
19 overproduction in these pools?

20 A. Yates Petroleum Corporation has overproduced the
21 allowables in these proration units, in these pools, and we
22 are out of compliance with the allowable rules. Yates will
23 make up this overproduction in accordance with the Order
24 that was issued August 14th, unless this Commission sees
25 fit to direct otherwise.

1 Yates will not make further recommendations
2 concerning the past production from these pools, and we
3 actually agree with Mr. Kellahin's statement a while ago
4 that the overproduction problem is separate and removed
5 from the allowable question.

6 There are some very important issues concerning
7 the current allowables for these pools, and it's our
8 intention to focus this presentation today on what we know
9 to be occurring in these pools, in the reservoir, and what
10 urgently needs to be done, now, to prevent the waste of
11 oil, and not dwell on the overproduction in the past.

12 Q. Now, Mr. Patterson, looking at the August 14
13 Order and the provisions in that Order concerning makeup of
14 overproduction, if allowables are increased in the future,
15 would it be Yates' position that the overproduction still
16 should be made up under existing current allowable limits?

17 A. Yes, sir, that's the way that that would be made
18 up, is 350 barrels per day, weighed against a 700-barrel-a-
19 day allowable.

20 Q. And that would give, in fact, operators
21 incentives to get on with getting these wells back into
22 line, would it not?

23 A. That's correct.

24 Q. Is Yates prepared to work on the committee
25 established by the August Division Order?

1 A. Yes, sir, we are prepared to work on that
2 committee if there is a committee.

3 But we do not think that that is the way to solve
4 this problem. We are opposed to this committee.

5 We believe that it's the OCD's duty to listen to
6 the scientific presentations and to make regulatory
7 decisions. We do not believe that the Oil Conservation
8 Division or the Commission should dodge this duty to make
9 those regulatory decisions by pushing it off on an
10 operators' committee.

11 So I say if there is an operators' committee,
12 because the things that are happening in these pools, if
13 they're not immediately addressed by this Commission, it's
14 going to result in substantial permanent waste of oil.

15 So rather than using this committee, we believe
16 that this Commission should act immediately on these
17 problems.

18 So we are going to focus our presentation here
19 today on the recent developments in the pools and the need
20 for immediate changes to the rules for these pools.

21 Q. Now, Mr. Patterson, will Yates call geological
22 and engineering witnesses to review those technical
23 portions of this case?

24 A. Yes, sir, we will.

25 Q. Was Exhibit Number 1 prepared by you or compiled

1 under your direction?

2 A. Yes, sir, it was.

3 MR. CARR: At this time, may it please the
4 Commission, we would move the admission into evidence of
5 Yates Petroleum Corporation Exhibit Number 1.

6 CHAIRMAN LEMAY: Without objection, Exhibit
7 Number 1 will be admitted into the record.

8 MR. CARR: And that concludes my direct
9 examination of Mr. Patterson.

10 CHAIRMAN LEMAY: Thank you, Mr. Carr.

11 Mr. Kellahin?

12 CROSS-EXAMINATION

13 BY MR. KELLAHIN:

14 Q. Mr. Patterson, you and I and Mr. Carr have the
15 benefit of having a copy of the Division Order. I'm going
16 to share copies with the Commission.

17 Mr. Patterson, let me talk about your proposal to
18 the Commission with regards to making up the
19 overproduction.

20 Do your records reflect the magnitude of
21 overproduction from North Dagger Draw for the spacing units
22 for the Yates-operated wells?

23 A. Yes.

24 Q. At what point in chronology did you stop
25 accumulating overproduction in excess of the 700-barrel-a-

1 day allowable for those spacing units?

2 A. I believe that was at the time, as I testified
3 before, that Mr. Fant and our people met with Mr. Gum.

4 Q. That's in approximately April of this year?

5 A. That's correct.

6 Q. You did not attend those meetings, did you, sir?

7 A. I did not.

8 Q. When we look at your proposal to abide by the
9 Examiner Order, which would be making up the overproduction
10 at the rate of 350 barrels per day per spacing unit, and
11 that would be made up using an allowable of 700 a day, have
12 you calculated or had your technical people calculate
13 whether or not you can get into full compliance within the
14 18-month time frame set forth in the Examiner Order?

15 A. Our technical people have looked at that, and
16 it's my understanding that they believe that we can.

17 Q. Okay.

18 A. That is, if the Commission does not see fit to
19 change that manner of making it up. As we said before, we
20 are still seeking that this overproduction be canceled.

21 Q. All right, that's what I'm trying to clarify.
22 You are not by your testimony conceding that point in the
23 Examiner Order; you still want the overproduction canceled?

24 A. We believe that's the proper thing to do.
25 However, we are willing to do as I've said and make up that

1 production and have already begun to do so.

2 Q. I just want to make sure I understood you that
3 you still want it canceled, but if it is not canceled then
4 you have no disagreement with the method by which it's to
5 be made up in the Examiner Order?

6 A. That's correct. We believe our technical people
7 will show all the reasons that this overproduction should
8 be canceled.

9 Q. In part of your presentation, you reviewed a
10 series of Roger Hanks' presentations to the Division that
11 occurred, 1973, 1976, and again in 1976, and then there was
12 a subsequent hearing in March -- or an order on March 21st
13 of 1999 [sic] in which the oil rate went from 350 a day to
14 750 [sic] a day.

15 Let me start with the last hearing that you
16 described. That was a request that resulted from a
17 cooperative consensus of the operators in that pool,
18 including Yates, to increase the oil rate to 700 a day; is
19 that not true, Mr. Patterson?

20 A. I understand that you're talking about the
21 February, 1991, hearing. I believe you said 1999.

22 Q. I'm sorry, I misspoke. It's the February, 1991,
23 hearing and the order from which is Order 4691-D.

24 A. Yes, sir.

25 Q. All right. That hearing --

1 A. There was a cooperative effort.

2 Q. All right. The evidence at that hearing was that
3 at rates not in excess of 700 barrels a day, then there was
4 not interference among wells on the spacing units; is that
5 not true, Mr. Patterson?

6 A. I believe that that's what Mr. Finley testified
7 to at that time, and the rate of 700 barrels a day was
8 actually the amount that would not restrict the best wells
9 that were producing at that time.

10 Q. All right. There was no indication in the
11 record, is that not true, that any interference was
12 occurring? In other words, no party came forward to show
13 interference was occurring with the wells at rates up to
14 700 barrels a day?

15 A. I did not attend that hearing, so I don't believe
16 that I can answer that question, and I expect that our
17 technical witness will probably handle that.

18 Q. All right. Was there any evidence presented in
19 that record to show whether this -- the drainage areas that
20 were being impacted at rates of 700 a day?

21 A. As I believe I quoted, Mr. Finley stated that the
22 wells were draining as little as 52 acres and that there
23 was no interference in his calculations.

24 Q. When we went back to the Hanks presentations in
25 1973 and 1976, there was virtually no technical evidence

1 presented at any of those hearings; is that not true, Mr.
2 Patterson?

3 A. Again, I was not at those hearings, and the
4 information that I have was actually obtained from Mr.
5 Hoover's quotes of Mr. Hanks at the 1991 hearing.

6 We tried to get the transcripts to those Hanks
7 hearings, and the local office in Artesia couldn't put
8 their hands on them. We looked in Santa Fe. We could not
9 obtain the transcripts to those hearings.

10 Q. You said that management of Yates became aware in
11 1995 that you were overproducing your North Dagger Draw --
12 certain of your North Dagger Draw spacing units?

13 A. No, that's not what I said. I said that
14 management became aware that these wells were not declining
15 at the rates that were historical in the area, but the
16 wells were -- all the wells start producing at very high
17 rates and then have a rapid decline, and these wells were
18 not experiencing those declines. These wells were very
19 good wells, and they seemed to hold up.

20 Q. You said very good wells. What kind of rates
21 were you getting on a daily basis?

22 A. As I testified a while ago, some of these wells
23 were 2400, 2500 barrels of oil a day.

24 Q. Well, and that would be at rates in excess of the
25 allowable; is that not true?

1 A. That is a rate that's in excess of the allowable,
2 that's correct.

3 Q. So Yates management knew that you had wells that
4 had the capacity to overproduce the allowable?

5 A. That's correct.

6 Q. And you knew that in 1995?

7 A. We were aware that those wells were very good.

8 Q. When did you first become aware in 1995 that you
9 had wells in North Dagger Draw that individually could
10 exceed the allowable for a 160-acre spacing unit?

11 A. I can't tell you a date. Maybe our technical
12 witness can.

13 Q. What if any -- who is -- When you talk about
14 Yates management, who is Yates management that is aware of
15 this?

16 A. The Yateses, the owners of the company.

17 Q. John Yates?

18 A. That's -- He's one of them.

19 Q. All right. Are you involved in those decisions
20 about the rates at which to produce these wells, Mr.
21 Patterson?

22 A. Personally, I am aware of those. I attend
23 meetings. I am sometimes involved.

24 Q. It's not your responsibility, though, to comply
25 with the producing rules for North Dagger Draw; is that

1 correct?

2 A. It's every company's responsibility to comply
3 with the Rules of the Division.

4 Q. What individual in your company has that
5 responsibility?

6 A. I think that we all have that responsibility as
7 employees and managers of the company.

8 Q. All right. What then did you do to assure that
9 these high-capacity wells were produced in compliance?

10 A. Well, as I testified before, we had our
11 representatives talk with the District Supervisor to try to
12 figure out these wells.

13 This area was produced in this manner, it wasn't
14 uncommon that this happened. In fact, Conoco had produced
15 their wells exactly the same way. When they first come on,
16 they overproduce, they produce at a high rate. And Conoco,
17 Mr. Nearburg, the other producers in the area, also produce
18 their wells the same way.

19 Q. Can you show --

20 A. When we became aware of the fact that these were
21 not declining, then we contacted the Division supervisor,
22 and we were looking for a method to solve this problem. We
23 didn't know exactly what to do about it, and the Commission
24 -- or the Division didn't exactly know how to handle the
25 situation.

1 Q. The next action taken occurs in March of 1996
2 when Mr. Gum comes to Yates and says, You're overproducing
3 your spacing units in North Dagger Draw?

4 A. To my knowledge, in spring of 1996 Mr. Gum
5 contacted us and informed us that some of these spacing
6 units were overproduced, some of them quite a lot, and he
7 asked us to look at it and to devise a plan of how to solve
8 the problem, which is what we did, and we came back to him
9 as I testified, we immediately took action.

10 Q. When the oil rate in the pool for the spacing
11 units went from 350 a day to 700 a day, back in 1991, was
12 there any overproduction canceled?

13 A. To my knowledge, there was not. To my knowledge,
14 there was no overproduction at that time to be canceled.

15 Q. In March 21st of 1991, then, that change allowed
16 the operators prospectively to produce at the higher oil
17 rate of 700 a day?

18 A. That allowed them to produce at the higher oil
19 rate, which was in fact higher than -- or at the level of
20 the highest producing well in the field at that time.

21 Q. Okay.

22 A. That's what we're asking at this time.

23 Q. All right. To the best of your knowledge, did
24 any personnel with Yates disclose to Mr. Gum in 1991 -- I
25 mean in 1995 -- that you were overproducing any of your

1 spacing units?

2 A. I did not attend that meeting and exactly what
3 was said, I do not know, but I believe Mr. Fant did.

4 Q. Okay. In March of 1996 did you attend the first
5 meeting with Mr. Gum?

6 A. No, I did not.

7 Q. Did you attend the second meeting, in April of
8 1996, with Mr. Gum?

9 A. No, I did not.

10 Q. Why were the wells overproduced, Mr. Patterson,
11 without seeking Division approval or a change in the rules
12 prior to April of 1996?

13 A. As I stated we were trying to see if these wells
14 were going to decline, to come back into compliance as the
15 operators tend to do with those higher producing wells. As
16 I stated before, Conoco has produced their wells in the
17 same manner. These wells did not fall off, and therefore
18 they became overproduced.

19 Q. Are you aware of any Conoco spacing unit that's
20 overproduced?

21 A. At this time, they are not.

22 Q. That ever was overproduced?

23 A. Yes, there are some that have been overproduced
24 and produced in the same manner that ours were produced.

25 A. That they were overproduced for in excess of a

1 year?

2 A. I couldn't testify to that. I don't know what
3 the timing was.

4 Q. Why didn't you seek Mr. Gum's approval to
5 overproduce the spacing units?

6 A. As I said, we were trying to find a way to solve
7 this problem. It was very complicated and we didn't know
8 exactly how to go about it, and the Division didn't know
9 exactly how to go about it either.

10 Q. Did you suggest or did Yates personnel suggest to
11 Mr. Gum in the summer of 1995 that you might actually
12 conduct some type of step-rate tests on these high-capacity
13 wells to see what happened?

14 A. I do not recall. I don't know.

15 Q. Do you know if Yates ever contacted any of the
16 other operators in the pool to work out a common scheme or
17 an effort to analyze and try to resolve this issue?

18 A. I don't know that.

19 Q. Didn't occur, did it?

20 A. I don't know that.

21 Q. Whose responsibility would that have been?

22 A. Probably our production and engineering staff.

23 Q. Is there an operation manager that's responsible
24 for compliance with the pool allowables for Dagger Draw?

25 A. The operation manager, Mr. Brian Collins, is

1 responsible for production and for engineering on those
2 wells.

3 Q. And would he be aware, to your knowledge, of the
4 limits in the producing allowable for that pool?

5 A. I am sure that he is aware of those limits. I am
6 sure that he's aware of the rules, yes.

7 Q. When did he assume his responsibilities as
8 operation manager?

9 A. It was early 1996, and I can't tell you the exact
10 date.

11 Q. So there was a period of overproduction that
12 would not have been on his watch?

13 A. That's correct.

14 Q. Who would that person have been that he replaced
15 as operation manager?

16 A. Mr. Mike Slater was operation manager prior to
17 Mr. Collins, and he retired from Yates Petroleum.

18 Q. Would Mr. Slater or Mr. Collins have the
19 authority as an operation manager to take one of these
20 high-capacity wells that they know can overproduce the
21 spacing unit allowable and do so without management
22 approval?

23 A. Would you state that again? I missed --

24 Q. Yes, sir, let me state it a different way --

25 A. -- the point of the question.

1 Q. -- and see if I can make it clear.

2 If Mr. Slater is the operation manager, he now
3 has a well that will produce in excess of the allowable,
4 would he decide to do that, produce it in excess of the
5 allowable, or does he report to someone above him and
6 obtain specific authority to overproduce the spacing unit?

7 A. I think that the operations manager produced
8 those wells at the optimum rate, in order to produce the
9 oil from the ground, optimize the well, and to prevent the
10 waste of any of the oil from occurring. If these wells are
11 not operated properly, you do waste oil, as I stated
12 before.

13 And I believe that that is exactly what they did,
14 was operate these wells so as to not create any waste, and
15 these wells did not fall off as wells have previously done,
16 our wells, Conoco's, Mewbourne's, Nearburg's. These wells
17 did not perform as wells had in the past. These wells are
18 better wells than those.

19 Q. So if Mr. Slater reaches his own conclusion about
20 waste, then he'll overproduce the spacing unit?

21 A. I think that there's a -- You characterize his
22 conclusion. We have engineering staff, and you will see in
23 the presentation here as to our conclusions of the waste
24 and what causes it to occur, and we have had that
25 conclusion for a considerable amount of time and believe

1 it's the correct conclusion.

2 Q. You had that conclusion for eight, nine months,
3 before you brought that conclusion to the Division and
4 asked for any type of relief?

5 A. I can't tell you the timing on that, no.

6 Q. Let me ask you about the operations in the
7 overproduced violation area, Mr. Patterson. Let me show
8 you what I've marked as Conoco Exhibit A.

9 As the land manager, Mr. Patterson, were you
10 involved in March -- February and March of 1995, with
11 proposing additional drilling in North Dagger Draw in what
12 now I would characterize to be the violation area?

13 A. I was aware of the wells proposed during that
14 period of time in this area where the overproduction
15 occurred.

16 Q. I've showed you what I've marked as Conoco
17 Exhibit A. It's a tabulation of Yates' letters. All but
18 the first purport to have your signature. Would you take a
19 moment and see if these are correct copies of letters that
20 you executed?

21 In addition, can you authenticate Mecca's
22 signature on the first letter of February 23rd?

23 A. These are proposal letters that we sent to
24 Nearburg Exploration and other working interest owners,
25 proposing wells during that period of time.

1 Ms. Mecca Mauritsen of our office did sign the
2 first proposal letter, and I notice that the last proposal
3 letter was signed for me by Janet Richardson. The "JR"
4 initials there are Janet Richardson of our office, and she
5 did sign that on my behalf. I was probably out of town.

6 And these proposals were made to Nearburg.

7 I'm curious as to how Conoco obtained copies of
8 these proposal letters from Nearburg.

9 MR. KELLAHIN: Well, if you'll look on the front,
10 it was Exhibit 5 in a public hearing before the Division,
11 held in August. It's Case 11,311, Mr. Patterson.

12 We move the introduction of Exhibit Conoco A, Mr.
13 Chairman.

14 MR. CARR: I have no objection.

15 CHAIRMAN LEMAY: Without objection, it will be
16 admitted into the record.

17 Q. (By Mr. Kellahin) Mr. Patterson, in a period of
18 about 30 days, beginning in February and ending in March of
19 1995, Yates proposes some 39 North Dagger Draw wells to
20 Nearburg. What was going on? What are you doing?

21 A. That particular group of proposals stemmed from
22 an argument that we were having with Mr. Nearburg. It had
23 nothing to do with allowable or with the producing rate of
24 these wells. It was mostly an argument over operatorship.
25 And as you know, under an operating agreement or -- There

1 is a procedure for proposing wells, and if you don't comply
2 with that procedure it's possible that the operatorship can
3 be removed to another party, and this was mostly an
4 argument over that. We also received several proposals
5 from Mr. Nearburg.

6 Q. As a result of the competition between Yates and
7 Nearburg, as represented by these 39 proposals, there were
8 a number of infill wells drilled in North Dagger Draw in
9 existing 160-acre spacing units, were there not?

10 A. Those -- There were some wells drilled. I would
11 not characterize it as being as a result of these
12 proposals. Those wells were slated to be drilled in the
13 usual and normal manner, and there were none of those
14 drilled at a time period when that spacing unit was over
15 the allowable producing rate.

16 Q. Are you absolutely certain of that, Mr.
17 Patterson?

18 A. Except for one.

19 Q. All right.

20 A. And there was one exception, and that was the
21 well that was before the District Court in Eddy County, and
22 the Court was very interested in that well being drilled,
23 and so it was drilled when the spacing unit was above the
24 700-barrel rate. None of these other wells were drilled
25 when the spacing unit was above the allowable rate.

1 And again, these wells were drilled as they would
2 have been drilled normally, and really these proposals were
3 no more than just get the paperwork done and the argument
4 about the operatorship.

5 Q. Are you referring to the southeast quarter of
6 Section 29, which has the Boyd 5 wells in it?

7 A. The Boyd X 5 was the well that was drilled,
8 because the judge was very interested in seeing that well
9 drilled.

10 Q. Did the judge's desire to have the well drilled
11 have anything to do with continuing to produce that spacing
12 unit at over its allowable?

13 A. That, as I stated before, when those wells are
14 completed, if those wells are not produced at an optimum
15 rate the reservoir will be damaged, and I believe Mr. Fant
16 is going to show that extensively.

17 Q. Did you take that position to the regulators to
18 have it authenticated by them to see if they agreed with
19 that position?

20 A. I don't know exactly what the conversations were.
21 I was not at those meetings, as I've already testified.

22 MR. KELLAHIN: Thank you, Mr. Chairman, I have no
23 further questions.

24 CHAIRMAN LEMAY: Thank you.

25 Additional questions? Yes, sir?

EXAMINATION

BY MR. BRUCE:

Q. Just one question, Mr. Patterson. I'm kind of confused about Yates' proposal.

Assuming overproduction wasn't canceled, how would you propose that overproduction is reduced? Would it be against the 700-barrel-per-day current allowable, or if the Commission approved an increase in the allowable would that be measured against the increased allowable?

A. Mr. Bruce, as I stated earlier, Yates Petroleum has accepted the Division's outline in the Order to make up the overproduction at 350 barrels or less per day, as compared to a 700-barrel-a-day allowable, which is the -- and was the existing allowable in the field.

However, we are asking -- We will do that if this Commission decides that that should be done, or if they do not change and decide to do something else. We are asking immediate attention to the allowable to increase for the balance of the wells in the field, and that's what we are seeking today and would like to focus on.

But the makeup will be done against the 700 barrels which existed at the time the overproduction occurred.

CHAIRMAN LEMAY: Additional questions?

Commissioner Bailey?

EXAMINATION

BY COMMISSIONER BAILEY:

Q. Are the saltwater disposal wells for the produced water from these production wells, are they also located within the field, or is the saltwater transported to some other distant area?

A. No, ma'am, we have a system of -- and I may misspeak here -- I believe a dozen saltwater disposal wells, at least ten saltwater disposal wells that are located in this area.

Q. Are they reinjecting into the Canyon or into some other formation, do you know?

A. Those disposal wells are in various formations, Devonian -- And I can't tell you exactly the answer to that question. I don't know if there are any presently injecting into the Canyon or not. Maybe Mr. Fant could answer that question for you.

COMMISSIONER BAILEY: That's all.

CHAIRMAN LEMAY: Commissioner Weiss?

EXAMINATION

BY COMMISSIONER WEISS:

Q. Yes, sir, Mr. Patterson --

A. Yes, sir.

Q. -- you say you frequently have arguments over operatorship. This one was apparently resolved?

1 A. Well, the Boyd X 5 actually went to court, and
2 there was an order issued by the District Court in
3 Carlsbad. That order has been appealed to the Court of
4 Appeals, and that is presently pending before the Court of
5 Appeals.

6 The rest of these wells were all resolved. Some
7 of these wells -- and I'd have to check exactly which ones,
8 maybe all of these wells have now been drilled. I rather
9 doubt that they have all been drilled.

10 Q. Well, I guess what I was wondering was about
11 unitization. This is a field that's crying for
12 unitization, rather than some regulatory approach to it.
13 Has that been investigated?

14 A. There have been talks of unitization. No
15 material negotiations or steps have been taken, and no
16 requests have been filed with this Division yet for
17 unitization.

18 COMMISSIONER WEISS: Thank you, that was my only
19 question.

20 EXAMINATION

21 BY CHAIRMAN LEMAY:

22 Q. Mr. Patterson. I just want to get some dates
23 straight here.

24 Was it your testimony that Yates management
25 became aware that Yates wells were overproduced in 1995?

1 Is there a month in 1995 that management became aware of
2 that?

3 A. I can't tell you a month, and I said that they
4 became aware that these wells were not declining, and
5 therefore I guess the inference can be made that they were
6 becoming overproduced.

7 But these wells were holding up very well, and it
8 was a little baffling to the Yateses that these wells were
9 not declining and not performing as other wells had in the
10 field.

11 Now, when Yateses actually became aware that they
12 were getting out of compliance, I can't tell you an exact
13 date on that.

14 Q. Okay. So that -- I'm trying to find out the
15 difference between not declining and being overproduced.
16 If they don't decline, they start at a higher rate, and the
17 obvious conclusion is, they're going to be overproduced --

18 A. They become overproduced, yes, sir, that's
19 correct.

20 Now, when the Yateses actually became aware that
21 they were getting out of compliance, I can't tell you that
22 exact date.

23 Q. Okay. I'm getting at semantics. You're talking
24 about becoming -- not declining, and then we're talking
25 about overproduced. If a well doesn't decline, the obvious

1 assumption is, it's going to be overproduced. Whose
2 decision was it in Yates to continue overproduction?

3 A. Well, I don't know that there was a conscious
4 decision to do that, Mr. LeMay. As I said, this field, as
5 well as other fields in the State of New Mexico, come on at
6 high production rates, and then in a matter of months they
7 fall off and become lower than the allowables.

8 There is a period of time that these wells, as
9 well as Conoco wells, as I said, and Nearburg wells, go
10 into an overproduced status, and then as they decline
11 rapidly they go back into -- it all averages out, and it
12 goes into compliance.

13 And as I say, these wells produce that way,
14 that's the optimum method to produce these wells, as well
15 as -- It happens in other fields, not only in Dagger Draw.

16 Q. Well, I'm still confused. If the wells don't
17 decline, there's a period of time in 1995 when -- I
18 understand your testimony was that these wells weren't
19 declining, but who first contacted who concerning the
20 overproduction? Did Yates contact our office, or did our
21 office contact you concerning the overproduction status?

22 A. It's my understanding that we made the first
23 contact in 1995 with the office.

24 Now, in 1996, Mr. Gum did come to us and said,
25 Hey, you're overproduced, we need to do something about

1 this.

2 Q. Can you explain the 1995 contact, by whom to who,
3 concerning what?

4 A. I believe Mr. Fant made that contact --

5 Q. Okay.

6 A. -- yes.

7 CHAIRMAN LEMAY: We'll ask him.

8 Okay. Thank you, That's all the questions I
9 have.

10 Anything additional?

11 Okay, Mr. Patterson, you may be excused.

12 THE WITNESS: Thank you.

13 CHAIRMAN LEMAY: Let's take about a 15-minute
14 break.

15 (Thereupon, a recess was taken at 10:07 a.m.)

16 (The following proceedings had at 10:24.m.)

17 CHAIRMAN LEMAY: Okay, we shall resume.

18 Mr. Carr?

19 MR. CARR: Thank you, Mr. LeMay.

20 BRENT MAY,

21 the witness herein, after having been first duly sworn upon
22 his oath, was examined and testified as follows:

23 DIRECT EXAMINATION

24 BY MR. CARR:

25 Q. Would you state your name for the record, please?

1 A. Brent May.

2 Q. Mr. May, where do you reside?

3 A. Artesia, New Mexico.

4 Q. By whom are you employed?

5 A. Yates Petroleum.

6 Q. What is your position with Yates Petroleum
7 Corporation?

8 A. I'm a geologist.

9 Q. Have you previously testified before the New
10 Mexico Oil Conservation Commission?

11 A. Yes, I have.

12 Q. At the time of that testimony, were your
13 credentials as an expert witness in petroleum geology
14 accepted and made a matter of record?

15 A. Yes, they were.

16 Q. Are you familiar with each of the Applications
17 filed in these cases on behalf of Yates Petroleum
18 Corporation?

19 A. Yes, I am.

20 Q. Have you made a geological study of the Canyon or
21 Upper Pennsylvanian formation in this area?

22 A. Yes, I have.

23 Q. And are you prepared to share the results of that
24 study with the Commission?

25 A. Yes, I am.

1 MR. CARR: Are Mr. May's credentials acceptable?

2 CHAIRMAN LEMAY: His qualifications are
3 acceptable.

4 Q. (By Mr. Carr) Mr. May, let's go to your
5 structure map, which has been marked Yates Exhibit Number
6 2, and I would ask you to identify and review that, please.

7 A. This is a structure map on top of the Canyon
8 dolomite. The contour intervals are 50 foot. The colors
9 denote 100-foot intervals, though.

10 The dark lines outlining the colored area show
11 the edge of the dolomite body, and the North Dagger Draw
12 Pool is in basically Township 19 South, 25 East, the
13 southeastern portion of 19 South, 24 East, and a little bit
14 of the northern portion of 20 South, 24 East.

15 South Dagger Draw Pool is the balance of 20
16 South, 24 East, also part of Township 20 1/2 South, 23 East
17 and the northern part of 21 South, 23 East.

18 And then Indian Basin Pool, which goes off the
19 bottom part of the map, takes up the balance of 21-23 and
20 another township or two to the south.

21 The red dots denote oil wells, and then we have
22 the standard gas wells. Most of the oil-well symbols
23 within the colored area are what I call Canyon or Upper
24 Penn producers from the dolomite.

25 Down in South Dagger there are some gas-well

1 symbols. Many of those do produce gas from the Upper Penn
2 or Canyon dolomite.

3 In North Dagger, most of the gas-well symbols are
4 older Morrow producers, almost -- In fact, I believe almost
5 all of the producers in North Dagger are oil.

6 You might note that Indian Basin, which is
7 basically off the bottom part of the map, is one of the
8 must structurally high areas. South Dagger is a little bit
9 lower than Indian Basin, and North Dagger structurally is
10 lowest of the pools.

11 Note that I represent the Canyon or Upper Penn
12 dolomite continuous from North Dagger to South Dagger, in
13 the Indian Basin and even on down into the Indian Basin
14 Associated Pool, further, even further to the southeast.

15 I might just -- I'd like to go into just a little
16 bit, briefly, of production history.

17 Back in the 1970s, Mr. Hanks and a few other
18 operators started drilling some wells in this formation,
19 and I believe most of those were in North Dagger, along the
20 western side of Township 19 South, 25 East. He had some
21 success, but it was limited. I believe he was kind of
22 restricted on making good wells, because at that time sub
23 pumps were not in use.

24 Later, in the 1980s, the sub pumps came around,
25 and in the late 1980s there was some very brisk drilling

1 activity occurred in South Dagger, and basically a quite
2 aggressive development of South Dagger Draw, mostly in
3 Township 20 South, 24 East. There was also some up in
4 North Dagger Draw, over in 19-24, and in the western part
5 of 19 South, 25 East.

6 This development has progressed steadily since
7 the late 1980s to the present time, and it currently has
8 been moving to the northeast in North Dagger Draw and has
9 moved over into the area of the overproduction problems.

10 You can see where a lot of the wells, the
11 production, current production, is stopped to the
12 northeast, in North Dagger Draw, and I believe, that -- I
13 shouldn't use the word "stopped", it's currently -- where
14 it's currently at. It probably will continue to the
15 northeast. Where, I do not know.

16 Also, there's been a recent spurt of activity
17 down in the very southern part of South Dagger, mostly in
18 Township 20 1/2 South, 23 East, and 21 South, 23 East.
19 There's been quite an aggressive program down there by
20 Marathon. In fact, here just recently, part of the old
21 Indian Basin Pool, part of that acreage was taken out of
22 the old Indian Basin Pool and put into South Dagger Draw.

23 This is a very -- Even though the rock is
24 continuous from North Dagger down into Indian Basin, this
25 is a very complex reservoir. It's one of the most complex

1 that I have ever encountered or seen, and I don't feel I'm
2 alone in that characterization.

3 We believe, looking at the structure map, in
4 South Dagger -- I guess I should start off -- All of those
5 wells produce water with the oil and/or gas they make. It
6 doesn't matter where you're at in a section. You can be --
7 in North and South Dagger Draws. You can be at the most
8 structurally high spot in one of those two pools, and you
9 still produce water.

10 There is a point, though, when you go down in the
11 section, downstructure, that you lose your hydrocarbon
12 production and have nothing but water production. And this
13 -- and I'm going to use the term loosely, oil-water
14 contact, is not consistent throughout the two pools. It
15 varies. In a localized area, you can get a feel for it, in
16 a very localized area. But in general, it changes.

17 In South Dagger, if you perforated a well in
18 South Dagger at a structurally equivalent area in North
19 Dagger and produced that well, you would get nothing but
20 water. So in other words, the productive intervals are
21 structurally higher in South Dagger than in North Dagger,
22 and that's a general statement.

23 So it appears that the further northeast you go,
24 the lower in the section you can have production, and
25 that's what we're seeing in North Dagger Draw. So the oil-

1 water contacts -- and like I say, I use that loosely
2 because sometimes you can't put your finger on it. It's a
3 gradational area sometimes in some wells. It will move
4 around. In some localized areas you can get a feel for it,
5 but once you move out of that localized area, it can
6 change. And we have been surprised numerous times on how
7 far down we can perforate.

8 Q. Mr. May, you're going to have to speak a little
9 louder, one.

10 A. Okay.

11 Q. And when you talk about the complex reservoir and
12 the oil-water contact in South Dagger Draw and North Dagger
13 Draw, was it your testimony that you have different oil-
14 water contacts in those two pools, or that it varies even
15 within those pools?

16 A. It can vary, and even -- You can even get varying
17 oil-water cuts in different zones within the Canyon
18 dolomite.

19 Also -- and I'll talk a little bit about it more
20 when I go into the next exhibit, but we feel like that this
21 reservoir is compartmentalized. It is not one homogeneous
22 reservoir, not by a long shot.

23 Q. Can you just basically in summary tell us what is
24 the significance of structure as you go about developing in
25 Dagger Draw?

1 A. Structure helps you, but it's not a panacea by
2 any means. What it does is, if you get higher in
3 structure, that means you have the potential to have a
4 thicker hydrocarbon section above that, quote, oil-water
5 contact. But you can still drill on a high spot, on noses,
6 on closures, and get poor wells.

7 So it does not necessarily mean because you're
8 structurally high you're going to get good wells. You can
9 drill off on the flanks, in lower parts of the field, and
10 have very good wells. So it helps, but you have to be very
11 careful that just because you're running high structurally
12 doesn't mean you're going to have a good well.

13 Q. All right. Let's go to the isopach map, Yates
14 Exhibit Number 3. Would you identify and review that?
15 First, how was this prepared? Was it well control, or was
16 seismic integrated into your study?

17 A. This is exclusively well data, subsurface data.

18 Q. Would you review what this exhibit shows?

19 A. Again, the wells are shown, again, the zero -- in
20 fact, the zero dolomite line is shown as the heavy line on
21 the outsides of the colored area. The contour intervals
22 are 50-foot intervals. The colors denote 100-foot
23 intervals.

24 And this is basically a dolomite -- net dolomite
25 thickness map. In other words, I counted up all the

1 dolomite present in each well and spotted it.

2 Q. Looking at this exhibit, it appears that all
3 wells in both pools, then, basically are producing out of
4 the same geologic body; is that right?

5 A. Yes, it is continuous. There are no breaks that
6 I have found from the different pools.

7 Q. Are they in the same basic geologic formation?

8 A. Yes, they're all in the Upper Penn, or what I
9 call the Canyon, and the same dolomite body.

10 And I might go in here at this point and talk a
11 little bit about this dolomite body. It was originally, in
12 my opinion, a carbonate bank. It was formed in shallow
13 water, it was originally deposited as limestone. Later it
14 was buried, and after burial diagenesis converted much of
15 the limestone into dolomite. There is still limestone, can
16 be above and below the dolomite body, not always. And to
17 the areas outside the colored area, there's limestone
18 present in many areas.

19 So the limestone is actually tight and forms some
20 of the seal for the dolomite, and the dolomite is the
21 reservoir itself. This bank was growing at the time.

22 And it didn't grow as one continuous bank, nice
23 and uniform. It's very -- it's a very complex -- I think
24 many areas were growing -- could possibly have been growing
25 at different rates than other areas. I think many areas

1 may have been at one time isolated from each other as far
2 as the actual bank itself and then eventually grew
3 together.

4 And I think that helps explain some of the
5 compartmentalization, because we feel like even though
6 diagenesis occurred -- it converted the dolomite, it
7 rearranged some of the porosity -- some of the original
8 depositional environments influenced some of the better
9 porosity at this time.

10 And so it was a very dynamic situation. And we
11 feel like that because of the way it grew, it explains
12 why -- in some part, why we feel like the reservoir is
13 compartmentalized.

14 Q. Now, what do you mean by compartmentalized?

15 A. In other words, you've got, per se, maybe pockets
16 of porosity and permeability within the dolomite, and many
17 times they may not be interconnected. There may not be
18 permeable paths in between them, completely.

19 That's another thing to point out, is, the
20 porosity and permeability varies greatly within this
21 dolomite. You can move from one well to -- In fact, we've
22 seen this many times where you drill a good well, offset it
23 40 acres away, and you can drill a poor well. So it's a
24 very -- very heterogeneous, is what I'm trying to get at.

25 Q. Do you see fracturing in the reservoir?

1 A. There can be fracturing. I don't think in North
2 Dagger Draw that there is a lot of fracturing, but there
3 can be fracturing within the -- in the dolomite.

4 Q. Now, when we look at these two exhibits, when we
5 look at structure and compare it by where the thickest
6 dolomite is located, do structural highs coincide with the
7 thickness of the dolomite?

8 A. Well, some of the higher spots are over on the
9 very western side of South Dagger in 20 South, 24 East, so
10 not necessarily.

11 Now, there are some noses, structural noses and
12 structural closes, that do correlate to some of the thicker
13 parts. But then, also there's some that don't.

14 So in general, I don't think you can just lay out
15 and say that the thicker parts of the dolomite
16 automatically overlay the structural highs.

17 Q. When we look at the area that's been developed by
18 Yates and contrast that with the area in which Conoco is
19 developing, which of those wells are actually in the
20 thickest portion of the reservoir?

21 A. Well, let's look at the area where the
22 overproduction occurred, that Yates owns, is in 19 South,
23 25 East, and it's, I believe, more in the southern part of
24 Section 21 which is in the thicker part of the dolomite.
25 That green denotes the thickest part. You've got over 300

1 feet of dolomite.

2 There's also Section 28, where we overproduced.

3 It's not in the thickest spot, but it's off to the flank.

4 And also in Section 29 we have production. Part
5 of it is in the thicker part of the dolomite and part of it
6 is off the flank.

7 The Conoco production that they had talked about
8 is in Section 32 to the south. It's on the edge of the
9 dolomite.

10 Q. Are you ready to go to your cross-section?

11 A. Yes.

12 Q. Let's go to the first cross-section in North
13 Dagger Draw, Exhibit 4, cross-section A-A'.

14 A. This is structural cross-section, A-A'. It's in
15 North Dagger Draw, and it's over the Canyon or Upper Canyon
16 dolomite section.

17 I've got the top of the Canyon limestone marked.
18 There's a thin limestone on top in some of these wells.
19 Sometimes in other areas of the pool you'll have no
20 limestone on top; it goes immediately from the shales above
21 it into Canyon dolomite. I've got the dolomite marked, and
22 it is colored in the bluish-purple color. I've also got
23 the base of the dolomite.

24 Now, this is on a minus-4300 datum on structure.
25 I've also got some correlation lines through here. You

1 might note that the dolomite does cross the correlation
2 lines, and the dolomite, in other words, is very erratic
3 sometimes on what's been dolomitized and what has been left
4 as limestone.

5 Starting off on the left-hand side of the cross-
6 section, in Section 32 of 19 South, 25 East is the Conoco
7 Joyce Federal Number 2. It's perforated and produces in
8 the dolomite.

9 It's on the edge. You can see that the dolomite
10 is starting to pinch out. There's a piece of dolomite in
11 the top and a piece in the bottom, and there's limes and
12 shales in between. This well IP'd for about 370 barrels of
13 oil a day out of the Canyon.

14 The next well is the Yates Aspden "AOH" Federal
15 Number 2. It's in Section 29 of 19 South, 25 East. I
16 might point out that this well was originally -- Because of
17 topography problems we had to move the surface location and
18 deviate the well back to a standard location, bottomhole.

19 So if you look down at the perforations at the
20 bottom that are listed, those perforations are based on
21 measured vertical depth. The log itself is a true vertical
22 depth log. So the perforations may not -- at the bottom
23 may not act -- may not be similar in depth to the
24 perforations on the log that are shown, because one is true
25 vertical depth and the other is measured, and that's the

1 difference.

2 But I did line up the measured-depth log with the
3 perforations marked and marked the perforations on true
4 vertical depth. So I feel they're in the correct spot.

5 This well IP'd for about 310 barrels of oil out
6 of the Canyon.

7 The next well is the Yates Boyd "X" Number 4 in
8 Section 29, 19 South, 25 East. Again, another Canyon
9 producer. It produced [sic] for about 891 barrels of oil.
10 We also ran a couple of DSTs on the way down, and they
11 recovered a little bit of oil on the first one, and water,
12 and the -- and the second one produced water.

13 The next well on the cross-section is the Aspen
14 "AOH" Federal Number 3 in 29, 19 South, 25 East. Again,
15 it's producing, and you might note that most of these wells
16 are producing near the upper part of the dolomite, and
17 that's where we have found the productive intervals in this
18 area, this localized area, to be. This well IP'd for about
19 462 barrels of oil.

20 The next well is the Yates Binger "AKU" Number 1
21 in Section 29 of 19 South, 25 East. It IP'd for about 684
22 barrels of oil a day. We ran about five DSTs on the way
23 down, with varying degrees of oil, water and mud recovery.

24 And then the last well on the far right is the
25 Yates Patriot "AIZ" Number 2 in Section 20 of 19-25, 19

1 South, 25 East. And it IP'd for about 285 barrels of oil.

2 There's a location map -- I pointed this out
3 earlier -- on the bottom right-hand corner showing the
4 trace of the cross-section.

5 Q. Now, Mr. May, could you -- I'd like to direct
6 your attention to the Aspden "AOH" Number 3 well. When was
7 that initially -- When was that drilled?

8 A. If you look down, it was IP'd in June of 1995.

9 Q. Was it a good well?

10 A. Yes, it IP'd for about 462 barrels of oil. And
11 the main reason I want to point that specific well out, if
12 we look over to the location map, the Aspden Number 3 is in
13 Section 29. It would be in Unit F or in the southeast of
14 the northwest of 29.

15 You can see that currently it is surrounded by
16 eight wells. At the time it was drilled, it was surrounded
17 by seven wells. The east offset had not been drilled at
18 that time. So there had been -- There's seven wells around
19 this location when it was drilled.

20 Q. And how good are those wells?

21 A. They are good wells, all of them around it. And
22 most of them have been producing anywhere from one to two
23 to three years before this well was drilled.

24 The main thing I want to point out is that Conoco
25 has contended that there is drainage because of the high

1 rates being pulled out. The Aspden 3 was drilled a few
2 years later than most of the direct offsets, and it came in
3 as a good well. You would think that if there were
4 problems out there, it would have been affected, and we
5 don't see any effects.

6 We also might note that the intervals that are
7 perforated -- look over to the same intervals in the Binger
8 Number 1 -- they're perforated in many of the same
9 intervals. The correlations are not too bad between these
10 two wells. The further you get away, some of the
11 correlations are not great.

12 This is in part what I'm basing why we think this
13 reservoir is compartmentalized. If it was not
14 compartmentalized and these two wells were connected
15 somehow, you would think that the Aspden 3 would have been
16 affected by the offset production in some manner.

17 Q. And you can look at these logs and see they are,
18 in fact, completed in the same zone; is that not correct?

19 A. Yes, in similar zones, yes.

20 Q. And it appears from their production profiles
21 that they are not interconnected?

22 A. Yes, and engineering testimony will go into that
23 later.

24 Q. Are you prepared to go to your next cross-
25 section?

1 A. Yes, sir, I am.

2 Q. Let's go to Exhibit Number 5, cross-section B-B',
3 and it is also in North Dagger Draw, I believe.

4 A. Again, this is a structural cross-section. This
5 is structural cross-section B-B' in North Dagger Draw,
6 again over the Canyon dolomite section, or Upper Penn.
7 It's laid out the same way as the first cross-section.

8 Q. Now, are these similar wells to wells that
9 appeared on the Conoco cross-section in May of this year?

10 A. Yes, in the Examiner hearing this is a -- It's
11 not exactly the same, but it's pretty close to the same
12 trace of a cross-section that was presented by Conoco.

13 And their cross-section, if we could move in on
14 their well on the far left-hand side, Conoco's Savannah
15 State Number 1 in Section 32 of 19 South, 25 East, you can
16 see that it's got two sections of dolomite, and it
17 perforated in the upper section.

18 They alluded to that over in Section 28, the
19 Yates State K 3 and the Hinkles, on the right-hand side of
20 the cross-section. And Section 28 is an overproduced area.
21 In fact, it's one of the bigger over- -- more overproduced
22 areas.

23 These zones are produced in similar stratigraphic
24 intervals, and Conoco alluded to that this interval within
25 the dolomite in their well was thicker than what showed up

1 in Section 28 in the Yates wells. So they concluded that
2 Yates, since they had a thinner zone and Conoco had a
3 thicker zone, and Yates had been overproducing, that they
4 were draining the Savannah State Number 1 from Section 28.

5 Well, I'd like to -- Let's look down at the
6 location map. The Savannah is in Section 32 in the
7 northeast-northeast. The closest Yates well in Section 28
8 is the State K Number 3 in -- I believe it's Unit J. It
9 would be the northeast of the southwest. That well is
10 almost three-quarters of a mile away from the Savannah
11 State Number 1.

12 If there's drainage -- and Yates contends that
13 there is not -- if there's drainage, you would think three-
14 quarters of a mile away that Section 29, the wells that
15 Yates has in 29, would be draining the Savannah State
16 Number 1. And that same interval is similar thickness as
17 the Savannah State Number 1. So...

18 Q. In fact, Mr. May, if you were concerned there was
19 drainage, wouldn't you have to drill a protection well?

20 A. Exactly right. If you look at the Yates acreage
21 in 28 and 29, there are no direct offsets to the Savannah
22 State Number 1.

23 So if there's drainage -- and we contend there is
24 not, but if you believe Conoco, you could almost put forth
25 the idea that Conoco could be draining Yates' acreage.

1 And they also -- If you remember my dolomite map,
2 they're on the thin edge of the dolomite. The two Joyce
3 wells in the northwest quarter of Section 32 have very thin
4 dolomite sections, and their productive intervals are even
5 thinner than the Savannah State Number 1.

6 Q. Let's go to the cross-section in South Dagger
7 Draw, C-C', and I'd ask you to review that, please.

8 A. Again, it's a similar-type cross-section. This
9 is C-C'. It's in South Dagger Draw. It's basically down
10 in -- It runs from the west on the left-hand side, in 34 of
11 20 1/2 South, 23 East, over to the right side, to the east,
12 in 35 of 20 South, 24 East. And again, it has a location
13 map in the lower right-hand corner.

14 This area of the Canyon dolomite is a little bit
15 different from North Dagger. It's higher structurally than
16 North Dagger Draw. In the upper part of the dolomite -- It
17 can also be thicker in some areas down here. In the upper
18 part of the dolomite, the production can be more
19 predominantly gas and water.

20 In the lower part of the dolomite, which this
21 cross-section shows is where the oil and water production
22 are at -- In other words, whereas in North Dagger Draw the
23 oil-productive zones are in the upper part of the dolomite,
24 in this area the oil-productive zones are in -- near the
25 base of the dolomite.

1 Going through the cross-section, on the far left-
2 hand side the Conoco Preston Number 3, 34, 20 1/2 South, 23
3 East, this well was recently drilled by Conoco, and I don't
4 have any completion data on it.

5 The next well is the Yates Diamond "AKI" Federal
6 Number 1 in Section 34 of 20 South, 24 East. This was a
7 very good well for Yates. It IP'd for over 1300 barrels of
8 oil.

9 The next well is the Conoco Preston Number 5 in
10 Section 34 of 20 South, 24 East. It was a good well for
11 Conoco. It IP'd for about 482 barrels of oil.

12 And then our last well on the cross-section is
13 the Conoco Preston Number 1 in Section 35 of 20 South, 24
14 East. This is an older well that was originally drilled by
15 Hanks and it was completed near the bottom, but it
16 completed in a gas zone. It IP'd for 1.3 million and very
17 little oil, from what I understand.

18 Q. Now, when you look at this cross-section, do you
19 see any evidence of compartmentalization when you look at
20 this exhibit?

21 A. Again, going back, looking at the Preston Number
22 5, you can look down at the IP at the bottom. They IP'd it
23 in 9 of 1993. The Yates well was IP'd in 3 of 1996. And
24 the Yates well originally -- We had problems again with
25 topography, that BLM would not give us an orthodox

1 location, came to a hearing, we were contested by Conoco,
2 and we received a 30-percent penalty.

3 So we drilled the well at the unorthodox location
4 with the 30-percent penalty and IP'd it for over 1300
5 barrels and then thus cut it back to around 900 with the
6 30-percent penalty.

7 You'll note that the completion dates between the
8 Conoco well and the Yates well was about two and a half
9 years. Again, as close proximity that they are to each
10 other, if there is -- you would think that if there's
11 drainage occurring, the Diamond well might have seen some
12 effects from the two-and-a-half-year production of the
13 Preston Number 5. As you can see, it was an extremely good
14 well.

15 The other thing we might point out on the --
16 Going from the Preston 5 to the Preston 1, I'm having
17 trouble correlating, as you can see. I could make some
18 correlations, but I didn't feel confident about them. So
19 sometimes throughout this area you'll see your
20 stratigraphic markers are hard to carry.

21 But even if you could carry them, note that the
22 other -- the Conoco Preston Number 5 and the Diamond
23 Federal Number 1 are oil-productive near the bottom. The
24 Preston Number 1 is gas-productive near the bottom. And
25 again, I think that supports the compartmentalization.

1 Q. Mr. May, the Division Order entered in these
2 cases defined these pools as being in, and I quote, an
3 extensive continuous dolomite reservoir. Do you agree?

4 A. Yes, it is definitely a continuous dolomite body.
5 I wouldn't go so far as to say it's a homogeneous
6 continuous reservoir.

7 I feel like that there is compartmentalization,
8 not only based on the geologic data, but engineering data
9 that will follow my presentation.

10 Q. The Division also found that there was good
11 vertical permeability in both of these pools. Do you agree
12 with that?

13 A. No, I do not.

14 Q. And why not?

15 A. There can be some vertical permeability, but as I
16 showed out in some of the earlier -- Some of the earlier
17 cross-sections I should have pointed that out. As we DST'd
18 different zones -- We have had some wells in North Dagger
19 specifically for the very top dolomite section. We would
20 drill into the zone, stop, run a DST and recover nothing
21 but formation water. We would again go back to drilling,
22 drill the next zone up, test it separately from the first
23 one and encounter oil and water. And then we could maybe
24 drill another one or two zones that would test oil and
25 water and then get into nothing but water. To me that says

1 they're not very well vertically communicated.

2 The other thing too, Conoco in the earlier
3 Examiner hearing stated that there's some shales as you get
4 to the edge of the dolomite, there's shales that come in
5 that can act as vertical barriers, and I believe that, I
6 agree.

7 But there's also tight limes that you find within
8 the dolomite, not necessarily on the edge. You can find
9 these sometimes in the thickest part of the dolomite.
10 These act as vertical perm barriers. And also tight
11 dolomites, we have seen. Many of those DSTs I have just
12 described in the same well were separated by tight
13 dolomites, and I feel like that tight dolomites can act as
14 vertical perm barriers.

15 Q. Are you seeing vertical separations in the
16 reservoir?

17 A. It appears that way, yes. In fact, some of the
18 zones appear to have different oil-water cuts.

19 Q. Is this a common occurrence in the reservoir?

20 A. We see it a lot.

21 Q. Do recent wells demonstrate that?

22 A. Yes, the Polo 6 in -- I believe it's Section 10
23 of 19 South, 25 East, was a specific well where we drilled
24 into the very top of the dolomite, DST'd and got nothing
25 but formation water. And I believe the second test

1 recovered nothing but formation water. The third test, we
2 finally recovered oil and water.

3 Q. Based on your geologic study of these pools, what
4 conclusions can you reach?

5 A. I believe that it's a very complex body of
6 dolomite, and we feel that it is compartmentalized because
7 of some of the production characteristics in what we've
8 seen on logs and other geologic data, and -- Well, it's
9 just one of the most complex reservoir bodies I've ever
10 encountered.

11 Q. Were Yates Exhibits 2 through 6 prepared by you?

12 A. Yes, they were.

13 MR. CARR: At this time, Mr. LeMay, we would move
14 the admission into evidence of Yates Petroleum Corporation
15 Exhibits 2 through 6.

16 CHAIRMAN LEMAY: Those exhibits will be admitted
17 into the record without objection.

18 MR. CARR: That concludes my direct examination
19 of Mr. May.

20 CHAIRMAN LEMAY: Mr. Kellahin?

21 MR. KELLAHIN: Thank you, Mr. Chairman.

22 CROSS-EXAMINATION

23 BY MR. KELLAHIN:

24 Q. Mr. May, do you have a copy of the Division
25 Examiner Order?

1 A. I think it's under here.

2 Q. I've turned your copy of the Examiner's Division
3 Order to page 8, and if you'll flip back you'll see that
4 these were his findings with regards to the North Dagger
5 Draw. Some of these findings on page 8 obviously cross
6 over into engineering conclusions, but I wanted to go down
7 the list on 8 and have you show me points where you would
8 disagree with those findings.

9 I think in A, Mr. Carr has helped you identify
10 one point where you have a difference, and that is the last
11 part where the finding is, there's good vertical
12 permeability. But for -- but for that, differs? Is there
13 anything else in Finding A there for which you have
14 disagreement?

15 A. Can I take just a minute?

16 MR. KELLAHIN: Absolutely.

17 MR. CARR: That's page 8, Tom?

18 MR. KELLAHIN: Page 8, it's Finding 9, sub A.

19 THE WITNESS: With the exception of the vertical
20 permeability in general -- that's the main thing I would
21 object to, would be the vertical permeability.

22 Q. (By Mr. Kellahin) All right. In Finding 9 B do
23 you have any disagreement with that finding?

24 A. I agree that it thins -- well, no, I don't --
25 Well, it does thin to the southeast, but I don't

1 necessarily agree that the dolomite is thickest along the
2 top of the structure. I don't think you can make that
3 statement in general. Yes, there are places where that
4 does occur.

5 Q. How would you get at that?

6 A. I would say at -- sometimes the top of the
7 structure coincides with thicker parts of the dolomite,
8 sometimes.

9 Q. All right. I'm particularly looking at the
10 violation area in that particular portion of North Dagger
11 Draw with regards to this next finding. Is this a correct
12 statement from a geologic perspective, from your analysis,
13 on 9 C?

14 A. As far as the pressure, I can't address that.
15 But as far as -- I don't believe that I would agree, again,
16 with the vertical permeability. I agree that there are
17 vugs and there are fractures present in that. A lot of
18 times, the vugs is one of the major porosity systems within
19 the dolomite.

20 Q. All right. What about horizontal communication
21 in a geologic sense?

22 A. There can be, but not for great distances, I
23 don't believe, because I believe in the
24 compartmentalization.

25 Q. Characterize for me what you think geologically

1 is the extent of this compartmentalization within the
2 violation area in that vicinity of North Dagger Draw.

3 A. It's hard to say just using geologic data --

4 Q. Uh-huh.

5 A. -- because I think that the compartmentalization
6 is based off some of the productive facies within the
7 carbonate bank, and those are hard to identify on electric
8 logs. But the engineering data that will be presented
9 later will help with that.

10 Q. All right. I'm going to show this to you to help
11 you locate what I'm describing. It was Mr. Fant's exhibit
12 from the Examiner hearing in which he identifies 11 wells
13 that are interfering with each other within the general
14 area of the violations. I'm going to show you so you see
15 the wells I'm looking at.

16 We'll talk about the engineering aspects with Mr.
17 Fant later, but I wanted you to see if there's a geologic
18 explanation to his conclusion of interference with these
19 wells.

20 Do you need a locator map, Mr. May?

21 A. No, sir.

22 Q. All right.

23 A. And your question was -- ? I'm sorry.

24 Q. My question is, the magnitude and extent of
25 compartmentalization within this violation area doesn't

1 seem to fit, at least yet, with what Mr. Fant told me at
2 the Examiner hearing where there are 11 wells which -- and
3 it may be simply two that interfere, and then there will be
4 some other portion of that where he's got two or three that
5 are interfering with each other's production.

6 How does that occur within your analysis of this
7 compartmentalization concept?

8 A. Some of the compartments may be as small as 40
9 acres, some of them can be a little bit larger. And these
10 compartments don't fall where the wells hit them in the
11 center. Some of these compartments, one well may catch the
12 side and another one may catch the other side. What Mr.
13 Fant is showing here, that there can be some effect between
14 two wells.

15 And I believe he also talked about the effect --
16 And he can testify to this too, so maybe I shouldn't
17 address it.

18 Q. My point is, do we have the ability to design
19 rules that will accommodate the compartmentalization of the
20 reservoir in North Dagger Draw?

21 A. I think as far as specific compartments, it's
22 going to be very hard, but it should be addressed and
23 viewed in the total picture on how this field should be
24 developed.

25 Q. Other than what we're doing now, at this point in

1 the life of the reservoir you don't see any material way to
2 change the method by which we establish and use rules for
3 the pool, other than this debate about the rate?

4 A. Well, we feel like that -- and engineering
5 testimony will back this up. We feel like that producing
6 at the higher rates will not infringe on correlative
7 rights.

8 Q. Okay, I understand that point of view. Yet we've
9 got examples in the violation area where a 40-acre offset,
10 in fact, is interfering with the production of its adjacent
11 40-acre well.

12 A. It was also pointed out by Mr. Fant that some of
13 those wells were affected, that if the second well hadn't
14 have been drilled, a vast majority of new oil would not
15 have been recovered. So there was just some interference
16 between the two wells, not total.

17 Q. You're pointing to some examples of such
18 instances as that. You're looking at 29 in the northwest
19 quarter with the Aspden 3 well. I think that was on --

20 A. (Nods)

21 Q. Yes? I think that was on your cross-section.

22 A. Yes, it was on my cross-section.

23 Q. And I've forgotten which one it was.

24 A. Which cross-section?

25 Q. Yes, sir.

1 A. It was cross-section A-A'.

2 Q. The A-A' cross-section?

3 A. Yes.

4 Q. I looked at that real quickly. I didn't see any
5 pressure values for that well on the cross-section. What
6 did you discover?

7 A. Mr. Fant will address the pressure.

8 Q. So he's got pressure data on that well, and we
9 can see what --

10 A. He will address --

11 Q. -- the pressure data is?

12 A. -- the engineering part of that.

13 Q. All right. Geologically, help us understand in a
14 summary fashion the distribution of reservoir fluids
15 between South Dagger Draw and North Dagger Draw.

16 A. As far as gas, oil, water?

17 Q. Yes, sir.

18 A. Are you talking about oil-water contacts?

19 Q. No, sir, I'm just talking in a general sense
20 about the distribution of the gases and the fluids.

21 A. In general, North Dagger produces mostly oil and
22 water. In South Dagger, parts of it, it's the same thing,
23 but part, other parts, you can have gas produced, gas and
24 water produced along with oil and water, and then other
25 parts of South Dagger, on the far western side, there are

1 some wells that currently are just producing gas and water.

2 Q. In North Dagger Draw there's enough information,
3 and the operators are getting pretty good at staying above
4 that interval that is substantially watered if you
5 penetrate it?

6 A. In some of the more developed areas, yes, you
7 have enough data that you feel a little bit more
8 comfortable with. Getting over on the northeast side, that
9 varies on you pretty quickly. And even some of the --
10 We've been even surprised in some of the more established
11 areas. Some wells you could go 10, 20 feet, 30 feet,
12 sometimes lower, than some of the surrounding wells.

13 Q. I don't want the Commission to misunderstand the
14 distribution of fluids in the reservoir. Am I correct in
15 understanding that if you perforate in the upper portions
16 of the dolomite you're going to produce oil, but also
17 there's inherently water in that interval?

18 A. You always have water production. But there are
19 some wells in the very top, over in North Dagger, where we
20 have seen nothing but water production.

21 Q. This is not an active water drive reservoir in
22 the North Dagger Draw, is it?

23 A. Not that I'm aware of, no.

24 Q. I think the rest of these findings on page 8 deal
25 mostly with the engineering aspects. We'll talk to Mr.

1 Fant about those.

2 But if you'll turn the page for me, let's go down
3 the findings for South Dagger Draw, and show me any
4 instances where you have a disagreement with the Examiner's
5 finding, starting on page 9. And I'll just let you take a
6 moment and go down those, and tell me those ones where you
7 disagree.

8 A. Again, the vertical permeability I don't
9 necessarily agree with.

10 And as far as a gas cap to reach -- I'm not sure
11 I agree with the statement in 9 A, on the bottom part,
12 about gas-cap gas being able to reach perforations in wells
13 that would normally be limited to production to the oil
14 column.

15 Q. All right, sir. I've made a note of that.

16 A. 9 B, it says the oil column is overlaid by a gas
17 column of varying thickness, regardless of structural
18 position within South Dagger. I think there is a
19 structural content to where the gas is at.

20 Q. All right, sir.

21 A. As far as the drive mechanisms, I would feel more
22 comfortable leaving that up to engineering.

23 Q. Okay.

24 A. And pressure, I can't address pressure, on 9 F.

25 Q. And the rest of those look to be engineering

1 questions?

2 A. Yes.

3 Q. All right. I want to make sure I understand the
4 compartmentalization concept here. Are you telling me
5 there is no pressure communication between the
6 compartments? You're not saying that, right?

7 A. You'll have to address pressure with the
8 engineering testimony.

9 Q. All right, if there's a difference in pressures,
10 then there is a weakness in the barrier between the
11 compartments?

12 A. Yeah, and I'm going to leave that to the
13 engineering testimony.

14 Q. Okay. But do you geologically have a way to
15 determine the integrity of the compartment container,
16 whether it would be a barrier to any type of flow?

17 A. As far as some of the cross-sections I showed and
18 some of the offset wells, good wells that were drilled
19 later, I infer from that. But a lot of it is based off
20 engineering testimony, but I make inferences based off my
21 geologic knowledge of the area.

22 Q. That's really what I'm asking you. The
23 assumption is, the engineer comes to you and he finds a
24 newer well that has lesser pressure than he might otherwise
25 expect, and he says, Well, the pressure went somewhere. Is

1 there a geologic explanation to where the pressure went?

2 And you can say, Well, you were in a compartment
3 with another well. I guess that would be one way to
4 approach it. But you can't map the compartments?

5 A. No, I cannot map the compartments. They're very
6 hard to identify on electric log; you need cores. And we
7 can't go out and core each well. And anyways, as far as
8 the development of the field, there's no need to do that
9 when you have the engineering data.

10 MR. KELLAHIN: Okay. Thank you, Mr. Chairman.

11 CHAIRMAN LEMAY: Thank you.

12 Questions of Mr. May?

13 Commissioner Bailey?

14 EXAMINATION

15 BY COMMISSIONER BAILEY:

16 Q. How big of an influence do you think the evolving
17 drilling and completion techniques that Yates must have
18 developed over development of this field had on the IPs for
19 the wells that you showed?

20 A. I think all the operators gaining knowledge and
21 experience through developing the pool have learned better
22 and better techniques. So yes, I think that has an
23 influence on the higher IPs. But also in North Dagger --
24 You can't account it to all of that. I think in North
25 Dagger where we have found some of the really good wells,

1 we have some very good reservoir rock there, excellent
2 reservoir rock. It's got some good holes in it to store a
3 lot of oil and move a lot of oil.

4 Q. But yet with a good reservoir, if there are poor
5 drilling or poor completion techniques, that can impact the
6 IP and the production?

7 A. Yes, poor completion techniques, that can be a
8 factor on your IP. Yes, it sure can.

9 CHAIRMAN LEMAY: Commissioner Weiss?

10 EXAMINATION

11 BY COMMISSIONER WEISS:

12 Q. I have just one. It has to do with the same
13 subject, the initial producing rate. Is that the maximum
14 producing rate? Are the wells pumped off at the time those
15 are measured?

16 A. I don't think they are, but Mr. Fant could
17 probably better address that question, but I think at the
18 time some of them may not be pumped down.

19 COMMISSIONER WEISS: That's the only question I
20 had. Thank you.

21 EXAMINATION

22 BY CHAIRMAN LEMAY:

23 Q. Standard question, Mr. May: Do you think this is
24 the oil rim to Indian Basin, then, the North Dagger and
25 South Dagger Draw fields?

1 A. That's a possibility. Now, whether the rock is
2 continuous all the way down into Indian Basin -- Of course,
3 Indian Basin has been classically the gas producer. Now,
4 that's probably not a bad assumption, but you can't assume
5 that everything is homogeneous from one end to the next of
6 this dolomite body. And whether it's actually the oil rim,
7 North and South Dagger, it's hard to say, but it's
8 possible.

9 Q. Well, if it was, would this be an associated
10 field, this whole complex then?

11 A. Well, if it was, I would assume so, yes, sir.
12 But the thing of it is, I think -- You recall Indian Basin
13 had been producing for numerous years before South Dagger
14 came on, and a lot -- we didn't see in South Dagger
15 influence from all that gas taken out of Indian Basin, an
16 influence on South Dagger. So I don't know if I would be
17 willing to step out and say that it's definitely an oil leg
18 to Indian Basin at this point, but it's possible.

19 Q. You mentioned submersibles. Is that the way
20 Yates completes their wells, putting --

21 A. For the most part, yes, sir. If we have a high-
22 rate well we use submersible pumps to move that fluid
23 because from what I understand from engineering, if you
24 don't get the wells pumped down adequately you have higher
25 water cuts, and the beam pumps just can't handle some of

1 the fluid amounts.

2 Now, when some of the wells settle down and get
3 below that, sometimes we will switch over to a beam pump.

4 Q. Are you familiar at all with the Bough C up in
5 Lea County?

6 A. Not a whole lot, but I at least know of it. But
7 I've never worked it myself.

8 Q. Well, I think -- they're recent -- You mentioned
9 a time frame of submersibles coming in at the 1970s. A lot
10 of that development, wasn't it due to submersibles from the
11 1960s up there?

12 A. That may very well be. I don't know that, Mr.
13 Lemay.

14 Q. Are you familiar with the Hanks operation at all?

15 A. Just a little bit, a little bit through the
16 history and everything, and I know he had --

17 Q. Do you know how his wells were completed and
18 produced?

19 A. I think he completed them -- I don't believe he
20 used submersibles, because I don't know if they were quite
21 accepted at that time. But he used some -- and I'm not too
22 familiar with them, but he tried different types of pumps
23 to try to move larger volumes --

24 Q. Are you familiar with his gas-lift operation down
25 there?

1 A. I've heard a little bit about it, yes, sir, and I
2 guess that was probably one of the things he tried, to try
3 to move fluid. And he was -- Some of the wells did okay
4 and some didn't, he wasn't successful from what I
5 understand.

6 Q. Is that engineering more or less -- Would gas-
7 lift be an efficient way to produce this reservoir, do you
8 think or --

9 A. I'd better leave that to the engineers.

10 CHAIRMAN LEMAY: Okay. Any more questions?

11 Thank you very much, appreciate it, Mr. May.

12 (Off the record)

13 CHAIRMAN LEMAY: Let's take a break and come back
14 at 12:30, take a lunch break now.

15 (Thereupon, a recess was taken at 11:20 a.m.)

16 (The following proceedings had at 12:36 p.m.)

17 CHAIRMAN LEMAY: We shall continue.

18 Mr. Carr?

19 MR. CARR: Thank you, Mr. Chairman.

20 ROBERT S. FANT,

21 the witness herein, after having been first duly sworn upon
22 his oath, was examined and testified as follows:

23 DIRECT EXAMINATION

24 BY MR. CARR:

25 Q. Would you state your name for the record, please?

1 A. My name is Robert Fant.

2 Q. Mr. Fant, where do you reside?

3 A. I reside in Artesia, New Mexico.

4 Q. By whom are you employed?

5 A. I'm employed by Yates Petroleum Corporation.

6 Q. And what is your current position with Yates
7 Petroleum Corporation?

8 A. I am a petroleum engineer.

9 Q. Have you previously testified before this
10 Division?

11 A. Yes, sir.

12 Q. At the time of that testimony, were your
13 credentials as a petroleum engineer accepted and made a
14 matter of record?

15 A. Yes, sir, they were.

16 Q. Are you familiar with the Applications filed in
17 each of these cases on behalf of Yates Petroleum
18 Corporation?

19 A. Yes, sir, I am.

20 Q. And are you familiar with the engineering aspects
21 of the subject pools and the development thereof?

22 A. Yes, sir, I am.

23 Q. Are you the person with Yates Petroleum
24 Corporation who's responsible for the engineering aspects
25 of the development of the Dagger Draw Pools?

1 A. Yes, sir.

2 MR. CARR: Are the witness's qualifications
3 acceptable?

4 CHAIRMAN LEMAY: His qualifications are
5 acceptable.

6 Q. (By Mr. Carr) Mr. Fant, could you summarize the
7 events which have resulted in these cases being before this
8 Commission?

9 A. Okay, well -- Yeah, originally we knew that
10 generally wells produced at high rates soon after
11 completion. That's a common characteristic in Dagger Draw.
12 Most of them would experience fairly rapid declines and
13 would soon thereafter be at what seemed like to many people
14 high rates, but for Dagger Draw are still low rates. Wells
15 might come in at 600 or 700 barrels a day and decline down
16 to 200 or 300 barrels a day, which is still a nice well at
17 200 or 300 barrels a day, but it's lower than the IPs.

18 But some of the more recently drilled wells in
19 the last few years, as we moved into a different portion of
20 the reservoir and started developing a different portion of
21 the reservoir, the rapid declines weren't experienced. In
22 fact, in some instances exceptionally high initial
23 potentials were noticed and rapid declines were not seen
24 thereafter. The wells stabilized at exceptionally high
25 rates.

1 And so, you know, basically that's what -- that's
2 you know, some of the events that started this process.

3 Q. Are you the individual who's been involved in
4 discussions with the Oil Conservation Division's District
5 Office concerning this problem?

6 A. Yes, I am one of the individuals.

7 Q. A year ago, when this problem first came to your
8 attention, did you contact the OCD, or were you called
9 initially by Mr. Gum?

10 A. Well, it was actually a little bit over a year
11 ago at this point, and I went and contacted Mr. Gum. I
12 basically just drove over to his office and asked -- told
13 him that I wanted to sit down and talk about some of the
14 stuff going on in Dagger Draw.

15 Q. And that's how this process with the OCD was at
16 least first raised?

17 A. Yes, I believe that was the first -- That was the
18 first involvement I know of.

19 Q. Were you also involved in the meeting which
20 occurred with the District Supervisor in April of this
21 year?

22 A. Yes, sir, I was.

23 Q. Now, that meeting was initiated by Mr. Gum, was
24 it not?

25 A. That meeting was initiated by contact with, I

1 believe, Mr. Brian Collins, our -- The man who had just
2 became operations manager with Yates Petroleum, Mr. Gum
3 contacted him and asked him to ask Brian to have us bring a
4 recommendation of how to take care of this matter.

5 Q. And what was that recommendation?

6 A. Well, we met with him in April, and we -- when we
7 met with him, we proposed to restrict the production from
8 those spacing units to 700 barrels of oil per day or less,
9 you know, because hitting an exact number is a very hard
10 thing. But we said we would put them at 700 or less, so as
11 not to accrue any more overproduction.

12 We would, as rapidly as is legally possible,
13 pursue the remedies, because we believed at that time that
14 the allowables should be increased and that the
15 overproduction should be canceled. So the only method for
16 us to do that was to file an application with the OCD to
17 have that done.

18 Q. When an operator finds himself overproduced, what
19 can he do?

20 A. You can live with the rules and make it up, or if
21 you feel that the rules are wrong, you can seek the relief
22 of the Commission.

23 Q. And are you not doing both of those now?

24 A. Absolutely, we are.

25 Q. Have you prepared exhibits for presentation here

1 today?

2 A. Yes, sir.

3 Q. Could you refer to what has been marked for
4 identification as Yates Exhibit Number 7, identify that and
5 review it for the Commission?

6 A. Exhibit Number 7 is a plat I prepared basically
7 showing North Dagger Draw and wells within North Dagger
8 Draw. It is basically on a scale of one inch is equal to a
9 half a mile, and it shows basically the proration units
10 within the field.

11 And Conoco has -- It's got many colors on there.
12 There's a dark bold outline that, if you'll notice,
13 compares very close to the dark black outline shown on
14 Exhibit 1. It's basically the boundary of the dolomite
15 facies of the reservoir. At this point I'm looking
16 primarily at North Dagger Draw.

17 And there is a color coding for this particular
18 map. There are two shades of green on this map, there are
19 two shades of red, there are two shades of blue, there are
20 two shades of magenta, and there are two shades of gray for
21 these proration units. The Yates Petroleum-operated
22 spacing units are in green, the Nearburg Producing spacing
23 units are in magenta, Conoco's are in red, Texaco in blue
24 and Mewbourne's are represented by the grays.

25 It's been expressed -- It was expressed in the

1 Examiner hearing, and the point was kind of brought across,
2 that this is the only area that's ever overproduced. And
3 what I wanted to show you on this particular map was, the
4 darker shades -- All right, let's just take the green, for
5 example, with Yates Petroleum. The dark green represents
6 spacing units that have at one point in history
7 overproduced. I'm just being totally frank about that.
8 They have at one point in history overproduced.

9 The dark blue for Texaco represents where they
10 overproduced. The bold red represents where Conoco has
11 overproduced a proration unit at some point in history.
12 And the same with Nearburg and Mewbourne.

13 And what you'll see is, basically every operator
14 out here at some point in history has overproduced a
15 spacing unit.

16 Q. What percentage of the Yates spacing units have
17 been overproduced at one time or another?

18 A. Approximately 49 percent.

19 Q. And what about Conoco?

20 A. Conoco, the numbers are 11 of 16 proration units
21 that they operate have at some point overproduced, which is
22 69 percent.

23 Q. And as an average for this whole -- the area
24 shown in this exhibit, how many of the spacing units have
25 actually been overproduced at one time or another?

1 A. Basically 50 percent have overproduced at some
2 point in history.

3 Q. Now, Mr. Fant, you're not offering this exhibit
4 to suggest that other operators have been overproduced to
5 the magnitude of the problem the Division is looking at
6 here today, are you?

7 A. No, the magnitude of the overproduction in these
8 other wells does not approach this, and I do not want to
9 convey that in any way.

10 Q. But this is the production pattern in this field
11 which was sort of the first step down the road that has led
12 to this problem here today; is that not true?

13 A. Absolutely, that's one of the things I'm trying
14 to show here. We have stated before that the practice has
15 been to overproduce the wells early in their life and then
16 allow them to make it up through decline. And -- It's been
17 done throughout the field.

18 It also shows that basically the allowables as
19 they were set have never really reflected well
20 capabilities. I mean, they were attempting to. That's
21 what Conoco presented them to be, that's what Roger Hanks
22 presented them to be. But really, it hasn't been the case.

23 And I really want to stress very strongly that,
24 yes, the magnitude in this area is greater, the wells in
25 this area are better, the reservoir rock in the area that

1 we're talking about today is significantly better than
2 these older proration units to the west. We're dealing in
3 a situation where it's not just the production practices,
4 but it has to do with why the wells are producing that much
5 better, and it has a lot to do with the rock.

6 Q. Will you be presenting information about these
7 pools here today? That is, new information or something
8 that really wasn't known before?

9 A. Well, not really. I mean, early in the life --
10 I'm going to review a lot of the data that we've known
11 about this field, since early in the life of the field.

12 We've known since the days of Roger Hanks that
13 large volumes of water were produced with this field, and
14 it's been a generally held principle since the early days
15 of this field, the 1970s, that you get better oil cuts at
16 higher producing rates. That was part of the tenets of
17 what Roger Hanks was saying. That's what Conoco presented
18 in 1991.

19 But what I am going to say is, I believe we have
20 a better understanding now of why the reservoir produces
21 the way it does. And it is -- You know, it's very
22 important to me as an engineer to develop a model. And
23 what I mean by "model" here is not a reservoir simulation
24 but just a visualization, an understanding of what's going
25 on in the reservoir, you know, a mental model of the

1 reservoir that accounts for absolutely all of the known
2 data that we have.

3 If we don't account -- If we account for one
4 piece of data but can't account for another piece of data,
5 then the model is wrong. And it's important to me to
6 develop a model that accounts for all the data, all the
7 things we know to be facts, because if you don't do that,
8 then you're fooling yourself. And --

9 Q. Now, Mr. -- Excuse me, go ahead.

10 A. No, go -- That's basically all.

11 Q. All right. When did the greatest production
12 increases actually occur in this pool, or in these pools?

13 A. I'm going to have some exhibits, an exhibit,
14 later that will show that the greatest production increases
15 occurred around 1990 to a peak in 1992, the reservoir went
16 on decline -- or the field went on decline, and then
17 drilling began in 1994, and we started developing what is
18 this area right through here, and we have reached a new
19 peak, or actually -- I don't know that we've actually
20 reached the peak, but we have experienced another
21 significant increase in oil production.

22 Q. Let's go to your Exhibit Number 6, your oil cut
23 comparison, and I'd ask you to identify and review the
24 information on that exhibit for the Commission.

25 A. Okay, this is Exhibit 8.

1 Q. I'm sorry, it is Exhibit 8.

2 A. Okay, one of the first things I want to try to
3 lay out for you is to establish a relationship between
4 producing rate and oil cut. Okay? And I'm going to
5 illustrate that through several exhibits here.

6 What we are looking at here on Exhibit Number 8
7 is a plot of what I call swabbing oil cuts versus second-
8 month producing oil cut for 58 wells in Dagger Draw. These
9 are primarily some of the more recently drilled wells,
10 since, say, 1992, 1993, 1994, but primarily more of the
11 recent ones. These don't incorporate, say, the early wells
12 that were drilled by Roger Hanks.

13 And on the X axis we have the swabbing oil cut
14 for the well, okay? And on the Y axis we have the oil cut
15 as reported, as calculated from the production in the
16 second month of production for the well.

17 Q. Now, why did you use the second-month reported
18 production?

19 A. Well, I wanted to get early time data in the life
20 of the well, I wanted to be looking at oil cuts in the
21 early life of the well, but the first month of production
22 is sometimes not a full month, it's sometimes inaccurate
23 data. Sometimes the water volumes are being placed into a
24 tank and don't get properly reported, but the second month
25 is properly reported. So I wanted to be representing

1 accurate data here.

2 Q. And what does this exhibit actually show?

3 A. Well, what you need to understand is that when
4 you are swabbing a well, after completion, you're producing
5 that -- you are producing that well, but you're producing
6 it at what is, for Dagger Draw, very low fluid volumes, you
7 know, let's say -- about 500 barrels a day is about all you
8 can swab. For Dagger Draw -- And that's 500 barrels of
9 fluid a day, oil and water. And you're swabbing, and
10 that's a low drawdown. We normally can not get the fluid
11 levels down very deep.

12 The second month of production represents what
13 the production is like when we have a submersible pump in
14 the well, producing it at high volumes. If there was no
15 change in the oil cut between when we're swabbing the well
16 and when we're producing it at high rates, these points
17 would cluster around this diagonal line going through here.

18 Well, what you can see here is that most of them
19 are significantly above the diagonal line, illustrating
20 that we get a much better oil cut when we're producing at
21 the high rates afforded to us by submersible pumps than the
22 oil cuts we get when we're swabbing the well. In other
23 words, we're pulling out more oil for every barrel of total
24 fluid with the submersible pump at high rates than we are
25 with a swab at low rates.

1 That's basically what this is designed to show,
2 that at higher rates, we're getting a higher oil cut.

3 Q. Let's go to Exhibit Number 9. Would you identify
4 that, please?

5 A. Okay, Exhibit 9 is a series of selected -- 17
6 plots from selected wells in North and South Dagger Draw.
7 My analysis here, there's a lot of it that focuses on North
8 Dagger Draw, but there are examples that are in South
9 Dagger Draw.

10 These are, quite honestly -- These wells that
11 we're going to look at in this exhibit are some of the best
12 wells in the field.

13 Now, what I'm showing for you here is the oil cut
14 in these individual wells as a function of the producing
15 rate in the well, okay? Producing rate along the X axis,
16 the oil cut along the Y axis. And we will have 17 of these
17 wells.

18 This involves -- These plots incorporate data
19 from actually ten of the overproduced wells on ten of the
20 overproduced units, and these are some of the more recently
21 developed -- recently drilled wells. These plots cover
22 areas in North Dagger Draw from, you know, this area up in
23 here down to -- well -- and also wells down in this area in
24 South Dagger Draw. So I'm trying to illustrate to you that
25 this phenomenon not only exists in North Dagger Draw, but

1 it exists in South Dagger Draw.

2 And what I've done here is, I've taken the
3 monthly producing data for the well and looked at it, and I
4 take -- I calculate the oil cut for that month and plot it
5 versus the oil rate for that month to see whether at the
6 higher rates we had higher oil cuts.

7 And if you'll -- you know, thumbing through --
8 I'm not going to go through each one of these individually,
9 but I will represent to you that all 17 of these, a
10 statistical regression of the data, just doing a linear
11 regression of this data, gives you a positive slope.

12 In other words, at higher rates, over the life of
13 the well, over this portion of the life of the well, at
14 least, at the higher rates we are producing at higher oil
15 cuts. And it -- All 17 of these wells have a positive
16 slope.

17 This illustrates that the pool is rate-sensitive,
18 from the standpoint of water production. If we produce
19 these wells at low rates, we are going to be pulling out
20 excess water, excess reservoir energy, and we will lower
21 the ultimate recovery of the pool.

22 Q. Let's go to Exhibit Number 10. Will you identify
23 and review that?

24 A. Okay, Exhibit Number 10 is kind of tabulated data
25 on the same type of analysis I did for these 17 wells.

1 These 17 wells are examples. But I want to tell you right
2 now that I studied every well, and I did these calculations
3 for every well in Dagger Draw for which I had data. Not
4 only Yates wells, but Conoco wells, Marathon wells, Santa
5 Fe wells, for every well that I could get data on,
6 basically from the public data records. And you could go
7 in and plot -- do a statistical regression of oil cut
8 versus oil rate.

9 Now, on Exhibit 9, the previous exhibit, we had a
10 positive slope on those exhibits. And what we have on
11 Exhibit 10 is a table with the first column being the well
12 name; second column, operator; the next four columns giving
13 the location of that particular well; and then the -- What
14 was it? The seventh column is what I term oil-cut slope.
15 That is the slope of this line, like you see on this
16 Exhibit Number 9. I did not want to present 280 of these
17 plots to you; it would get overbearing. But here's the
18 data from it.

19 Now, it's very important to understand that 95
20 percent of the time, on this analysis, that that slope is
21 positive.

22 Q. Mr. Fant, this slope was determined by using
23 statistical regression, I think is what you said?

24 A. Yes, sir, a linear --

25 Q. Is that just a mathematical process by which you

1 determine whether you've got a positive or a negative
2 slope?

3 A. Yes, it is simply a mathematical process. Any
4 number of mathematics books will -- you know, can
5 illustrate how that is actually done.

6 Q. Now, five percent of the wells, you -- if I
7 understand what you've said, did not show a positive slope;
8 is that right?

9 A. That's absolutely true.

10 Q. Do you have any idea why that would be?

11 A. Well, you know, I went in and looked at some of
12 those, and I believe that it has to do with statistical
13 aberrations due to what is termed in the mathematical sense
14 outlier data points. And later on in my presentation I
15 will show you an example of what can cause that to happen.
16 I believe that the -- most of the negative slopes -- you
17 can look. There's a few on the front page.

18 The Afton 2 has a -- you know, a 2 times 10^{-5}
19 slope. That's very small negative slope.

20 The Binger 2, -7 times 10^{-5} .

21 The Binger 1, -8 times 10^{-6} .

22 These are very small numbers. These are very,
23 very small negative slopes, and they are caused primarily
24 by statistical aberrations that I will -- I will illustrate
25 for you later why that occurs.

1 Q. All right. At this point, why don't we move to
2 Exhibit Number 11. Are you ready to go to that?

3 A. Sure.

4 Q. Could you identify and review that, please?

5 A. Okay, Exhibit Number 11 is basically the same
6 type of plots that we saw in Exhibit Number 9 for two
7 wells, the difference being, Exhibit Number 9 was based
8 upon data over several months to several years of the life
9 of the well. In other words, it took into account some
10 natural decline on the wells.

11 And people might try to say, Well, that's just a
12 decline effect. But what I wanted to illustrate with this
13 is, we have the same type of data plots for two wells, one
14 in North Dagger Draw, one in South Dagger Draw, that shows
15 that this phenomenon of higher oil cuts at higher oil
16 rates, or higher producing rates, is an instantaneous
17 function also.

18 And when we look at the first one, the Diamond
19 "AKI" Number 1, this is a well -- Mr. May has already
20 mentioned this well. This well was drilled at an
21 unorthodox location, has a 30-percent penalty on it. As a
22 result, we needed to know what the -- it's 30 percent off
23 of the IP.

24 We placed a pump in the hole, and that pump was
25 producing around 800 barrels of oil per day. But you see

1 there's a cluster of points on the first one, kind of on
2 either side of 800 barrels a day, and that cluster of
3 points was when we first put a sub pump in the hole.

4 One of the interesting things you can do with a
5 sub pump is, you can put what's called a variable-speed
6 drive unit on it, and you can actually spin it faster, and
7 that pump is capable, then, of producing higher volumes of
8 fluid.

9 So we put a variable-speed drive on it, turned up
10 the production rate and increased the production in the
11 well to approximately 1300 barrels of oil per day. That's
12 the two points there, over on the right, at about 35
13 percent oil. If you'll notice, the 800-barrel-a-day rates
14 were around 28, 29, maybe 30 percent.

15 We turned this well up to 1300 barrels of oil per
16 day -- Now, this is in South Dagger Draw, so that's still
17 within the allowable limit. We turned it up to 1300
18 barrels a day, the oil cut went up to 35 percent. And
19 actually we stepped it up there. We had a few data points
20 around 1100 that were about 32-percent oil. The allowable
21 was set to about 900 or 950. I don't remember the exact
22 number. And so they turned the well's production back
23 down, to comply with the allowable. And you can see that
24 right around the 900-barrel-a-day range, the oil cut simply
25 dropped right back to 30 percent.

1 So basically what --this shows that this well, as
2 we turn it up, as you increase the rate on this well, the
3 oil cut improves. Or in other words, we're pulling less
4 water out for every barrel of oil. It's a very important
5 premise. We're taking less energy out of the reservoir for
6 every barrel of oil produced, and therefore we are
7 recovering -- we will, over the life of the well, at higher
8 rates, recover more oil.

9 The second plot is simply the same type of plot
10 for the Aparejo "APA" Number 5. This particular instance,
11 it was not a submersible -- it was not putting in a
12 variable-speed drive unit; it was actually running a
13 different size pump to create this data.

14 But as you can see here, at very low oil rates we
15 almost got no oil. I mean, we were at the 5-percent -- 5
16 to -- less than 5-percent oil cut on the second one. And
17 as we raised the rate up, we're upwards of 12 percent, a
18 very strong relationship between the oil cut and the
19 producing rate.

20 It's very important, and in all reservoirs it's
21 an accepted premise that you want to take out the least
22 amount of water that's possible.

23 Q. Now, Mr. Fant, at the 1991 Division hearing on
24 Conoco and Yates's applications to increase allowables in
25 these pools, Conoco's engineering witness testified that

1 increased allowables and higher producing rates in the
2 reservoir resulted in better water cuts.

3 Have you seen anything in your study that would
4 cause you to disagree with that statement as it applies to
5 the reservoir today?

6 A. No, he was right then, and it was known then, and
7 that was one of their premises for raising the allowable at
8 the time, is to -- is because you get better -- he terms it
9 in better water cuts, I term it in better oil cuts, but
10 it's the same concept. You want to minimize the amount of
11 water withdrawn from the reservoir.

12 Q. Let's go to your Exhibit 12. Would you identify
13 that, please?

14 A. Okay, Exhibit Number 12 is actually a plot of the
15 same two wells that we were dealing with in Exhibit Number
16 11, but in this instance we're dealing with -- instead of
17 the oil cut, we're looking at the GOR of the well, as
18 plotted against the producing rate in that well.

19 And what this shows, clearly and pretty strongly,
20 is that as we produced at the higher oil rates, we produced
21 at a lower GOR in the well. And both wells show that very
22 clearly. And, you know, these particular plots of GOR have
23 a negative slope. And, you know, this is a on an
24 instantaneous basis.

25 Q. Now, let's go back and refer back to Exhibit

1 Number 10. What does this exhibit tell you about the
2 relationship between high production rates in these pools
3 and the resulting gas-oil ratio?

4 A. Okay -- Yeah, Exhibit 10 is the table of the
5 wells that I talked about earlier.

6 The final column on the right is what I term the
7 GOR slope. I did the same type of statistical regression
8 on the data to determine what the slope is for the GOR, and
9 75 percent of the time the GOR slope is negative, as we
10 would expect it to be.

11 You know, so we've shown that with oil cut and
12 with GOR, over history producing the wells at higher rates
13 improves those two aspects, the GOR and the oil cuts. And
14 we've also -- Also the data shows that if you just go out
15 there and change the producing rate day to day, it improves
16 the GOR, and it improves the oil cut on a day-to-day basis.

17 So not only is this a phenomenon that occurs over
18 time, but it's also a mechanism that occurs on an
19 instantaneous basis in the reservoir. And this -- I do
20 want to say, the instantaneous basis is related to new
21 wells. You know, this is basically the first few days of
22 production, of the Diamond and the Aparejo 5.

23 Q. Now, Mr. Fant, in 1991 Conoco's engineering
24 witness testified that at higher producing rates he felt no
25 secondary gas cap had developed. Do you agree with that

1 still today, based on what you know of the reservoir?

2 A. Absolutely.

3 Q. He also testified that at higher rates the gas-
4 oil ratio was no higher than at lower rates. Do you agree
5 with that?

6 A. Yeah, I agree it's no higher. In fact, the data
7 clearly states that it's actually lower.

8 Q. Have you studied well-interference data in these
9 pools to determine the appropriate number of wells for each
10 160-acre proration unit?

11 A. Yes, sir, I have studied that very heavily. In
12 fact, it's been the primary focus of my professional life
13 for the last 18 months.

14 Q. Why don't we turn to what has been marked as
15 Yates Exhibit Number 13?

16 A. Okay.

17 Q. Would you identify and review that, please?

18 A. Exhibit Number 13 is a plot of rate versus time,
19 and I have it entitled -- The first page is entitled
20 Withdrawal Comparison on oil Production, the second page is
21 Withdrawal Comparison on Gas Production, the third page is
22 Withdrawal Comparison on Water Production, and the fourth
23 page of that is Withdrawal Comparison on total Fluid
24 Production.

25 Most of the interference data that I have studied

1 in this pool has been related to production of the wells.
2 If interference occurs between wells, then essentially the
3 decline rate of one well is affected when another well
4 begins producing.

5 That is -- And I want to point out at this point
6 that interference is not a function of rate. If it's going
7 to occur, it doesn't matter what rate you're producing at,
8 it's going to occur. That's a fact. That's a principle.
9 If there's a conduit for interference to occur, it's going
10 to occur, period.

11 But I'm not going to sit up here and say there's
12 absolutely no interference between wells in this field.
13 And in fact, this particular exhibit, Exhibit Number 13, is
14 an illustration of where interference has occurred between
15 two wells. I have studied interference data basically
16 throughout these two pools, from North Dagger Draw to South
17 Dagger Draw, and to submit all of that data would be beyond
18 -- we would not have time to put all that in. But I want
19 to illustrate for you an example where we do have
20 interference.

21 We had drilled the Warren "ANW" Federal Number 1.
22 In February -- It was completed in February of 1995. It's
23 represented by the squares on this first plot. And as you
24 can see, in June of 1995 the Thomas "AJJ" Number 6 was
25 drilled.

1 Now, as you can see, the Thomas -- What this
2 thing shows is, the lower line on this plot is the
3 production from the Warren "ANW" Number 1. The line with
4 what is actually diamonds on it is the -- and it's the next
5 one above the Warren -- is -- and it's a line that actually
6 begins in June of that year -- that's the Thomas 6. And
7 then the line with the circles, dots, above that, is the
8 sum of the two.

9 Now, what's happened here is, when we drilled the
10 Thomas 6, there is communication between the Thomas -- some
11 -- partial communication between the Thomas 6 and the
12 Warren 1. That's a fact.

13 As you can see, as soon as the Warren Number 1
14 was put on production, the next month the decline in the
15 Warren Number 1 changed. It went to a steeper slope.

16 One of the nice things about engineering data,
17 though, is that we can calculate how much additional oil is
18 being recovered by the Thomas 6 and how much of the oil is
19 actually being -- is involved in this interference between
20 the two.

21 If you want to look at the second page, you'll
22 see that gas production was also affected. But what's kind
23 of funny is, really water production never was affected.
24 And you get back on the last page, you can see that the
25 total fluid production was impacted.

1 Now, we see some interference between these two
2 wells. These two wells are not in total communication with
3 each other. Their full zones in the well are not in
4 communication with each other. If they were, we would not
5 be recovering new oil.

6 And it's very simple to come in here and do an
7 extrapolation of how much oil the Warren would have
8 recovered, how much will be recovered now with the two
9 wells, and the difference between the two is how much new
10 oil is being recovered. And the calculations show that 71
11 percent of the oil recovered in this Thomas Number 6 is
12 brand-new oil, absolutely new oil.

13 Another point that shows why these wells are not
14 in total communication with each other is, if they were in
15 total communication across the zone, okay, if everything
16 was in communication, shortly after, within a month or two
17 after drilling the Thomas 6, both wells would be producing
18 at essentially the same rate.

19 Well, you can see that the oil production from
20 the Thomas 6 is significantly higher, several hundred
21 barrels a day higher than the production from the Warren 1.

22 In other words, if we had not drilled the Thomas
23 6, that incremental 71-percent oil would have been left in
24 the ground, because this well is in -- the Thomas 6 is not
25 in communication with any other well. Therefore, if we had

1 not drilled the Thomas 6, that oil would not be recovered.
2 That is oil that is absolutely unique to that well.

3 Furthermore, I'm not saying that the Thomas 6 is
4 taking oil away from the Warren. This is oil that the
5 Thomas 6 deserves to recover. It's important to understand
6 that, that waste would have occurred if we had not drilled
7 the Thomas 6.

8 Q. Was this exhibit prepared for presentation in the
9 context --

10 COMMISSIONER BAILEY: Bill, do you have another
11 Exhibit 13? Mine's only a two-page on, instead of the
12 four-page one.

13 (Off the record)

14 Q. (By Mr. Carr) Mr. Fant, was this exhibit
15 prepared for the purpose of the Oil Commission hearing?

16 A. The exhibit was prepared for the original
17 hearing. The study, this study that I did, was done back
18 in February of 1996. So, I mean, yes, I prepared this
19 particular exhibit for that hearing. But the study had
20 been done much earlier. It was done before any of that.

21 Q. Let's take a look at Exhibit Number 14, the plat
22 showing the area of current development, and I'd ask you to
23 review for the Commission what this is designed to show.

24 A. Okay, Area 14 [sic] is a plat of the area -- what
25 I call the area of new development for Yates Petroleum.

1 This is the same exact plat that was presented in the
2 Examiner hearing.

3 I would probably say that the area of new
4 development may extend a little bit further to the east
5 now. We have drilled some wells further to the east that
6 have been phenomenal.

7 But this was the area, the primary area of study,
8 because this is the area we're developing under the rules
9 of the -- Dagger Draw. And so this is primarily the area
10 that's being impacted by those rules, and those rules need
11 to reflect what is best for this part of the reservoir and
12 close adjacent areas.

13 And what this has, there are dark lines on this
14 particular plat that show where I have found known
15 instances where wells have been in communication with each
16 other, where they are -- where they have had some
17 interference between the two.

18 Now, we see -- We can count up here solid lines,
19 one, two, three, four, five -- Am I counting that right?
20 Yeah, there are five solid lines and one dashed line. The
21 dashed line at the time of the original hearing was what I
22 suspected possibly could be interference. And I'm here to
23 tell you right now that, yeah, that probably should be a
24 solid line; I believe those two wells are in communication
25 with each other. I'm not trying to say that there's not

1 some interference out here, but I am going to show you from
2 the data that it's very, very small.

3 Now, the question should arise, how many
4 potential chances are there on this plat alone of
5 interference? And I'm here to tell you that there are 137
6 potential paths of interference, on this plat alone,
7 between a well and its direct offset.

8 And what that says is, we have six known
9 instances and 137 possible. Well, that's a pretty small
10 percentage, you know. Say it's less than five percent.
11 Actually, you know, if you take six and divide by 137, you
12 know, it's between four and five.

13 And if you remember, as I showed on Exhibit -- as
14 I talked about on Exhibit 13, 71 percent of the reserves
15 involved in this case were brand-new. When you look at all
16 of these instances right here and look at the average, how
17 many of the reserves are being impacted when there is some
18 interference, only 20 percent of the reserves are being
19 impacted between two wells. Okay?

20 So when you look -- when you take the fact that
21 only five percent of the time do we have interference
22 between wells, and then only 20 percent of the reserves are
23 impacted in those known instances of interference, you
24 multiply those two together and you come up with the fact
25 that only one -- less than -- actually, it's less than one

1 percent of the reserves in this field are even impacted by
2 interference in this area, in this area of new development,
3 the area of this field where the rules are impacting and,
4 as I will show later, are causing waste.

5 Q. How do allowable restrictions impact the
6 situation where there's interference? I mean, what happens
7 there, Bob?

8 A. Well, as we -- as can happen in these wells, if
9 you only have one stringer that communicates between two
10 wells, that may be the only stringer present in one well,
11 and the other well may have four or five stringers in it,
12 very common case.

13 Now, if the well with only one stringer is
14 allowed to produce at 700 barrels a day and the well with
15 four stringers is only allowed to produce 700 barrels a
16 day, then the -- within that one stringer, the well with
17 only that one stringer in its well has an unfair advantage.

18 In other words, you know, that would be like
19 being on the edge of -- If it was going toward the edge of
20 the reservoir, the well on the edge of the reservoir would
21 then have an unfair advantage over the person with the good
22 well, because the good well with four stringers may be
23 capable of 1400, 1500 barrels a day, but they're not
24 allowed to do that.

25 In other words, they may -- If drainage were to

1 occur, the person with the good well is the one being
2 drained. And that's an important thing to understand here
3 today, that correlative rights is not to make the wells
4 equal, but correlative rights pertains to both parties.

5 Q. All right, Mr. Fant, let's go to Exhibit Number
6 15.

7 A. If I may, I have one other comment back on --

8 Q. -- 14?

9 A. -- Exhibit 14. Basically, this shows there are
10 so many instances where there is no interference between
11 the wells, that we absolutely need four wells per 160, we
12 need that.

13 That was just the other thing. I apologize, Mr.
14 Carr. I just wanted to say that.

15 Q. All right, looking at the number of wells that
16 are needed on a 160, would you now go to Exhibit Number 15
17 and review for the Commission what this exhibit shows?

18 A. Okay, Exhibit Number 15 is two plots, and they --
19 both plots show basically the same thing. They are plots
20 of oil rate versus cumulative production for a proration
21 unit. The two proration units that we're looking at here
22 in this particular -- in these two plots, are the southwest
23 quarter of 29 and the northwest quarter of 29.

24 And you might ask, Mr. Fant, why did you choose
25 those? Those are fully developed proration units, they are

1 in the violation area, or the overproduction area. And
2 furthermore they, up until this month, have not been
3 curtailed, up until just -- we just recently started
4 curtailing it.

5 And what I want to show you is, with these plots,
6 we can calculate what the reserves for each well -- whether
7 or not each well is contacting new reserves. There's been
8 claims made by people that the four wells per 160 are just
9 additional wells and just trying to get rate acceleration.
10 There's been insinuations of that. And what I'm here to
11 show you is that each well we drill develops brand-new
12 reserves.

13 Now, looking at the first page of this, the
14 southwest quarter of 29 -- I want to get my mental picture
15 straight here on which wells -- where I was talking about.

16 The first well, what you can see is that over
17 here on the left side of the X axis, you know, the first
18 well was drilled, production jumps up and, you know, starts
19 in, comes in, you know, stabilizes at about 400 barrels a
20 day and starts on decline.

21 These wells in this area, as stated by Mr. Finley
22 -- and I agree with him -- decline exponentially. So when
23 you plot oil rate versus cumulative production, it should
24 establish essentially a straight line. Well, and it pretty
25 muchly did. And up until, oh, about a hundred and, oh,

1 thirty, 120,000 or 130,000 barrels of oil production on
2 this proration unit, that was the only well.

3 And you can take a -- you can run a line through
4 those points, and you can see that it intersects the X axis
5 at about 320,000 barrels of oil. Pretty good well. That's
6 the ultimate potential recovery for that well.

7 So let's go in there. What happened after that?
8 Once we had recovered about 130,000 barrels of oil, we
9 drilled a second well, the Boyd Number 2. Suddenly, the
10 production rate jumped to over 700 barrels a day, the next
11 month it was under 700 barrels a day, and the well
12 stabilized and began on decline.

13 And you can see that a line through that point --
14 At this point what we're doing is summing the two wells
15 together. Okay. So this second line of data points
16 includes not only the production from the first well but
17 also the production from the second well. And you can run
18 a line from that down to the X axis, and you can see that
19 the two wells combined would recover about 550,000 barrels
20 of oil, so we got an extra 210,000, 200,000-something
21 barrels of oil.

22 We drilled the third well. It came in, and we --
23 you know, that bumped the ultimate production up some. And
24 then we drilled the fourth well on the proration unit. And
25 as you can see, the production, insofar as a daily rate in

1 the fourth well, is significantly higher than any of the
2 others had ever produced, a little bit better rock. And
3 you can look at this one and see that, oh, the ultimate
4 recovery is somewhere around 800,000 barrels for that
5 proration unit.

6 But it's very important to note that if we had
7 not drilled the last two wells, we would have stopped maybe
8 just a little bit over 500,000 barrels of oil. So roughly
9 300,000 barrels of oil would have been left in the ground,
10 not to be recovered by anybody else.

11 Now, if you look at the second page, it's the
12 same type of plot. The first well -- And this is for the
13 northwest quarter of 29. The first well is going to
14 recover about 110,000 barrels of oil. The second well,
15 very good well -- Now, the second well in this instance is
16 much better than the first well. The second well boosts
17 the recovery for the proration unit to about 500,000
18 barrels, kind of like the first one.

19 But the third well on this proration unit boosts
20 it to well over 800,000 recoverable for the unit. And the
21 fourth well moves it up to about 1.1 million barrels of oil
22 recoverable for this proration unit.

23 Again, if we had not drilled the second and third
24 well on this proration unit, if we had ascribed to only
25 needing two wells per proration unit, on this proration

1 unit we would have left 540,000 barrels of oil in the
2 ground, not to be recovered.

3 Now, you look at two of them combined, 540,000
4 from one, roughly 300,000 to the other. Eight hundred --
5 Over 800,000 barrels of oil would have been left in the
6 ground, if we had ascribed to only needing two wells per
7 proration unit. And what this says is, most of those --
8 not most, but those reserves, that increment between them,
9 are unique reserves to that well.

10 Q. Can you set a value on that production?

11 A. Well, let's just -- You know, if we have about
12 800,000 barrels of oil, these wells roughly produce around
13 a two-to-one MCF per barrel of oil. Those additional
14 wells, on these two proration units, just these two
15 proration units, those four additional wells, is oil and
16 gas worth about \$19 million, of which \$1.7 million would be
17 paid in production taxes over the life of the well, that
18 would not be recovered if we were not drilling four wells
19 per spacing the unit.

20 Q. Now, Mr. Fant, what conclusions have you reached
21 concerning the appropriate well spacing for the North and
22 South Dagger Draw field?

23 A. We need four wells per 160.

24 Q. Let's go to Exhibit 16. Would you identify this,
25 please?

1 A. Okay, Exhibit 16 is a plot with -- It has two Y
2 axes on it. The right-hand Y axis is fieldwide production
3 values in barrels or MCF per day, and the left-hand axis is
4 pressures, pressure values, p.s.i. And it covers basically
5 the life of the reservoir from 1971, when first production
6 began in Dagger Draw, up through the end of 1995. That's
7 basically -- And some of the pressure points run into 1996,
8 but the production data, that's the -- the end of 1995 is
9 the last point for which I had complete production data for
10 all producers in North Dagger Draw. This deals
11 specifically with North Dagger Draw.

12 Now, the black dots are pressure values as
13 measured in wells at the time the well is completed. And
14 what you'll see is that over in the early Seventies, 3000,
15 2950, 3050 was a common pressure encountered in the
16 reservoir. In fact, I think Conoco has testified
17 previously that, you know, about 3000 p.s.i. is what they
18 call virgin pressure in the reservoir. I would like for
19 you to note, however, that in 1976 there were pressures as
20 low as 2200, 2300 p.s.i. measured in Dagger Draw.

21 Now, on this plot you can see, as I mentioned
22 before, there was a ramp-up of production in 1990 through
23 1992 to a peak. It declined through 1994. Near the end of
24 1994 and up through 1995 there was another increase in
25 production.

1 Now, we at Yates Petroleum did not drill many
2 wells prior to 1989, and in fact there were not many wells
3 drilled in this pool prior to then, you know, as evidenced
4 by the production.

5 But if we draw a line, let's -- I want to draw --
6 you know, just draw a middle line there at 1989. Prior to
7 1989, we had removed 39 million barrels of reservoir fluid
8 from North Dagger Draw. That's just from the production
9 records. That includes oil, water and gas.

10 Now, I believe, and the data suggests, that --
11 and Conoco stated, that the pressures at that point, up
12 until 1989, had dropped to roughly 2000 -- you know,
13 somewhere between 1700 and 2300 p.s.i. You know, we got
14 some varying pressure points. But at that point in
15 history, reservoir pressure throughout Dagger Draw had
16 declined to approximately -- or throughout North Dagger
17 Draw, had declined to approximately 2200 to -- I mean, 1700
18 to 2300 p.s.i.

19 Now, if Conoco's theory of this great pressure
20 communication across the reservoir, continuing be true, and
21 if the Examiner findings were true, then that pressure
22 would have continued to decline as we pulled more and more
23 and more and more reservoir fluid from this reservoir.

24 But the black dots are the DST pressures in the
25 wells as we have drilled them. And if you'll look at that,

1 if you look since 1989, those pressures essentially haven't
2 changed. They're not one constant flat number. And I'm
3 going to explain to you why that's happening. But they're
4 basically staying the same numbers, they're staying within
5 the same range, they're not continuing to fall.

6 And it's very, very important that since 1989 we
7 have removed from this reservoir, the operators have,
8 removed 196 million barrels of reservoir fluid. We have
9 removed five times as much reservoir fluid in the last
10 seven years as were removed in the first, oh, 18 years.
11 Yet the pressure hasn't dropped any more.

12 Q. Okay, Mr. Fant, we had from the discovery of the
13 pool to 1988 39 million barrels removed; is that what you
14 testified?

15 A. Yes, sir.

16 Q. And that dropped the reservoir pressures from 800
17 to 1000 or so pounds; is that right?

18 A. Yes.

19 Q. Since that time you've had five times as much
20 fluid removed from the reservoir?

21 A. Uh-huh.

22 Q. And what has happened to the pressure?

23 A. We're finding pressures the same as we found in
24 1989; they have not dropped further.

25 Q. Now, the Examiner found that there was good

1 hydraulic pressure horizontally across the reservoir. How
2 does that finding square with the information you've
3 presented with this exhibit?

4 A. If there were still good hydraulic communication
5 horizontally across this reservoir, the pressures would
6 have continued to decline throughout the reservoir. But
7 they didn't, so it doesn't square with that data.

8 Q. And why has the pressure, in your opinion, not
9 continued to decline?

10 A. People have continuously stated that Dagger Draw
11 has fractures within it and that -- You know, we assume
12 that once fractures exist they're there, period.

13 But what we're finding through a lot of study on
14 different -- on not just Dagger Draw but on different
15 fronts, is that fractures close as the effective stress
16 across them changes.

17 And the way effective stress across a fracture
18 changes is by reducing the pressure in the fracture. In
19 other words, when you deplete the pressure in the fracture,
20 fractures can close.

21 We know there are fractures in Dagger Draw;
22 that's been stated by people. We know that the pressure
23 had dropped with the removal of the initial 39 million
24 barrels of oil. But we know it hasn't dropped any more.
25 The fracture -- Some of the fractures have closed, helping

1 to create the compartmentalization of this reservoir.

2 The fractures were the conduit by which fluid
3 could move through this reservoir. In fact, fluid water
4 movement through this reservoir was a trapping mechanism
5 for the reservoir, it's why the oil and gas are found where
6 they are. They're not in the places you would normally
7 expect them to be in this reservoir. And the closure of
8 these fractures has changed that.

9 What that says is that as these fractures close
10 -- What it says is, the original wells should have made
11 extremely high volumes of water for every barrel of oil.
12 The original producing water-oil ratio for Dagger Draw was
13 approximately 13 to 1. The current producing water-oil
14 ratio for Dagger Draw is 2 1/2 -- for North Dagger Draw is
15 2 1/2 to one.

16 We have -- And there's always been this statement
17 for years that people have said, We had to get the water
18 off the reservoir, we had to get the water off. And in
19 fact, Mr. Finley said we had to get the water out of the
20 fractures so that the matrix could contribute oil to the
21 production. You close the fractures, you bleed the water
22 out of the fractures, they close, and when they do that you
23 get higher oil cuts. That's what we have.

24 Q. Is the concept of compartmentalization in this
25 reservoir consistent with all the data that you have on the

1 reservoir?

2 A. Yes, sir.

3 Q. Is compartmentalization of reservoirs an accepted
4 engineering concept?

5 A. Yes, sir.

6 Q. Would you refer to what has been marked Yates
7 Exhibit 17 and identify these documents, please?

8 A. Okay, Exhibit Number 17 is actually two SPE
9 papers that I want to provide to illustrate to you that
10 compartmentalization of reservoirs is not some, you know,
11 grand, new thing that we just thought of. It's something
12 that has been accepted for years.

13 The first SPE paper is SPE Number 24,356 by a
14 consulting firm, and all of these gentlemen and if there
15 were, ladies, who wrote it are SPE members, they're members
16 of the Society of Petroleum Engineers.

17 This particular paper discusses well performance.
18 It's called "Well Performance Evidence for Compartmented
19 Geometry of Oil and Gas Reservoirs". It was written -- It
20 was presented in 1992, so a lot of the work had to go on
21 with this thing in 1991.

22 They state, The last two decades have witnessed
23 increasing evidence for compartmented geometry in oil and
24 gas reservoirs.

25 So they've been looking at it for 20 years at

1 this point, and now we're looking at it as 25 years, which
2 is basically since the beginning of Dagger Draw.

3 Now, I want to read to you the first line of the
4 abstract: Well pressures in production histories and
5 transient pressure tests evaluated by conventional well-
6 testing techniques and simulation are shown to indicate
7 compartmented reservoir geometry arising by depositional
8 and diagenetic processes.

9 Now, Mr. May has already spoken to you that this
10 reservoir has undergone significant diagenesis, so
11 diagenesis can create compartmentation.

12 And the second line of the introduction, or the
13 second sentence of the introduction is very important. It
14 says, Abnormally high completion pressures and anomalous
15 well tests are often attributed to reservoir heterogeneity,
16 with compartmentation being a dominant characteristic.

17 People are making the statements that the 2200-
18 p.s.i. reservoir pressures that we're seeing in these wells
19 are anomalously low. And I'm here to tell you that when a
20 well, as Conoco presented in 1991, that after three years
21 of production, drains the reservoir pressure down to 1100
22 p.s.i. in its compartment, when we drill a well next to it
23 and hit 2200 p.s.i., I'm here to tell you that's an
24 anomalously high pressure.

25 The pressures are -- If the idea of all this

1 perfect communication across the reservoir were accepted,
2 these pressures that we get in the wells would be much,
3 much lower. So the 2200 is anomalously high, in fact.

4 It also says that -- anomalous well tests. Well,
5 the IPs and well tests that we get on these wells are
6 anomalously high. If we had this good pressure
7 communication, like they're talking about, like they try to
8 convey, across this reservoir, the new wells would be no
9 better than the old wells in terms of rate at that time.

10 But the new wells produce like the old wells did
11 originally, and oftentimes they produce better than the old
12 wells did originally. They're in different compartments.

13 This -- One of their first witnesses ten years
14 ago -- I mean their first reference that they use in this
15 paper, ten years ago, Exxon completing the evaluation of
16 reserves additions from infill drilling, and they reference
17 it as Barber, *et al.*

18 The second paper that I've presented for us is
19 SPE Paper Number 11,023. It's about five pages back in
20 this. And that is that paper that talks about -- by these
21 people at Exxon who did this work in 198- -- I mean, this
22 was presented basically in 1982, because it's copyrighted
23 by the SPE in 1982, so the work had to have been done in
24 1981.

25 In this paper they specifically mention

1 Pennsylvanian carbonate reservoirs as having
2 compartmentation. And I just, you know, remind you that
3 this is North Dagger Draw and South Dagger Draw-Upper
4 Pennsylvanian reservoir.

5 So I bring these before you just to illustrate to
6 you that compartmentation is known to exist, it's known to
7 exist in carbonates, through diagenetic processes, and it's
8 not an uncommon occurrence in Pennsylvanian carbonates.

9 Q. Mr. Fant, what is Exhibit 18?

10 A. Exhibit 18 is another SPE paper, SPE Paper Number
11 26,437, "Control of Fracture Reservoir Permeability by
12 Spatial and Temporal Variations in Stress Magnitude and
13 Orientation". Okay.

14 This paper was written by several people. One of
15 the primary authors, and the primary author, is Mr. Larry
16 Teufel, who at the time was working for Sandia National
17 Labs. He is currently the -- I believe it's the Langdon B.
18 Taylor Chair of Petroleum Engineering at New Mexico
19 Institute of Mining and Technology. He's one of the
20 premier minds in the world on what happens to fractures as
21 the stresses around them change. Rock mechanics is really
22 one of his best fields.

23 And this is a very complex paper, and -- But
24 probably the most important thing to get out of it is that
25 fluid flow through fractures not only depends on how many

1 fractures there are and how well they're connected but on
2 the conductivity of that fracture.

3 And he states in here, and it's basically at the
4 beginning of the second page, that fracture apertures close
5 and conductivity decreases as the effective normal stress
6 across the fracture increases. That happens. And it
7 happens because you deplete the pressure in the fracture.

8 We've known for years that when you fracture-
9 stimulate a deep well, that if you try to produce that well
10 too hard and draw the pressure down in the fracture too
11 fast, you can crush and reclose that fracture. That's all
12 I'm talking about here.

13 And, you know, in fact, I have discussed Dagger
14 Draw with Mr. Teufel, and he -- You know, in trying to
15 understand this fracture theory -- Mr. Teufel is one of the
16 most brilliant people I've ever met, and discussing this
17 with him is partially how I developed my premise of what's
18 controlling the production in Dagger Draw.

19 These are some newer concepts. The change in the
20 conductivity of fractures as we change the pressures in the
21 reservoir, but they're no less valid.

22 Q. Mr. Fant, you're saying that compartmentalization
23 of reservoirs is a recognized, from an engineering point of
24 view, occurrence in oil and gas reservoirs?

25 A. Yes, sir.

1 Q. Let's go to what has been marked as Yates Exhibit
2 19. Would you identify this, please?

3 A. Okay, Exhibit 19 is a plot of the -- of oil rate
4 versus time for the Savannah State Number 1. This is one
5 of Conoco's wells. It's this well right here, in the
6 northeast-northeast of Section 32, 19 South, 25 East.

7 It's one of the wells that Conoco has expressed a
8 concern that they're being drained by the offset wells.
9 They expressed it at the Examiner hearing, they have
10 expressed it in the opening remarks thus far today.

11 Q. Now, what have you plotted, Mr. Fant, on this
12 exhibit?

13 A. Basically I've plotted -- There's dots on this,
14 which shows the actual rate in monthly production rates for
15 the well, versus time. And then there is a solid line
16 which is a rudimentary simulation of this well.

17 What I was concerned with is, how much acreage is
18 the Savannah State Number 1 really draining? Can I
19 calculate that?

20 I believe strongly that we have a compartmented
21 reservoir. So take the statement that we assume that this
22 is a compartmented reservoir. We want to know how large
23 that compartment is.

24 I used equations from a textbook, Craft and
25 Hawkins, which is an accepted reservoir-engineering

1 textbook, and I used a technique called the superposition
2 principle to place this well into an effective compartment
3 and to analyze the -- you know, how this thing was put
4 together.

5 Now, you have to make a few assumptions. But the
6 assumptions I used were that the thickness was
7 approximately 35 feet, the porosity was 7 percent, the
8 permeability was about 14 millidarcies, a viscosity of 1
9 for the fluid, a reservoir compressibility of 2 times 10^{-4}
10 per p.s.i. These are strange numbers, but these are the
11 number I -- they don't mean a lot, but they're the numbers
12 that go into the equations. They are the proper values for
13 using in this type of situation.

14 And then the other big question is, how big is
15 the area? What I had to do was adjust the parameters until
16 I could create a match between the actual production and
17 the predicted production in the well. And if you notice,
18 that -- You know, I honestly feel like I did a pretty good
19 job of matching them. See, we had the black line. It
20 pretty well -- You know, the last two data points are a
21 little off, but I think it did a very, very solid job of
22 predicting the performance of the well, or matching the
23 performance of the well.

24 It took me about a week to do this. This was not
25 an easy set of calculations. That's one of the reasons

1 it's not presented on every well in Dagger Draw.

2 But one of the most important things that this
3 shows is that the compartment that this Savannah State
4 Number 1 is in is about 29 acres in size, 29 whole acres.
5 Now, if you take a 29-acre area and you call it a circle,
6 it has a radius of 634 feet.

7 Now, when you look at the map, Mr. May -- you
8 know, they had presented to -- or in the Examiner hearing,
9 that -- they were worried that the Savannah State Number 1
10 was being drained by the State K Number 3. Well, the State
11 K Number 3 is almost three-quarters of a mile away. You
12 know, about somewhere -- you know, 3600, 3700 feet away.
13 And the drainage -- The compartment that this well is in is
14 630-plus feet in radius. Okay, so it can't be that one.

15 The next closest well -- or the closest well,
16 actually, is the Boyd -- closest Yates well is the Boyd 6.
17 That well is 1900 feet away. Can't be doing it.

18 The State B Number 2 of Mewbourne, don't believe
19 it was around then, don't think it could have been draining
20 it. It was not creating this drainage. Even if it was --
21 I mean, even if it were around, again, it's too far away to
22 be creating this drainage.

23 This well is in its own compartment. It's
24 draining it very rapidly because it's a small compartment.
25 And there's not much that we as an offset operator can do

1 about the fact that Conoco has a small compartment that
2 their well is in.

3 Q. Mr. Fant, what does this tell you about the
4 number of wells you ought to put on a 160-acre spacing
5 unit?

6 A. Well, I need at least four per 160, that's
7 basically what it says.

8 Q. Let's go to Exhibit Number 20. Could you
9 identify that, please?

10 A. Exhibit Number 20, okay. This is a plot of the
11 production of the State K Number 3. This is oil production
12 in MCF per day throughout time, up through February of
13 1996. I didn't update it. This is the exact same plot I
14 showed in the Examiner hearing.

15 Now, the well at the beginning of this year was
16 producing in excess of 1000 barrels a day, and it basically
17 had that capability until we had to restrict it.

18 Remember, this is -- The State K Number 3 is in
19 the southwest quarter of 28. It's the only well on the
20 spacing unit. It's the only well on that spacing unit. We
21 have not drilled any other wells on that spacing unit.
22 That well is capable of 1000 barrels a day.

23 The data has already shown strongly that there is
24 compartmentation of this reservoir and that we do need four
25 wells per 160. Well, we drill four wells on this 160-acre

1 spacing unit of this caliber, and you've got 4000 barrels a
2 day of productive capability in the wells. That's where
3 the 4000-barrel-a-day request came from. It's not based
4 upon grabbing some number out of the air; it's based upon
5 the data of this reservoir. This is a very good well, I
6 admit that.

7 Q. And what you're doing is asking for an allowable
8 limit that will let you fully develop this tract and, if
9 you get four wells of this nature, not have to restrict
10 them?

11 A. Absolutely.

12 Q. And you have made a recommendation for South
13 Dagger Draw that is very simply twice the rate you're
14 seeking in North Dagger Draw; is that right?

15 A. Yes, sir.

16 Q. And you're doing that just to try and maintain
17 some sort of compatibility between the two reservoirs?

18 A. That's been the historical focus between -- One
19 of the historical focuses is to try to maintain the two
20 incompatibilities with each other, and so that's why we
21 brought that.

22 Q. And even though your data shows that the
23 efficient and effective and prudent way to develop 160
24 acres is with four wells, can you do that if you don't have
25 the allowable that will let you produce that?

1 A. No. I mean, we can't drill any other wells on
2 this proration unit. One well is already -- I mean, we've
3 been accused of going out there and drilling too many
4 wells. This is one well on a proration unit.

5 Q. And if there was interference or communication in
6 drainage between wells, what happens with a -- say a 1000-
7 barrel-a-day allowable on this well, in terms of drainage
8 from offsets?

9 A. I guess I'm not really following you.

10 Q. If you have one well and you need three --

11 A. Oh, okay.

12 Q. -- or need four on a 160-acre tract, what happens
13 in terms of drainage?

14 A. Well, we -- if drainage were to occur, we're
15 really exposed to drainage. We don't create it, we get
16 drained. Because we would not -- we're not allowed to
17 drill any offset wells.

18 Oh, yeah, we could go out and drill them. Then
19 we would have to shut this well in, and I'll show you what
20 happens to a well when you shut it in, I'll show you that.

21 Q. Mr. Fant, we're not talking about just one unique
22 well, the State K Number 3, are we?

23 A. Well, I mean, that's the way it has been
24 portrayed by some people. But no, we've had -- You know,
25 just to give you two quick statements, you know, the

1 Diamond, I've already presented that that well had a
2 capability of 1300 barrels a day. We've already shown
3 that.

4 The Patrick Number 4 and the Polo Number 6, these
5 wells were both completed August 1st of this year.
6 Different spacing units.

7 The Patrick Number 4, the initial production on
8 that well was 2467 barrels a day. That's a big well. In
9 fact, to my knowledge that's the highest initial potential
10 in the history of Dagger Draw, and I -- you know, I will
11 say that is high.

12 The same day we completed the Polo Number 6, and
13 its initial potential was 1790 barrels of oil per day. So
14 it's easily seen that, yes, 4000 barrels a day is needed
15 when you have wells of this capability.

16 Q. Now, to get wells back in line with our current
17 allowables, is it possible for you to shut them in at
18 regular intervals and produce them at high rates when you
19 actually have them on?

20 A. Okay, these wells are currently -- since we --
21 Back in the Examiner hearing and in the April meeting with
22 Mr. Gum, we agreed to restrict our wells, our proration
23 unit production to 700 barrels a day.

24 And to do that, we place the wells on time
25 clocks, just a simple mechanical clock, electric clock, on

1 the unit that turns the pump off for a period of time and
2 then turns it back on. And it was on basically -- It ran
3 so many hours a day, then it was off the rest of the hours
4 of the day.

5 Now, I was -- At the time of the original
6 hearing, I was wondering, you know, when we're producing,
7 then, while the pump's turned on we're producing at maximum
8 rate, and while the pump's turned off we're essentially not
9 producing at all.

10 And so there was -- people were proposing, well,
11 then, that's going to -- you're going to get your high oil
12 cuts, then, if you do that.

13 And so I did some calculations to show that
14 cyclic production of the well, cycling the production of
15 the well, turning it off, on, off, on, was essentially no
16 different than producing it constantly at a reduced rate,
17 after a period of time.

18 You would get short-term benefits, a few days, a
19 couple of weeks. But over time the effects would be the
20 same as just producing it at the lower rate.

21 And in fact, I did some -- I presented two
22 plots -- it's Exhibit --

23 Q. Exhibit 21.

24 A. Exhibit 21, yes, sir. -- that compare cyclic
25 production versus continuous production at the reduced

1 rate.

2 Now, these are kind of tough to understand, but
3 what we have on the Y axis, cyclic production drawdown as a
4 percentage of continuous production drawdown. If you put
5 your well on -- And the X axis is time.

6 If you turn your well on -- let's say we just --
7 Your well -- you want to produce it at 1000 barrels of
8 fluid a day, and you have to restrict it to 500 barrels of
9 fluid a day. Now, if you just put a pump in there that can
10 produce 500 barrels of fluid a day, that's the benchmark,
11 that's what I call the benchmark in this. That would be a
12 straight line at 100 percent, right through the middle of
13 it.

14 And what this shows is that -- the other thing we
15 can do is, let's say we turn it on for 24 hours and then we
16 turn it off for 24 hours. So when we turn it on for 24
17 hours, let's say we have a pump in there capable of 1000
18 barrels in 24 hours. We produce it at that high rate for
19 24 hours, and it's like -- and that's producing at the high
20 rate. You know, it's twice -- You have 200 percent the
21 drawdown that you would have had otherwise.

22 There are three curves on this thing, and they
23 represent the effects at different depths in the reservoir,
24 50 feet, 100 feet and 150 feet into the reservoir. These
25 calculations were done with the same superposition

1 principle and exponential integral solution out of Craft
2 and Hawkins that I used in my Savannah analysis.

3 But what this shows -- What you can see is, you
4 know, if you look at 150 feet in the reservoir, out here at
5 eight or nine or ten days, yeah, there's still some
6 benefits of doing the cyclic production, but it's almost
7 down to just the 100-percent line, which is saying that
8 it's basically the same as producing it at a 500-barrel-a-
9 day rate. And this thing is kind of -- you know, it --
10 whether it's 1400 and 700, or 1000 and 500, it works on the
11 same types of scale.

12 The second page is what the comparison looks like
13 when you use a 12-hour cycle, and it just says -- and if
14 you look at the long dash, 150 feet in the reservoir, it
15 says after about nine or ten days, there's really no
16 difference between what goes on between producing at the
17 reduced rate or producing in a cyclic manner. It says --
18 it's -- What it really says is that the effects of
19 restricting the well would take time to manifest
20 themselves.

21 Q. Okay, let's go to Exhibit 22. What is this?

22 A. Okay, Exhibit 22, if you'll remember, I said that
23 we would reduce the -- when -- We told the Commission that
24 we would restrict the production from the overproduced
25 units to the 700-barrel-a-day limit. That was done back in

1 April.

2 At the time we met with Mr. Gum in April, I
3 presented some calculations to him that what I felt would
4 happen was that the oil cut in these wells would move from,
5 you know, 59 to 60 percent, down to about 52 percent.
6 Okay? That was based on all the information in the first
7 few exhibits I gave you about the oil cuts, slopes and all
8 those kinds of things.

9 And I was kind of -- You know, we restricted
10 them, and it started to take time for these things to drop.
11 They didn't drop immediately. In fact, you know, they
12 fluctuated for a few days, they went up. But they were
13 fluctuating. This is daily oil cut versus time, for those
14 restricted proration units.

15 Now, it took about two months for the oil cut to
16 stabilize in these wells with this cyclic production method
17 we were using. But the oil cut stabilized -- You know, the
18 mathematical number is, I think, 51.6 percent. Yeah, this
19 black line through it is basically stabilizing at 51.6
20 percent. But that's 52 percent to me. I mean, they did
21 exactly what we represented that they would do. This shows
22 that the oil cuts are sensitive to rate.

23 Q. Mr. Fant, if production rates increase, will
24 these oil cuts improve?

25 A. Not immediately. This is -- It took time for it

1 to come down, because we had -- You know, basically we had
2 to damage the reservoir back to some distance. And in
3 doing so, having to restrict the wells has harmed -- has
4 hurt the reservoir, and it will take time for that to come
5 back. It should -- When they're brought back to full
6 production it should -- You know, based upon this data is,
7 it will take about two months to get them back to where
8 they were.

9 Q. And after they come back up, are you ultimately
10 going to be able to recover the same volume of oil, or will
11 some of it have been lost?

12 A. No, we won't. We will have pulled excess water
13 out of the reservoir, which is reservoir energy. We will
14 have pulled additional pressure from these compartments in
15 the form of water.

16 When that water comes out, something has to
17 expand to take its place, and so that water has come out,
18 and that -- and we will not be able to recover some oil in
19 the future.

20 Q. Are you saying that you will recover the same
21 volume of fluid but less of that fluid will be oil?

22 A. That's basically the way it has to be looked at,
23 and that is what is going to happen.

24 Q. Let's go to Exhibit 23. Can you identify and
25 review this, please?

1 A. Okay, Exhibit 23. Back in July Mr. Collins asked
2 me to -- Brian Collins, this is our assistant operations
3 manager -- asked me to write him a letter and let him know
4 what has been lost, what damage has been done because of
5 restrictions. This particular memo talks about what
6 happened between the date we restricted the wells in April
7 12th and this July 12th date.

8 And basically what it shows, there's three pages
9 of memo, and then there's a set of calculations there in
10 Attachment 1 to this, that show my original calculations in
11 April of 1996. The next-to-the-last line in this table
12 says that we would -- it's called Water-Based Loss -- would
13 be roughly 21,000 stock tank barrels of oil. Okay, that's
14 based upon what I predicted would happen to the oil cut.
15 And it says basically that represents 7 percent of the
16 restricted production over that time period is lost.

17 Then there's another graph similar to the data I
18 just presented, only up through the July 12th date.

19 And then the last page is another lost-oil
20 calculation. And if you'll read at the bottom it says,
21 Calculation Based upon Actual Data. It's Attachment Number
22 3, and it says we've lost 21,078 stock tank barrels and
23 roughly 7 percent, which is 7 percent of the restricted
24 production.

25 Basically what's happening here is, if we

1 restrict a well, basically 7 percent of that restriction is
2 being lost permanently. I mean, that water that's being
3 pulled out now is fluid we won't pull out in the future,
4 and so that hurts us.

5 Q. Is that the same approach you were using in
6 estimating the volume of oil permanently lost in the 104
7 days between the hearing and the Order?

8 A. Yes, sir.

9 Q. Could this production be produced during
10 secondary recovery operations?

11 A. Well, no, I don't believe so. I believe it's
12 permanently lost at this point.

13 Q. Why is that?

14 A. Primarily because secondary recovery is basically
15 attributed to waterflooding. We have a fracture system,
16 which, basically, we believe we do. We believe it's closed
17 now. We believe that the pressure reduction has closed
18 that fracture.

19 But if we go in there and inject water, our
20 fracture system is going to open back up and the water is
21 going to run right through it, and it would basically
22 indicate that a waterflood probably wouldn't work, I mean
23 based upon that theory.

24 You know, that's my belief right now. I think
25 there may be some ways, you know, we can work on that.

1 But...

2 Right now we have a pilot project in South Dagger
3 Draw, right down here, the Sawbuck Pilot Waterflood, and
4 the results have been disappointing.

5 But again, this supports the model that I'm
6 presenting to you of how and why this reservoir produces
7 the way it does. It's fitting all the data, and it's very
8 important that all the data fits with the model. If it
9 doesn't, the you've got to throw the model out.

10 Q. Mr. Fant, this question was raised back during
11 the May hearing and it is, Can't you just shut these wells
12 in until they get back in balance?

13 A. I was asked that question in May, and there was
14 kind of two prongs to it. You know, basically it was, will
15 you suffer drainage if you do? And basically I don't
16 believe -- not on any magnitude of anything.

17 The danger with shutting them in is that you may
18 never -- There's a risk of losing that well. It may
19 never -- It may not produce when you try to turn it back
20 on.

21 Q. Let's go to Yates Exhibit 24. Would you review
22 that now?

23 A. Exhibit 24 is a production -- daily production
24 plot on the Polo "AOP" Number 6. This is one of the wells
25 that I just recently commented to you that it had a very

1 high initial potential. And I sometimes get a little
2 animated about this stuff, but this clearly to me will
3 illustrate to you the dangers of shutting in wells in
4 Dagger Draw.

5 We're really not in the habit of shutting in high
6 -- good, productive wells for long periods of time. But in
7 light of what's been going on in this process, we ended up
8 shutting in this well in mid-August. It came on first of
9 August, and you know, the first day was a partial day.
10 But, you know, as you can see, the green is the oil
11 production, the red is the gas, and the blue is the water.
12 And the black diamonds are the oil cut.

13 See, the well came in at 1700, 1800 barrels a
14 day. It fell down and stabilized, about 1300 barrels of
15 oil a day. It was stabilizing in mid-August. The oil cut
16 was stabilizing at about 40 percent, and the water was
17 about 2000 barrels a day.

18 At this point, this well had basically produced
19 its allowable for the month, so we turned off the pump,
20 shut the well in. Or we basically turned off the pump.

21 And in September we went out and I believe it was
22 about the 4th of September, 3rd or 4th of September, turned
23 the well back on. Now when this well was shut in it was a
24 1300-barrel-of-oil-per-day well with a 40-percent oil cut.
25 We turned it on. All we had done to this well was, we

1 turned the pump off. And a couple -- You know, a little
2 over two weeks later we turned the pump on. Came back and
3 it was, oh, 600-and-some-barrel-a-day, dropped down below
4 600, it increased to just over 700 barrels a day. But I'm
5 also here to tell you that the next day it dropped back
6 below 700 barrels a day.

7 So we took a nice 1300-barrel-a-day oil well and
8 because we had to shut it in to comply with OCD
9 regulations, the rules that were in place, the well was
10 damaged to about half of its productive capability. The
11 oil cut went from 40 percent to basically 20 percent. To
12 me, that's -- this is horrible waste.

13 Q. Mr. Fant, there's another thing I'd like to
14 address with this exhibit. Earlier, when we were talking
15 from Exhibit 10 --

16 A. Uh-huh.

17 Q. -- we were talking about the slope of the oil
18 cuts --

19 A. Uh-huh.

20 Q. -- how you had mathematically calculated those --

21 A. Uh-huh.

22 Q. -- and you talked about there being some
23 statistical aberrations or something. Does this show you
24 what you were talking about when you said one of those
25 statistical aberrations?

1 A. Yes, if you look in the middle portion, while the
2 well was turned off, this particular well flowed some oil
3 to the surface. The gas was able to lift some oil. And if
4 you'll look at the oil cut -- It's below the 100-barrel-a-
5 day line; it's down around 20 or 30 barrels a day. If
6 you'll look at the oil cut, it was 100 percent. And you
7 might think, well, you know, this well -- if we really
8 slowed down the production from this well we would get 100-
9 percent oil.

10 But that's not the case. We know -- it's --
11 Everybody since day one with this reservoir has stated,
12 nothing enters -- no fluids enter -- all -- no zones in
13 this reservoir produce only oil and gas; they all produce
14 water.

15 So the question becomes, what's happening to the
16 water. What's happening to the water in this well?

17 What's happening is, we're getting natural fluid
18 separation in the wellbore. The fluid comes into the
19 wellbore, the water goes to the bottom, the oil and gas go
20 to the top, and because the oil is on the top and the gas
21 is bubbling up through it, when it flows a little bit to
22 the surface -- It's not a pure flowing. It kind of, you
23 know, it slugs a little bit to the surface. It's always
24 oil and gas that come to the surface. But something has to
25 be happening to that water.

1 This well has multiple little stringers in it.
2 Those stringers are not going to be at the same pressure.
3 They can't be. Mr. May has already illustrated that we
4 have vertical segregation in this reservoir.

5 Furthermore, when you start to produce any
6 reservoir, vertically segregated stringers, except by some
7 freak of nature, will not deplete at the same rate. So the
8 pressures are going to be different in those. One's higher
9 pressure, and all the rest are lower than the highest
10 pressure.

11 So what happens is, the water gets pumped,
12 essentially pumped, into the lower-pressure stringers by
13 the higher-pressured stringer. The higher-pressured
14 stringer is allowed to flow water, gas and oil into the
15 wellbore. It separates -- The pressure in there is high
16 enough to pump the water into the others and allow some of
17 the oil to flow to the surface.

18 That's part of the damage mechanism for this
19 well. That's part of the reason it got damaged. That's
20 how it happened. We know that no zones in Dagger Draw
21 produce 100-percent oil and gas, that don't produce water.
22 So the water had to go somewhere, and there's no other
23 place for it to go but back into one of the stringers. And
24 this well was damaged.

25 Q. Now, Mr. Fant, when you were running your

1 mathematical calculation, trying to predict the slope --

2 A. Uh-huh.

3 Q. -- of the oil cut, if you had a well like this
4 and it had been shut in for a period of time, did you throw
5 out some of the points, or did you just include every
6 single point on this graph?

7 A. I don't throw out mathematical points. I mean,
8 I'm going to -- if I present a statistical technique, I'm
9 going to use all the data.

10 Q. And in this case, if you had used all the data,
11 what effect would that have had on your calculated slope of
12 the oil cut?

13 A. This well, it would show an extreme negative
14 slope if I did that calculation on this well right now,
15 because of that erroneous data when the well was shut --
16 when the well was turned off. That's not proper data,
17 that's not data that can be utilized in that.

18 Q. And so --

19 A. I did the calculation for 280 wells, and I was
20 not going to go in and try to weed out any data. I don't
21 want to be -- because that looks -- That doesn't look
22 right. I used all the data.

23 And so basically -- There are a few of those
24 negative-slope wells that are within the overproduced area.
25 Those are the kind of wells that when their pumps fail,

1 they can throw a little bit of oil to the surface, which
2 gives you a low rate of oil with a high oil cut, which
3 gives you -- which is an outlier data point, which gives
4 you a statistical aberration to the method.

5 Q. And in preparing Exhibit 10, you used all the
6 data available to you in the wells?

7 A. Yes, I used all data. I didn't cut any out.

8 Q. Okay, let's go to Exhibit 25. Will you identify
9 this, please?

10 A. Exhibit 25 is a sheet of paper that has some
11 calculations on it that show the revenue lost in the next
12 18 months if the Examiner order is implemented.

13 The top portion of the paper shows -- is entitled
14 "Cost of Delayed and Lost Production", and it references
15 the July 12, 1996, memo to Brian Collins.

16 It shows that New Mexico Revenue in 1996 will be
17 reduced by \$1.1 million due to the restriction of
18 approximately 3325 barrels of oil per day for 92 days.
19 That's a loss -- That's what the State of New Mexico lost
20 because of that restricted production.

21 The memo further -- And so what we can do is, we
22 can take \$1.109 million, divide by 3325 barrels of oil per
23 day and 92 days, and we can get a cost per day, per barrel
24 of oil per day, shut in or restricted, and that's \$3.62.

25 The memo further states that, 93 percent of the

1 revenue is delayed and 7 percent is permanently lost. So
2 that breaks down to \$3.37 cents per barrel of oil per day,
3 times days delayed, and the permanent loss is 25 cents,
4 with the same units.

5 The second portion of the calculations talk about
6 the amount of delayed production. The total production for
7 the field is in excess of 1 million barrels, all operators.
8 Now, the Examiner order says we need to make this up in 18
9 months. That would require an average restriction of 1827
10 barrels of oil per day. That's simply a million barrels
11 divided by 547 days, which is 18 months.

12 The thing to note is, this value does not
13 represent the total restriction on the field, because there
14 are at least four other proration units that are capable of
15 producing in excess of 700 barrels of oil per day with the
16 existing wells. I'm just talking about existing wells, not
17 anything that could newly be drilled. I conservatively
18 estimate that at least another 1000 barrels of oil per day
19 would be restricted, and I'm here to say that's an
20 extremely conservative restriction. This brings the total
21 restriction for the 18 months to be about 2828 barrels of
22 oil per day.

23 Now, the revenue-impact over the next 18 months.

24 Delayed revenue, 547 days, 28 barrels of oil per
25 day, times the \$3.37 comes out to \$5.2 million.

1 The lost revenue works through the same
2 calculations and comes out to \$387,000.

3 Now, we've already delayed some -- some already.
4 The revenue already delayed is -- we've done it for, you
5 know, roughly 153 days, when I made this memo -- \$1.7
6 million, and we've already lost \$129,000.

7 This is lost revenue to the State of New Mexico.
8 This is not what has been lost to Yates Petroleum or the
9 other operators or just some individual royalty owner.
10 This is what's lost to the State of New Mexico.

11 That totals up over the next 18 months, if the
12 Examiner Order is implemented, \$7.4 million that over the
13 next 18 months the State of New Mexico will not have.

14 Q. Mr. Fant, in your opinion is it necessary to
15 require the makeup of this overproduction to protect the
16 correlative rights of operators in this field?

17 A. No we don't need that. In fact, the only
18 potential impact of requiring this to be made up -- and I'm
19 speaking from a technical sense here -- the only impact
20 of -- potential impact of making us do that -- Actually,
21 there's two. One is damage to wells, but the other impact
22 is to impair the correlative rights of the overproduced
23 units.

24 Q. What would -- We've set out here in this exhibit
25 the amount of delayed and lost revenue to the State. You

1 said it didn't also show what would occur to Yates. This
2 would occur with the same effect on other working interest
3 owners in the pool to varying degrees; is that not right?

4 A. Yes.

5 Q. It would also impact other royalty owners; is
6 that not right?

7 A. Yes.

8 Q. And you included only the existing wells in your
9 estimate?

10 A. Yes.

11 Q. If you drill additional wells that come in as
12 recent wells have, that would even further exacerbate this
13 number, would it not?

14 A. Yes.

15 Q. What conclusions have you reached from your
16 engineering work on this reservoir?

17 A. That the higher producing rates in the reservoir
18 result in higher oil cuts, lower GORs. Those situations
19 prevent waste. That's probably the biggest thing. They
20 prevent waste because for every barrel of oil we're pulling
21 out of the reservoir, we're pulling out less gas and less
22 water.

23 And that's an important thing to do. It's an
24 accepted principle in petroleum engineering that pulling
25 out excess reservoir energy reduces the ultimate recovery

1 of the field.

2 Q. To make up the overproduction, what would you
3 have to do?

4 A. Just operationally, we'd have to shut the wells
5 in, and we've seen what that will do to wells.

6 Q. The cancellation of the overproduction in these
7 pools impairs the correlative rights. I want you to
8 summarize that answer.

9 A. Could cancellation of overproduction --

10 Q. -- impair correlative rights?

11 A. No, just as I said, or not canceling it can
12 impair correlative rights.

13 Q. Even as operator of a better well, you have a
14 right to produce what's under your tract; is that --

15 A. That's right, correlative rights doesn't make all
16 wells equal.

17 Q. In your opinion, will approval of these
18 Applications be in the best interests of conservation, the
19 prevention of waste and the protection of correlative
20 rights?

21 A. Yes, it would.

22 Q. Were Exhibits 7 through 25 prepared by you?

23 A. Yes.

24 MR. CARR: May it please the Commission, I would
25 move the admission into evidence of Yates Petroleum

1 Corporation Exhibits 7 through 25.

2 CHAIRMAN LEMAY: Without objection, those
3 exhibits will be entered into the record.

4 MR. CARR: That concludes my direct examination
5 of Mr. Fant.

6 CHAIRMAN LEMAY: Thank you.

7 Let's take a little break and then come back for
8 cross, about ten minutes.

9 (Thereupon, a recess was taken at 2:20 p.m.)

10 (The following proceedings had at 2:19 p.m.)

11 CHAIRMAN LEMAY: Okay, we shall continue. Is
12 that the end of your direct, Mr. Carr?

13 MR. CARR: Yes, sir, Mr. Chairman.

14 CHAIRMAN LEMAY: Mr. Kellahin?

15 MR. KELLAHIN: Thank you, Mr. Chairman.

16 CROSS-EXAMINATION

17 BY MR. KELLAHIN:

18 Q. Mr. Fant, let me reconcile two statements that
19 you made towards the end of your presentation.

20 Am I clear in understanding that should the
21 Commission require Yates to shut in those wells that are in
22 overproduced spacing units, that you have no concern or
23 reservation about those spacing units than being subject to
24 drainage during the period of that shut-in?

25 A. As I've stated in my case, in the Examiner

1 hearing, I don't believe that's a big consideration. There
2 -- As has been pointed out, that there are some small
3 instances of interference between wells in the
4 overproduction area. But in my opinion, it's not a
5 significant concern, no.

6 Q. All right. If drainage was to occur, the problem
7 in this reservoir would be that there is simply a limited
8 amount of energy by which to produce the fluids, and if
9 there is offsetting drainage, then there would be pressure
10 depletion by certain wells while others are shut in, right?

11 A. If there were drainage, if that word is a
12 consideration --

13 Q. Yes.

14 A. -- in that particular stringer, then, there
15 conceivably could be.

16 Q. All right. If under your position there would be
17 no drainage occurring, Yates' wells could be shut in, then
18 something else is causing your example, the Polo well,
19 after being shut in, not to return to the level of high oil
20 cut that it had enjoyed before it was shut in? Yes?

21 A. I'm not understanding the question.

22 Q. All right. You said you're not concerned about
23 drainage. You were concerned about shutting in the well,
24 and there would be some kind of near-wellbore damage
25 occurring, or something to that particular individual well

1 that precludes it from coming back and producing at the oil
2 cuts prior to the shut-in?

3 A. Yes, there's wellbore damage.

4 Q. All right. Your conclusion, then, based upon the
5 Polo Number 6 well, is, after that shut-in period it did
6 not come back at the higher oil cut it had enjoyed
7 previously, and therefore it wasn't subject to drainage;
8 there was something else that affected the well?

9 A. I didn't quote anything about that well with
10 regards to drainage.

11 Q. I understand that. It was your example of a well
12 that was shut in and then attempted to be restored to
13 production later, and it did not return to the same level
14 of productivity, right?

15 A. Yes.

16 Q. And you attributed that difference to the fact
17 that the well must have been damaged somehow by the shut-
18 in?

19 A. Yes.

20 Q. All right. The example you gave us was the Polo
21 Number 6, and if we'll use your Exhibit 1 as a locator map,
22 it's up in the northern portion of North Dagger Draw, it's
23 in Section 10. And if my map is correct, it appears to be
24 in the southeast quarter of 10, and it would be the
25 southwest-southeast of 10, I believe that is the Polo

1 Number 6. Did I find the right well?

2 A. (No response)

3 Q. Yes, sir, did I find the right well?

4 A. Yes.

5 Q. All right. Your Exhibit 24, then, shows the data
6 points in August, and then it was shut in. Help me read
7 this schedule here. Approximately how long a period was it
8 shut in?

9 A. A little over two weeks.

10 Q. Okay. And then in early September it is returned
11 to production; it's at a lower rate?

12 A. Yes.

13 Q. All right. When we look at the compartment that
14 that well is producing in, do you have an opinion as to
15 whether it is in the same compartment with the Polo wells
16 in the southwest of 10? There's some other Polo wells
17 there.

18 A. At this point in time, there is not enough data
19 to make that -- any estimation of whether or not it is in
20 that same compartment.

21 Q. During this period of time for shut-in on the
22 Number 6 well, were the Polo 1 and/or 4 being produced?

23 A. The Polo 4 was. I do not know about the Polo 1.

24 Q. The direct west offset to the Number 6 is being
25 produced?

1 A. Yes.

2 Q. Do we have enough data available to determine
3 whether the Number 6 well has been affected by the
4 continuing production from the Number 4 well?

5 A. No.

6 Q. Let me look at Exhibit Number 1 with you. Again,
7 within this area of overproduction, rule violation, do you
8 have a calculation or a total, Mr. Fant, of what is the
9 total volume of overproduction attributed to the Yates
10 spacing units?

11 A. Are you speaking of Exhibit 1 or --

12 Q. I'm sorry.

13 A. -- Exhibit -- whatever number -- 7?

14 A. I have confused you. I'm looking at Exhibit 7 --

15 A. Okay.

16 Q. -- and I've been calling it Exhibit 1.

17 Let's look at Exhibit 7. Within this area, then,
18 do you have a total cumulative overproduction for the
19 Yates-operated spacing units in North Dagger Draw?

20 A. As of what time?

21 Q. As of today.

22 A. As of today, the current -- I do not have an
23 exact number. It's approximately 950,000 barrels right
24 now.

25 Q. Okay.

1 A. It's lower than what it used to be. It's going
2 down.

3 Q. And part of that reduction is the fact that you
4 have gone ahead, or Yates has gone ahead and restricted its
5 capacity on those spacing units, and you are beginning to
6 accrue some over- -- underproduction, if you will, or some
7 credit to apply against the overproduction?

8 A. Are you speaking of the 350-barrel-a-day
9 restriction?

10 A. Yes, yeah.

11 A. The number I quoted you was as of the end of
12 August, which was prior to that -- us implementing that
13 restriction. We implemented that restriction basically
14 last week.

15 Q. All right.

16 A. So that -- The reduction to 950,000 occurred
17 prior to that.

18 Q. All right. But for the sake of discussion, we'll
19 use a number, 900,000 barrels, subject to check, whatever
20 the exact number is.

21 I've glanced at these two SPE papers. They're
22 Exhibits 17 and 18. They appear to be dated and available.
23 You'll have to help me; perhaps your eyes are better than
24 mine. Exhibit 18 appears to say it was released at a
25 symposium in October -- Is that 1992?

1 A. You are speaking of 17?

2 Q. 18, sir.

3 A. 18 was released 1993.

4 Q. That's a 1993 number?

5 A. Uh-huh.

6 Q. Okay. And when we look at Exhibit 17 -- There's
7 an earlier paper, I think, in one of these, but this one on
8 top says 1992?

9 A. Yes, it's 1992.

10 Q. All right. I've scanned through both of these
11 papers, and I can't find anything to do with rate. They
12 don't talk about how fast to produce these.

13 A. I don't know --

14 Q. Yeah. These papers don't deal with rate. They
15 deal with the notion of the compartmentalization of a
16 Pennsylvanian-type reservoir, and they speak to the
17 probability of drilling wells in a density that's
18 compatible with what's happened in North Dagger Draw, you
19 know, the 40-acre well density; isn't that what we're
20 talking about here?

21 A. Yes.

22 Q. All right. This information was available to you
23 in the summer of 1995, wasn't it? These SPE papers?

24 A. Yes.

25 Q. Except for some of the later displays, most of

1 these were presented to the Examiner in the May, 1996,
2 hearing, right?

3 A. Uh-huh.

4 Q. The proposition that the reservoir is
5 compartmentalized and the opportunity to produce these
6 wells at greater than the existing allowable of 700 barrels
7 a day was known to you in the summer of 1995, was it not,
8 sir?

9 A. I believed in 1995 that compartmentalization
10 existed in North Dagger Draw.

11 Q. Okay. And by May of 1995, Yates has wells in
12 these violation spacing units that had the capacity to
13 overproduce the spacing unit allowable; is that not true?

14 A. Yes.

15 Q. All right. So in May of 1995, you had that
16 knowledge.

17 In addition, you knew the reservoir may be
18 compartmentalized, right?

19 A. I believed it at the time, yes.

20 Q. All right. Let's look at Exhibit 7. When I look
21 at the map, it appears to me that Yates controls and
22 operates the east half of 19, all of 20, all of 21, all of
23 28, all of 29.

24 Mr. Fant, what precluded you in the summer of
25 last year, prior to overproducing these wells, from filing

1 a case at the Oil Conservation Division, bringing in this
2 information to the Division, with notice to the industry,
3 and develop a pilot project within the area you control,
4 and test these concepts?

5 A. I would say, really, probably nothing, other than
6 the fact that in May they already thought I was premature,
7 or they thought in May of this year that I was premature,
8 so last year would have been -- as I stated in the Examiner
9 hearing, that nobody would have believed me from the year
10 before.

11 Q. Well, you made that conclusion, but who was
12 skeptical of your argument?

13 A. If people were skeptical in May of this year,
14 then they certainly would have been skeptical in the summer
15 of last year.

16 Q. You had the ability to file such a case in the
17 summer of 1995 and present this argument then?

18 A. Yeah, it could have been filed.

19 Q. And prior to achieving the magnitude of
20 overproduction, then, had the opportunity to get the
21 Division Examiner to approve the overproduction, even over
22 opposition?

23 A. You know, that -- that possibly could have been
24 thought of. But so much of the data that has been
25 presented here to confirm this was not -- all of this data

1 was not available at that time.

2 Q. And that would be the point of a pilot project
3 within the area of your control. You come forward with
4 your hypothesis, you get approval to test the concept, we
5 develop a procedure that does it without violating
6 correlative rights, and you come back a year later and
7 demonstrate that it worked?

8 A. Now, that's an interesting point. You say it
9 doesn't violate correlative rights. Well, Conoco has said
10 that doing this does violate correlative rights. We did
11 not have a constant interest throughout this area. We
12 believe that it does not violate correlative rights.

13 But what you just proposed can't happen, because
14 yes, we may be the operator, but that does not mean that we
15 have the same interests throughout, and it does not mean
16 that we have the same ownership of other parties
17 throughout.

18 So what you just proposed is really not possible
19 because of the variety of ownership in the area.

20 Q. Did you even try to contact the other operators
21 and interest owners in the summer of 1995 and ask them
22 whether they would support you in such a project?

23 A. No, sir, I did not. We knew that it would not be
24 possible at the time.

25 Q. If you'll turn with me to Exhibit Number 23, this

1 is your memo to Mr. Collins about trying to put a value on
2 what you characterize to be the lost oil?

3 A. Yes.

4 Q. Can you estimate for us, Mr. Fant, what is the
5 value of the oil gained as a result of overproducing the
6 allowable?

7 A. Well, the value of it is the -- basically 7
8 percent -- the value of what's gained is equal to the value
9 of what's lost if we restrict the wells. That's basically
10 how it would work.

11 Q. That's --

12 A. So, you know, to New Mexico over the next -- you
13 know, it's equivalent to what's lost here.

14 Q. All right. So if I take the 930,000 or 940,000
15 barrels of oil overproduced in the allowable and multiply
16 it by your \$20 oil price on page 2 of this display, then I
17 at least come up with the gross dollars that are
18 attributable to the overproduction?

19 A. Yes.

20 Q. Okay. Turn with me to Exhibit Number 22.

21 A. Would you help me in what 22 is?

22 Q. Twenty-two is the oil cut versus time on the
23 restricted proration units.

24 A. Oh, okay, yes.

25 Q. The data points are plotted from April of 1996

1 through part of September of 1996.

2 A. Uh-huh.

3 Q. And what you're representing here are the changes
4 in the oil cut over time as these wells within the
5 violation area were curtailed?

6 A. Yes.

7 Q. Okay. The average magnitude of change, I think,
8 is about seven or eight percent, between producing these at
9 capacity and then producing them at the restricted rate?

10 A. Yes, sir.

11 Q. Okay. Is the reduction in oil production at the
12 restriction due to any pressure depletion that's occurring
13 in the reservoir?

14 A. Please ask that again. I didn't -- I'm not
15 really understanding your question.

16 Q. The oil cut has been reduced at the restricted
17 rate.

18 A. Uh-huh.

19 Q. What, if any, effect has pressure on that event?

20 A. Over this time period, minimally. You know,
21 basically none.

22 Q. Okay. Describe for me what your argument is that
23 demonstrates that the reduced wells at the restricted rates
24 are in fact actually losing oil. What's your concept?

25 A. My concept is what I've stated before. You are

1 pulling out excess water for every barrel of oil.

2 So actually, over this period of time that we
3 restricted these wells, the pressure dropped less in the
4 reservoir -- you know, the pressure-drop in a couple of
5 months in the reservoir is pretty small. But -- We pulled
6 less total fluid out over this time period, out of these
7 compartments, and so it dropped less than it would have if
8 we had been producing at the higher rates.

9 But when we get to the end of the life of these
10 wells, because they were restricted we will recover less
11 oil, because more -- water has been taken out. And if we
12 take water out now, then near the end of the life of the
13 well that represents oil, water and gas that will not come
14 out of the reservoir, because we've taken that volume out
15 already as water.

16 And the oil represents about 26 percent of that
17 final production stream, and so the 26 percent of the water
18 volume we're taking out now is oil that won't be recovered
19 at the end of the life of the well. That's how the math
20 works on it.

21 Q. All right. Have you attempted to analyze this in
22 another way to try to quantify the volume of ultimate oil
23 recovered that is not in fact recovered? Have you
24 attempted to do it with any production decline curves?

25 A. There is certainly not enough data in here over

1 this time period to do that. But it is quite simply -- You
2 take 7 percent of the overproduction and that, if required
3 to be made up, that will be lost forever. And if you're
4 looking at a million barrels fieldwide, that's 70,000
5 barrels of oil, just because we have to make that up. That
6 doesn't include the restrictions, because the wells are
7 actually capable of more than 700 barrels a day.

8 Q. Did you work with Mr. Collins on determining what
9 method you would use for restricting or curtailing these
10 wells?

11 A. I did the calculations, and what I showed Mr.
12 Collins was that it did not matter whether you cycled the
13 production or whether you simply ran smaller equipment to
14 do it. The net effect was the same.

15 Q. Okay. In the field, then, did Mr. Collins
16 require that all the wells be restricted at the same
17 percentage, in order to achieve that spacing unit's maximum
18 allowable of 700 a day?

19 A. No, no, they were simply -- Basically, the
20 restrictions, in order not to burn up excessive equipment,
21 if you're going to -- if you have three pumps, three sub
22 pumps on a -- or two sub pumps on a spacing unit and you
23 can achieve the results of obtaining 700 barrels a day by
24 cycling one of those pumps and running the risk of burning
25 it up, it's better to run the risk of only burning up one

1 pump than two, than burning up two pumps.

2 So generally on those various units we have some
3 lower-volume wells because they're older, and then we have
4 generally a high-volume well, and that high-volume well is
5 generally the one that was restricted.

6 Q. All right, that was my question.

7 The method you utilized, then, to get within the
8 restriction was to curtail the high-capacity well?

9 A. Basically, yes.

10 Q. All right. Did you attempt to take a high-
11 capacity well, as a field example, shut it in and then
12 leave it shut in for an extended period of time, producing
13 the allowable out of the older wells and then returning the
14 newer high-capacity wells to production later to see what
15 would happen?

16 A. No, basically we didn't do that for a couple of
17 reasons.

18 First, shutting in a sub-pump well for an
19 extended period of time is a danger- -- not a dangerous
20 thing to do, but it's not a good practice, because when you
21 shut them in for an extended period of time, the
22 probability of them turning back on goes way down, because
23 as the well's pressure builds up bottomhole, you can short
24 out the equipment downhole. And if it shorts out, you've
25 got -- you've just burned up -- You haven't bumped up the

1 pump then, but you do have to get a pulling unit out there
2 and trip the well.

3 So no, we did not do that because of operational
4 constraints.

5 Q. Within the violation area, did you have the
6 ability to shut in the older wells and produce the
7 allowable out of the new well and still maintain the
8 allowable restriction?

9 A. Someplace that -- Some places, that might have
10 been conceivable, but I do not believe that would have been
11 practical.

12 Q. What I'm looking --

13 A. You would have had the same problems. You shut
14 them in and you run the risk of burning up pumps.

15 Q. What I'm looking at is, you have -- Yates has
16 what? Got eleven, I believe, eleven spacing units that are
17 overproduced.

18 A. Well, not at this time, no.

19 Q. Well, in the hearing -- All right, there's ten, I
20 guess.

21 A. I believe it's actually nine.

22 Q. We'll take nine for the sake of argument.

23 Within those nine, we've got various combinations
24 of spacing units, some of which have four wells, some have
25 less?

1 A. Uh-huh.

2 Q. Did you try to create a field example to show us
3 various options about how you might shut your wells in, in
4 these various spacing units, to see whether you could
5 achieve the 700-a-day maximum and yet not have an adverse
6 effect on the wells?

7 A. Well, as the data I've shown shows, that you shut
8 in a well and you can damage it. And so any kind of shut-
9 in runs the risk of damaging the reservoir. So -- shut-in
10 for a length -- for an extended period of time runs the
11 risk of damaging the reservoir.

12 So no, we did not go through to run all these
13 tests like you're saying. But we simply showed that, hey,
14 when we said the oil -- we said the oil cuts would go to 52
15 percent, and that's what the oil cuts did.

16 Q. Other than the Polo 6 well, which is your example
17 of what you say is a damaged well as a result of shut-in --

18 A. Uh-huh.

19 Q. -- do you have any other examples?

20 A. The production department, in history, had talked
21 about the same type of occurrence in one of the Foster
22 wells. We do not have daily records back to that point, so
23 I was never able to reconstruct it.

24 But this concept of the damage is what I was
25 talking about with Mr. Stogner. I did not have evidence of

1 this, basically because we're not in the habit of shutting
2 in good wells. It's just not something we're in the habit
3 of doing.

4 Q. On Exhibit 9, Mr. Fant, I think this is the
5 sample of 17 production plots where you're showing oil cut
6 versus oil rate?

7 A. Yes.

8 Q. Did you attempt during this period to test any of
9 these wells, producing them at 700 a day for a period of
10 time in establishing an oil cut at 700 barrels a day, and
11 then coming back and establishing its oil cut at its
12 maximum pump capacity, which would have been in excess of
13 700 a day? Did you try any of that kind of stuff?

14 A. Well, if you'll look at several of them -- You
15 can go back and you can look at the Cutter. It's got a
16 couple of data points that are almost exactly at -- It's
17 about, oh, seven or eight back into it, the Cutter "APC"
18 Number 1.

19 It's got a number of data points right there at
20 700, and you can see that that's at the low 30s. And then
21 you've got a data point out at 1400 where it was at 48
22 percent, roughly, and two or three data points around 1000
23 where it's roughly at 40.

24 So yeah, I'd say that basically illustrates your
25 point right there very well.

1 Q. Let's look at them. The first one here is the
2 Aparejo Com 3.

3 A. Uh-huh.

4 Q. It shows an oil cut just above 30, oh, about 35
5 percent, at -- What's forecasted here on the curve, it's
6 not an actual data point, but read over on the horizontal
7 line and estimate 700 a day. Read up and find the line,
8 and it looks like an oil cut of about 35 percent, right?

9 A. Yeah, probably a little more.

10 Q. And then when it goes up above 1000, it bumps 50
11 percent?

12 A. Yes.

13 Q. So there's an example that supports your
14 position, right?

15 A. Yes.

16 Q. All right. We look at the next one in here, and
17 it's 600 a day. It in fact does better than 50-percent oil
18 cut. And in fact those data points don't change all the
19 way up until probably 900 barrels a day. And then there's
20 a small increase if it goes above 1200. So for that well,
21 there's a little benefit at the higher rate?

22 A. Yeah, but if you'll remember, this well is in
23 South Dagger Draw. It has an allowable of 1400 barrels a
24 day per spacing unit, so it's allowed to produce up there.

25 Q. Oh, so this one's okay then? This one works?

1 A. But it just illustrates the point I was exactly
2 trying to make with it, yes.

3 Q. The next one is the Boyd State Com 2. It
4 apparently doesn't have the capacity to produce more than
5 600 a day, and so it could be produced at its pump capacity
6 and not violate the oil allowable for the North Dagger
7 Draw?

8 A. If it were the only well on the spacing unit.

9 Q. Okay. And you're concerned about shutting in the
10 other wells in the spacing unit, because you believe that
11 the shut-in is going to cause it to come back later at an
12 oil cut that is less than it enjoyed early on?

13 A. I believe the data demonstrates that, yes.

14 Q. And again, the only data you've given us to
15 support that point is the Polo 6 well?

16 A. I believe that illustrates the point very well,
17 yes.

18 Q. All right. Exhibit Number 21 is, I think, one we
19 saw at the Examiner Hearing. It was your presentation of
20 what you anticipate would happen if you cycle one of the
21 high-capacity wells using a 24-hour cycle, and then you
22 used a 12-hour cycle.

23 I think it was your conclusion that cycling using
24 this strategy was not going to be a beneficial way to
25 produce this well under the restriction, something to that

1 effect?

2 A. Basically what I was saying is that cyclic
3 production is the same as restricting it, as -- You know,
4 cyclic production is no different than just continuously
5 producing at the lower net rate.

6 Q. All right. Did you actually cycle any of these
7 wells using this strategy?

8 A. Basically all of the wells were cycled. Well,
9 all but -- Well, all of them were originally cycled, and
10 one of them we actually ran a smaller pump in.

11 Q. So what is Mr. Collins doing in the field to
12 achieve the levels of restriction that you're currently
13 operating under?

14 A. He is doing two things. In some instances he's
15 running smaller equipment, in some instances he's cycling
16 production. He's doing what is operationally feasible.

17 Q. Okay. Have you field-tested any other method to
18 try to achieve the allowable restriction?

19 A. Yes, in the State K 3 we just simply -- after the
20 -- We had an existing large-volume pump in there when it
21 burned up. This was -- Remember, this was the one -- the
22 well that only has one well on the spacing unit. And when,
23 through having to turn that well on and off, we prematurely
24 burned up that pump -- And that's basically because
25 actually the start-up time period for a submersible pump is

1 the most violent period of time, it's the hardest period of
2 time on the pump. So making it start a bunch of times and
3 you just -- you're going to wear it out much faster.

4 And when we ran -- we were cycling that pump, it
5 burned up prematurely. And Mr. Collins instead of saying,
6 Hey, let's put in another big pump and burn it up, let's
7 just put in a smaller pump.

8 And so we ran a smaller pump, and that well was
9 actually not even -- with that smaller pump was not able to
10 produce the 700 barrels a day. So that was continuous
11 reduction. And that was actually one of the larger
12 reductions in oil cut. And no well -- None of the wells
13 that we restricted, no well out there, improved in oil cut.
14 None of the wells that we restricted improved in oil cut
15 because of the restrictions.

16 Q. The data you've presented on those restrictions
17 is limited to what we've seen on Exhibit 22, which is the
18 plot of that data?

19 A. Yes, sir.

20 Q. Do we have available the actual numbers so we can
21 see the total fluids withdrawn by the well and determine
22 the amount of oil and water produced in relation to total
23 fluids during the restriction?

24 A. Well, we have filed production reports on them,
25 so you do not have it on a daily basis, but you do have it

1 on a monthly basis, and this covers several months of data,
2 so -- I mean, you know, the data exists in the public
3 record.

4 Q. You created a model on one of these wells,
5 Exhibit Number 20, on the State K 3 well?

6 A. I don't believe so.

7 Q. I'm sorry, which one was it? All right, I've
8 tagged the wrong display. It was on the Savannah State
9 display. Here it is, it's Exhibit Number 19.

10 A. Okay, yeah.

11 Q. All right, what I need to ask you to look at, Mr.
12 Fant, is Exhibits 19 and 20 together.

13 All right, the Savannah State, based upon your
14 modeling, you've attributed a calculated 29 acres of area
15 contributing to the production in the Savannah State well?

16 A. I have calculated that the compartment size is 29
17 acres, yes.

18 Q. On Exhibit 20 for the State K 3 well --

19 A. Uh-huh.

20 Q. -- have you attempted to model that to see how
21 many acres are contained within the compartment for which
22 that well produces?

23 A. No, sir. As I mentioned before, this first one
24 took me over a week to do. I do not have enough time to do
25 them all.

1 Q. Okay. I'm interested in the swabbing oil cut
2 relationship to the second month of production. It's your
3 Exhibit Number 8.

4 A. Uh-huh.

5 Q. Again, this is a display we saw at the Examiner
6 hearing.

7 A. Uh-huh.

8 Q. You've not updated it or changed that display,
9 have you, sir?

10 A. No, this is the exact exhibit. I have changed
11 one thing. I have included the diagonal line through it
12 for visual reference.

13 Q. All right. If I remember correctly, it was your
14 decision not to use the first months of production for that
15 oil cut. Instead, you chose the second month's producing
16 oil cut for these wells?

17 A. Uh-huh.

18 Q. Right? You chose not to use the first month's
19 oil cut, because that data -- in fact, you characterized it
20 to be unreliable?

21 A. I consider -- Yes, I consider the first month's
22 production somewhat -- first month's -- I consider the
23 water production in the first month to be a suspect number
24 because of completions. Generally the oil is accurate.

25 Q. All right. The swabbing oil cut is taken very

1 early in testing and producing the well, is it not?

2 A. Yes.

3 Q. Would not that data also be unreliable to
4 determine the oil cut from swabbing tests?

5 A. No, sir. That data is not based upon what's
6 reported to the State or not reported to the State. That
7 data comes directly off the drilling report, off the actual
8 completion report of the well. So --

9 Q. I don't have trouble with the number; I have
10 trouble with the fact that you don't have stabilized
11 production data in a swabbing test that will give you an
12 accurate data point for your oil cut.

13 A. What I'm showing on this thing, on this
14 particular plot, is that when you produce the wells at a
15 low rate -- and that's what swabbing is, producing them at
16 low rates -- you get much lower oil cuts than you do when
17 you produce them at high rates. I'm not speaking to
18 stabilization, I'm not speaking to pseudo-steadystate flow.

19 I'm simply saying that when you produce the well
20 at low rates, you get low oil cuts; when you produce the
21 well at high rates, you get high oil cuts. And I also
22 state that there is no direct correlation between swabbing
23 oil cut and producing oil cut, other than producing oil cut
24 is generally very much higher.

25 Q. I'm having trouble understanding how this exhibit

1 is useful for the Commission to understand whether the oil
2 rate for a spacing unit goes higher than 700 a day. This
3 does not tell us anything about that issue, does it, sir?

4 A. This is strictly to illustrate to the Commission
5 that at higher producing rates you get higher oil cuts.
6 That's what it's intended to show.

7 Q. Exhibit 10 is a tabulation of oil-cut slope
8 versus GOR slope for 58 or 59 wells; I've forgotten the
9 number. It runs for several pages.

10 A. No, this is -- Well, it's for a significantly
11 larger number of wells than that. It's basically every
12 well in Dagger Draw.

13 Q. I'm looking at Exhibit 10.

14 A. Yes.

15 Q. Yeah, okay. All right. When I look at the oil-
16 cut slope, is this the second month's production oil-cut
17 slope? Where am I getting this oil cut?

18 A. As I said in my direct testimony, the data for
19 this is from the production history of the well, all
20 production history -- all reported production history of
21 the well.

22 Q. All right.

23 A. So this -- Yates Petroleum wells come from our
24 database, our records, and the rest of them come out of
25 *Dwight's*.

1 Q. Do we have volumes that you can show us
2 associated with the oil-cut slopes so that we can see the
3 total volume of water and oil that is calculated to reach
4 this slope?

5 A. This slope is simply the slope of the line. It
6 does not speak to a volume of water or a volume of oil.
7 This is simply a mathematical slope of the line. It's just
8 to indicate that there is a positive relationship between
9 increasing the oil rate and increasing the oil cut. It
10 simply demonstrates that if you increase the oil rate in
11 wells in Dagger Draw, you increase the oil cut and conserve
12 reservoir energy.

13 Q. I wanted to see the total volumes of withdrawal
14 because I would assume that would be an important number,
15 to see how much oil you produce in relation to the total
16 withdrawals of fluids by that well. Do we have that
17 analyzed somewhere here?

18 A. No, this is simply the slope of the line, as
19 shown on Exhibit -- go back -- as shown on Exhibit 9. It
20 is simply the slope of the line, indicating there is a
21 relationship between producing rate and the oil cut,
22 showing that at higher oil rates, you get higher oil cuts.

23 Q. When I read the oil-cut column, slope column,
24 then, if it's a positive value, that means I'm getting a
25 higher oil rate and therefore it's better?

1 A. Yes, sir.

2 Q. And if I see a negative number, that is a well
3 that is producing at a higher water cut and a lower oil
4 cut?

5 A. That the -- As I said in my direct testimony,
6 there are some of these that are negative. They're due to
7 statistical aberrations. You can look at the Aspden 2.

8 Q. Well, that's what I'm looking at.

9 A. That's a very --

10 Q. Let's start with that one right there.

11 A. It's a very --

12 Q. This one is in the violation area, and yet it has
13 a negative 2.68?

14 A. No, it has a negative 2.68 times 10^{-5} . So you've
15 got to move -- you've got to put four zeros in front of the
16 2, and put a decimal point in front of that. That's an
17 extremely small negative slope.

18 Q. When we read down and look at the Binger "AK" 2
19 and the Binger "AKU" Com 1, these are also negatives, but
20 they have a power of five and six, so you're still saying
21 it's a small change?

22 A. They have a power of minus five and minus six,
23 which makes them very small numbers. In fact, the data
24 from the Binger 2 showed that it actually -- when we
25 restricted it, its oil cut went down, and it's based upon

1 the data that I presented about the Polo 6. When you have
2 these calculations in this area, it's basically a
3 statistical aberration due to the well's ability to flow
4 oil to the surface.

5 Q. There's nothing changed on this exhibit from the
6 one that Examiner Stogner saw in the May hearing?

7 A. No, sir, this is the same exhibit.

8 Q. If you'll turn with me to Exhibit 16, this is the
9 -- It says "Canyon Completion Pressures and Field
10 Production Versus Time".

11 A. Yeah, just a minute. Yes, sir.

12 Q. You've plotted some pressure points in here. I'm
13 more interested in the oil volumes that are shown on the
14 display post-January, 1987.

15 A. Post-January, 1987, there are -- Okay, yeah.

16 Q. The green line down there.

17 A. Yeah.

18 Q. We've got a jump in the producing oil volumes
19 that you've analyzed.

20 If I remember correctly, your discussion was that
21 original pressure in the 3000 pounds, give or take, have
22 been produced for a number of years, and the consequence of
23 which is that you believe it had closed the fracture
24 systems in the reservoir and made the reservoir more
25 compartmentalized, right?

1 A. Some of the fractures closed, yes. I won't say
2 that all of them did, but the evidence strongly suggests
3 some of them closed, yes.

4 Q. If that evidence suggests that, what is providing
5 the means by which you're achieving the high productivity
6 of these wells drilled later in North Dagger Draw?

7 A. The matrix in this reservoir is still quite
8 permeable. The matrix is good rock.

9 And just like I said before, we're drilling in
10 areas that we weren't drilling in four, five, six years
11 ago. We're drilling in new areas. And as Mr. May said,
12 that the deposition -- It's individual facies within this
13 reservoir that are -- create the reservoir rock. And we
14 have to be in areas where the facies are much better.

15 Furthermore, many of our wells are not producing
16 that much more fluid than they used to -- than other wells
17 used to produce; they're just simply producing a lot higher
18 oil cuts than they used to, which again speaks to the
19 closure of the fractures and the matrix, and more of the
20 flow moving through the matrix and having oil come into the
21 wellbore from the reservoir instead of having water come
22 into it.

23 Q. I'd like you to look at your Exhibit 15. It has
24 two parts to it. I'm interested in the first page. It
25 shows production decline curves in the southwest quarter of

1 29.

2 A. Okay. Just a moment, I haven't been able to --

3 Q. Yes, sir.

4 A. -- put my fingers on that one yet.

5 Yes, okay.

6 Q. All right. The first production plot on the
7 lower left -- The first one on the lower left is what is
8 forecast based upon production for the first well in that
9 spacing unit?

10 A. Uh-huh.

11 Q. It forecasts if you take it down to a zero rate,
12 you're producing just over 300,000 barrels, right?

13 A. Yes, yes.

14 Q. Then when the second well is added, the
15 combination of those two wells are plotted next as we move
16 to the right?

17 A. Yes.

18 Q. And that combination of two wells, now, will
19 produce, oh, about 550,000 barrels?

20 A. Yes, sir.

21 Q. Okay. What does it cost to drill and complete
22 these wells? What kind of range are we in for price?

23 A. Well, they're about \$700,000 to sometimes
24 \$800,000. There have been some that come in under
25 \$700,000.

1 Q. Well, it looks like, at least from a layman's
2 point of view, that you can drill the two, the 550,000
3 looks to be profitable for wells that cost that.

4 And then you add a third well.

5 A. Uh-huh.

6 Q. And for the third well, you achieve additional
7 recovery of only 100,000 barrels?

8 A. Yes.

9 Q. Okay.

10 A. Small compartment for that well.

11 Q. Uh-huh. And so we've spent another \$650,000 to
12 achieve 100,000 barrels?

13 A. Uh-huh.

14 Q. Is that still profitable to do?

15 A. Actually, yes.

16 Q. And then we go on and drill the fourth well, and
17 at that point there's a dramatic change in the slope, is
18 there not?

19 A. Oh, yes, yes, there's a dramatic change in that
20 slope.

21 Q. What accounts for the dramatic change in slope?

22 A. This particular well is a much higher-rate well.
23 It has the capability to drain its compartment faster. I
24 mean, that's the facts of it.

25 Q. Part of its recovery is recovery that might have

1 otherwise been produced by one or more of the original
2 three?

3 A. I don't believe so, because I've looked at the
4 interference data for these wells, and they show no
5 interference. The other wells did not change in how they
6 produced when that well came on, so I don't believe that
7 there would be any interference there.

8 Q. Okay.

9 A. So none of its reserves would have been recovered
10 by the other well. So they're definitely -- You know,
11 they're unique reserves.

12 Q. Under that analysis, what is the estimated
13 recoverable life, if you will, of the spacing unit using
14 four wells?

15 A. This does not speak to the recoverable life.
16 This speaks to the recoverable oil.

17 Q. I understand that. Have you plotted or estimated
18 how long it will take to recover this oil?

19 A. No, I haven't.

20 Q. I'm curious about the life of the reservoir. I'm
21 curious about whether or not at this point in time in the
22 reservoir there is enough remaining oil that if your wells
23 are shut in to balance with the pool, there's enough
24 remaining oil for the others that in fact that shut-in
25 means something to those that have not exceeded the

1 producing allowable?

2 A. I believe if you'll look at this particular
3 proration unit, it would only -- to shut it in would only
4 require -- and I am, forgive me, talking off the top of my
5 head -- but it would only take a few months, five months,
6 in that time frame, of being shut in.

7 Q. To balance --

8 A. To balance.

9 Q. -- with its oil?

10 A. And it certainly has more life than that left.

11 Q. The forecasts here are using the wells at rates
12 in excess of the allowable? I assume that's what's
13 happening here.

14 A. This is not -- No, the forecast does not. These
15 were -- Some of these wells produced in history in excess
16 of allowable, but the forecast is based upon actually rates
17 below allowable.

18 Q. I cannot, then, use this exhibit to show the
19 difference between producing this spacing unit at the
20 current 700 a day, versus 4000 a day that you're proposing?

21 A. This spacing unit, if you'll look at the last two
22 data points on this particular plot, these four wells
23 combined produce about 380 barrels of oil per day.

24 Q. So this spacing unit is not going to enjoy the
25 benefit of an increased oil allowable?

1 A. No, I never said it would.

2 Q. When I was looking at Exhibit --

3 A. Well, let me change that. I really do want to
4 make a comment. If they change -- If they cancel the
5 overproduction, then yes, it will enjoy -- not enjoy the
6 benefits; it will not be damaged by the 700-barrel-a-day
7 allowable. That's important to understand. Forgive me.

8 Q. I'm looking at Exhibit Number 11, Mr. Fant. It's
9 on the Diamond "AK" 1. This is a South Dagger Draw well,
10 is it?

11 A. Yes, sir.

12 Q. I think so.

13 A. You're speaking of 11?

14 Q. Yes, sir. This --

15 A. Okay.

16 Q. In fact -- Yeah, the first page of this is a
17 South Dagger Draw well.

18 Do you have anywhere in the materials production
19 decline curves that will show us a well forecast production
20 within the 700-a-day allowable, versus the proposed 4000-a-
21 day allowable?

22 A. This well does not have a 700-barrel-a-day
23 allowable. This particular well has a 900-barrel-a-day
24 allowable set by Commission rule.

25 Q. I understand. I first looked at it and thought

1 it was an example, but it's not. And so I'm asking you in
2 the material that you brought today, do you have an example
3 of production decline curves so that we can see what you
4 would forecast to be the ultimate recovery from a well if
5 it's restricted in a spacing unit for 700 a day versus the
6 4000 a day?

7 A. I don't have that exact thing, no. But you can
8 take 7 percent of the restricted production, and that will
9 not be recovered if you restrict it.

10 Q. When we looked at the table of -- on Exhibit 14,
11 this is the one that shows the plot of part of the
12 violation area, and it shows examples where you have
13 concluded there is interference between wells?

14 A. Yes.

15 Q. Okay. Again, this was simply used by you to
16 speak to your argument that you needed the option to have
17 as many as four wells in a spacing unit, but I see nothing
18 in here that addresses the rate at which to produce those
19 wells?

20 A. No. My other data expresses the rate issues.

21 Q. All right. The drive mechanism in North Dagger
22 Draw is simply gas expansion? We don't have an active
23 water drive support for the pressure in the reservoir, do
24 we?

25 A. Conoco has claimed that there is a weak water

1 drive, especially in the areas of newer development. I
2 don't even see evidence of a weak water drive. It is --
3 The drive mechanism is solution gas.

4 Q. I think we attributed the weak water drive to
5 South Dagger Draw, but --

6 A. No, they actually attributed it to wells up on
7 the northwest edge of North Dagger Draw, I believe, based
8 upon Mr. Finley's testimony.

9 Q. I'm interested in your opinion, Mr. Fant. This
10 is simply gas expansion?

11 A. Well, solution gas drive, not necessarily -- Gas
12 expansion connotes gas-cap drive to me, but this is
13 solution gas drive.

14 Q. Okay. And you're not at all concerned that the
15 overproduction from North Dagger Draw has caused a pressure
16 decline in the reservoir?

17 A. No, obviously, the data that I showed in my
18 exhibits with the production and history of the well, you
19 see we've ramped way up on production in the field, and the
20 reservoir pressure in the new wells hasn't changed any.

21 So no, it has not created excessive pressure
22 declines.

23 Q. When did you personally become aware that Yates
24 had spacing units in Dagger Draw, North Dagger Draw, that
25 were overproduced?

1 A. About the time I went and met with Mr. Gum,
2 sometime around in there, yes.

3 Q. I'm sorry, sometime -- ?

4 A. About the time that I first met with Mr. Gum.

5 Q. This is in 1995?

6 A. Summer of 1995, yes.

7 Q. Do you recall more specifically what portion of
8 the summer that you went to see him?

9 A. I believe it was June. I don't want to -- You
10 know, I don't want to give an exact date because that would
11 be talking too much, but I believe it was in June.

12 Q. All right. And that would be consistent with the
13 fact that the production information shows that in May
14 Yates had spacing units that were overproduced? We saw
15 that at the last hearing?

16 A. Yeah.

17 Q. All right. Did you go to Mr. Gum in Artesia at
18 the Oil Conservation Division Offices there?

19 A. Yes.

20 Q. And did you go with anyone else?

21 A. No, I was the only one that went there.

22 Q. Were there any other Oil Conservation Division
23 personnel present, other than Mr. Gum?

24 A. I don't believe so. I believe it was just myself
25 and Mr. Gum in his office.

1 Q. At the time you talked to Mr. Gum in 1995, do you
2 know how many wells Yates had that had the capacity to
3 overproduce the spacing unit allowable?

4 A. In retrospect it could be calculated, but no, I
5 don't know that number.

6 Q. Did you have a number in mind as to the magnitude
7 of overproduction?

8 A. No.

9 Q. When you went to see Mr. Gum, why did you go
10 there?

11 A. I knew that we had wells that were not
12 experiencing the declines that were natural -- I was fairly
13 new at the time, working Dagger Draw. We had a
14 reorganization recently, and I was getting my feet on the
15 ground with Dagger Draw. And, you know, basically I
16 realized, hey, these wells are not declining like you might
17 expect.

18 And so I went to him and, you know, asked him
19 if -- I had heard these rumors -- rumors or concepts, from
20 people that, you know, in Dagger Draw you've got to produce
21 them hard, because you get better oil cuts at higher oil
22 rates. And I was interested in going to Mr. Gum and
23 wanting to ask him if we could produce at even higher
24 rates.

25 Q. All right. When you went to Mr. Gum, you knew

1 the Dagger Draw rules for the maximum allowed production of
2 700 barrels a day on 160 acres, did you not?

3 A. Yes.

4 Q. Did you disclose to Mr. Gum at that time in 1995
5 that Yates in fact had spacing units that were being
6 overproduced?

7 A. I disclosed to Mr. Gum that we had wells that
8 were above allowable and were not experiencing the declines
9 that were normal, and I did not say -- I did not use the
10 words, "we have wells overproduced", but I indicated to
11 them that we have wells that are above allowable and they
12 were not experiencing a decline. So...

13 Q. You're very clear on the recollection that you
14 disclosed to Mr. Gum in 1995 that you had spacing units
15 that were overproduced?

16 A. You didn't listen to what I said. I said, I said
17 to Mr. Gum that we had wells that were above allowable and
18 that were not experiencing the declines that were normal
19 out there. That's what I conveyed to Mr. Gum.

20 Now, the inferences anybody else wants to take
21 from that, they can do that. But that's what I -- That's
22 my absolute recollection of what went on there. Okay?

23 Q. All right. You didn't pose your problem to Mr.
24 Gum as a hypothetical about, What do I need to do in order
25 to produce these wells at rates larger than the allowable?

1 A. I wanted -- My hypothetical was, How do I get to
2 produce them at even higher rates? That was the
3 hypothetical.

4 Q. Describe for me --

5 A. If we had a miscommunication, then that was a
6 miscommunication, but that's what I was conveying to Mr.
7 Gum at the time.

8 Q. All right. What were you asking Mr. Gum to tell
9 you?

10 A. I wanted to know -- See, I was interested in
11 running step-rate tests on these wells, to produce them
12 where they are, which was high and above allowable at the
13 time, try and increase it even more and even more, turn
14 them up.

15 Q. Did you show Mr. Gum any production or give him a
16 specific example of the possible rates that you were
17 looking at?

18 A. No, sir, I did not. It was the preliminary
19 meeting. He indicated we would have to have the approval
20 of offset operators, and at the time that was not feasible.

21 Q. Describe for me the procedure for your proposed
22 step-rate test to Mr. Gum in 1995.

23 A. You just heard it.

24 Q. Did you specify --

25 A. Produced wells --

1 Q. -- any specific rates?

2 A. I did not give any specific rates. I did not
3 give any specific time periods. It was a hypothetical to
4 get the issue -- to put the issue before him to say, What
5 have we got to do? You know, I want -- It's important to
6 me to make sure we get these wells produced right, and this
7 is something we need to look at. How would we go about it?

8 Q. All right. You did not --

9 A. That's what --

10 Q. You did not leave that meeting, then, with the
11 understanding that Mr. Gum had in any way approved Yates to
12 overproduce the allowable?

13 A. No, sir.

14 Q. Okay. And after that, then, you did not pursue a
15 step-rate test or any other producing testing for the well,
16 because you were concerned you could not get offset
17 operator approval?

18 A. Yeah, we basically felt that it would not be
19 possible.

20 Q. And you never asked?

21 A. No.

22 Q. Okay. And the next time you address the
23 overproduction is in March of 1996, when Mr. Gum is
24 contacting Mr. Collins and advising you that he's
25 discovered you've got spacing units in North Dagger Draw

1 that are overproduced, and what are you going to do about
2 it?

3 A. Are you speaking of me as Yates Petroleum?

4 A. Yes, sir.

5 Q. Okay. Yeah, he came to Yates in, I think it was
6 early March, and said, We need to look at this and, you
7 know, bring me a proposal. And he allowed us a time to
8 prepare something for that.

9 Q. All right. And you were involved in the
10 preparation of a proposal?

11 A. Yes.

12 Q. Did your proposal include an analysis of how to
13 restrict these wells and bring them back into compliance in
14 the spacing units?

15 A. Our proposal was to -- There were discussions
16 between Mr. Collins and Mr. Gum about a time frame to take
17 them in. But what we actually proposed was to restrict
18 them to the 700-barrel-a-day allowable, not accrue any more
19 overproduction, and to bring this matter before the OCD.
20 We did it -- and to bring it as fast as we legally could,
21 which we did.

22 Q. All right. where --

23 A. And we also restricted the wells --

24 Q. Okay.

25 A. -- immediately.

1 Q. During this period of time, are you conducting
2 any field tests of wells to see what is their most
3 efficient oil cut at which to produce them?

4 A. The most efficient oil cut to produce any well is
5 the highest oil cut possible. And --

6 Q. Well, where's the 400- -- Where does the 4000
7 barrels of oil come from, then, Mr. Fant?

8 A. Just as I said in my direct testimony, it comes
9 from the fact that basically the State K 3 -- When we set
10 the Application, we didn't have the Polo 6 or the Patrick
11 4, but in the original Application, the best well we've had
12 on a long-term basis is the Polo -- I mean, excuse me, the
13 State K Number 3, which is basically a 1000-barrel-a-day
14 well for a year. And that's where you drill four wells of
15 that type on one proration unit, and you have 4000 barrels
16 a day.

17 And that -- that's -- I'm not going to say, Let's
18 go out there and make it 10,000 barrels a day, because I
19 don't have the data at this point to say that. But I do
20 have data that says that 1000 barrels a day per well -- per
21 -- you know, with four wells on the spacing unit, gives you
22 4000 barrels a day. It's based upon well data.

23 Q. All right, and that level of allowable, then,
24 equates to a capacity allowable?

25 A. Just like Conoco asked for in 1991, and Mr. Hanks

1 asked for in 1976 -- 1975 or 1976, in that time frame, yes,
2 sir.

3 Q. Was there any opposition to the Conoco request
4 back in 1991?

5 A. To my knowledge, no.

6 Q. At that time, were any of those spacing units
7 overproduced?

8 A. Absolutely -- Actually, I believe -- and I'm
9 calling this from recollection -- I believe there was one
10 or two spacing units in 1991 that were overproduced, yes,
11 sir.

12 Q. Let's look at Exhibit 7 again. It's this colored
13 plat. Tell me the data that you looked at and what
14 information caused you to put a darker shading on the color
15 for any of these spacing units to show they're
16 overproduced.

17 A. I'm not -- I didn't say they are overproduced.

18 Q. No, sir, at any point in time they've been --

19 A. Okay.

20 Q. -- overproduced. Now, my point, is if they were
21 overproduced for a single month --

22 A. Yes.

23 Q. -- then it's on the map?

24 A. Yes, if ours were overproduced for a single
25 month, then they're on the map. If somebody else's were --

1 I did not -- It goes back to what I said before: I'm not
2 drawing distinctions, I go straight by the numbers.

3 Q. All right. For example, if an operator of one of
4 these spacing units drills an infill well, IPs it for a
5 higher rate, produces it for that first month and reports a
6 number in excess of the allowable, then it's noted on this
7 plat?

8 A. Yes.

9 Q. At any point?

10 A. Yes.

11 Q. Despite the fact that the following month they
12 may have curtailed that production and therefore every day
13 after that abided by the rule?

14 A. The data that I've seen on most of these, when
15 I've looked at individual ones, is not that they curtailed
16 it the next month; it's that it declined the next month.

17 Remember, we talked about the rapid declines that
18 are normally experienced in Dagger Draw, and most of them
19 that did get overproduced, they declined the next month.
20 And you can tell that it's declined because if it's
21 restrictions then it goes flat, but if it's decline it
22 continues.

23 And so it's not generally a restriction that
24 brings it back into line but a decline.

25 Q. And typically in Dagger Draw, that decline was

1 evident in the first month or two of production?

2 A. That would be typical, yes, sir.

3 Q. And you're seeing for your new wells in Dagger

4 Draw that that was not occurring?

5 A. In many of them, yes.

6 Q. And we saw that in May of 1995?

7 A. It was evident in a few wells in May of 1995,
8 yes.

9 Q. And those wells are produced for May and June and
10 July and August and September and October and November and
11 December, and you continued to produce them?

12 A. They were continued to produce, yes.

13 Q. We looked at the production information at the
14 last hearing, Mr. Fant. I'm going to show you what was
15 Conoco Exhibit 12 in that last hearing.

16 Exhibit 12 refers to the available production
17 information that was presented in the May 2nd hearing. It
18 deals with the southeast quarter of 29. The southeast
19 quarter of 29 has got the Boyd wells in them.

20 What I'd like to discuss with you, Mr. Fant, is
21 the strategy Yates is using with regards to adding wells to
22 a spacing unit. In this example, the first well is
23 produced, a negative number indicates that it is
24 underproducing its allowable.

25 Under the allowable system for oil wells, you're

1 not allowed to carry over underproduction, are you? You
2 can't carry it over to the second month, can you?

3 A. I don't believe so.

4 Q. Yeah, it's not like gas prorationing where you
5 can carry over underproduction, right?

6 A. I don't believe so.

7 Q. All right. So the second well is added in May of
8 1995, because the first well can no longer sustain a rate
9 that allows it to meet the allowable for the spacing unit,
10 right?

11 A. Yeah, it was never able to meet allowable for the
12 spacing unit.

13 Q. So in May of 1995 you add the second well, and
14 now the combination of the two wells will exceed the
15 allowable, right?

16 A. Yes, sir.

17 Q. And it continues to do so. And in November of
18 1995, despite the fact that those two wells are
19 substantially overproducing the allowable, Yates adds a
20 third well and commences to produce that well?

21 A. Yes.

22 Q. Why are you doing that?

23 A. This one's just what Mr. Patterson talked about.
24 This in no way represents the way Yates Petroleum normally
25 developed them. We drilled -- That third well on that

1 proration unit was drilled because a judge --

2 Q. The judge made you do this?

3 A. A judge was interested and wanted that well
4 drilled, because there were legal issues involved in this.
5 That's my understanding of it.

6 Q. Did he tell you to drill it and produce it?

7 A. He didn't tell me anything.

8 Q. All right.

9 A. But we drilled it based upon that.

10 Q. Are you working with Mr. Collins, the operation
11 manager, on the sequencing of adding new wells to these
12 spacing units? Are you involved in that?

13 A. Mr. Collins does not have, generally, much input
14 into when new wells are approved for -- to be drilled. I
15 mean, he certainly as the operations manager has some. But
16 he's primarily -- He doesn't approve the drilling of the
17 wells.

18 Q. Are you making the decisions for Yates on adding
19 infill wells in these spacing units?

20 A. No, sir.

21 Q. All right, does Mr. McWhorter make those
22 decisions?

23 A. No, sir.

24 Q. Who makes the decision?

25 A. Generally, locations are approved by S.P. Yates.

1 Q. During the summer of 1995, prior to Mr. Gum
2 talking to Yates in March of 1996 about the overproduction,
3 did you continue to be aware of the overproduction?

4 A. I was aware of it.

5 Q. Did you report that overproduction to any of your
6 supervisors in Yates?

7 A. I believe they were aware of it.

8 Q. Did you ask for guidance and instruction on how
9 to handle the overproduction?

10 A. That is not my responsibility at Yates Petroleum.

11 Q. Did you receive any direction from supervisors or
12 management on what to do with the overproduction?

13 A. No, sir.

14 MR. KELLAHIN: No further questions, Mr.
15 Chairman.

16 CHAIRMAN LEMAY: Thank you, Mr. Kellahin.
17 Questions of the witness?

18 Do you have some redirect, or after --

19 MR. CARR: Very brief.

20 CHAIRMAN LEMAY: Go ahead, Jim.

21 MR. BRUCE: Just a couple.

22 EXAMINATION

23 BY MR. BRUCE:

24 Q. Mr. Fant, referring to your Exhibit 14 --

25 A. Give me some help.

1 Q. -- the interference chart --

2 A. Oh, okay, yeah. All right, yes.

3 Q. Okay. You know, looking at this map there's a
4 number of undrilled locations here.

5 A. Yes, sir.

6 Q. And on these undrilled locations is it possible
7 to tell whether there will be interference before the well
8 is drilled?

9 A. Absolutely not.

10 Q. Were some of the -- I presume, but correct me if
11 I'm wrong, that a number of these locations aren't drilled
12 or haven't been drilled because of overproduction?

13 A. Yes, our practice is to -- We don't drill these
14 wells, except in this one instance that has been pointed
15 out to you where the judge basically wanted us to drill the
16 well. But the wells would not be drilled -- additional
17 wells would not be drilled on a spacing unit unless we were
18 below the 700-barrel-a-day allowable.

19 Q. So if the allowable was increased, some of these
20 wells could be drilled and produced?

21 A. Yes.

22 Q. Okay. Some of them could be drilled now, but it
23 would be not reasonable to produce?

24 A. We could drill them all, but they couldn't --
25 they essentially -- The net effect is, they could not be

1 produced.

2 Q. And then one final thing. What you're saying is
3 that the effect of any fracturing in the dolomite is
4 limited or eliminated using fractures closing under
5 pressure decline?

6 A. I believe -- I didn't quite hear that well
7 enough. I'm sorry.

8 Q. I'm asking the effects of the pressure, any
9 pressure decline, on the fracturing, that severely limits
10 the effect of its fracturing in the reservoir; is that what
11 you're saying?

12 A. I don't know that there's enough data at this
13 time to say that all fractures get closed. But they don't
14 all have to, to create the compartmentalization, just some
15 of them do.

16 We deal -- In these reservoirs, we generally deal
17 in what is called series flow so that -- It says that if at
18 any point you have a barrier, you have a barrier. Okay, if
19 at any point we stop flow, flow can't go through there.

20 So just -- You know, you don't have to close all
21 the fractures, and I'm not willing to say at this point
22 that all fractures in the system are closed. But I do
23 believe that some of them are.

24 MR. BRUCE: Thank you.

25 CHAIRMAN LEMAY: Mr. Carr, do you want some

1 redirect?

2 MR. CARR: Very briefly, just...

3 REDIRECT EXAMINATION

4 BY MR. CARR:

5 Q. Mr. Fant, to be sure there's no confusion,
6 earlier this afternoon Mr. Kellahin was talking to you
7 about the value of overproduced oil and how that would
8 relate to the value of the oil that you would not be able
9 to make or produce while making up the overproduction. Do
10 you remember those questions?

11 A. Vaguely, yes.

12 Q. We're not talking in that scenario about just
13 taking money out of one pocket and putting it in the other,
14 are we?

15 A. No, sir.

16 Q. When -- Isn't the problem with being overproduced
17 and then having to shut wells in to make it up, that
18 ultimately you come out with a 7-percent reduction in that
19 delayed production?

20 A. Yes, sir, that's what happens. You lose that oil
21 forever.

22 Q. And you also lose the revenue associated with
23 that oil?

24 A. Yes.

25 Q. That means the working interest owners?

1 A. Working interest owners.

2 Q. It means the royalty interest owners?

3 A. Yes.

4 Q. And it means the State of New Mexico?

5 A. Yes, through royalties and production taxes and
6 income taxes.

7 Q. Now, several times this afternoon Mr. Kellahin
8 said that after meeting with Mr. Gum about step-rate tests,
9 you didn't go out and talk to the offsets, did you?

10 A. No, sir.

11 Q. You did not?

12 A. No.

13 A. Did the offsets include Nearburg Producing
14 Company?

15 A. Yes, sir.

16 Q. Was --

17 A. In the area -- In the area where the tests were
18 feasible to run, Nearburg was an offset operator.

19 Q. And wasn't Nearburg -- Wasn't this during the
20 time of what I think Mr. Kellahin characterized as the war
21 between Yates and Nearburg?

22 A. Yes, sir.

23 Q. All right. Did Judge Schuler tell you to drill a
24 well and then not produce it?

25 A. I don't know. I don't believe so.

1 MR. CARR: All right. That's all I have.

2 CHAIRMAN LEMAY: Additional questions of the
3 witness?

4 Commissioner Bailey?

5 EXAMINATION

6 BY COMMISSIONER BAILEY:

7 Q. The lack of decline that you noticed in the wells
8 in this overproduced area, beyond that first or second
9 month, is that unique to Yates's wells in this area, or are
10 the other operators also experiencing that lack of expected
11 decline?

12 A. Well, I think the fact that -- For as big as
13 Dagger Draw is, there's actually very few operators
14 involved in it. There's only about six operators ion it.
15 Yates has wells like this. Nearburg has wells like this;
16 theirs are overproduced. And Mewbourne has wells of this
17 capability.

18 So 50 percent of the operators do have wells, but
19 they're all basically in this area of new development. So
20 it's not a unique situation to Yates.

21 The magnitude, I think, is -- of Yates'
22 overproduction stems from -- there are some exceptional
23 wells in this area, and we do happen to operate most of the
24 area.

25 Q. Exhibit 10, the listing of all the wells with the

1 oil-cut slope and the GOR slope --

2 A. Uh-huh.

3 Q. -- do those include wells for both the North and
4 South Dagger Draw, or are these unique to --

5 A. No, these do include North and South Dagger Draw.

6 Q. I noticed that the Savannah well and the Polo
7 "AOP" Number 6 that we have on other exhibits are not
8 included in this listing?

9 A. No. With regards to the Savannah well, when I
10 generate -- This exhibit is exactly as I presented in the
11 Examiner hearing in May, and I did not have data for that.
12 There was a requirement that I have at least like three
13 months of production data on it, otherwise the statistical
14 technique is not even remotely valid. If you only have one
15 month, you can't put a slope on one data point. And
16 somebody in college told me one time that it takes three
17 points to do a regression. So I like to have those.

18 So the situation with the Polo is, the Polo was
19 completed in August, and so -- the Polo and the Patrick and
20 all these other -- It's much too recent. These wells are
21 too new for that, for me to do that.

22 Q. But that's the only criteria of whether or not a
23 well is included in this list?

24 A. Yeah, I just did not have the data at the time
25 that this was generated. This is a tremendous number of

1 calculations to do this, and I just -- I did not update it.

2 Q. Exhibit 14, which shows the known instances of
3 interference --

4 A. Uh-huh.

5 Q. -- these are all Yates wells showing
6 interference, according to looking at this map of Exhibit
7 7?

8 A. Yes.

9 Q. Were any calculations made to see if there was
10 interference with adjacent spacing units in other
11 sections --

12 A. Yes, and in fact --

13 Q. -- 17 and 30?

14 A. -- all of these were examined as to how they
15 might interfere with the adjacent sections also. I just
16 happened to -- The adjacent sections weren't what I
17 considered to be this new area of development. In
18 retrospect, I probably should have added the two sections,
19 Sections 32 and 33, where Conoco drilled their Joyce wells
20 and their Savannah wells and where Mewbourne drilled their
21 State B wells.

22 But no, in all instances I looked through, none
23 of these areas are interfering with wells outside of them.

24 Q. Okay, because I'm looking at Section 17, which
25 has the northeast quarter of Conoco, which has overproduced

1 at some point, at least for a period.

2 A. Uh-huh.

3 Q. I don't see --

4 A. No, yeah, this particular thing is only Yates
5 wells.

6 Q. Okay.

7 A. This map only shows the Yates wells. Section 17
8 was omitted because -- In my original of thoughts it was
9 Conoco. But I did look at all of the possible interference
10 going outside and there was none.

11 Q. Is fracture stimulation a normal SOP for
12 completion of wells in this area?

13 A. Well -- Forgive me, I may have misconveyed that.
14 The stimulation practices -- We do not fracture-stimulate
15 these wells. When I was talking about the fracture
16 stimulation and the closure and crushing of the fracture, I
17 was just talking about how fractures close.

18 We do not fracture-stimulate these wells. These
19 wells -- And in fact, one of the things Mr. May said was
20 that, yes, that completion procedures have changed over the
21 years, but they really for the most part -- Since 1971,
22 yes, they've changed. But since 1989 for Yates Petroleum,
23 completion procedures have remained fairly consistent. We
24 acidize the wells. We perforate them, and we acidize them,
25 generally with volumes of 20-percent hydrochloric acid.

1 Q. I believe you made the statement that
2 interference between the wells does occur, independent of
3 the rate. But doesn't the rate interfere with correlative
4 rights?

5 A. Well, in their cross-examination of Mr. May they
6 were basically insinuating -- or maybe Mr. Patterson --
7 they were insinuating that at the original hearings all the
8 data was presented that at 700 barrels a day there was no
9 impact on interference or anything like that.

10 And I made the statement about, Interference is
11 not caused by rate; it's caused by pressure communi- --
12 it's caused by a communicating stringer between one well
13 and another. If there's a communicating stringer, the only
14 way to adequately protect correlative rights is to make
15 sure that both wells are able to withdraw from that
16 stringer at the same rates, at the same type pressure
17 drawdowns. That's the only way to fairly do that.

18 So the only to protect the correlative rights
19 where there is interference is to produce the wells at
20 capacity, because both wells must be allowed to withdraw
21 from that stringer at the same rate.

22 And the only way to make that -- the only way to
23 control that is to let them produce at the capabilities of
24 the well. If you artificially -- put some artificial
25 restriction, which is exactly what 700 barrels a day is,

1 it's an artificial restriction that no longer has any
2 bearing on the productive capabilities of the well. When
3 you put that artificial restriction on it, then the one
4 you're damaging is the person -- is the operator with the
5 better well, because the poorer well may only have that one
6 stringer and they're allowed to pull 100 percent of their
7 production out of that, and if they can make 700 barrels a
8 day, they're allowed to pull 700 barrels a day out of that
9 stringer.

10 But the offset operator may have production
11 coming from other stringers, and so they're not allowed to
12 pull 700 barrels a day out of that one correlative
13 stringer.

14 And therefore the operator with the better well,
15 their correlative rights would be impaired in that issue.

16 I know it's contrary to what has been so long
17 thought, but when you sit down and put the numbers to it,
18 the numbers speak that we need to produce the wells at
19 their rates, at their capabilities.

20 COMMISSIONER BAILEY: That's all the questions I
21 had.

22 CHAIRMAN LEMAY: Commissioner Weiss?

23 EXAMINATION

24 BY COMMISSIONER WEISS:

25 Q. Yes, sir, Mr. Fant. I've got a basic question

1 about whether the wells are pumped off.

2 A. Uh-huh.

3 Q. On Exhibit 12, the one that you just got
4 overproduced, Number 7, this one we just picked up --

5 A. Uh-huh.

6 Q. -- that first well, was it pumped off?

7 A. The first well most certainly was pumped off. I
8 mean, it was producing at the physical capacity of the
9 well.

10 Q. Okay.

11 A. The second well was not.

12 Q. Okay. But you're over anyway, so --

13 A. Uh-huh.

14 Q. But the first one was. And by and large, I guess
15 that's another question I had, on Exhibit Number 10. I
16 believe that's your tabulation of all the different
17 wells --

18 A. Uh-huh.

19 Q. -- and that correlation of the increase in the
20 oil cut with the rate?

21 A. Yes, sir.

22 Q. Now, did that correlate with the initial rate? I
23 mean, with the pumped-off business? Do you get the drift
24 there?

25 If the initial rate was quite high and the well

1 was pumped off initially, you couldn't make it go up, I
2 guess --

3 A. No.

4 Q. -- you couldn't make it go up?

5 A. No. And I'm not -- I hope I didn't misconvey
6 myself. I'm not saying that we need to take every well in
7 Dagger Draw and turn it up to 4000 barrels a day. There
8 are places where that's not possible, just -- you know, the
9 southwest quarter of 29. It's not possible.

10 But there are places where it is possible, and
11 that's where the focus needs to be. There would be no --
12 essentially no impact on the ones where it's not possible.

13 Q. Well, these are just a matter of curiosity --

14 A. Yeah.

15 Q. -- on my part, whether the wells are initially
16 equipped to be pumped --

17 A. Most --

18 Q. -- or do you learn that by trial and error?

19 A. No, most of the wells are initially pretty well
20 pumped off, most of the wells. These wells that we -- most
21 of these -- and I say most of the wells. Most of the wells
22 throughout the entirety of Dagger Draw --

23 Q. Uh-huh.

24 A. -- the data used to prepare this chart -- I mean
25 this tabulation of data -- is probably 95-, 99-percent

1 pumped-off data, okay? Because this is historical
2 production.

3 Q. So total fluid stays the same, but the oil cut
4 went up; is that what you're saying?

5 A. No, total --

6 Q. The rate, the oil rate went up, so the -- And as
7 the oil rate goes up, the oil cut goes up? That's what
8 you're showing us?

9 A. Actually, on most of this it's because the oil
10 rate went down, and the oil cut went down because of
11 decline. This is historical production data, this --
12 showing that as the oil rate went down, the oil cut went
13 down. It's illustrated to show that -- over time, that
14 this relationship exists.

15 Q. Okay. So that is -- I didn't understand that.

16 A. Yeah.

17 Q. So the information in this compilation of 100
18 wells or so does not, I guess, fit with these curves here
19 where you actually increase the rate on Exhibit 9.

20 A. No.

21 Q. The rate had to increase -- Or was it high and
22 then gone down?

23 A. Most of these were right to left. Time on most
24 of these would go from right to left. Okay? So the
25 initial times they were at high rates, and the later times

1 they were at low rates. That's the case on -- and I'm
2 simply -- I present those to say that this is examples of
3 this data right here.

4 Q. Okay.

5 A. The difference being, when you move to Exhibit
6 11, that is some where we turned them up and turned them
7 down.

8 Q. Okay. Now, did you do that -- That's another
9 question there, you turned it up and you turned it down.
10 Was it always one way, just up, or did you vary it, go up
11 and down like you would a step-rate test?

12 A. In the Diamond "AKI" Number 1 we started at 800
13 and 28-percent oil cut, we went to 1300 and 35-percent oil
14 cut, and then we turned back to 900 and a 30-percent oil
15 cut.

16 Q. Okay.

17 A. So we went up and down on that one. That's why I
18 feel that's such a very powerful example of what was going.

19 In the case of the Aparejo 5, the second one, we
20 simply went from low to high.

21 Q. Okay, that's what I thought you said.

22 Now, in the gas cut going down --

23 A. Uh-huh.

24 Q. -- the GOR going down -- Is there any gas
25 injection in this area?

1 A. Oh, no, sir.

2 Q. Let's see, what the heck. I had another question
3 on 13, if I can find it. Oh, yeah, your withdrawal
4 comparisons.

5 A. Okay.

6 Q. Is the static reservoir pressure the same on both
7 of these wells?

8 A. The static reservoir pressure? At some point in
9 time after they were drilled?

10 Q. Yes.

11 A. I do not have measurements of the static
12 reservoir pressure after drilling. I believe that the
13 static reservoir pressure in the Thomas 6 is higher than in
14 the Warren.

15 Q. Well, I guess my point was, could this be just
16 that what we're seeing here is one well is three times as
17 permeable as the other?

18 A. No, I believe if that were the case, then it
19 would not show additional reserves to be recovered in this
20 pool.

21 And this one shows that 71 percent of the
22 reserves in the Thomas 6 would never have been recovered by
23 the Warren 1, or because there's no other interference with
24 any other wells, it would never be recovered by any other
25 well.

1 Q. And that's seen on one of the rate-versus-cum
2 curves?

3 A. Not these particular ones. That's -- Basically,
4 I took the decline through the first five data points for
5 the Warren Number 1 and then extrapolated that out, and
6 then I took the new decline rate and then -- and said, Okay
7 this much has been impacted.

8 But this well, this particular well, is not
9 presented on a rate-versus-cum plot.

10 Q. You didn't have one of those?

11 A. No, and one of the reasons is, those rate-versus-
12 cum plots in my system are set up to be generated and
13 created on a spacing-unit basis, and these two wells are in
14 different spacing units. I mean, I can force the computer
15 to do something different; I just hadn't thought to do that
16 at the time.

17 Q. Yeah, on Exhibit 16, the one with the measured
18 pressure behavior, are there any -- This is all on newly
19 drilled wells, this is your field --

20 A. Uh-huh.

21 Q. -- completion pressures and field production --

22 A. Yes, sir.

23 Q. Are there any pressures on the oil wells,
24 producing oil wells, that would suggest that they're also
25 2000 pounds static reservoir pressure or...

1 A. My estimation would be that they would not be
2 2000 p.s.i., once they had produced for a time, because
3 they're in their own little compartment for the most part,
4 and the pressure does deplete within the compartment.

5 Q. Is there --

6 A. This compartment doesn't deplete the next
7 compartment.

8 Q. Are there any measurements?

9 A. Just one back from the case presented by Conoco
10 on one of their wells -- I want to say it's the Barber Fed
11 Number 6 -- that after three years of production the
12 pressure had been reduced to approximately 1150 p.s.i. from
13 an original pressure of 2200 p.s.i.

14 Q. So that would be available probably later. Okay.

15 Let's see, I had a comment on Number 20. That's
16 the State K 3?

17 A. Uh-huh.

18 Q. Now, does that indicate that reduced rates at
19 least don't seem to damage anything? I guess I'm looking
20 at the oil rate there.

21 A. The oil rate -- I don't think that this can be
22 described as indicating that. This well is restricted down
23 -- You know, it came down as restricted and over time came
24 back up.

25 But I do know this specific well, when it was

1 restricted, dropped from approximately 57- or 58-percent
2 oil cut to -- I want to say 50. It had about a 7-percent
3 change in oil cut when it was -- you know, about a month
4 and a half after it was restricted.

5 Q. Okay. Oh, yeah, I missed Exhibit 21. I wasn't
6 sure what was being compared there. This is a pressure a
7 certain radius away from the wellbore; is that what we're
8 looking at there?

9 A. Yeah, it's the pressure as compared against what
10 the pressure that far away would be if you were producing
11 at --

12 Q. -- constant rate?

13 A. -- constant rate. The same total net rate coming
14 out of the reservoir. In one case you're producing it at
15 twice the rate for after the one, in one case you're
16 producing it at a constant rate.

17 Q. And this calculation, I would guess if I
18 understood you right, doesn't include a fractured system?

19 A. No, sir, this is based upon a just a simple --

20 Q. -- homogeneous --

21 A. -- homogeneous system, very, very rudimentary but
22 just to illustrate that cyclic production and continuous
23 production have the same effect.

24 COMMISSIONER WEISS: And I think that concludes
25 all my questions.

1 Thank you.

2 THE WITNESS: Thank you.

3 EXAMINATION

4 BY CHAIRMAN LEMAY:

5 Q. Mr. Fant, you -- Where do I want to start here?

6 You indicated the pilot waterflood was
7 disappointing to date in this field?

8 A. Yes, sir.

9 Q. Do you anticipate doing something with carbon
10 dioxide?

11 A. At this point I don't know what to do with it, in
12 all honesty. If water- -- Generally, if waterfloods do not
13 work, the probability of the CO₂ flood working is reduced.
14 And so at this point I do not anticipate doing anything
15 with CO₂.

16 Q. How much of the oil in place do you figure you'll
17 get in this field?

18 A. We've never come up with what I considered to be
19 a good stab at that number called oil in place. You know,
20 I'm sorry, I've never been able to do that. I would
21 estimate 10 to 15 percent, probably on the low end of that
22 at probably around 10 percent.

23 Q. So we'd leave a lot of oil down there?

24 A. Yes, sir.

25 Q. You made a comment, Yates is not in the habit of

1 shutting in good wells?

2 A. I would not say that that's necessarily just
3 Yates, but most companies.

4 Q. This goes back, probably, before your time. I
5 raised the issue of the Bough C before, with submersible
6 pumps in the -- actually the early Sixties.

7 A. Uh-huh.

8 Q. Are you familiar with that at all, that time
9 frame of production?

10 A. You know, forgive me, no, I'm not familiar with
11 the early --

12 Q. Well, the allowables were 30 barrels of oil per
13 day rather than 90 at the time --

14 A. Yeah.

15 Q. -- and there were submersibles on Upper
16 Pennsylvanian reservoir, and there was curtailed
17 production.

18 A. Uh-huh.

19 Q. From all your testimony, I was getting the
20 impression that if you curtail production, you're losing a
21 lot of oil --

22 A. Yes, sir.

23 Q. -- in most reservoirs that have high water cuts.
24 I don't know if -- That generalization is what I'm trying
25 to get at.

1 A. Most reservoirs that have these high water cuts,
2 it's related to a water drive, okay? You know, either a
3 bottom water drive -- many of the Ellenburger reservoirs,
4 say, over on the -- The ones I'm probably most familiar
5 with are the ones in central Kansas, which are, you know,
6 bottom water drives.

7 Edge water drives are most assuredly rate-
8 sensitive, and you do need to produce them at maximum
9 capacity.

10 This one has to do, I believe, with the mechanics
11 of how the reservoir is responding to drawdown, in Dagger
12 Draw, and the way that the permeabilities are changing.

13 There's a lot of work going on now that's showing
14 that -- You know, we as reservoir engineers for many years
15 have taken permeability, system permeability, as a constant
16 number, and what we're finding out is, it's not. As we
17 change the pressures on the system, it's -- that number can
18 change, and in different parts of the system it can change.
19 It can change in the fractures faster than it can change in
20 the matrix.

21 And so that can help us in this instance, and I
22 believe it is actually helping us in this case.

23 Q. My point was only to add a historical
24 perspective --

25 A. Oh, forgive me.

1 Q. -- to the sense that there haven't been operators
2 curtailing production when they've had good wells. And I
3 would challenge that, because there's a lot of curtailed
4 production during the time of low allowables and better
5 production, especially in the early 1960s and late 1950s --

6 A. Oh, yes, sir.

7 Q. -- and I assume many operators were either
8 shutting in wells or curtailing production, similar to the
9 overproduction situation you find yourself in here.

10 This is not a unique situation, I guess, was my
11 comment. Operators have found themselves in situations
12 where they're either overproduced or they need to curtail
13 production or they become overproduced. They didn't go out
14 there and just produce because they thought it was in their
15 best interest.

16 A. That -- You know, my experience in the oil
17 industry began in 1984, and so --

18 Q. Mine began in 1956, so --

19 A. Yeah. So, you know, unfortunately mine -- and it
20 was not -- you know, I did not -- you know, the
21 recommendations, I don't know where they came from within
22 the company to produce them at the rates that they were. I
23 just -- You know, my mental perspective is since 1984, in
24 America, we've been trying to produce as much oil as we
25 can.

1 Q. That's true.

2 A. But --

3 Q. And we have -- Again, we've had hearings,
4 numerous hearings, especially during the crisis in the
5 Middle East, where we encouraged operators to come in and
6 we'd raise our allowables if they would put on hearings for
7 MER.

8 And we did, we raised numerous fields, the
9 allowables, from the existing level when there's evidence
10 shown that that was the maximum efficient rate to produce
11 the field at. And everyone has that opportunity.

12 A. Yes, sir.

13 Q. I want to go back to your compartmentalized model
14 because what I'm visualizing is, almost each 40 acres, now,
15 is its own separate reservoir, with very few stringers that
16 are extending between wells. Is that kind of the way you
17 visualize this reservoir?

18 A. Well, that's one of the first things that comes
19 to mind. And I've been asked the question, Are these
20 things 40 acres in size? I don't believe that they are 40
21 acres exactly, in size. I don't believe they're all the
22 same size.

23 I don't believe that all the compartments on
24 a -- You know, within a well, you've got vertical
25 stratification, and each one of those will have its own

1 compartment. And each one of those will be of a different
2 size.

3 I know I've calculated with the Savannah State
4 Number 1 that its compartment, the average of its
5 compartment size, is about 29 acres. So I know that they
6 can be significantly smaller and that there are some that
7 extend -- I'm concerned at this point that we're still not
8 recovering all the oil that can be recovered out there,
9 because we are seeing only limited communication between
10 the wells, and -- Yeah, I'm not saying at this point that I
11 want to drill more wells.

12 Q. I was going to say, would you recommend 20-acre
13 well density?

14 A. Not at this point, no, sir. I believe -- you
15 know, when you start doing the calculations now, based upon
16 what we know the porosities really to be more closely to,
17 the recoveries seem more reasonable.

18 Q. I wonder if you'd look at your pressure. I guess
19 it's Exhibit 16. I want to take this back to your model.

20 You start off with original bottomhole pressure
21 close to 3000 pounds. You withdraw, you said,
22 approximately 39 million barrels of fluid or fluid
23 equivalent.

24 A. Uh-huh.

25 Q. And then you start -- you continue to get

1 pressures in the range of 2000, 2200 pounds.

2 Why wouldn't you expect with these undrained
3 zones or cylinders to get the 3000 pounds?

4 A. It goes back to the concept that I believe in
5 order to trap the oil in Dagger Draw we had to have the
6 water movement throughout the reservoir. From one end to
7 the other, we had groundwater movement.

8 That's what tilted -- That's what put oil downdip
9 in North Dagger Draw from oil updip in South Dagger Draw,
10 this groundwater movement through there. So -- And it was
11 the fracture system that created this pathway to do that.

12 Okay, in order to close some of these fractures,
13 to get them closed, we had to deplete the pressure
14 throughout the fracture system. If we don't -- Which in
15 turn reduces the pressure in the compartments, because the
16 fractures while they're open are connected to the
17 compartments.

18 So to close the fractures we must essentially
19 lower the system pressure to about 2200 -- You know, and I
20 say 2200. In some places it went lower, in some places
21 they seemed to close off around 2500 p.s.i. Some places
22 they didn't close till 1600, 1800 p.s.i. That just speaks
23 to not all these fractures closed at exactly the same
24 pressure and time.

25 But the net -- You know, not the net but the

1 average pressure over this time really hasn't changed, and
2 it hasn't continued to go down in these things. So
3 basically --

4 Q. So you're continually finding new reservoirs with
5 closed fractures?

6 A. Exact- -- that's basically the concept, yes, sir.

7 Q. I believe that's all the questions I had.

8 Will you be available tomorrow if we need to ask
9 additional questions after hearing Conoco's presentation?

10 A. Absolutely.

11 CHAIRMAN LEMAY: Any other questions?

12 COMMISSIONER WEISS: No, thank you.

13 CHAIRMAN LEMAY: Any other?

14 COMMISSIONER BAILEY: No.

15 CHAIRMAN LEMAY: Thank you, you may be excused.

16 THE WITNESS: Thank you.

17 CHAIRMAN LEMAY: Hey, it's 4:30. Let's start
18 tomorrow, huh?

19 MR. KELLAHIN: Yes, sir.

20 CHAIRMAN LEMAY: 8:30 okay?

21 MR. KELLAHIN: 8:30 is fine.

22 CHAIRMAN LEMAY: We'll see you tomorrow.

23 Do you have any more witnesses, Mr. Carr?

24 MR. CARR: No, that concludes the direct
25 presentation of Yates Petroleum Corporation.

1 CHAIRMAN LEMAY: Thank you.

2 MR. KELLAHIN: We'll start at 8:30 with our
3 geologist, then, Mr. Chairman.

4 CHAIRMAN LEMAY: All right, thank you very much.
5 See you tomorrow.

6 (Thereupon, evening recess was taken at 4:35
7 p.m.)

8 * * *

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Commission (Volume I) was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL ~~September 24th~~, 1996.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 14, 1998