


## STATE OF NEW MEXICO

## ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

## OIL CONSERVATION COMMISSION



IN THE MATTER OF THE HEARING CALLED BY )  
 THE OIL CONSERVATION COMMISSION FOR THE )  
 PURPOSE OF CONSIDERING: )

APPLICATION OF YATES PETROLEUM )  
 CORPORATION FOR AMENDMENT OF THE SPECIAL )  
 POOL RULES AND REGULATIONS FOR THE NORTH )  
 DAGGER DRAW-UPPER PENNSYLVANIAN POOL AND )  
 FOR THE CANCELLATION OF OVERPRODUCTION, )  
 EDDY COUNTY, NEW MEXICO )

CASE NOS. 11,525

APPLICATION OF YATES PETROLEUM )  
 CORPORATION FOR AMENDMENT OF THE SPECIAL )  
 POOL RULES AND REGULATIONS FOR THE SOUTH )  
 DAGGER DRAW-UPPER PENNSYLVANIAN POOL AND )  
 FOR THE CANCELLATION OF OVERPRODUCTION, )  
 EDDY COUNTY, NEW MEXICO )

and 11,526

(Consolidated)

REPORTER'S TRANSCRIPT OF PROCEEDINGS  
COMMISSION HEARING

ORIGINAL

BEFORE: WILLIAM J. LEMAY, CHAIRMAN  
 WILLIAM WEISS, COMMISSIONER  
 JAMI BAILEY, COMMISSIONER

(Volume II)  
 September 19th, 1996  
 Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Commission, WILLIAM J. LEMAY, Chairman, on Thursday, September 19th, 1996 (Volume II), at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

## I N D E X

September 19th, 1996 (Volume II)  
 Commission Hearing  
 CASE NOS. 11,525 and 11,526 (Consolidated)

	PAGE
EXHIBITS	259
APPEARANCES	262
CONOCO WITNESSES:	
<u>WILLIAM HARDIE</u> (Geologist)	
Direct Examination by Mr. Kellahin	265
Cross-Examination by Mr. Carr	331
Examination by Commissioner Bailey	338
Examination by Commissioner Weiss	343
Examination by Chairman LeMay	345
Further Examination by Commissioner Weiss	349
<u>ROBERT E. BEAMER</u> (Engineer)	
Direct Examination by Mr. Kellahin	350
Cross-Examination by Mr. Carr	374
Examination by Mr. Bruce	385
Examination by Commissioner Bailey	386
Examination by Commissioner Weiss	389
Examination by Chairman LeMay	390
APPLICANT'S REBUTTAL WITNESS:	
<u>ROBERT S. FANT</u> (Engineer)	
Direct Examination by Mr. Carr	394
STATEMENT BY MR. BRUCE	407
CLOSING ARGUMENTS:	
By Mr. Kellahin	407
By Mr. Carr	417
REPORTER'S CERTIFICATE	432

\* \* \*

## E X H I B I T S

## Conoco

Case No. 11,525	Identified	Admitted
Exhibit 1	268	331
Exhibit 2	272	331
Exhibit 3	290	331
Exhibit 4	293	331
Exhibit 5	295	331
Exhibit 6	297	331
Exhibit 7	300	331
Exhibit 8	302	331
Exhibit 9	307	331
Exhibit 10	352	373
Exhibit 11	352	373
Exhibit 12	352	373
Exhibit 13	352	373
Exhibit 14	352	373
Exhibit 15	352	373
Exhibit 16	352	373
Exhibit 17	352	373
Exhibit 18	352	373
Exhibit 19	352	373
Exhibit 20	352	373
Exhibit 21	352	373
Exhibit 22	352	373
Exhibit 23	352	373
Exhibit 24	352	373
Exhibit 25	357	373
Exhibit 26	358	373
Exhibit 27	362	373

(Continued...)

## E X H I B I T S (Continued)

## Conoco

Case No. 11,525	Identified	Admitted
Exhibit 28	364	373
Exhibit 29	365	373
Exhibit 30	365	373
Exhibit 31	366	373

\* \* \*

## Conoco

Case No. 11,526	Identified	Admitted
Exhibit 1	315	331
Exhibit 2	318	331
Exhibit 3	320	331
Exhibit 4	320	331
Exhibit 5	321	331
Exhibit 6	322	331
Exhibit 7	324	331
Exhibit 8	369	373
Exhibit 9	369	373
Exhibit 10	369	373
Exhibit 11	369	373
Exhibit 12	369	373
Exhibit 13	369	373
Exhibit 14	369	373
Exhibit 15	369	373
Exhibit 16	369	373
Exhibit 17	369	373
Exhibit 18	369	373

(Continued...)

## E X H I B I T S (Continued)

Conoco

Case No. 11,526	Identified	Admitted
Exhibit 19	369	373
Exhibit 20	369	373
Exhibit 21	369	373
Exhibit 22	369	373
Exhibit 23	369	373
Exhibit 24	369	373
Exhibit 25	369	373
Exhibit 26	372	373
Exhibit 27	373	373
Exhibit 28	372	373

\* \* \*

## A P P E A R A N C E S

## FOR THE COMMISSION:

LYN S. HEBERT  
Deputy General Counsel  
Energy, Minerals and Natural Resources Department  
2040 South Pacheco  
Santa Fe, New Mexico 87505

## FOR THE DIVISION:

RAND L. CARROLL  
Attorney at Law  
Legal Counsel to the Division  
2040 South Pacheco  
Santa Fe, New Mexico 87505

FOR YATES PETROLEUM CORPORATION  
and NEARBURG EXPLORATION COMPANY:

CAMPBELL, CARR, BERGE and SHERIDAN, P.A.  
Suite 1 - 110 N. Guadalupe  
P.O. Box 2208  
Santa Fe, New Mexico 87504-2208  
By: WILLIAM F. CARR

## FOR CONOCO, INC.:

KELLAHIN & KELLAHIN  
117 N. Guadalupe  
P.O. Box 2265  
Santa Fe, New Mexico 87504-2265  
By: W. THOMAS KELLAHIN

(Continued...)

## A P P E A R A N C E S (Continued)

FOR MARATHON OIL COMPANY:

MONTGOMERY & ANDREWS, P.A.  
325 Paseo de Peralta  
P.O. Box 2307  
Santa Fe, New Mexico 87504-2307  
By: EDMUND H. KENDRICK

FOR JAMES T. JENNINGS:

PADILLA LAW FIRM, P.A.  
1512 South St. Francis Drive  
P.O. Box 2523  
Santa Fe, New Mexico 87504-2523  
By: ERNEST L. PADILLA

FOR MEWBOURNE OIL COMPANY  
and UNIT PETROLEUM COMPANY:

HINKLE, COX, EATON, COFFIELD & HENSLEY  
218 Montezuma  
P.O. Box 2068  
Santa Fe, New Mexico 87504-2068  
By: JAMES G. BRUCE

\* \* \*

1           WHEREUPON, the following proceedings were had at  
2   8:35 a.m.:

3           CHAIRMAN LEMAY: Good morning. This is the Oil  
4   Conservation Commission in the second day of hearings on  
5   consolidated Cases Number 11,525 and 11,526.

6           I think, Mr. Carr, yesterday you were giving your  
7   presentation of witnesses and --

8           MR. CARR: -- and we have concluded --

9           CHAIRMAN LEMAY: -- do you have some addition  
10   to --

11          MR. CARR: Our direct case has been concluded.

12          CHAIRMAN LEMAY: Your case has been concluded?

13          MR. CARR: Yes, sir. Thank you.

14          CHAIRMAN LEMAY: We shall turn the podium over to  
15   Mr. Kellahin. Mr. Kellahin, it's your show.

16          CHAIRMAN LEMAY: May it please the Commission,  
17   I'll present two witnesses this morning.

18          The first witness is Mr. Bill Hardie. He's  
19   already taken the witness stand. Mr. Hardie is a petroleum  
20   geologist. He resides in Midland, Texas.

21          Mr. Hardie and Mr. Beamer and I have agreed among  
22   ourselves that our presentation will be such that Mr.  
23   Hardie will make his geologic presentation on North Dagger  
24   Draw, and then before he's excused he'll go into his  
25   presentation on South Dagger Draw, and that way we complete



1 a full presentation with this single witness before we move  
2 into the engineering witness.

3 And with Mr. Beamer we'll do the same thing.  
4 We'll talk about North Dagger Draw, and then when I finish  
5 my direct with him, he and I will go into South Dagger  
6 Draw.

7 The first sets of exhibits that I'm handing you  
8 are the Conoco exhibits, the engineering and geologic  
9 exhibits for North Dagger Draw.

10 WILLIAM HARDIE,  
11 the witness herein, after having been first duly sworn upon  
12 his oath, was examined and testified as follows:

13 DIRECT EXAMINATION

14 BY MR. KELLAHIN:

15 Q. Mr. Hardie, for the record, sir, would you please  
16 state your name and occupation?

17 A. My name is William Hardie. I'm a geologist with  
18 Conoco, Inc., for the southeast New Mexico area.

19 Q. Mr. Hardie, you're going to have to keep the  
20 volume of your voice up. Where I'm sitting, there's the  
21 hum of this wonderful heater that is spewing forth heat  
22 this morning, and so you'll have to speak above it. We've  
23 stopped the drip, apparently, and so Florene is not going  
24 to be drenched.

25 Give us a short summary of your educational

1 background and employment experience, and with particular  
2 emphasis on your involvement with the Dagger Draw  
3 production.

4 A. I have a bachelor of science degree from Baylor  
5 University, a master of science degree in geology from  
6 Baylor University as well. I graduated in 1990.

7 And at that time I started working for Conoco in  
8 Midland and have been assigned the southeast New Mexico  
9 area since that time, so it's been about six years that  
10 I've worked in southeast New Mexico. And I've worked  
11 Dagger Draw for that length of time as well, amongst the  
12 other fields that Conoco operates in Eddy and Lea Counties.

13 Q. Have you qualified as an expert geologist in past  
14 hearings before the Division that have dealt with issues in  
15 Dagger Draw?

16 A. Yes, I have.

17 Q. Have you made a study and investigation of the  
18 geologic factors involved not only in North Dagger Draw but  
19 in South Dagger Draw?

20 A. Yes, I have.

21 Q. The maps that we're about to see were not  
22 generated exclusively for the hearing today, were they,  
23 sir?

24 A. These are standard maps that we have on file and  
25 update periodically.

1           Q.    So this represents work product that you've been  
2   involved in for the last five or six years with regards to  
3   Conoco's geologic analysis of Dagger Draw?

4           A.    That is correct. I have added items on the maps  
5   for the specific purpose of this hearing, but the  
6   geological information is something we compile and update  
7   on a regular basis.

8           Q.    When Conoco drills Dagger Draw wells, are you  
9   involved in that process as their geologist?

10          A.    Yes, I am.

11          Q.    And when Conoco has a working interest in other  
12   wells, drilled by operators other than Conoco, is that  
13   geologic information eventually assimilated by you and  
14   integrated into your work product?

15          A.    Yes, it is.

16               MR. KELLAHIN: We tender Mr. Hardie as an expert  
17   petroleum geologist.

18               MR. CARR: No objection.

19               CHAIRMAN LEMAY: His qualifications are  
20   acceptable.

21          Q.    (By Mr. Kellahin) Mr. Hardie, let me have you,  
22   sir, to help us understand your analysis of the geology.  
23   Look first at North Dagger Draw, and let me have you begin  
24   by identifying what we've marked as Conoco Exhibit Number  
25   1.

1           A.   Exhibit 1 is an isopach of the net dolomite  
2 across North Dagger Draw. It's quite similar to the map  
3 presented yesterday by Mr. -- by Brent --

4           Q.   Yeah.

5           A.   -- May.

6           Q.   May.

7           A.   There's very little difference, actually, in the  
8 geological interpretations between Brent and myself, and I  
9 think that will become apparent as we progress.

10          Q.   Tell us the color code so we understand what  
11 we're seeing.

12          A.   Okay, we're looking at -- First of all, the  
13 contours themselves are color-coded such that the darker  
14 blues represent thinner sections of the dolomite, and then  
15 they progress into the colors, yellow colors, as they get  
16 thicker and thicker, so that the outer edges of the  
17 dolomite fairway are the zero line, and it thickens towards  
18 its axis, approaching thicknesses over 350 feet thick.

19          Q.   Help me understand what you mean when you talk  
20 about the dolomite thickness map.

21          A.   Simply what we have done is to take the Upper  
22 Pennsylvanian interval and count up the total feet of  
23 dolomite within that interval. That footage is what we  
24 map.

25               As Brent explained yesterday, the reservoir at

1 Dagger Draw is dolomite. If you don't have dolomite, you  
2 don't have reservoir. So by mapping the dolomite, you're  
3 mapping the reservoir. It's very convenient, one of the  
4 unique features of this field.

5 Q. What are the other colored lines represented on  
6 the display?

7 A. The red bold outline is the North Dagger Draw  
8 Pool boundary as of the last hearing. You can see there  
9 are some well symbols lying outside of that boundary. The  
10 pool is constantly growing, so I'm quite certain that this  
11 needs to be updated.

12 The solid yellow line inside that is the -- is a  
13 boundary around the proration units which are currently, or  
14 at the time of the last hearing were in violation of the  
15 allowable and had accumulated illegal oil.

16 I've also shown on the cross-section through  
17 dashed red lines three -- on the map, three of the cross-  
18 sections that we'll be showing in the later exhibits.

19 Q. One modification in this Exhibit 1 from the last  
20 hearing is, now you've included the northwest quarter of  
21 Section 33 as part of the violation area, including that  
22 spacing unit?

23 A. That is correct. We did not recognize that as  
24 being in violation at the last hearing. It was and it  
25 still is. So that is --

1 Q. And who's the operator of that spacing unit?

2 A. Mewbourne is the operator of that spacing unit.

3 Q. At the last hearing, in May of 1996, was all the  
4 production information for the wells producing within the  
5 violation area available to the parties at that hearing?

6 A. There were a lot of wells drilled early this year  
7 around the violation area. The information was not  
8 available to me at the time of the last hearing. I have  
9 since gathered that data, the production data, the  
10 geological data, and incorporated it and revised the maps  
11 that you're looking at now from the last hearing.

12 Q. When we get around to talking about the volumes  
13 of production from spacing units in the violation area,  
14 those volumes are going to be different than the volumes we  
15 discussed in May, are they not, Mr. Hardie?

16 A. They will be different. They have been updated.

17 Q. All right. And those numbers now, to the best of  
18 your knowledge, include all production volumes attributable  
19 to those spacing units that account for the overproduction?

20 A. That is correct.

21 Q. Let's look at the distribution of reservoir  
22 thickness on this map, in relation to the Conoco-operated  
23 properties in Section 32, as well as 31, and how they are  
24 similar or different from the dolomite thickness in the  
25 violation area.

1           A.    One of the reasons I've included this map as an  
2           exhibit is to compare first of all just reservoir thickness  
3           in the violation area and other parts of the field. And  
4           when you take a quick look at this, there is very little  
5           difference. The violation area includes thick portions, it  
6           includes thin portions.

7                   I would note that in Section 28 you can see a  
8           prominent re-entrant of the blue colors, indicating that  
9           the total dolomite thickness is becoming very thin in that  
10          area. That happens to be one of the worst violating  
11          proration units.

12                   So there's not a good relationship between  
13          thickness and the ability of a well or the operator to  
14          violate the allowable.

15          Q.    There was an statement made by one of the Yates  
16          witnesses that I think reversed what I believe is Conoco's  
17          position about what you believe to be the risk to Conoco in  
18          terms of thickness in relation to the thickness in the  
19          violation area.

20                   I believe that the statement yesterday is that  
21          you were in a thicker portion of the dolomite. And if that  
22          was said, I would like to give you an opportunity to  
23          explain to us your interpretation of the relationship of  
24          the thickness and how that affects your correlative rights  
25          as you relate to the overproduced spacing units.

1           A.   Of course correlative rights involves several  
2           issues, one of which would be the thickness of the  
3           reservoir. The thinner the reservoir, the higher the rate  
4           in that thin reservoir, the more chances there are for  
5           violating correlative rights. There's not as much pay in a  
6           thin zone as there is in a thick zone.

7                     That's one of the attributes that we will examine  
8           today as we move through these exhibits and look at the  
9           various geological parameters and how they relate to the  
10          violating area versus the non-violating area.

11          Q.   All right, sir. Let's set this aside, then, and  
12          have you turn your attention to Conoco Exhibit Number 2.  
13          Mr. Hardie would you identify Exhibit Number 2 for us?

14          A.   Exhibit Number 2 is a structure map on the top of  
15          the upper Pennsylvanian dolomite. Again, this is very  
16          similar to the map that was presented yesterday by Mr. May.  
17          So what we're looking at with this map is an elevation map  
18          on the top of the reservoir.

19                     Again, some of the components that I've included  
20          on this exhibit, the outline of the pool boundary as of the  
21          last hearing, is shown in the heavy blue line. The  
22          violation area is shown within there as a thinner green  
23          line. Solid yellow shading on this map indicates that that  
24          acreage is operated by Conoco. Cross-hatched yellow  
25          shading on this map indicates that Conoco has interest in



1 that proration unit but does not operate.

2 So as you can see, we do have an interest in many  
3 of the proration units which have currently produced  
4 illegal amounts of oil. Most of those -- in fact, I  
5 believe all of them -- are operated by Yates. Conoco has a  
6 partial working interest in them.

7 Q. With regards to the Yates-operated spacing units  
8 in the violation area for which Conoco has a working  
9 interest, to your knowledge does Yates contact Conoco and  
10 ask you what levels you would like to have these wells  
11 produced at?

12 A. That is never discussed amongst operators. The  
13 only discussions we may or may not have between operators  
14 is the viability of drilling a project. Is there enough  
15 reservoir there to justify the drill? If we have a  
16 concern, we may approach the operator.

17 In this case, we're sitting in the middle of the  
18 reservoir, so there are no concerns about missing or  
19 hitting unviable pay sections.

20 When we are approached with an AFE to participate  
21 in a well, we have two options. We can participate and  
22 join in, or we can nonconsent or farm out our interest.  
23 And because of the productivity of the wells in this area  
24 and the amount of money they can generate, even within the  
25 bounds of the law, Conoco participates in these types of

1 proposals.

2 We do not involve ourselves in the day-to-day  
3 operations of our offset partners.

4 Q. With regards to the Conoco-operated spacing units  
5 in Dagger Draw, Mr. Fant made a point yesterday with  
6 Exhibit 7 that he shaded in your spacing units a darker  
7 color if at any point in the producing life of that spacing  
8 unit he found a point in time where that spacing unit was  
9 overproduced.

10 Are you familiar with the production history on  
11 your spacing units in terms of over- and underproduction?

12 A. I'm familiar with the production history on them.  
13 I haven't examined them closely to see if there were small  
14 instances of overproduction. I can assure you that it is a  
15 Conoco corporate policy to remain within the guidelines.  
16 If perhaps a well exceeded an allowable, it did not happen  
17 with my knowledge; and if it had, I would have done  
18 something about it.

19 I realize there are in the records instances  
20 where we momentarily exceeded the allowable, but we never  
21 at any point accumulated anything significant in terms of  
22 illegal oil. In fact, nothing in terms of -- even close to  
23 the amount of violations that have occurred in the past.

24 Q. Mr. Hardie, I think there's next to you, over on  
25 the right, a copy of the Examiner Order. It's underneath

1 that first display. Yes, sir. Is that a copy of the  
2 Order?

3 A. Yes, it is.

4 A. If you'll turn to page 8 with me, Mr. Fant, and I  
5 had a discussion yesterday on the geologic conclusions the  
6 Examiner had reached in that Order, and he brought to our  
7 attention that in that first finding he had a disagreement  
8 with the finding and particularly with regard to the  
9 conclusion about good vertical permeability.

10 What is your position on behalf of Conoco with  
11 regards to that issue?

12 A. We -- Conoco has extracted, I believe, two if not  
13 three cores from this reservoir and we have tested them  
14 extensively. Those cores show good vertical permeability.

15 Typically, we don't test zone barriers, and there  
16 are zone barriers within this reservoir, and those barriers  
17 are mappable and identifiable and we treat them as such.  
18 But within a zone, we have good indication that there is  
19 good vertical communication. And in certain parts of the  
20 field, even the barriers -- we have good indications that  
21 they are no longer intact, no longer capable of isolating  
22 zones; they experience pressure depletion from adjacent  
23 zones.

24 So depending upon where you are in the field,  
25 there can be very good vertical communication, but there

1 are zone isolators.

2 Q. With regards to the geologic conclusions that are  
3 inherent in Finding 9 E, what is your position? That  
4 finding says, There are consistent hydraulic connections  
5 and good pressure communication across the pool.

6 A. It has been our experience, sometimes very  
7 painful, to prove up that statement E. We --

8 Q. Why do you say painful?

9 A. Painful because we've drilled wells that we  
10 thought would have good pressure, and they had dismally low  
11 pressure, and the only way they could have had low pressure  
12 was by drainage from offset production, either laterally or  
13 vertically. So there's clear indications that this is the  
14 case.

15 There are likewise some indications that there  
16 are some permeability barriers within the reservoir. You  
17 can encounter higher pressures, particularly as you step  
18 out into newer portions of the reservoir and avoid infill  
19 development. That statement is true.

20 Q. We touched on numerous issues in a technical  
21 sense yesterday, and I'm going to ask you to help us frame,  
22 from your perspective, those issues of importance for you  
23 that you want to share with the Commission.

24 Before we do that, Mr. Hardie, I'd like you to  
25 give me a general overview of your geologic conclusions

1 with regards to the characterization of the reservoir  
2 between North Dagger Draw and South Dagger Draw and the  
3 distribution of those fluids. Give us a short course on  
4 Dagger Draw.

5 A. This is a complicated reservoir to give a short  
6 course description in, but I'll do my best.

7 There are several theories to try to explain the  
8 distribution of fluids from North to South Dagger Draw and  
9 into Indian Basin, one of which is the hydrodynamic theory,  
10 originally proposed by Hugh Frenzel, I believe, back in the  
11 1960s when he was developing for his company the Indian  
12 Basin field, and he recognized differing gas-water contacts  
13 within that field. That theory can still be applied as we  
14 move to the north, into South Dagger Draw and North Dagger  
15 Draw.

16 It does have some problems with it. It doesn't  
17 fit perfectly.

18 I have in the past proposed alternative theories  
19 as to the distribution of fluids in this reservoir, namely  
20 having to do with the way the fluids migrated into the  
21 reservoir upon them being filled.

22 The reservoir itself, this 40-mile-long reservoir  
23 that we have broken up into three or four different pools,  
24 has been tilted, and that tilting to a large degree  
25 occurred after it was deposited, so that we're looking at a

1 tilted reservoir. It's faulted at its updip end, at Indian  
2 Basin, creating the ultimate trap and seal.

3 The reservoir was filled from a downdip direction  
4 by gas and oil. The gas and oil passed through a series of  
5 compartments that Brent explained to us very well  
6 yesterday.

7 These compartments are not perfect seals. They  
8 act as almost semi-permeable membranes. They're extremely  
9 permeable to gas. The gas rushed on through this reservoir  
10 and went up to Indian Basin.

11 They're less permeable to other fluids; they're  
12 less permeable to oil. So as oil came and began entering  
13 from a downdip direction and an updip direction, it became  
14 progressively trapped as it entered each successive  
15 compartment, such that by the time we get to Indian Basin,  
16 virtually all of the oil has been trapped.

17 So you have, in a sense, a tilted oil-water  
18 contact across this field that can be explained just by the  
19 way the fluids migrated into place. That's another theory.  
20 There's several.

21 The bottom line is, the fluid distributions are  
22 not what you would expect in a completely and continuous  
23 and connected 40-mile-long reservoir.

24 Q. Is it possible to apply your science and  
25 experience to North Dagger Draw and determine the size and

1 the shape of these compartments in the reservoir?

2 A. You can. And although you can determine the size  
3 and the shape of them geologically in some instances -- and  
4 I'll show you some instances -- in most cases geology  
5 doesn't help much with the identification of compartments.  
6 The most important parameters are evaluation of production  
7 data. And I think Yates has confirmed this as well. They  
8 concur with this.

9 Conoco has in the past identified some very large  
10 compartments, and there can be no other explanation for the  
11 pressure data we have seen than to recognize that there are  
12 extremely large compartments, large compartments which can  
13 be drained very effectively, very quickly, with single  
14 wells. And we have examples of this.

15 Before I get into much more technical data, I  
16 would like to address, if I could --

17 Q. Sure, I'd like you to frame the issues as you see  
18 them for part of your presentation.

19 A. -- some issues that Conoco and Yates have dealt  
20 with in the past. Many of these issues we agree on, many  
21 of the issues we disagree on.

22 I think it's somewhat unfortunate that our  
23 disagreements always end up in this public body, because  
24 for the most part we agree on the geological and reservoir  
25 parameters in this field.

1 I have a tremendous amount of respect for Yates'  
2 technical staff. Yates hires the best people in the  
3 business, and I think you can tell that.

4 I think they would also recognize my right and  
5 ability to take the same data set and arrive at different  
6 conclusions, because at times we do that.

7 But there are other instances where we're in  
8 complete agreement, and I want to get those out in the  
9 open, because I was under the impression in some of  
10 yesterday's testimony that particularly Mr. Fant thinks we  
11 disagree on some issues, and we don't. I'd like to go over  
12 a couple of those, if I could, here, the first of which  
13 would be the issue of 40-acre spacing.

14 I got the impression from Mr. Fant's testimony  
15 that he thought Conoco was in favor of somehow restricting  
16 the development of this pool on 40-acre spacing, and that's  
17 simply not the case. We're very much in favor of the right  
18 of an operator to develop his acreage on 40-acre spacing.  
19 We have testified to that fact. They brought that  
20 testimony out. We still stand behind that.

21 Does that mean we think that this reservoir  
22 should be developed everywhere, at all locations, on 40-  
23 acre spacing? Certainly not. There are portions of this  
24 reservoir which need 40-acre spacing in order to recover an  
25 efficient amount of -- an equitable amount of the reserves.



1 Mr. Fant has brought out some of those examples.

2 There are other portions of this reservoir which  
3 do not need four wells per proration unit, they need one,  
4 and we've experienced those in the past.

5 I gained the impression from Mr. Fant that he  
6 thought this was the first time in the history of this  
7 reservoir that we have been able to maintain high sustained  
8 rates from it, and that's certainly not the case. It may  
9 perhaps be the first time Yates has been able to maintain  
10 high sustained rates from this reservoir, but it's  
11 certainly not the first time Conoco has been able to. We  
12 could have in the past, and can today in some cases, exceed  
13 the allowable. We don't. And that's an important  
14 conclusion to draw.

15 When Mr. Fant looks back through the history and  
16 he sees that Conoco has not accumulated significant volumes  
17 of illegal oil, he assumes that we couldn't. And it's not  
18 that we couldn't; it's that we didn't.

19 And I'd like to show you a couple of examples  
20 where we didn't. And this map is probably a good one to do  
21 that. This is Exhibit Number 2, the structure map across  
22 North Dagger Draw.

23 I'll draw your attention to Section 36 of  
24 Township 19 South, 24 East. The lower half of the section  
25 is operated by Conoco.

1           This is one of those incredibly prolific pockets  
2     in the reservoir. Conoco, in the late Eighties, perhaps  
3     early Nineties, drilled its D State Number 2 in the  
4     southwest of the southwest quarter. It was the only well  
5     in that proration unit at the time. It was a fantastic  
6     well, capable of production rates just at the allowable.

7           Conoco produced this well at rates between 550  
8     and 600 barrels of oil per day for approximately three  
9     years, draining a very large area. We didn't know that we  
10    were draining a large area at the time. There weren't many  
11    wells in the field at the time.

12           We could have drilled another well in the  
13    proration unit because we were about a hundred barrels shy  
14    of the allowable. We chose not to because we knew that if  
15    we did, we'd have to restrict it. Operationally, that's a  
16    nightmare. Yates has testified to that.

17           The well produced for a period of about three  
18    years and literally crashed and burned. It went from rates  
19    of 550 over a period of months to rates of 50 barrels a  
20    day, 40; on a good day sometimes we might get 60.

21           At that point Conoco decided to drill an offset  
22    to it. We had plenty of allowable left. We decided,  
23    because we knew this well had made tremendous amounts of  
24    reserves, to get as far away from it as we possibly could.  
25    I proposed the D State Number 4, on the opposite corner of

1 the proration unit. The D State 4, to me, was a great  
2 location.

3 We had tried to recomplete the D State 1, which  
4 is just east of it, from the Morrow into the Cisco.  
5 Mechanically, that was not terribly successful, so it  
6 hadn't produced many reserves. We tried to twin that well  
7 with the D State 3. Mechanically, that was a dismal  
8 failure. The pump, the SP we put in that well, became  
9 irretrievably stuck. The Cisco was no longer available to  
10 us.

11 We had a large area. The only other offset was  
12 Yates' State "CO" Number 4. Large area to drain. I'm  
13 excited about this well, I propose it hoping to see  
14 something like we saw in D State 2. It was drilled.  
15 Mudloggers told me that the pay section in that zone looked  
16 just like the D State 2. I was even more excited.

17 We completed the well, perforated the same  
18 intervals that produce elsewhere. The well produced  
19 approximately 100 barrels a day. I called the production  
20 office to find out what was wrong. What's wrong with my  
21 well that should be so great? They measured bottomhole  
22 pressure at approximately 400 pounds. That location had  
23 been drained by the D State Number 2 and offsetting  
24 production.

25 Now, if we had developed this location at a time

1    when we had, let's say, a 4000-barrel-a-day allowable,  
2    Conoco could have gone in here, drilled on four locations,  
3    and pulled the same number of reserves out of the ground  
4    with four wells -- Who knows? If we got there before our  
5    neighbors we might have even got some of their reserves at  
6    the same time. The ultimate result of that would have been  
7    that we would have gotten the same amount of reserves,  
8    perhaps some of our neighbors', and drilled four wells  
9    instead of the necessary one. We drilled two, we wasted  
10   some money. The second well in that unit is marginal at  
11   best. That's one example.

12                So the question that we're asking ourselves today  
13   is, Is there some rate at which it is easy to violate the  
14   correlative rights of the offset operators? Is there some  
15   limit that we can put on this reservoir?

16                If the answer is no -- and I think that's what  
17   Yates is proposing when they suggest that the highest-  
18   producing oil well be the limit -- if the answer is no,  
19   then we need not regulate this pool; it's nonprorated.  
20   Let's turn out the lights in the Artesia office and save  
21   the taxpayers some money.

22                I don't think that should happen, and I don't  
23   think anybody in here does.

24                This should be a prorated pool. There has to be  
25   some balance in terms of rate which protects the

1 correlative rights of the offset operators and at the same  
2 time offers an operator an equitable chance to recover his  
3 fair share of the reserves.

4 It may be that that rate is such that you have to  
5 constrain a well and create some waste. That may occur.  
6 But it's got to be balanced against the rights of the  
7 offset operator. I would suggest to you that a rate of  
8 4000 barrels a day does not accomplish that.

9 And as we testified to when we first asked for  
10 the allowable increase, a rate of 700 barrels a day does  
11 accomplish that.

12 Certainly there are interference examples at that  
13 allowable rate. We've -- Conoco has recognized these in  
14 the past. But that is a balance between protection of  
15 offset rights and the ability to pull your proper amount of  
16 reserves out of the reservoir.

17 I'd like to talk a little bit about interference  
18 and, if I could, I'd like to use some of Mr. Fant's  
19 examples. I am not a reservoir engineer, but I have worked  
20 this reservoir for six years and I'm pretty familiar with  
21 some of the examples that he brought forth. He had a  
22 different explanation for them. I would contend that some  
23 of his examples were nothing other than interference.

24 I'll begin with his Exhibit Number 24, in which  
25 he described their brand-newly drilled Polo Number 6 well.

1           The Polo 6 is the first Cisco well drilled in the  
2 southeast corner of Section 10, and as you can see it's  
3 outside of my pool boundary, over on the right-hand side of  
4 your map. It's a brand-new well. The pool boundary  
5 probably now extends into the southeast corner of Section  
6 10.

7           This well came on at over the allowable rate, and  
8 Yates shut it in, in order to not accrue any other illegal  
9 oil. When they brought this well back on line, it came in  
10 at a lower rate than it did when they shut it in.

11           If you take a straight edge and run it through  
12 the oil rate on this diagram, you'll find out that it  
13 matches up perfectly, as if this well had been producing  
14 all along. I would contend that this well wasn't producing  
15 all along, but the reservoir was being produced all along.  
16 Those reserves weren't coming out of this well; they were  
17 coming out of the adjacent wells. This well is offset on  
18 three sides.

19           Conoco has seen this kind of example on countless  
20 times, and we attribute it to interference between  
21 wellbores. I would suggest that Mr. Fant needs to add  
22 perhaps a dashed line on his interference diagram, Exhibit  
23 14. A difference of opinion, same data. He attributes it  
24 to one thing, I attribute it to another.

25           Q. Let me ask you to amplify this point, Mr. Hardie.

1 Mr. Fant's conclusion, based on the Polo example, is that  
2 he was experiencing wellbore damage?

3 A. That's right.

4 Q. This was his sole example in the pool of that  
5 phenomenon, for which then he attributed he could not  
6 restrict these wells in some kind of cycling procedure.

7 Have you had an experience like this, with just  
8 the opposite results, where you shut a well in over time  
9 and yet are able to return it to production successfully?

10 A. That has happened in the past, and if I can bring  
11 up an example, particularly as we get later on in some of  
12 my exhibits -- I'd like to bring up one more example of  
13 interference.

14 Mr. Fant presented in his Exhibit 15 a rate-  
15 versus-cum diagram to show that as they drilled progressive  
16 wells in a proration unit, they encountered new reserves.  
17 And they in fact did, depending upon how you interpret  
18 this. You might disagree that they did not. I would  
19 suggest that they did encounter new reserves.

20 But with each successive well they encountered  
21 less reserves. In my mind, that's interference. That is  
22 not terribly significant interference, but it is  
23 interference. You've cut the cums of these successive  
24 wells, sometimes in half, sometimes much less, depending on  
25 how you interpret it

1           I would suggest that Mr. Fant needs to include on  
2 his interference diagram a couple more dashed lines in the  
3 southwest corner of Section 29.

4           My point here is, again, we're looking at data  
5 sets and drawing different conclusions based on them. It's  
6 clear that Mr. Fant has a subjective interpretation about  
7 interference. My interpretation of interference is perhaps  
8 a lot more liberal. I would have a lot more lines on here.  
9 And I would question his statement that only five percent  
10 of the cases result in interference. I think it's much,  
11 much more prevalent in this reservoir than that.

12           Q.   Is the geologic data available to you consistent  
13 with your conclusion about interference?

14           A.   Yes, it is. And again a lot of this is -- I'll  
15 try to highlight this as we progress through some of the  
16 later exhibits.

17           I want to make one more point on yesterday's  
18 testimony, and then perhaps we can get through with the  
19 rest of what I have brought today, and that has to do with  
20 Mr. Fant's Exhibit Number 10, I believe it was, in which he  
21 examined the oil rate versus oil cut and found a positive  
22 relationship fieldwide. He looked at every well in the  
23 field and compared the rate of the oil being produced with  
24 the oil cut and found that as the rate lowered, the cut  
25 lowered.



1           This is certainly nothing new to Conoco. We've  
2 recognized this countless times. We attribute it to  
3 something entirely different, other than the pumped-off  
4 status of the well.

5           I contend that all those wells are pumped off.  
6 We don't tend to produce wells in a non-pumped-off  
7 condition, and I think Mr. Fant did confirm that yesterday  
8 at some point.

9           That phenomenon is what we attribute to -- what  
10 we call a weak water influx. As wells in Dagger Draw  
11 decline, particularly in the later part of their stage,  
12 when they're not making much oil, you begin to see a slight  
13 increase in water cut. You can see this on plots. You  
14 don't see it on the big wells; the increase is too small.  
15 But on the older wells, if you look at them, there's a  
16 slight increase in water cut, a decrease in oil cut. We  
17 attribute this to a weak water influx, recognizable only  
18 when the well is down low in its life.

19           And it brings up an interesting issue in my mind.  
20 What if you are not producing -- you have a great well,  
21 it's capable of rates in excess of 1000 barrels a day. You  
22 are required to constrain it so that in fact it does  
23 produce a higher water cut, because you're producing it  
24 with a high volume of fluid in the wellbore, very  
25 inefficient method of production. It does increase water

1 cut, I'll admit, we've testified to that.

2 What if you do that initially? How is that going  
3 to affect, in the later life of that well, that slight  
4 increase you get in water cut? Is that going to decrease  
5 it so that ultimately you produce the same amount of oil  
6 and water over the life of the well; you just get it at a  
7 different stage in the life of the well?

8 It's an interesting issue. We can't prove it or  
9 disprove it unless we examine one of these high-rate wells  
10 that is allowed to produce to depletion. But I would bring  
11 that up as a possibility. We're talking about the same  
12 volume of oil and water; it's just a matter of when you get  
13 it.

14 And that's the last issue I'd like to bring up,  
15 is that we fully and completely concur with Mr. Fant's  
16 notion that wells that have high fluid volumes in them  
17 produce at a higher water cut. We've testified to that in  
18 the past, and we haven't changed our position on that. The  
19 most effective way of producing these wells is to pump them  
20 off.

21 I'm done with that. Let's, if we can, move on to  
22 the following exhibits.

23 Q. Mr. Hardie, let's turn, then, to what we have as  
24 Conoco Exhibit Number 3. Let's keep out one of these  
25 locator maps, either Exhibit 1 or 2, which will help us

1 find the line of cross-section as we look at the cross-  
2 section displays.

3 The first one we have is the A-A'. Show us the  
4 orientation of the cross-section on perhaps Exhibit 2, and  
5 then let's talk about what we're seeing in the display.

6 A. If you'll look on Exhibit 2, please find cross-  
7 section A-A', and you'll -- This is a cross-section that I  
8 included in the last hearing, and I include it again with a  
9 few changes. I've added overproduction, illegal oil  
10 attributed to the proration units above each of the wells  
11 in the cross-section.

12 This cross-section was simply designed to show  
13 the stratigraphic relationships between the proration units  
14 which are violating the allowable and those which are in  
15 compliance. It begins with the Patriot 2 and 3, in an area  
16 that is in compliance, over on the left-hand side of your  
17 cross-section.

18 This is pretty typical. As we move from the  
19 heart of the field, the older part of Dagger Draw, you can  
20 see, and we move out to the flank, off to the right of your  
21 cross-section, we begin to encounter thinner pay zones. In  
22 Mr. Fant's term, we encounter dolomite stringers.

23 If you'll examine the wells in the middle of this  
24 cross-section which are completed, virtually all of them  
25 are completed in that upper dolomite stringer. That is a

1 relatively thin interval. It varies, around 50 feet thick  
2 to 60 feet thick.

3 Please look at the Yates Number 3 Tackitt "AOT".  
4 Look at the completed pay interval in that well. You've  
5 got about, I'm guessing, 60 feet of pay in the upper  
6 stringer. That well has -- and the wells in its proration  
7 unit, have produced 239,000 -- over -- almost 240,000  
8 barrels of illegal oil as of today -- or as of July, which  
9 was the latest available data.

10 When you look at the thin pay interval available  
11 to these wells, that's one of the parameters that we look  
12 at to determine if we're affecting the offset correlative  
13 rights of adjacent operators. This is a relatively thin  
14 pay interval, and it's having tremendous amounts of oil  
15 pulled out of it. So we're examining thickness, that's  
16 all.

17 A couple of other items on this cross-section I  
18 need to explain as we move on, and I got a little ahead of  
19 myself.

20 The color code. Brown is lithologically  
21 indicating shale. Blue indicates limestone, non-pay, tight  
22 carbonate. Purple indicates dolomite, pay, potential pay.

23 If you'll look on the cross-section, there's a  
24 dashed line running down the middle of it. That is at a  
25 datum of minus 4300 feet. That approximates the oil-water

1 contact, and Mr. May referred to this yesterday, that  
2 that's only approximate. And using the word "contact" is  
3 somewhat of an oxymoron; it's more of a gradation. You  
4 probably don't encounter a very distinct contact.

5 As you perforate lower and lower in the section  
6 you encounter higher and higher water cuts. It is very  
7 unusual for an operator to perforate below minus 4300 feet.  
8 It does happen, but typically those wells will have high  
9 water cuts. It is not an economically attractive thing to  
10 do, shooting below that line.

11 So anything above that line that is colored  
12 purple as a dolomite is potential pay. So you can see what  
13 is available to these wells, and it's not much in terms of  
14 thickness.

15 I suppose I'm ready to move on to the next cross-  
16 section.

17 Q. All right, sir, let's do that. It's Exhibit 4,  
18 and it's going to be the B-B' cross-section?

19 A. That's correct. Again, if you'll refer to  
20 Exhibit 2, you can locate on the map cross-section B-B.  
21 Again, you can note that it passes through some of the  
22 worst violation areas and into Conoco-operated acreage in  
23 Section 32.

24 A point was made yesterday by Mr. May in which he  
25 -- I think he perhaps misunderstood something I had said in

1 the previous hearing. He seemed to think that I thought  
2 that Conoco's Number 1 Savannah on this cross-section was  
3 being drained by the Yates Number 3 State K well. I don't  
4 believe that. And if I gave that impression that I did, I  
5 apologize. That well is probably too far away to affect  
6 it.

7 And that's one of the illusions of this cross-  
8 section, is that it's a long thing, but it's been  
9 contracted to get it all on a small piece of paper. These  
10 wells are spaced quite a ways apart. In fact, most of them  
11 are 80 acres apart, across this violation area.

12 And that's another point I'd like to make, is  
13 that the violation area is not developed on 40s for the  
14 most part. The really good wells are developed on 80s.  
15 That's one of the reasons I contend they haven't seen much  
16 decline, is that they're draining very large areas.

17 And again, when you look, stratigraphically, at  
18 the intervals they're completed in, the limestone  
19 stringers, if you will, are relatively thin. They do have  
20 tremendous porosity and permeability in them. But in my  
21 mind the reason they're making high sustained rates is  
22 because they're draining large areas across thin intervals.

23 I contend that if Yates were to allow the wells  
24 in Section 28 to produce to depletion, if they were to go  
25 in and offset those wells, they would have a similar

1 experience to what I had in the D State area when I drilled  
2 the D State Number 4 and found 450 pounds of bottomhole  
3 pressure in the producing zone. I contend these wells  
4 drain large areas. The compartment that they are draining  
5 has high porosity, high permeability. It is easily drained  
6 by a few number of wells and quickly drained by a few  
7 number of wells.

8 Yes, you can put more wells in there and pull  
9 those reserves out faster, but in doing that you violate  
10 the correlative rights of your offset operators, because  
11 you're draining such a large area.

12 I'm done with Exhibit 4.

13 Q. All right, let's turn to Exhibit 5, then, Mr.  
14 Hardie. It's the C-C' cross-section, and you're comparing  
15 wells that include Conoco-operated wells, the Joyce Federal  
16 well?

17 A. That is correct. This is one exhibit that was  
18 not included in the last hearing. Again, it just further  
19 illustrates the points I've been making.

20 In this case we're looking, and on the left-hand  
21 side of the cross-section, in the older part of the  
22 producing reservoir, you can see the pay thickness that is  
23 available to the wells in the older part of the field.  
24 They don't have the porosity of these thin stringers that  
25 are being overproduced nowadays.

1           Then, as you move across into the middle of the  
2 section, you enter a Yates-operated proration unit. It has  
3 four wells and has accumulated some 56,000 barrels of  
4 illegal oil as of 7-96.

5           You move into Conoco's acreage on the other side  
6 of Section 32, with our Joyce Federal Number 1, and you can  
7 see the dramatic thinning that occurs as we approach the  
8 edge of the reservoir.

9           Now, from a reservoir-thickness standpoint,  
10 Conoco doesn't have nearly the amount of reserves to play  
11 with that, say, Yates does as they encroach the thicker  
12 part of the reservoir. But it is possible to calculate  
13 volumetrically how much Conoco should recover in these thin  
14 zones, based on the porosity, the pay thickness, the height  
15 above our oil-water contact. And that is what I have  
16 included as part of my next exhibit, is an examination,  
17 volumetrically, of what these wells should recover and a  
18 comparison with what they are recovering.

19          Q. At the last hearing in May, you had the belief  
20 and expectation that the Conoco spacing units adjacent to  
21 the violation area were being exposed to drainage, and yet  
22 Mr. Carr questioned you at length about your ability to  
23 quantify, or at least give us some ratios about that  
24 drainage component, and you had not yet done that work?

25          A. I had not. That was one of the reasons that



1 Conoco requested a continuance of the last hearing. We had  
2 exactly a week and a half to prepare for that hearing,  
3 between the time we were notified and the time the hearing  
4 occurred.

5 We requested a continuance, because we wanted to  
6 do a fairly comprehensive study of volumetrically what this  
7 area was capable of producing. We didn't have time to do  
8 that, and we did not present any such information at that  
9 last hearing. We have prepared it now and are prepared to  
10 present it.

11 Q. All right. Exhibit 6 is one I spoke from  
12 yesterday. It's -- A large copy of it is on the display  
13 board, Mr. Hardie. Identify for the record what we have as  
14 Conoco Exhibit 6.

15 A. Exhibit 6 is simply an outline map of the amount  
16 of illegal oil that has been accumulated in proration  
17 units. The outline itself is similar to the exhibit we  
18 presented at the first hearing. There have been some  
19 changes that have occurred.

20 In each proration unit outlined in red, there is  
21 a reference number, so that we can easily reference each of  
22 these proration units. If you'll look at the Unit Number  
23 4, Yates operated, you'll see the value of 26,912 barrels  
24 of oil in parentheses. That means that they are now that  
25 far under the allowable. That unit was some nearly 12,000

1 barrels overproduced at the last hearing, or as of the last  
2 available data we had at the last hearing.

3           You might say that unit has crashed and burned.  
4 It has experienced very steep declines. And I think that  
5 type of behavior is what we're going to see as these wells  
6 finally drain the compartments that they are producing  
7 from.

8           Another addition that has occurred since the last  
9 hearing was the reference number 14, the spacing unit  
10 operated by Mewbourne. We did not realize at that time  
11 that Mewbourne had exceeded the allowables, and we've  
12 included that for this display.

13           Q. You have conducted your volumetric analysis of  
14 the violation area and the adjacent property in connection  
15 with a reservoir engineer, Mr. Bob Beamer, did you not?

16           A. That is correct.

17           Q. So the engineering aspects of those calculations  
18 and that process have been completed by Mr. Beamer?

19           A. Yes, Mr. Beamer and I worked closely on that.

20           Q. All right. And you're going to present, then, as  
21 the presenter, the combined work product of you and Mr.  
22 Beamer to illustrate for the Commission your attempt to  
23 quantify the magnitude of drainage and violation of  
24 correlative rights that have occurred in this area; is that  
25 not true?

1           A.    That is correct.

2           Q.    All right, sir. Before we do that, Mr. Hardie,  
3 I'd like to have your comments with regards to a particular  
4 statement made by the Commission when they issued the stay  
5 of the Examiner Order. It's the Stay Order issued August  
6 16th. There's a statement in the last finding in this  
7 Order, in 6, and I'll give you a copy of it.

8                   The Chairman concludes that the Commission will  
9 hear this matter on the 18th of September, because those  
10 overproduced wells in the upper Pennsylvanian reservoir in  
11 South Dagger Draw and North Dagger Draw have ample  
12 remaining producing history to be brought into balance with  
13 Division allowables if the Commission affirms the subject  
14 Order.

15                   Are you with me?

16           A.    Yes.

17           Q.    All right. What if any concerns does Conoco have  
18 about its ability to be treated fairly with regards to  
19 withdrawals in the pool, in relation to the magnitude of  
20 the illegal oil produced?

21           A.    In terms of what we've been able to look at  
22 volumetrically, and in terms of what our offsetting wells  
23 are doing, they are experiencing very steep declines. It's  
24 easy to see that the damage has been done. It's over. You  
25 don't get the pressure back when the oil and water and gas

1 has been removed in an illegal fashion. It cannot be  
2 replaced. And once that's gone, the ability to produce a  
3 reservoir at that old pressure is gone as well. We can't  
4 recover that.

5 And while we recognize that we cannot recover,  
6 perhaps, some of the damage that has been done, we can  
7 emphasize the need for strict enforcement of the allowable  
8 rules, and we can make our case for keeping the pool rules  
9 as they are and not increasing the ability of operators to  
10 violate the correlative rights of others.

11 Q. Let's look at your presentation, Mr. Hardie.  
12 Let's turn first of all to Exhibit Number 7 and have you  
13 identify and describe this display.

14 A. Exhibit Number 7 is a standard volumetrics-type  
15 map. It's  $\phi h$ . It's the primary input for determining the  
16 volumetrics in an area.

17 The way we constructed this map was to enter in  
18 the various well logs digitally, into a database. Those  
19 porosity logs were then evaluated, a neutron density  
20 crossplot value was obtained from them, the best  
21 determination of porosity in that log, and a 2-percent  
22 cutoff was applied to those curves so that we could  
23 determine the amount of effective pay available to each  
24 wellbore.

25 The interval that we evaluated for the purposes

1 of this map were from the top of the dolomite reservoir to  
2 that minus-4300-foot interval, below which we know it's  
3 very difficult to make an economic well. So we've  
4 evaluated that interval. We've looked at the porosities,  
5 we've applied a 2-percent cutoff and determined how much  
6 pay can effectively contribute, of fluid, oil, gas, water.  
7 That's what you're looking at here, is a map of pore  
8 volumes.

9 To complete the volumetric exercise, you really  
10 need to look at Exhibit Number 8.

11 Q. All right, let me ask you about how the contours  
12 were put on Exhibit 7, before we leave it. Those were  
13 hand-drawn contours, but it was computer-assisted, was it  
14 not?

15 A. The values from the well logs were derived from  
16 the computer. The computer was allowed to make the cutoff.  
17 That way there can be no human input allowing William  
18 Hardie to pick the cutoff himself and then, with human  
19 error and discrepancies built in, pick the amount of pay  
20 available to produce a well. I am left out of this picture  
21 when it comes to picking the pay; the computer does that.  
22 Those values were then plotted on the map and Mr. Hardie  
23 hand-contoured that map, so that you can see before you the  
24 influences that my interpretation had on those values.

25 The map was then -- hand-contoured map was then

1 digitized. And that digitized map was then evaluated,  
2 again with a computer program, as to the volumetric -- the  
3 amount of volume, pore volume, available under each  
4 proration unit. And the grid that was used to determine  
5 the volume, the pore volume, under each proration unit, is  
6 shown in the heavy red lines, and it's each 160-acre  
7 proration unit.

8           So that the final outcome of this process is to  
9 determine the total pore volume available under each  
10 proration unit. That's what this map has done. Those  
11 values are what exist on Exhibit Number 8.

12           Q. All right, let's look, then, at Exhibit 8.

13           A. You take a --

14           Q. We'll take a look at these comparisons in a  
15 minute, but go ahead and show us how the map is  
16 constructed.

17           A. You take a pore volume. That doesn't have  
18 anything to say about what may exist within that pore  
19 volume, and therein lies a little bit of debate in Dagger  
20 Draw. What is the water saturation?

21           Dagger Draw's aquifer is nearly fresh, and as the  
22 geologists and engineers among us know, fresh water has a  
23 very high resistivity. One of the methods that we use for  
24 calculating water saturation is the Archie's equation. And  
25 when high resistivities are encountered, Archie's equation

1 doesn't work very well. And it doesn't work in Dagger  
2 Draw. The resistivities literally are at the limit of the  
3 tools that are logging them, they are so high. We have to  
4 obtain other methods for determining water saturation.

5 Conoco has used core data to evaluate water  
6 saturations across the field. We have taken cores that  
7 we've extracted, done capillary-pressure tests on them.  
8 With a capillary-pressure test you can develop a graph  
9 which tells you theoretically what the water saturation  
10 should be at a certain height above the known oil-water  
11 contact.

12 Our oil-water contact, or that transition, is  
13 somewhere around 4300 feet. Most of the reservoir here is  
14 at an elevation of minus 4150. So we've got about 150 feet  
15 of maximum height above the oil-water contact.

16 Those are the types of values that we use to come  
17 up with an average water saturation. We used 40 percent.  
18 You can alter that either way, up or down, but that's the  
19 value that was attributed to the entire map, because the  
20 entire map is at about the same elevation. It varies 50 to  
21 60 feet from here to there.

22 The other parameter that is included is a  
23 recovery factor. This is a gas solution drive with a weak  
24 water influx.

25 Typical recovery factors, as was testified by Mr.

1 Fant, in these types of reservoirs are usually from 10 to  
2 15 percent. We use 20 percent, because this reservoir has  
3 very large vugs in it, so we extended that a little bit.  
4 So that's another volume contributor -- or reducer,  
5 actually.

6 So we take that 20-percent recovery factor, we  
7 take a water saturation of 40 percent, and we take a factor  
8 that is used to calculate the expandability of various  
9 fluids in the reservoir that we obtain by measuring those,  
10 and apply those to the volumetrics, and it tells us what we  
11 should recover from each proration unit.

12 That number is listed on Exhibit 8 for each  
13 proration unit as the upper number. It was intended to be  
14 green, but it looks kind of blue, but it's always the upper  
15 number.

16 So that for example, in the reference unit number  
17 30, the Mewbourne-operated unit in the southwest corner of  
18 Section -- I'm sorry, the northwest corner of Section 33,  
19 that unit, according to the volumetric calculations, should  
20 have recovered 172,000 barrels of oil.

21 Q. Now, the numbers of these tracts are obviously  
22 different from the numbering system used to identify the  
23 violation spacing units?

24 A. That is correct, and that wasn't a very good idea  
25 on my part, so...



1           COMMISSIONER WEISS: I'm confused, I don't know  
2 where you're talking about.

3           THE WITNESS: Okay, I'm talking about reference  
4 unit number 30. It's got a number in the upper left-hand  
5 corner, blue number. That's a reference number. If we  
6 look in that unit, the green number, the uppermost number,  
7 is the amount of oil reserves that should be recovered from  
8 that unit.

9           Q. (By Mr. Kellahin) It's 172,000 barrels of oil?

10          A. 172,000 barrels of oil. It's in thousands of  
11 barrels of oil.

12          Q. All right, let me stop you right there, sir.

13          A. Sure.

14          Q. By using a 20-percent recovery factor, these  
15 calculations credit that spacing unit with more recoverable  
16 oil volumetrically than you would have available if you had  
17 used a smaller recovery percentage?

18          A. Sure.

19          Q. Okay. You're attempting to determine what is the  
20 correlative rights, the opportunity to produce your share  
21 of reserves in a spacing unit, and to quantify the volume  
22 of recoverable oil within that spacing unit, right?

23          A. Uh-huh, that's correct.

24          Q. That's the first step.

25                 The next step, or the second number down, is what

1 these wells ultimately will produce within those spacing  
2 units?

3 A. That is correct. The next number down is -- Mr.  
4 Beamer performed a decline-curve analysis on the proration  
5 unit to determine from an active producing standpoint what  
6 that unit is predicted to produce.

7 So you've got two numbers. You've got the one  
8 that is determined from a volumetric evaluation, what that  
9 unit should produce. Below it, you've got the number that  
10 Mr. Beamer predicts that unit will produce, based on the  
11 current production from it today.

12 Q. Now, if that spacing unit has a single well, then  
13 he's used the production decline curves for that well; if  
14 it's a spacing unit with multiple wells, then it's a  
15 combination of those decline curves to get you the numbers?

16 A. That is correct. We take those two numbers, and  
17 we make a ratio of them such that --

18 Q. Well, let me follow the example for the Mewbourne  
19 example in tract 30.

20 A. Right, we take --

21 Q. If it exercised its opportunity to have its share  
22 of recoverable oil in its spacing unit, that share by this  
23 analysis is 172,000 barrels?

24 A. That is correct.

25 Q. Yet Mr. Beamer has concluded that if those wells

1 are produced, they're going to recover 410,000 barrels of  
2 oil?

3 A. That is correct.

4 Q. They're going to exceed substantially their share  
5 of the reservoir's recoverable oil?

6 A. That is correct.

7 Q. What is the last number there?

8 A. The last number is that ratio. If the  
9 recoverable reserves, as determined from decline-curve  
10 analysis, equals the volumetrically calculated number, that  
11 should be one. If, in the example of the Mewbourne unit,  
12 the decline-curve analysis, the estimated ultimate recovery  
13 based on existing wells, exceeds that number, then that  
14 number is greater than one. And in the case of the  
15 Mewbourne unit that number is 2.39, which says that that  
16 unit is going to recover, in this example, 2.39 times more  
17 oil than it would have, calculated volumetrically.

18 I need to, at this point, introduce the next  
19 exhibit, which is related to these. This is Exhibit Number  
20 9, and it's very simply a tabulation of the numbers that  
21 you see on the map, such that you have a map reference  
22 number, which corresponds to the proration unit reference  
23 number, you have a volumetric original-oil-in-place number  
24 in the next column for each proration unit, a volumetric  
25 reserves that would be recovered at a 20-percent recovery

1 factor -- that is the second number on the map -- the  
2 amount of reserves that that well should recover.

3 The next column is EUR performance, the reserves  
4 that it is predicted it will recover based on the current  
5 production, and then again the ratio of that with wells  
6 recovering more than they seem they should based on the  
7 volumetric analysis being greater than one, and those  
8 recovering less, being less than one.

9 Now, let's get a couple of things straight on  
10 this entire map. If you take all of the volumes of oil  
11 predicted on the volumetric map, and you divide that by all  
12 of the volumes being produced, that ratio is not one. And  
13 that's one of the dilemmas of North Dagger Draw. That  
14 ratio is 1.25.

15 So that tells you that volumetrically, you're  
16 producing more oil than you really think you should. And  
17 we've noticed that in Dagger Draw for a long time. It's a  
18 phenomenon that we have recognized. Based on the best  
19 numbers you plug into the volumetrics formula, you recover  
20 a little bit more -- in this case a quarter more -- oil and  
21 gas than you think you should. That's great.

22 So the average to think about when you compare  
23 what a proration unit should recover versus what it's  
24 recovering, the ideal number is 1.25. That's the average  
25 for this whole map.

1           Q.   That issue does not affect the credibility of  
2 this ratio comparison, does it?

3           A.   No, because all we're doing is comparing pore  
4 volume to producing rates, ultimately. That's all we're  
5 comparing.

6                   Now, when we take and we average all of the  
7 violating units on this map and that ratio of  
8 volumetrically what they should produce and what they are  
9 producing, that ratio, as you can see at the bottom of  
10 Exhibit 9 is 1.7. You're nearly producing twice as much as  
11 you would expect them to.

12                   When you look at all the nonviolating units which  
13 surround it and you compare their ratios of what you think  
14 they should recover and what they are recovering, that  
15 ratio is less than 1. It's .9.

16                   We would contend that the reason those ratios are  
17 so different when you examine pay thickness porosity,  
18 height above oil-water contact, the reason those violating  
19 units are recovering more, so much more than you think they  
20 should, is because they're pulling it off the adjacent  
21 leases, as a unit.

22           Q.   Can you show us some examples of spacing units  
23 where we have an illustration of that concern?

24           A.   As you can see on this map -- I'm referring to  
25 Exhibit Number 7 -- you have  $\phi h$  values that are ranging

1 anywhere from zero -- meaning poor reservoir -- all the way  
2 up to eight. And as you can see, this map very well  
3 explains why certain units are capable of producing at the  
4 tremendous rates that they are. They have very high  $\phi h$   
5 values.

6 For example, in the southeast quarter of Section  
7 28 there's a thick in terms of  $\phi h$ . It approaches eight.  
8 It's surrounded by the State K Number 2, the Nearburg K  
9 Number 1, the Hinkle wells. Very high  $\phi h$  values. This is  
10 one of the worst violators in the proration unit, and it  
11 should recover more oil than other units that have lower  $\phi h$   
12 values.

13 Q. What's the tract number on the display?

14 A. The tract number is not on this one, it's on  
15 Exhibit Number 8, and it would be tract number 28.

16 Q. Tract number 28?

17 A. I'm sorry, number 25.

18 Q. Yeah, I thought you were looking at the wrong  
19 one. 25 is the one in the southeast quarter of Section 28?

20 A. So that when you look at  $\phi h$  values and relate  
21 them to the productivity of the wells, there's a very good  
22 relationship there.

23 Q. You're giving that tract credit for its  
24 additional thickness, though --

25 A. You bet.

1 Q. -- in the volumetric calculation?

2 A. You bet.

3 Q. It gets for 672,000 barrels of recoverable oil,  
4 calculated volumetrically?

5 A. Because of the tremendous amount of porosity in  
6 that unit -- Even though it's thin, it has phenomenal  
7 porosity. Therefore it's going to recover a lot of oil and  
8 gas.

9 It also has the ability, because it's a large  
10 compartment, high porosity, high permeability, to drain  
11 that compartment at a phenomenal rate.

12 And that is the issue at hand: At what rate  
13 should we allow these compartments to be drained and not  
14 violate the offsetting correlative rights of the offset  
15 operators?

16 Q. When you look at the bottom number, it's 2.14.  
17 That spacing unit is ultimately going to recover twice its  
18 volumetric share of recoverable oil?

19 A. That is correct. And then -- and then -- well,  
20 volumetrically. So it's going to recover a phenomenal  
21 amount of oil, either way you look at it, but it's going to  
22 recover too much at its current -- the rate was when it was  
23 violating the allowable.

24 I'd like to point out one other thing on this map  
25 that is of interest. I got the impression yesterday, from

1 Mr. Fant's testimony again, that this is the first time he  
2 thought we had had rates, or wells, in this field capable  
3 of exceeding the allowable, and I'd like to point out an  
4 example on Conoco's acreage.

5 It would be on the far left-hand corner of your  
6 map. There is a unit -- On Exhibit Number 8, it's  
7 reference number 21 on Exhibit Number 7. It includes four  
8 wells, the Dagger Number 8, Dagger 11 and Dagger 16. I'll  
9 hold mine up and point to that unit so you can see it on  
10 the  $\phi h$  map. That is a Conoco-operated proration unit. It  
11 has very high  $\phi h$  values. In this case they approach seven.  
12 That's very high. That's very similar to what we're seeing  
13 in the violation area.

14 Conoco first drilled the Dagger Draw Number 8 in  
15 that proration unit. The old Dagger Draw Number 2 was a  
16 Hanks well that had been plugged before we took over the  
17 field. We drilled the Number 8 in that unit when we took  
18 over the field from Roger Hanks. The Number 8 was a good  
19 well, as you might expect it to be. It came on at a rate,  
20 I'm guessing, between 400 and 500 barrels a day, and  
21 stabilized to about 350 barrels of oil per day.

22 Shortly after we drilled the Number 8, in the  
23 next proration unit down, south of that, Nearburg drilled  
24 their Dagger 31 Number 2 well. That was a good well, and  
25 you can see why. It has very high  $\phi h$  values. It came on



1 in excess of the allowable.

2 Conoco was concerned about drainage across our  
3 lease, and we faced the ultimate dilemma: We've got one  
4 well making a stabilized rate of 350 barrels a day, we're  
5 going to drill a second well, the Dagger 11, in order to  
6 protect our correlative rights across the spacing unit,  
7 knowing full well that if the Dagger 11 came in at a rate  
8 which combined with the Number 8 to exceed the allowable,  
9 we were going to have to constrain a well.

10 The Dagger 11 came in at over 1000 barrels a day.  
11 It was a great well. Here we are with a dilemma. We've  
12 got a proration unit that exceeds the allowable. What do  
13 we do?

14 In Conoco's mind, the operational inefficiency of  
15 cycling a well is something we don't even consider. You've  
16 got a \$40,000-to-\$50,000 submersible pump downhole, and you  
17 want to turn it off and on? Afraid not.

18 Conoco decided to shut in the Dagger Draw Number  
19 8, a well making 350 barrels a day, and allow all the  
20 production to come from the Dagger Draw Number 11. Dagger  
21 11 produced stabilized rates of 650, up near 700 barrels a  
22 day, for a period of about a year and a half, under the  
23 allowable.

24 All the while, during that year and a half, we  
25 had the Dagger Draw Number 8 shut in.

1           At some point, as is typical of compartments with  
2   good permeability, good porosity, the Dagger 11 crashed and  
3   burned, relatively speaking. We started seeing -- Straight  
4   declines for a year and a half, then it began dropping very  
5   rapidly. At some point we determined that it was equitable  
6   to bring on the Dagger Draw Number 8, about a year and a  
7   half later.

8           We brought the Dagger Draw 8 on. It came on at  
9   rates very similar to the rates when we left it, but it  
10   began a very steep decline as well, much steeper than it  
11   had when we first brought it on. Why? It had been  
12   interfered with, it had been drained by offsetting  
13   production. We're in a large compartment, easily drained.  
14   In this case we could have violated the allowable, but we  
15   did not.

16           It's a simple process of deciding from an  
17   operational standpoint how you are going to abide by the  
18   rules established by the OCD.

19           I'm done.

20           MR. KELLAHIN: Mr. Chairman, that concludes Mr.  
21   Hardie's presentation on North Dagger Draw. We're prepared  
22   to go into his discussion of South Dagger Draw at this  
23   point.

24           Q.    (By Mr. Kellahin) Mr. Hardie, let me direct your  
25   attention to what is marked as Conoco Exhibit 1 now. We're

1 using -- starting over with exhibit numbers, but each one  
2 of these exhibits will refer to the case number for South  
3 Dagger Draw. So don't let me confuse you; it's numbered as  
4 the South Dagger Draw case.

5 Let's start with Exhibit Number 1 and have you  
6 identify and describe that display.

7 A. Exhibit 1 is straight from the hearing that was  
8 held approximately a year ago in which Conoco as an  
9 operator came back to the OCD to re-examine a pool rule  
10 that we had implemented, pool-rule change that we had  
11 implemented in South Dagger Draw. That change, we thought,  
12 was necessary for the effective production of oil and gas  
13 from the South Dagger Draw Pool. It's not a change we made  
14 in North Dagger Draw; it's unique to this pool because, as  
15 we have testified, we feel that this is a different type of  
16 pool from North Dagger Draw.

17 Let me describe that change for you. Pool rules  
18 in South Dagger Draw are a little different than North.  
19 They're essentially double. We're talking about 320-acre  
20 spacing. The proration units are twice as big. The  
21 allowable is twice as large; you can produce 1400 barrels  
22 of oil from a 320-acre spaced unit.

23 The 10,000-to-1 GOR that exists for North Dagger  
24 Draw also existed for this reservoir. We were very  
25 concerned about that because, as we have described, South

1 Dagger Draw is essentially a thin oil rim to a very large  
2 gas cap. We're concerned about pulling too much gas from  
3 this reservoir, such that we're leaving oil behind.

4 We're also concerned about a clause known as  
5 simultaneous dedication, in which you are not allowed to  
6 have an oil and a gas well in the same proration unit.  
7 These proration units are big. It is very possible to have  
8 a portion of the reservoir that produces oil and another  
9 that produces gas. We're forced to decide which portion of  
10 the pay to complete if we come up with that dilemma where  
11 we've got an oil and a gas well. We've either got to shut  
12 in the gas well or complete up high in the old oil well and  
13 make them both gas wells.

14 Q. Now, that rule has a regulatory sense to it, does  
15 it not? It is the regulatory trigger or control in these  
16 associated pools where you have the opportunity to produce  
17 both oil and gas?

18 A. Right.

19 Q. And the issue, then, is whether that standard  
20 rule, in all associated pools, was to be modified for this  
21 reservoir?

22 A. We thought that it should be modified in this  
23 case, because there was the very likely chance that as a  
24 result of that rule we would leave oil in place, we would  
25 leave that thin oil rim unproduced. And we couldn't

1 predict where that oil rim was going to occur. It was so  
2 thin that the ability to predict where it was going to be  
3 was beyond our means.

4           So when we drilled a well, we wanted to be able  
5 to produce that oil first and then get the gas. But in  
6 order to do that we felt it necessary to reduce the GOR,  
7 such that you could preserve reservoir pressure long enough  
8 to give operators a fair and equitable chance to recover  
9 that oil, yet still give operators of gas wells a chance to  
10 make good revenue. This is a very thick gas cap, so there  
11 is that opportunity to do it.

12           We proposed restricting the GOR limit to 7000.  
13 So that as a result of that hearing, the earlier hearing,  
14 the new rules are that you can produce 1400 barrels of oil  
15 per day, a GOR limit of 7000, which resulted in a 9.8  
16 million-cubic-feet-of-gas-per-day withdrawal from a spacing  
17 unit.

18           9.8 million cubic feet of gas, 1400 barrels of  
19 oil. That's a lot of hydrocarbons that you can pull out of  
20 this reservoir. And at that time that was more than you  
21 could produce out of any existing wells.

22           A year later, we revisited this whole issue,  
23 brought it before the OCD to confirm that in fact we  
24 weren't violating correlative rights and that the rules  
25 were performing as expected. We produced this exhibit

1 showing the various operators in South Dagger Draw.

2           There was also an opportunity for all the other  
3 operators to come in and present to the OCD any changes  
4 that they felt were necessary in pool rules. It was a year  
5 ago. A lot of good wells were drilled in that period of  
6 time. Conoco was the only company to show up and the only  
7 one to give a technical presentation. So there was an  
8 opportunity to change pool rules back then.

9           And this exhibit is included mainly just to show  
10 that the primary operators in South Dagger Draw, Yates  
11 Petroleum and Marathon Producing Company -- Conoco owns  
12 one, two, three, four units, right in the middle of the  
13 pool, and it just so happens that our acreage is right on  
14 that transition area where it's very difficult to predict  
15 oil or gas, which is why we were the primary leader in that  
16 hearing.

17           But I want to emphasize that we are a very minor  
18 participant in this pool. We're the ones who have been  
19 leading it. The other players have chosen not to effect  
20 any changes at the hearing last year.

21           Q. All right, let's turn to Exhibit Number 2 in this  
22 case, Mr. Hardie.

23           A. By now these exhibits should be getting familiar,  
24 because I've tried to use the same color schemes. Exhibit  
25 Number 2 has the red contours and is a structure map on the

1 top of the Cisco dolomite reservoir.

2 A couple of points to make on this exhibit.

3 Solid green line outlines the South Dagger Draw  
4 Pool boundary. Solid yellow shading indicates Conoco-  
5 operated acreage. Cross-hatched yellow indicates that we  
6 have an interest in the unit, but we do not operate.

7 Again, structure in this area, as Mr. May  
8 referred yesterday, increases as we move to the south and  
9 into the Indian Basin Gas Pool, a good indicator that  
10 you're moving from oil production in South Dagger Draw into  
11 gas production in the Indian Basin Gas Pool, and you'll  
12 notice that the well symbols change as you move to the  
13 south and you start picking up those little gas symbols,  
14 and there is a line across which that change becomes very  
15 abrupt.

16 The pink dots indicate recently drilled wells in  
17 this pool. These wells were able to take advantage of the  
18 new pool rules, produce oil, some of them have gas wells  
19 within the units, but we are effectively producing oil from  
20 the oil rim over a very thick gas cap, as a result of those  
21 pool-rule changes.

22 We think they're good rules; we'd like to see  
23 them stay intact.

24 Q. Turn to Exhibit Number 3, Mr. Hardie.

25 A. Exhibit Number 2, again, is --

1 Q. This is 3 now.

2 A. Three, I'm sorry. -- an isopach of the dolomite  
3 reservoir, very similar to the one we looked at in North  
4 Dagger Draw, with the dark blue colors representing thin  
5 pay. As we get progressively more yellow, it indicates  
6 thicker pay, so that we're going from zero dolomite at the  
7 outer edges to a thickness in this case of upwards of 400  
8 feet thick along the axis in the Indian Basin portion of  
9 the gas pool. So you can see it becomes very dramatically  
10 thick along its axis.

11 Also on these exhibits, I've -- Exhibit 2 and 3,  
12 I've outlined for you two cross-sections that I've  
13 included, cross-sections A-A' and B-B', in the dashed red  
14 line.

15 Q. All right, sir, let's look at Exhibit 4.

16 A. Exhibit 4 is an exhibit that I have pulled  
17 directly from that hearing a year ago when we re-examined  
18 the pool rules, so it has not been updated in many ways.  
19 The previous two exhibits are current as to the data  
20 available to me. This one is not necessarily that current;  
21 it's about a year old. But it's an effective presentation  
22 to demonstrate the difference in this reservoir and that of  
23 North Dagger Draw.

24 This is an isopach of the oil-filled portion of  
25 the dolomite. So that in this case we're going from light



1 green, meaning thin oil-filled dolomite, to darker greens,  
2 meaning thick oil-filled dolomite. It's an isopach of the  
3 oil column.

4 And as you can see, that oil column, at least at  
5 the time of my knowledge back in 1995, September of 1995,  
6 ended at the current boundary of South Dagger Draw. That  
7 boundary is not that neat of a line. It comes in and out,  
8 you can miss it; you can hit the oil column, but there's no  
9 porosity in the zone so you can't produce oil. There are a  
10 lot of things that affect your ability to produce the oil  
11 out of this isopach, out of this column. But it  
12 dramatically shows that transition. As you move updip, you  
13 lose that oil, it's gone, and you go into gas.

14 I would also point out, just for the sake of  
15 further confusion, that I don't have both cross-sections  
16 marked on these older exhibits, this one and the next one  
17 we'll look at. So when we talk about cross-sections, we'll  
18 need to be sure to refer to Exhibit Number 2 or Number 3.  
19 Those have the cross-sections marked on them, both of them.

20 Q. Let's look at Exhibit 5, Mr. Hardie.

21 A. Exhibit 5 is the counterpart to Exhibit Number 4.  
22 It is an isopach of the gas-filled portion of the dolomite  
23 in South Dagger Draw and a portion of Indian Basin.

24 And the color scheme here is such that the yellow  
25 colors indicate thin gas-filled dolomite. And as we get

1 more progressively and deeper into the red shades, we get  
2 thicker and thicker gas-filled dolomite.

3           You can see where Indian Basin field lies just by  
4 the dramatic color change that occurs as you move to the  
5 south. That gas cap gets very thick. There's a tremendous  
6 amount of gas that has been produced and will continue to  
7 be produced from the Indian Basin field. And I believe to  
8 date it's cum'd in the neighborhood of 1.5 trillion cubic  
9 feet of gas, and it's still going strong, a phenomenal  
10 reservoir, as are all of these, for the State of New  
11 Mexico.

12           Again, the concern here is that South Dagger Draw  
13 can be most adequately described as a gas field with a thin  
14 oil rim beneath it. And those are the pool rules. That's  
15 what we need to have in mind when we establish pool rules,  
16 allowables and GOR constraints upon production limits.

17           Q.   Let's go to the cross-sections.

18           A.   Again, we need to refer to Exhibit -- Either  
19 Exhibit 3 or 2, looking at the cross-sections.

20           Q.   First cross-section I have is Exhibit 6. It's  
21 the A-A' cross-section.

22           A.   If you look on one of your maps, either Exhibit 2  
23 or 3, you can find cross-section A-A'. This is the same  
24 cross-section that I included when we revisited the pool-  
25 rule changes a year ago, and I used it to document -- I

1 used this cross-section to document the inability that we  
2 have as operators to predict whether or not a well will  
3 make gas or oil.

4 As we move along this cross-section -- I'll point  
5 out first of all that there's a reference elevation, again,  
6 a heavy red line, and that elevation line is at minus 4000  
7 feet, and that approximates the gas-oil contact.

8 And like our oil-water contact, that's an  
9 approximation. That is a transition, not a contact. If  
10 you are completing above that line, it is most likely that  
11 you will make a gas well. If you complete in a zone below  
12 that line, you have a very good chance of completing it as  
13 an oil well. However, if your zone that lies in the oil  
14 column is tight in terms of porosity and permeability, you  
15 may not have the opportunity to make it an oil well and you  
16 have to shoot up high and get the gas.

17 As we move along this section, you can see that  
18 some wells have a thin oil column available to them.  
19 They've completed in it and they are technically oil wells.  
20 Others, as we look, for example, at the Yates Number 1  
21 Mojave, has virtually no pay beneath the reference  
22 elevation line. It's a gas well. They shot it up high.

23 The Marathon Number 1 Stinking Draw on the right-  
24 hand side of your cross-section is a well that was  
25 completed in the oil zone. The oil zone was tight, did not

1 produce much oil, so they went up and shot up high and made  
2 it a gas well.

3 It's hard to predict whether you're going to make  
4 a gas or an oil well out here. But it's essential that you  
5 restrict gas rates such that we have the opportunity to  
6 produce the oil as we find it.

7 Q. The last cross-section is marked Exhibit 7. It's  
8 the B-B' cross-section, Mr. Hardie. Would you identify and  
9 describe that display?

10 A. This a new display from that previous hearing,  
11 back in September of 1995. It was not included then. And  
12 in fact, most of the wells drilled on this cross-section  
13 were not drilled back then. And this again demonstrates  
14 the ability or inability of operators to produce oil in  
15 South Dagger Draw.

16 Again, I've got the reference elevation of minus  
17 40,000 [sic] feet subsea across this line. It looks kind  
18 of like a 1, but it is a 4. I think the ink has bled  
19 together. That dotted red line is at minus forty -- 4000  
20 feet subsea.

21 I'd like to point out another zone that occurs in  
22 this cross-section that we didn't see in the other one, and  
23 that is what Conoco terms the C 5 zone. I've got it  
24 labeled in the middle of the cross-section. The top of  
25 that C 5 zone is denoted by the heavy black line.

1           It's a correlable zone. It's a compartment that  
2 you can map geologically, a unique instance in this field  
3 where you can do that, because that compartment can be  
4 identified lithologically. It's either a dolomite or it's  
5 a shale or it's a limestone. And when it's a dolomite,  
6 it's reservoir and you can produce from it.

7           But it comes and goes across South Dagger Draw.  
8 Because it is at the bottom of the reservoir, typically, if  
9 it's below that minus-4000-feet-subsea line, you get oil  
10 out of it. And if you'll take a look at the oil rates that  
11 I've printed above these wells, you can see that you can  
12 produce incredible amounts of oil from that zone.

13           It's relatively thin. Again, it's got high  
14 porosity, high permeability. It's a compartment that's  
15 very easily drained because of those reservoir  
16 characteristics.

17           All the wells completed in that zone on this  
18 cross-section are producing high-rate oil, with the  
19 exception of one well, and I'll call your attention to the  
20 left-hand side of this cross-section, the Marathon Comanche  
21 Fed Number 3. Marathon was looking for the C 5 zone when  
22 they drilled that well in hopes of producing oil. They  
23 found the zone was there, but it's above that reference  
24 elevation. They completed in that zone. That zone makes  
25 all gas. Not one drop of oil is coming out of that zone.

1           Please refer on your map to the proximity between  
2   that Comanche Fed Number 3 -- 3 Number 1, and the adjacent  
3   well to it, the North Indian Basin Unit Number 23,  
4   approximately half a mile apart, one well producing all gas  
5   out of the same zone, but the adjacent well is producing --  
6   or at least IP'd at nearly 1300 barrels of oil.

7           If there is not a need for regulate in a  
8   situation like this, then we never need regulation. We  
9   have a need here to constrain gas withdrawals in these  
10   zones, because we have wells producing oil and gas out of  
11   the exact same zones.

12           If we increase the allowable to what Yates is  
13   proposing in this case, 8000 barrels of oil per day, the  
14   gas rate increases proportionately with that 7000 GOR to 54  
15   million -- or 56 million cubic feet of gas a day. I don't  
16   think that's appropriate. And I don't think Yates has  
17   fully examined the ramifications of those kinds of  
18   allowable increases in this pool.

19           Q.   Let me have you take a copy of the Examiner  
20   Order, Mr. Hardie, and I think we have one somewhere  
21   there --

22           A.   I've got it.

23           Q.   -- on your desk.

24           I'd like to ask you Conoco's position and  
25   recommendation with regards to the major aspects of what

1 the Division Examiner required to take place.

2 I'd like to start first with the position Conoco  
3 has with regards to the operator committee that is ordered  
4 to be formed and to undertake an investigation of the  
5 technical aspects of both pools and to report back their  
6 recommendations and conclusions to the Division Director by  
7 -- I've got the deadline in here. I think it's an 18-month  
8 period. It begins on August 15th of 1996, and the  
9 committee has a -- up to about 18 months, I believe, in  
10 order to complete their study and make recommendations to  
11 the Director about changes in operational rules. What's  
12 your position?

13 A. Our position on that is that we've worked with  
14 Yates and other operators in this pool in the past.  
15 Admittedly, we don't agree on everything. But if we work  
16 together, the chances of us agreeing and avoiding having to  
17 come before you to publicly air our debates, I think, are  
18 greatly reduced. We're all in favor of working with other  
19 operators to achieve an equitable allowable, an equitable  
20 set of rules for producing these reservoirs. I can't say  
21 that if we meet on these pools that we would agree with  
22 Yates, but we haven't tried.

23 Q. Is there a material difference between operators'  
24 methods in drilling and completing and producing these  
25 wells?

1           A.    There's some differences. There is an effort on,  
2   I know, Yates and on Conoco's part, to avoid completing in  
3   the gas cap. We want to get that oil out, that oil is  
4   valuable. We don't want to leave it in the ground.

5           Q.    All right. I didn't make myself clear.

6           A.    That's not what you mean.

7           Q.    In North Dagger Draw, in terms of having a high-  
8   capacity -- one of these superstars, versus a lower-rate  
9   well, is that attributable to the method of drilling and  
10  completing the well?

11          A.    No, that's attributable primarily to -- Conoco  
12  and Yates complete wells and drill them in very similar  
13  fashions. There's some minor differences. We achieve  
14  similar rates. We have in the past, we still do. The main  
15  difference --

16          Q.    Is the technique for producing them substantially  
17  different?

18          A.    No, we both use the same types of pumps, we use  
19  the same vendors, the vendors talk amongst themselves, they  
20  talk amongst us. A lot of exchange of ideas that go on  
21  technically between Conoco and Yates, such that we don't  
22  operate that much differently, with the exception that from  
23  a standpoint of developing our reserves in the unit, we  
24  operate differently.

25                We are not as prone to drill, say, a proration



1 unit that has a 500-barrel-a-day rate. It's unlikely that  
2 Conoco is going to jump in there and drill another well,  
3 knowing that we must restrict that well to 200 barrels a  
4 day. Operationally, that's a nightmare for us. We don't  
5 want to do it. You end up losing money. If you're  
6 producing 200 barrels a day out of a well you're cycling  
7 and you're burning up a pump every month, it doesn't make  
8 sense.

9           Yates, on the other hand, has a different  
10 philosophy towards that. They may someday discover a way,  
11 creatively, whereby they can cycle wells and produce them  
12 at restricted rates, not creating waste. We haven't  
13 figured out a way to do that, so we just wait until we have  
14 sufficient allowable to drill the well. It's a choice that  
15 each operator must make in a unit that is capable of  
16 exceeding the allowable. That's why we have allowables.  
17 It's to prevent waste, prevent excessive withdrawals from  
18 the pool.

19           Q. In such a competitive reservoir as North Dagger  
20 Draw has become, Mr. Hardie, what is your recommendation or  
21 your company's position concerning changing or increasing  
22 the rates of withdrawal as set forth in the allowable?

23           A. Our position is just as it was when we first  
24 proposed the rate increase back in 1991, that the allowable  
25 established back then is appropriate. It sets a balance

1 between an operator's ability to efficiently produce his  
2 wells and the need to protect the correlative rights of  
3 offset operators. Somebody's got to lose. There's not one  
4 perfect rate. There's a balance, though, and we feel that  
5 the current rates in both North and South Dagger Draw have  
6 achieved that balance.

7 Q. What's your position on canceling the  
8 overproduction?

9 A. As we mentioned before, because we feel like  
10 we've been detrimentally affected by that overproduction,  
11 canceling it is certainly not the proper option. That's a  
12 violation of existing rules. It was done over a period of  
13 over a year, and in many aspects it appears to be willful.  
14 There should be some consequences for doing that. We have  
15 pool rules. Mr. LeMay, you're here for a reason, Mr. Gum  
16 is here for a reason, and that is to regulate these types  
17 of competitive pools. You have a function, and we fully  
18 commit ourselves to supporting you in that function.

19 Q. What's your position with regards to the make-up  
20 method and the period of make-up? In other words, to  
21 produce the spacing unit up to 350 barrels a day in North  
22 Dagger Draw, provided the total volume of overproduction is  
23 made up in the 18-month period?

24 A. Conoco is willing to comply by the orders that  
25 are issued by the Division. We feel that the most

1 equitable means of remedying the overproduction is to shut  
2 in the existing wells. That gets the problem taken care of  
3 quickly, minimizes the damage that may be caused by cycling  
4 wells in the process, and gets us quickly to a position  
5 where everybody is obeying the law and can then begin  
6 developing this field in a prudent manner.

7 MR. KELLAHIN: That concludes my examination of  
8 Mr. Hardie.

9 We move the introduction of his Exhibits 1  
10 through 9 in the North Dagger Draw case, which is 11,525,  
11 and his Exhibits 1 through 7 in South Dagger Draw, which is  
12 Case 11,526.

13 CHAIRMAN LEMAY: Without objection, those  
14 exhibits will be entered into the record.

15 Mr. Carr?

16 CROSS-EXAMINATION

17 BY MR. CARR:

18 Q. Mr. Hardie, I think we can cover a number of  
19 these things just finding again what we're in agreement on.

20 It's my understanding that we agree that we're  
21 dealing with very complex reservoirs here when we're  
22 talking about the North and South Dagger Draw Pools; is  
23 that right?

24 A. That is correct.

25 Q. And we discussed in May, I think we're in

1 agreement that as this reservoir has continued to grow and  
2 continues to grow, we continually discover there's more and  
3 more we need to learn about the reservoir; is that not  
4 right?

5 A. We are learning more about the reservoir as it  
6 grows. The fact that it's as big as it is, is new  
7 knowledge. I don't think anybody here would have guessed  
8 that it was going to be this big.

9 Q. And as we go forward there are more things we  
10 still have to discover and study about the reservoir; is  
11 that right?

12 A. That is correct.

13 Q. We don't have a homogeneous reservoir here, do  
14 we?

15 A. We do not.

16 Q. We have multiple porosities in this reservoir?

17 A. They do vary.

18 Q. And they vary across the reservoir?

19 A. Yes, they do.

20 Q. Permeability variations also occur across the  
21 reservoir; isn't that correct?

22 A. Certainly do.

23 Q. The reservoirs were established by -- We have two  
24 pool in part because we had two separate discoveries, and  
25 the pools grew together; isn't that right?

1           A.    That is correct.

2           Q.    Do you know of any reason for the boundary  
3   between North and South Dagger Draw, other than that's just  
4   -- as there was stepout development, that's where they met?

5           A.    That's where they met; that's why that boundary  
6   exists.

7           Q.    There's no technical study that decided that's  
8   where the appropriate boundary ought to be between North  
9   and South?

10          A.    There's no technical reason that there is -- that  
11   boundary exists where it is.

12          Q.    Now, we are currently dealing with overproduced  
13   wells in North Dagger Draw?

14          A.    Yes, we are.

15          Q.    We agree on that. We also -- There are also some  
16   overproduced units in South Dagger Draw; is that not right?

17          A.    To my knowledge, there are -- The data we have to  
18   date is somewhat sketchy, but I believe that there are.

19          Q.    I believe you testified that we don't really have  
20   a dispute on the understanding in this reservoir that with  
21   higher rates there are higher oil cuts?

22          A.    That is correct.

23          Q.    Were you involved with the hearings in 1991 where  
24   the 700-barrel-of-oil-per-day allowable was established?

25          A.    I was involved inasmuch as I was present. I did

1 not testify. I think I was considered too new to do so.

2 Q. And you no longer have that luxury?

3 A. I don't. I wish I did sometimes.

4 Q. Isn't it fair to say that back in 1991 what we  
5 were trying to do, Yates and Conoco came together for a  
6 presentation to the Oil Commission, trying to set  
7 allowables at a level that would allow these reservoirs to  
8 be produced at the lowest bottomhole pressure?

9 A. Yes, that is correct.

10 Q. And the net result was, at that time, we really  
11 were producing wells with unrestricted rates under a 700-  
12 barrel-per-day allowable?

13 A. At the time of that hearing, that was the case.  
14 As soon as wells began getting drilled, it wasn't very long  
15 after that that we started bumping that allowable.

16 Q. The D State Number 2, the well you talked about  
17 as the fantastic well off to the west of the area you  
18 called the violation area --

19 A. Section 36.

20 Q. Right. That was one of those wells, was it not?  
21 That was in the south half of 36?

22 A. Yes.

23 Q. And I believe you testified that that well  
24 produced for a couple of years at a rate of 500 to 600  
25 barrels per day; is that right?

1           A.    That would be my guess.  I don't have production  
2 data in front of me.  I'm relying on my memory --

3           Q.    Sure.

4           A.    -- for this, so --

5           Q.    Were you restricting that well, or was that the  
6 level that hit a sustained production rate?

7           A.    That well may -- may not have been able to  
8 produce at higher rates.  That was the rate at which the  
9 pump was running in the well.

10          Q.    With that pump running on that well and at that  
11 rate, were you able to keep that well pumped off?

12          A.    I'm assuming that that well was relatively pumped  
13 off.

14          Q.    So it was efficiently produced?

15          A.    Yes.

16          Q.    Has Conoco drilled any wells in the pool that  
17 have an initial potential of over 2400 barrels of oil per  
18 day?

19          A.    Conoco has not done that.  I don't know whether  
20 predecessor Roger Hanks did that on the same acreage or  
21 not, no.

22          Q.    Are you aware of any Conoco well that has a  
23 stabilized -- or stabilized at a producing rate of 1300  
24 barrels a day like the Polo well?

25          A.    Stabilized rate of 1300 barrels of oil per day?

1 Q. (Nods)

2 A. Now, my point, Mr. Carr, is not that we have an  
3 individual well that could break or violate the allowable.  
4 It is that we have had the ability, usually through a  
5 combination of two wells, to do so on a sustained basis.

6 Q. And my question is that when we talk about  
7 effective producing rates, there's a difference between a  
8 spacing unit on which one well can exceed the allowable and  
9 a spacing unit on which you have to have multiple wells to  
10 exceed the allowable; you'd agree with that?

11 A. You bet.

12 Q. And if you have a situation where you have one  
13 well on a spacing unit, like the State K Number 3, the  
14 Nearburg -- the Yates well that has stabilized at over 1000  
15 barrels a day, under a 700-barrel-a-day allowable you have  
16 to restrict that well, don't you?

17 A. You have to restrict that well, and I fully admit  
18 that in so restricting that well, you will have a higher  
19 water cut. That is something that we as operators have  
20 recognized all along.

21 Q. And --

22 A. My point is that there has to be a balance  
23 between the kind of rates that that well can produce and  
24 the effect it has on offset operators. It may be --

25 Q. And my point is that you have to restrict the



1 well, wouldn't you?

2 A. Yes, you would, absolutely.

3 Q. And by restricting it, you couldn't produce it at  
4 the lowest bottomhole pressure possible?

5 A. No, you could not. And I would also like to  
6 point out that there's some question in my mind as to  
7 whether that early water, the excess water that you  
8 produced, will be made up later in the life of the well.

9 Q. But we don't know that, do we?

10 A. We don't.

11 Q. Okay. Now -- And if we are restricting the well,  
12 we're not at that point able, perhaps, to keep it pumped  
13 off; isn't that right?

14 A. You cannot pump off a restricted well.

15 Q. Okay. And so we wouldn't be able to produce,  
16 say, the State K Number 3 in the most effective way,  
17 because we can't keep it pumped off; isn't that correct?

18 A. That is correct.

19 Q. At this point in time, does Conoco have any wells  
20 that produce in excess of 700 barrels a day, individual  
21 wells?

22 A. Not at this point in time.

23 Q. So you would have no wells that would be  
24 restricted by maintaining the current allowable?

25 A. We could, if we chose, drill additional wells in

1 the existing proration units and achieve that problem. We  
2 have no desire in doing that unless there's some other  
3 compelling reason, perhaps offset drainage or some  
4 situation, to do so.

5 Q. But you have that choice by drilling an  
6 additional well, and you've elected not to; isn't that  
7 right?

8 A. Until such time as rates decline to the point  
9 where we feel like there's little risk of having to curtail  
10 a well.

11 Q. If you have one well that stabilizes at 1300  
12 barrels a day, you don't have that choice, do you?

13 A. You certainly don't.

14 MR. CARR: That's all I have.

15 CHAIRMAN LEMAY: Additional questions of the  
16 witness?

17 Commissioner Bailey?

18 EXAMINATION

19 BY COMMISSIONER BAILEY:

20 Q. You mentioned the problem between the D State --  
21 When it was drilled, you felt that the bottomhole pressure  
22 indicated that there had been a certain amount of drainage  
23 by the Yates Foster well?

24 A. In that example I was referring to the first  
25 well, the D State Number 2, which produced for a

1 significant period of time, began experiencing rapid  
2 depletion, at which point we drilled a second well, the D  
3 State Number 4, which is northeast of that location.

4           If you'll look in the southwest corner of Section  
5 36, you can see the D State Number 4 labeled, one of the  
6 two wells that exist in that proration unit. That second  
7 well is the one that -- we drilled it -- The nearest and  
8 only offset was a well approximately a quarter of a mile  
9 away, drilled by Yates Petroleum. So it's two wells out in  
10 the middle of nowhere, essentially, and we had a bottomhole  
11 pressure of 400 to 500 pounds. Clearly had to have been  
12 drained by the good D State 2 well and by other offset  
13 operators.

14           It's my -- My point is in describing that event  
15 that we have a large compartment -- in this case, it  
16 extends for much more than one proration unit -- and it was  
17 drained very quickly and efficiently by a single wellbore.

18           Q.   How long of a time period was there between the  
19 completion of the Yates Foster well and the completion of  
20 your D well?

21           A.   Actually, the D State Number 2 was drilled before  
22 I started, right as I began, so I'm not sure on the history  
23 of those. I expect they were relatively close together,  
24 but I don't know that for a fact.

25           Q.   And by the time the D State Number 4 was drilled?

1           A.    That was approximately two years later.

2           Q.    Two years later?

3           A.    Uh-huh.

4           Q.    Is it incumbent upon Conoco to prevent drainage  
5 under their state lease?

6           A.    Absolutely, and we did so, we drained our state  
7 lease with our single wellbore.

8           Q.    Even though you were not producing at the  
9 allowable and you could see that the Yates Foster well was  
10 draining it?

11          A.    We were directly offsetting the Yates -- You're  
12 talking about the State CO Number 4 well. That is correct,  
13 we did not have available allowable.

14                You've got to keep in mind that when you're  
15 drilling a well and you have only 100 barrels of allowable  
16 left, that operationally you're going to have to cycle that  
17 well, you're going to have to turn it off and on.

18                If you start burning up electric submersible  
19 pumps at a cost of \$40,000 to \$60,000 a pump, on a rate of  
20 one to two per month or every couple of months, you're not  
21 going to make any money. You're going to create phenomenal  
22 waste if you're producing 100 barrels a day and you're  
23 burning out pumps. So you're creating value for the pump  
24 company, but that's about all.

25                And from a volumetric standpoint, when you

1 examine these types of leases and you look at the reserves  
2 that have come out them and the amount of  $\phi$ h available  
3 under that lease, usually those high-rate areas have  
4 actually produced more than they should, even from the  
5 single wellbore.

6 Q. I'm looking at your Exhibit Number 7 for the Case  
7 11,525, and then Exhibit Number 8 in comparison.

8 A. Okay.

9 Q. The inference was made off of Exhibit 8 that  
10 those reference-numbered areas were greatly influenced by  
11 the overproduction as the areas in yellow, and we can see  
12 so clearly that to the northeast those referenced areas  
13 have .04, for their volumetric reserves, .66, way below the  
14 figure of 1.25 that you say is reasonable for this area.

15 But when we look down at the southwest, we see  
16 also, and to the west, that some of these referenced areas  
17 are way above 1.25, and showing -- what? 1.48, 1.64. Have  
18 these areas benefitted where the others to the northeast  
19 have seen a detriment?

20 A. That's a very good observation. The ones to the  
21 northeast, the reason -- one of the reasons they may be so  
22 low is because they're so new, and they have not yet  
23 achieved the number of wells in them to drain them  
24 efficiently. So they're low because of that, perhaps.

25 It may just be that due to some mechanical or --

1 There are areas that we simply can't explain. They should  
2 recover a certain amount, and they don't. There are other  
3 areas that recover slightly more. So there's going to be a  
4 variability around that figure of 1.25, regardless.

5 But when you average everything together, all the  
6 violatings versus all the non-violatings, and that entire  
7 average is significantly higher, there is a way to  
8 attribute that, and one of the ways is to propose that  
9 perhaps those violating units are draining more than they  
10 should.

11 Q. But would you say those sections to the west and  
12 southwest have benefitted from the overproduction?

13 A. The ones that have overproduced have definitely  
14 benefitted.

15 Q. But those outside of the overproduced --

16 A. Those outside, one of the reasons they may have  
17 produced more than they seem they should have is because  
18 they were the -- at the time they were drilled they were  
19 the easternmost wells in the field. And there was this  
20 period of time when those wells sat there draining this  
21 undeveloped, undiscovered area, for a period of time.  
22 Within the law they did that, within the allowable, because  
23 we hadn't discovered that portion of the field yet.

24 So typically, those older wells along that flank  
25 will have values that exceed what you think they should.

1 They're draining large areas, but they're doing it within  
2 the confines of the law. That does happen.

3 COMMISSIONER BAILEY: That's all I have.

4 CHAIRMAN LEMAY: Commissioner Weiss?

5 EXAMINATION

6 BY COMMISSIONER WEISS:

7 Q. Yes, sir, has Conoco had any consideration --  
8 given any consideration to unitization of this field?

9 A. Unitization was discussed internally, and we've  
10 had informal discussions with the technical people at  
11 Yates. And because of the quagmire of ownerships in this  
12 unit, although there are a few operators, there are many,  
13 many different working interest owners, and the effort  
14 taken to unitize this would have been asinine, it would  
15 have been tremendous. And both parties felt like it  
16 probably wouldn't have happened.

17 I will be the first to admit that this pool begs  
18 for unitization. There's no question about that. Every  
19 dispute that we have could be resolved if this were  
20 unitized and a committee operated the field. But it's a  
21 competitive reservoir, and that's why we have pool rules  
22 established, to control competition and excessive  
23 withdrawals from existing units.

24 Q. You mentioned verbally numerous examples of  
25 interference, an example if weak -- you mentioned weak

1 water drive. I guess these will be presented in the  
2 engineering testimony?

3 A. I think Mr. Beamer will probably give them a bit  
4 more detail than I'm capable of.

5 Q. And then on your volumetric maps, it seems like  
6 sometimes in these vuggy carbonate reservoirs, that  
7 porosity is difficult to estimate.

8 A. You bet, and in my opinion it's -- I don't know,  
9 criminal is probably too strong a word, but it's in some  
10 ways criminal not to run some form of an imaging log in  
11 every well you drill out here. Conoco as a policy runs  
12 some form of an imaging log so you can see what that  
13 wellbore looks like, because you're absolutely correct.  
14 And much of the secondary porosity, particularly in zones  
15 where you have a tight matrix and big vugs, you get an  
16 underestimation of what that zone is capable of producing.

17 That's not the case in the violation area. We've  
18 heard everybody testify that it has a good matrix. You  
19 cannot achieve these kinds of rates with a bad matrix, I'll  
20 assure you of that.

21 But nonetheless, our volumetric estimates would  
22 be more accurate if we had an imaging log from every  
23 wellbore. And because Conoco doesn't operate this area, I  
24 had access to no imaging logs, and I included no imaging  
25 logs in my evaluation. Everything is done with standard



1 open-hole porosity logs.

2 Q. That can, I've been told, lead to errors of 100  
3 percent.

4 A. And it certainly can, particularly, as I said  
5 before, when the matrix is tight. That's when you  
6 encounter the errors.

7 I don't think that's the case in this area. I  
8 know it's not.

9 COMMISSIONER WEISS: Those are the only questions  
10 I had. Thank you.

11 EXAMINATION

12 BY CHAIRMAN LEMAY:

13 Q. Mr. Hardie, you initially said what -- I guess my  
14 question is, what is your definition of significant illegal  
15 oil?

16 A. My definition of significant illegal oil is if  
17 you don't catch it in the first month, you do it. And I  
18 don't know what Conoco's history is. I know that when we  
19 have a high-rate well, I watch it. And I'm ready to pick  
20 up that phone and call the field and say, Shut that thing  
21 in or curtail it or something.

22 And even so, it has happened that wells under my  
23 watch have for one month exceeded the allowable by a rate  
24 of perhaps -- I'm guessing -- instead of the 700 barrels a  
25 day for one month we may have produced 800, in looking at

1 the plots. And I still to this day don't know how that  
2 happened. I thought I had calculated everything correctly.  
3 Obviously I made an error, and I take full responsibility  
4 for that.

5 Q. So you're saying -- To your knowledge, has Conoco  
6 ever exceeded the allowable for more than one month?

7 A. To my knowledge, it's never been for more than  
8 one month.

9 Q. How about other operators? Do you know their  
10 policies on -- That's probably an unfair question in a  
11 competitive reservoir. We're getting -- testifying from  
12 Conoco and Yates, and we have other operators in the field,  
13 and -- Do you know their policies at all?

14 A. I don't know their policies.

15 Q. You don't?

16 A. No, it seems like we're discovering it as we go  
17 here.

18 Q. Okay, I have -- Commissioner Weiss asked my  
19 unitization question.

20 Anything more you want to -- You said because  
21 it's too complicated you decided not to try it, I guess,  
22 huh?

23 A. It truly is a nightmare. Many of the working  
24 interest parties in this part of the world don't get along  
25 very well. They're --

1           Q.   They're not uni- -- Well, we understand that.  
2           We're very busy here at the Division level with parties  
3           that can't get along in these North and South Dagger Draw  
4           reservoirs.

5           A.   The operators actually get along more than you  
6           think they do, at least Conoco and other operators do.

7           Q.   Your maps 7 and 8, or your Exhibits 7 and 8, in  
8           looking at decline curves, you're accumulating -- I mean  
9           you're adding together -- If there are three wells on a  
10          proration unit, you would add all three decline curves  
11          together so that a decline-curve analysis, I guess, on one  
12          well in a proration unit would show less recoverable oil  
13          than a decline curve analysis with three wells on that  
14          proration unit, but you're matching that to the volumetrics  
15          that --

16          A.   Right.

17          Q.   -- that you would assume that would be  
18          consistent. I mean, you have -- It seems like you would be  
19          favoring recoveries from wells with more than one well --  
20          three or four wells on a 160, rather than one well.

21          A.   If the compartment were small, that's the case.  
22          If it's a big compartment and one well is effectively  
23          draining it, then that decline-curve analysis is a good  
24          estimate of what's going to be produced from it.

25                In the case of our D State 2 example, we didn't

1 recover much oil, much incremental oil, from the D State 4.  
2 We did recover some. It's a marginal well.

3 Q. How much do your wellbores consist of  
4 compartments that maybe have been drained, or at least the  
5 good wells, along with some of these compartments or zones  
6 that haven't been penetrated on one well? A combination of  
7 the two?

8 A. Probably a combination of the two. I can't say  
9 that we have never encountered a compartment that's been  
10 drained and then one that hasn't. I can't say that  
11 happened.

12 Q. Has that been the norm or the exception?

13 A. In my experience, it's been the exception. And  
14 I'm not saying that applies to the entire field,  
15 necessarily. There are compartments in this field. Some  
16 of them are very large, some of them are small.

17 Proration units with small compartments need four  
18 wells. Yates very accurately showed that to us.

19 I'm telling you that proration units with large  
20 compartments, and typically the ones that have very good  
21 permeability and porosity, don't need four wells.

22 Q. And your -- maybe not your figure, I won't  
23 attribute this to you, but you've defended 700 barrels a  
24 day. Is that magical, or is that a compromise figure  
25 between maybe what might be efficient rate and the

1 protection of correlative rights?

2 A. That's, in my mind at least, a compromise between  
3 correlative rights and efficient rates. I think that  
4 compromise is going to require that some wells be  
5 constrained, otherwise it's not a compromise.

6 CHAIRMAN LEMAY: Commissioner Weiss, do you have  
7 additional questions?

8 FURTHER EXAMINATION

9 BY COMMISSIONER WEISS:

10 Q. Yeah, I have one more question concerning  
11 unitization and a committee, I think, the procedure that  
12 was -- as suggested in the Order. I don't quite understand  
13 the difference there. You say that, you know, unitization  
14 is not possible but a committee is a good idea.

15 A. No, a committee which is designed to attempt, at  
16 least, to work out pool-rule issues, and I did say that I  
17 wasn't certain that we could work it out. But we haven't  
18 tried.

19 Q. Uh-huh.

20 A. And rather than stand before you and air out our  
21 dirty laundry, I'd rather do that in Yates' office or them  
22 come to us.

23 That's why I tell you it's somewhat disappointing  
24 that as operators we get along more than we don't, I think,  
25 and every time we don't we're here to do it publicly, so

1 that I think it looks worse than it really is.

2 COMMISSIONER WEISS: All right, thank you.

3 CHAIRMAN LEMAY: Additional questions of the  
4 witness?

5 If not, he may be excused. Thank you very much,  
6 Mr. Hardie.

7 Let's take a break, fifteen minutes.

8 (Thereupon, a recess was taken at 10:38 a.m.)

9 (The following proceedings had at 10:53 a.m.)

10 CHAIRMAN LEMAY: Okay, Mr. Kellahin, you may  
11 continue.

12 MR. KELLAHIN: Thank you, Mr. Chairman.

13 ROBERT E. BEAMER,

14 the witness herein, after having been first duly sworn upon  
15 his oath, was examined and testified as follows:

16 DIRECT EXAMINATION

17 BY MR. KELLAHIN:

18 Q. Mr. Beamer, for the record, sir, would you please  
19 state your name and occupation?

20 A. My name is Robert E. Beamer. I'm a petroleum  
21 engineer for Conoco, Incorporated, in Midland, Texas.

22 Q. Summarize for us your education and employment  
23 experience, Mr. Beamer.

24 A. I have a bachelor of science degree in petroleum  
25 and natural gas engineering from Penn State University, as

1 well as a master's degree in the same field from Penn State  
2 University. I started to work for Conoco immediately after  
3 graduation in 1960.

4 Q. Summarize your experience in Dagger Draw.

5 A. I've been associated with the Dagger Draw  
6 operation for about the past two years, as a reservoir  
7 engineer, working closely with Mr. Hardie and the  
8 production engineering department.

9 Q. As part of your work with Mr. Hardie, have you  
10 reached certain engineering conclusions with regards to the  
11 proposal made by Yates that's before the Commission today?

12 A. Yes, I have.

13 MR. KELLAHIN: Mr. Chairman, we tender Mr. Beamer  
14 as an expert reservoir engineer.

15 CHAIRMAN LEMAY: His qualifications are  
16 acceptable.

17 MR. KELLAHIN: Mr. Beamer is -- This is his last  
18 official function, Mr. Chairman. He's retiring on October  
19 1st from Conoco and --

20 THE WITNESS: (Thumbs-up sign)

21 MR. KELLAHIN: -- this ends his career.

22 CHAIRMAN LEMAY: Well, congratulations to you.

23 THE WITNESS: Tomorrow is my last day.

24 MR. KELLAHIN: Tomorrow is the last day.

25 MR. CARR: I don't know, we may not be finished.

1 (Laughter)

2 CHAIRMAN LEMAY: It's been noted that consultants  
3 make more money going back to their companies after they've  
4 retired.

5 THE WITNESS: I won't be near here.

6 Q. (By Mr. Kellahin) Mr. Beamer, let's turn your  
7 attention to North Dagger Draw. I'd like to go through the  
8 submittal to the Commission of the production data that  
9 you've tabulated for the violation area, and then we'll get  
10 down to the technical aspects of your conclusions with  
11 regards to our contention that Conoco's correlative rights  
12 have been impaired in North Dagger Draw.

13 Let's start with the data. If you'll look at the  
14 booklet, it's the legal-sized paper found at the top with  
15 the spiral. They're exhibits numbered 10 through 24.  
16 Describe for us what we're looking at when we see this  
17 package of documents.

18 A. For each exhibit number, 10 through 24, when you  
19 open your booklet, the top sheet relates to the bottom  
20 graphs. You saw a copy of the tabulation from yesterday's  
21 testimony from our May session, and it is simply a  
22 tabulation of the oil, gas and water production history for  
23 a given proration unit, which is identified in your left  
24 column, and in the case of Exhibit 10 we're looking at  
25 northwest Section 21.



1 Q. All right, let's make the connection.

2 A. All right.

3 Q. In this case, Conoco Exhibit Number 6 is the  
4 display that shows the location of those spacing units in  
5 the violation area, and then there's a number that shows  
6 the total volume of overproduction?

7 A. Okay, in that Exhibit Number 6, the location  
8 reference number for each of the proration units which have  
9 been in violation over the past year and a half or so are  
10 numbered in the upper left corner on that map, and they are  
11 referred to at the bottom of this tabulation as  
12 overproduced unit number 1.

13 Q. This data, then, in this exhibit package supports  
14 the concluding numbers shown on Exhibit Number 6?

15 A. The concluding numbers on Exhibit 6 were drawn  
16 from these tabulations.

17 Q. All right. Show us how this particular set of  
18 documents, Exhibits 10 through 24, are different from a  
19 similar set introduced at the Examiner hearing.

20 A. The only difference is that we have added the  
21 additional months of production history available to us at  
22 this time.

23 Q. All right.

24 A. I believe at the May hearing, for most of these  
25 production units, we had data available through about March

1 or April. Today we have data through June of 1996, so --

2 Q. All right, let's take --

3 A. -- so these differ only in update of data  
4 availability.

5 Q. Let's take the first one, then, for the northwest  
6 of 21 and have you show us how you've organized the data  
7 for presentation.

8 A. Again, it's a tabulation of the production  
9 history, comparing the actual monthly oil produced versus  
10 the allowable oil allocated to that proration unit. The  
11 allowable oil is noted in the second column from the left  
12 of each sheet.

13 When any one of these proration units exceeded  
14 the allowable for a given month, I bolded the  
15 overproduction number on the right-hand column and began a  
16 shading just to draw our attention to that point in time at  
17 which we would start accumulating the overproduction.

18 For this proration unit, we exceeded the  
19 allowable rate for a period of five months, at which time  
20 from the plot below, you can see on the upper plot where  
21 I've plotted actual barrels of oil per day versus the  
22 allowable oil. This proration unit, because of natural  
23 decline, it appears, went below the allowable rate, and we  
24 started seeing negative numbers in the right-hand column,  
25 which then began to make up for the over-allowable.

1           Q.   All right.  So if there's a negative number in  
2   the last column on the right, then that indicates that --

3           A.   That means that for that month --

4           Q.   -- it was in compliance?

5           A.   -- the proration unit was in compliance.

6           Q.   All right.  And if it doesn't have a negative  
7   number it shows that in that month it was exceeding its  
8   allowable.

9           A.   And any exceeded volume is in bold print, just to  
10   highlight it.

11          Q.   All right.  When we look at the bottom half of  
12   the display, when this is folded in this fashion --

13          A.   Yes.

14          Q.   -- the top portion is the tabulation of the  
15   production data?

16          A.   Yes, sir.

17          Q.   And we look below it on the next page, what are  
18   we seeing then?

19          A.   The next page is a combination of performance  
20   plots.  The top plot, as I mentioned earlier, is a plot of  
21   the actual oil production from this proration unit in  
22   barrels of oil per day, versus the allowable rate, which is  
23   shown as a solid bold line at 700 barrels per day.  Any  
24   production, of course, above that allowable rate, then, is  
25   identified as the excessive oil or the illegal oil produced

1 for this unit.

2 Q. And as we flip through these, then, you've done  
3 the same thing for all of the spacing units that are  
4 identified on Exhibit Number 6?

5 A. Yes, I have.

6 Q. Let's go, then, to the last page and look at  
7 Exhibit 24 and have you summarize for us the magnitude of  
8 the overproduction.

9 A. I think, Mr. Kellahin, before I go to Exhibit 24,  
10 I would like to make a point.

11 Looking at the data on these proration units, it  
12 becomes apparent to me that we're withdrawing fluids from a  
13 volumetric reservoir. Our rates are declining over time,  
14 total fluid production rates are declining over time. To  
15 me, this indicates that we are withdrawing a given volume  
16 of fluid. There is no evidence of any influx at all into  
17 these proration units.

18 I agree with Yates' testimony yesterday that  
19 producing at higher oil cuts -- or at higher oil rates, do  
20 result in higher oil cuts. I do contend, though, that when  
21 you produce in that manner you are withdrawing significant  
22 higher volumes of total fluid from the reservoir, and in  
23 this particular reservoir that accelerates the rate of  
24 pressure decline, and we will see that later.

25 Q. When we look on Exhibit 24, then, that is simply

1 the end result of the tabulation of the overproduction, and  
2 it shows the operator for the units that are overproduced,  
3 and it shows the volumes?

4 A. Yes, it does. And the significant feature of  
5 this is that on reference number 4, for instance, in the  
6 northwest section of 29, this unit is now in compliance as  
7 a result of natural decline.

8 One addition to this tabulation, as opposed to  
9 that presented in our May session, is the addition of the  
10 Mewbourne unit in the northwest of Section 33. As Mr.  
11 Hardie testified to earlier, we just within the past week  
12 became aware of this violating unit, and so we have  
13 included it in the documentation for documentation  
14 purposes.

15 Q. All right, sir. Let's turn to Exhibit 25. Let  
16 me have you identify and describe this display.

17 A. Exhibit 25 is a performance history of the  
18 Conoco-operated proration unit in the northeast section of  
19 32, of Township 19 South, 25 East.

20 We had -- At the time this plot was prepared, we  
21 had one well completed in this proration unit, the Savannah  
22 State Number 1 well. We are in the process right now, this  
23 week, of completing and testing the second well in this  
24 proration unit.

25 And it shows a dramatic decline in oil rate. You

1 will note that in the first month of production we were  
2 overproduced by approximately 70 barrels per day for that  
3 one month. Natural decline, of course, occurred, and we  
4 rapidly became compliant in this proration unit.

5 Q. What's your point, Mr. Beamer?

6 A. Well, this -- My point is that we are completed  
7 -- Well, let's go back and review Mr. Hardie's testimony.

8 We realize that this unit, this proration unit,  
9 is toward the edge of the dolomite fairway. It does have  
10 limited reservoir volume to draw from. We do believe that  
11 excessive fluid withdrawals in the past have appreciably  
12 affected the pressure support that we could have enjoyed  
13 from this proration unit, and we do see rapid production  
14 decline.

15 Q. Turn to Exhibit 26 and have you identify and  
16 describe that display.

17 A. Section [sic] 26 is the exact same type of  
18 performance history for the adjoining Conoco-operated  
19 proration unit in the northwest section of 32, in which we  
20 have drilled -- completed two wells, our Joyce Federal  
21 Number 1 and Number 2.

22 Again, for the first month of production history  
23 we were over the allowable by approximately 100 barrels per  
24 day. Again, natural decline took care of that very  
25 rapidly, and you can see from that first well that it

1 suffered a very high rate of decline, not entirely sure as  
2 to the reason for that. We have recently gone in and  
3 recompleted and added some perforations in that well, which  
4 we think will add some recovery.

5           You can note the effect of the second well in  
6 this proration unit in that it did flatten our proration  
7 unit production decline somewhat. In fact, dramatically.  
8 However, beginning in early 1996 we did see an increasing  
9 rate of decline from this unit.

10           Q.   Yesterday, Mr. Fant provided data on the Polo  
11 Number 6 well, and based upon that data he concluded that  
12 that well, because it had been restricted, lost the ability  
13 to return to the levels of productivity that it had enjoyed  
14 before it had been shut in. I believe there was a shut-in  
15 period. And he attributed that to some wellbore damage, as  
16 opposed to having been depleted by natural depletion or  
17 drainage by offsetting properties.

18           Have you had a chance to examine that plot?

19           A.   Well, I did.

20           Q.   Let me pass out the plot so everybody's got a  
21 copy.

22           A.   The plot of Polo "AOP" Number 6 is plotted on a  
23 daily production basis for approximately a five-week  
24 period, and I see here a trend that we have observed in  
25 both our Joyce Federal Number 1 well and our Savannah State

1 Number 1 well.

2 Q. The line of decline is a line that you have put  
3 on Mr. Fant's display?

4 A. I have placed the dashed line there, just to see  
5 whether this would fit with trends that we have observed in  
6 our producing wells in this portion of the North Dagger  
7 Draw field, and I contend that this could be attributed to  
8 a natural decline caused by pressure decline from  
9 offsetting production. Obviously, there are two different  
10 thoughts on this, but this to me is a very plausible  
11 explanation for this loss of production.

12 Q. Yesterday, Mr. Fant provided us an example. With  
13 his Exhibit 15 he was looking on the first page, I think,  
14 in the southwest quarter of 29. There was an example of a  
15 spacing unit in which Yates had took the opportunity to  
16 drill four wells, and he was showing that data.

17 I'm going to hand you a copy of that exhibit on  
18 which you have added some additional decline lines. Let me  
19 give you a copy of that.

20 A. Again, I'm suggesting only a second  
21 interpretation of the available data.

22 Q. All right, let's make sure the record is clear on  
23 a distinction between Mr. Fant's interpretation of the  
24 decline and the interpretation you've placed on this  
25 display. I think as photocopied, yours are slightly



1 darker, and yours are the dashed -- long dashed lines; is  
2 that right?

3 A. That's correct. And to reiterate Mr. Fant's  
4 testimony, this is a production history plot on a Cartesian  
5 coordinate scale, of oil rate versus cumulative oil  
6 production, which provides a standard extrapolation  
7 technique to determine estimated ultimate recovery.

8 I might bring your attention back to my Exhibit  
9 Number 15, which shows the same data, only plotted versus  
10 time.

11 Q. Let's do that, let's let everybody have a chance  
12 to find 15. It's in the package that we --

13 A. It's in the package that we just reviewed.

14 Q. All right. We're looking at Exhibit 15, and  
15 we're looking at the bottom portion of the display. Again,  
16 we're in the southwest quarter of 29 and we're looking at  
17 your Exhibit 15. Explain your point.

18 A. My point is that in the top portion of that plot,  
19 in which I plot barrels of oil per day versus time, it's  
20 very evident when each successive well comes on production,  
21 to me, that there is some increase in the production  
22 decline rate, as each well is produced.

23 And it's very apparent, after the fourth well is  
24 produced, beginning in late 1995, that that decline rate  
25 steepened significantly, which to me indicates that there

1 is significant interference among the four wells in this  
2 given proration unit.

3 And I see the same type of data displayed in Mr.  
4 Fant's plot that we're looking at here on the oil rate-  
5 versus-cum production curve.

6 I'm only suggesting that we can approximate that  
7 the total ultimate recovery from this proration unit in the  
8 southwest quarter of Section 29 could have been achieved  
9 with the drilling and completion of three wells. Granted,  
10 the fourth well did add significant oil rate, but I'm  
11 contending that that is rate acceleration only --  
12 significant rate acceleration, of course -- but that given  
13 enough time, three wells could have drained this section.

14 My point is that interference does occur.

15 Q. Let me have you turn our attention to what is  
16 your next numbered exhibit. We're up to Number 27.

17 A. Yes.

18 Q. You've made an examination of the pressure  
19 relationship of certain wells to another?

20 A. Yes.

21 Q. All right. Let's find the area that you're  
22 examining, and then let's talk about the display. Where  
23 are we concentrating in the pool when we look at this data?

24 A. We're talking -- On my Exhibit 27?

25 Q. Yes, sir.

1           A.    This is the available static bottomhole pressure  
2 data that I was able to compile for the Township 19 South,  
3 Range 25 East area, which is essentially the area that we  
4 are talking about the excessive oil production. So it  
5 encompasses this entire township.

6                   And again, from available records through a PI  
7 database, plus our available scout-ticket records in  
8 Conoco's office, I have prepared a tabulation and then have  
9 plotted this data to show the significant pressure decline  
10 over this township that has occurred because of the  
11 significantly influenced fluid withdrawal rates.

12                   We'll have to look at this in combination with  
13 Exhibit 28. I apologize for not putting the pressure data  
14 on the same plot, but I just didn't want to take the time  
15 to work it out.

16                   We are looking at a time history from late 1962  
17 through -- the last data point that I have available to me  
18 was one taken in our recently completed well, Savannah  
19 State Number 2, August of 1996.

20                   These pressures are all referred to a common  
21 datum of minus 4000 feet subsea. I picked that datum point  
22 because when we look at the South Dagger Draw data I have  
23 done the same thing, and I wanted to compare the early  
24 production history to that, to show that this is indeed a  
25 common reservoir geologically over this 40-mile expanse.

1           We see a pressure decline from late 1962 through  
2           somewhere -- and again, the date -- or the time scale on  
3           this Exhibit Number 27 could be a little confusing to read  
4           precisely, but you can see that somewhere in the  
5           neighborhood of 1983 there's a marked change in the nature  
6           of the pressure decline.

7           Referring to Exhibit Number 28, we can see that  
8           during this period of time there have been relatively low  
9           fluid withdrawals from this portion of the field. And  
10          again, Exhibit 28 is a production plot of oil, water and  
11          gas from this township only. All wells within this  
12          township only derive from *Dwight's* database.

13          Beginning in 1984, there's a significant increase  
14          in fluid withdrawals from the reservoir.

15          Now, my next concentration of data points begins  
16          in about 1992, and you can see that there has been  
17          significant pressure decline in this portion of the  
18          reservoir caused by the increased fluid withdrawals. This  
19          is not a regression-analysis line through the data, it's  
20          simply a -- my interpretation of the type of decline that  
21          has occurred.

22          The last point plotted on this Exhibit 27 is  
23          significant to us, and it's far down in the right-hand  
24          corner of this graph. It's labeled as Savannah State  
25          Number 2, an average of two bottomhole pressures recorded -

1 - static bottomhole pressures recorded on our completion  
2 test of this well in August of 1996. 1174 pounds average,  
3 significantly below what we would have expected at this  
4 point in time in this reservoir.

5 And I contend that this is a result of excessive  
6 fluid withdrawals in this portion of the reservoir. As you  
7 recall, the Savannah State lease is near the edge of the  
8 reservoir. It is significantly impacted by excessive fluid  
9 withdrawals, and I submit that we have been damaged as a  
10 result of that.

11 Q. I direct your attention, Mr. Beamer, to Exhibits  
12 29 and 30.

13 A. Twenty-nine and 30 are simply a tabulation of the  
14 record plotted in Exhibit 27. Exhibit 29 is a  
15 chronological record of the pressures taken for this  
16 township, and then Section 30 [sic], I simply have sorted  
17 the data by section and then by chronological order for  
18 each section. Again, these are the data points plotted in  
19 Exhibit Number 27.

20 Q. On behalf of Conoco, have you as a reservoir  
21 engineer examined the data in relation to the Joyce Federal  
22 spacing unit and what if any effect may have been caused on  
23 that spacing unit by the excessive production in the  
24 violation area just to the north?

25 A. Yes, I have.

1           Q.    Let's turn to Exhibit 31 and have you show what  
2   the -- have you tell us what this plot shows.

3           A.    I've prepared a plot in Exhibit 31 of --  
4   comparing the Conoco production history in our Joyce  
5   Federal spacing unit, which is in the northwest of Section  
6   32, compared to the immediately offsetting proration unit  
7   in southwest 29, operated by Yates Petroleum.

8                   Conoco's production is shown in the heavy shaded  
9   line.   The Yates production from the southwest section of  
10   29 is shown with the line connected to the open triangles.

11                  Again, we see that the Conoco production appeared  
12   to have established a -- roughly a 40-percent decline  
13   following the completion of the second well in that  
14   proration unit and was following that established decline  
15   for a period of about six or seven months.

16                  The fourth well in the Yates proration unit, in  
17   the southwest of 29, was drilled and completed in mid-year  
18   1995 and produced at excessive -- that proration unit then  
19   produced at excessive rates throughout the remainder of the  
20   year, at which time it began experiencing interference  
21   effects and began a very steep natural decline for that  
22   proration unit.

23                  Early 1996, there is a departure noted in our  
24   40-percent decline performance, which can be attributed to  
25   this interference effect from the offsetting proration

1 unit.

2 Q. The change in decline goes from 40 percent to 75  
3 percent?

4 A. Yes.

5 Q. Have you quantified the significance of that  
6 interference?

7 A. That relates to a difference in ultimate recovery  
8 of about 160,000 barrels of oil.

9 Q. Is it possible for Conoco to recoup those lost  
10 reserves?

11 A. From my analysis, the only way we could recoup  
12 that would be if we could somehow flatten our production  
13 rate decline to about 25 to 30 percent and hold that  
14 constant.

15 I don't see that as being practical, because to  
16 do that, first of all, would require a shut-in of the  
17 offsetting prorationing units for some period of six years  
18 or more, and there's no guarantee that we would ever get up  
19 to that flat a decline. I don't see it as being practical  
20 to ever recoup its lost production, just because of the  
21 operational practices.

22 Pressure decline in this reservoir limits our  
23 capacity to produce at higher rates.

24 Q. Have you estimated the number of months that  
25 Yates will have to be shutting in the production in the

1 southwest quarter of Section 23 --

2 A. Of 29?

3 Q. I'm sorry, of 29, in order to make up the  
4 overproduction?

5 A. I did, and it's a very short time. That unit, in  
6 fact, by now could well be in compliance. But as of July  
7 the 1st, I estimated that a 2-1/2-month shut-in would bring  
8 that unit into compliance.

9 Q. Would that be a long enough period for Conoco to  
10 recoup any of the lost reserves?

11 A. No, it would not.

12 Q. Describe for me this pressure relationship in the  
13 reservoir and the impact of the advantage that Yates has  
14 gained by overproducing their spacing units at a point in  
15 time that that occurred in relation to what you're able to  
16 do now.

17 A. Our wells' producing capacity are related to the  
18 available pressure drop within our drainage area. Pressure  
19 drop is related to static reservoir pressure.

20 We have lost reservoir pressure due to the  
21 excessive production, which means that the available  
22 pressure drop to support our production is less than it  
23 could have been. That essentially is the primary problem.  
24 We cannot attain maximum producing rates that we might  
25 otherwise have had.



1           Q.   What is your position as a reservoir engineer  
2   concerning Yates' request for higher allowables in North  
3   Dagger Draw?

4           A.   My position is that yes, Yates does have some  
5   wells capable of producing at very high rates. I do  
6   contend that when additional straws are placed into these  
7   proration units where these high-rate wells exist, they  
8   will see very rapid interference effects, and I cannot  
9   believe that those rates would be sustained.

10          Q.   What's your recommendation to the Commission?

11          A.   My recommendation to the Commission is to take  
12   action and impose the proper penalties on the offending  
13   excessive-produced units, shut them in to bring them into  
14   compliance, and retain the existing pool rules.

15          Q.   I direct your attention now to South Dagger Draw,  
16   and have you look at that exhibit set. Your first exhibit,  
17   I believe, is Number 8.

18                When we look at the package of exhibits that are  
19   in the binder --

20          A.   Yes.

21          Q.   -- starting with Exhibit 8 through 25, what are  
22   we seeing here, Mr. Beamer?

23          A.   Okay, first of all, my preparation of  
24   documentation for South Dagger draw is not nearly as  
25   complete as I've done for North Dagger Draw.

1           These exhibits are production history plots taken  
2   from a *Dwight's* database of the available production  
3   history. The most recent history available is through  
4   April of 1996.

5           And it's simply a documentation of the actual  
6   oil, gas and water production history, plotted as daily  
7   average production rates versus time, for the given spacing  
8   units, which will relate, I believe, to our South Dagger  
9   Draw Exhibit Number 1.

10           In South Dagger Draw, as you recall, our  
11   proration units are 320-acre spacing, and in some cases you  
12   will see that they run north-south units versus east-west  
13   units.

14           Let's look at Exhibit 8, for instance, which  
15   covers the west half of Section 34, Township 20 South,  
16   Range 24 East. On our Exhibit 1, that would be this  
17   proration here, Mr. Weiss.

18           And as you can see, this exhibit was taken from a  
19   hearing presented in September of 1995, before this Yates  
20   Diamond well was even drilled, so that this exhibit does  
21   not include that well as a unit within the South Dagger  
22   Draw field. But in fact, it is completed in this formation  
23   and it will be included -- it will be pulled into this  
24   unit, if it hasn't already been done so. But that is the  
25   proration unit that I'm referring to in Exhibit 8.

1           And then in successive exhibits we're simply  
2     documenting the production history for each proration unit.  
3     I have identified only two proration units that I could see  
4     that have violated the existing pool rules of 1400 barrels  
5     of oil per day production limit for the 320-acre-spaced  
6     unit, one of which we can see in Exhibit Number 22, which  
7     is a Marathon-operated unit in the west half of Section 12  
8     of 21 South, 23 East, which is this unit here. Four wells  
9     have been drilled on that unit.

10           You can see the stairstep nature of the  
11     production response when each well is brought on. These  
12     wells also tend to decline quite rapidly, and this unit,  
13     although it did -- it appears to have produced in excess of  
14     the allowable rate for a period of maybe five or six  
15     months, is now below that allowable rate and will soon be  
16     in compliance.

17           I thought I remembered -- Oh, I'm sorry, Exhibit  
18     19 is also a proration unit which appears to have violated  
19     the allowable rate of 1400 barrels a day, beginning in  
20     early 1996. Again, this is a Marathon-operated unit in the  
21     west half of Section 2, on the west edge of the South  
22     Dagger Draw unit.

23           And again, very briefly, for one month period in  
24     mid-1995, a well was completed which brought that unit  
25     above the allowable, but rapidly declining below it. And

1 then when they -- it looks like the fourth well in that  
2 unit was brought on, they have exceeded that allowable rate  
3 and have continued to do so through the production history  
4 available. It's obvious that this well is on a rapid  
5 decline -- or this unit is in a rapid decline. It will  
6 soon be in compliance.

7 Q. The source of the data for Exhibits 8 through 25  
8 is in all instances *Dwight's*?

9 A. Yes.

10 Q. All right, sir. Let's turn to Exhibit 26.

11 A. Exhibit 26 is a similar performance history plot  
12 of the South Dagger Draw field, again at a common datum of  
13 4000 feet subsea. And again, excuse me for not having this  
14 on production plot, but if you look back at Exhibit Number  
15 25 -- Oh, my --

16 MR. CARR: Twenty-eight.

17 THE WITNESS: Twenty-eight. I'm sorry, look  
18 forward to Exhibit Number 28, which is the complete  
19 production history of the South Dagger field. We can see  
20 that there was a moderate decline in reservoir pressure  
21 through the period of early 1960s through mid- -- or  
22 through the mid-Seventies, at which time you can see there  
23 were very little fluid withdrawals taken from the field.

24 Beginning in 1990, of course, you can see the  
25 well count increasing rapidly, as well as the oil rate.

1 And then the more recent pressure history available in 1992  
2 shows a significant pressure decline as a result of those  
3 added fluids withdrawn, again, just showing the nature,  
4 that this is a reservoir that is in hydraulic communication  
5 throughout the field, in my opinion.

6 Q. (By Mr. Kellahin) What do we see when we look at  
7 Exhibit 27? Twenty-seven was the tabulation?

8 A. Twenty-seven is the tabulation of the data  
9 presented in 26.

10 Q. Okay. What are your recommendations to the  
11 Commission with regard to Yates' proposal in South Dagger  
12 Draw?

13 A. We do not support the recommendation for higher  
14 allowables.

15 We believe that the current allowable is adequate  
16 to provide operators with significant production capacity  
17 to recover the reserves in these units within a reasonable  
18 period of time.

19 MR. KELLAHIN: That concludes my examination of  
20 Mr. Beamer.

21 We move the introduction of his Exhibits 10  
22 through 31 in the North Dagger Draw case and Exhibits 8  
23 through 28 in the South Dagger Draw case.

24 CHAIRMAN LEMAY: Those Exhibits will be entered  
25 into the record without objection.

1 Mr. Carr?

2 MR. CARR: Thank you, Mr. LeMay.

3 Mr. Beamer, I'll try not to extend this into your  
4 retirement.

5 CROSS-EXAMINATION

6 BY MR. CARR:

7 Q. I'd like to initially review with you just  
8 several things to be sure I again understand where we're in  
9 agreement and where we differ.

10 A. Yes.

11 Q. And during Mr. Patterson's testimony, we made  
12 some references to the testimony, presented in 1991, of  
13 Clyde Finley.

14 A. Okay.

15 Q. He was your predecessor, was he not, in Conoco  
16 who had responsibility for Dagger Draw?

17 A. He was our production engineer at handling the  
18 Dagger Draw area, yes, that's right.

19 Q. Back in 1991, Mr. Finley testified that in Dagger  
20 Draw wells we're draining less than 160 acres. Now, are we  
21 in agreement that that is still a true statement?

22 A. Yes.

23 Q. And he presented some data that said some were  
24 draining as little as 52 acres. I assume we're in  
25 agreement on that too. He didn't say every, he said some.

1           A.    Yeah, that's reasonable.

2           Q.    Mr. Finley also testified that based on his  
3 knowledge of the reservoir at that time, additional wells  
4 were acting almost independently of original wells on  
5 spacing units and that the new wells were in fact often  
6 better than the original well on a 160-acre tract. Do we  
7 disagree on that today?

8           A.    I don't think so.

9           Q.    And we have additional wells drilled on 160s that  
10 can come in and in fact produce better than the original  
11 well in the unit? He said that. Do you quarrel with that  
12 today?

13          A.    I don't think I find quarrel with that.

14          Q.    And I think we're in agreement on his statement  
15 that at very rapid rates we tend to get better water cuts.  
16 That's -- Those were his words, but --

17          A.    I don't think anyone will object to that.

18          Q.    Do you see -- Mr. Finley said he saw no evidence  
19 of the development of a secondary gas cap in the reservoir.  
20 Do you see that?

21          A.    No, I don't think we see that.

22          Q.    So on those points so far, we're still in accord?

23          A.    Yes.

24          Q.    He also stated that pressure data showed that  
25 with higher rates and increased withdrawals there was no

1 negative impact on correlative rights. My understanding  
2 is, we disagree on that point today?

3 A. Well, following five years of production history,  
4 I think it's evident that there can be significant pressure  
5 decline, yes.

6 Q. Do we differ on our interpretations that we see a  
7 reservoir that is compartmentalized?

8 A. I think basically, our geologist agreed on the  
9 overall interpretation of the reservoir.

10 Q. And with the data that we have, do you know of  
11 any way we can determine the size or the location of the  
12 individual compartments within the reservoir?

13 A. Not to my knowledge.

14 Q. Okay. When I look -- Initially, you testified  
15 about Mr. Fant's Exhibit 15, the four --

16 A. Yes, sir.

17 Q. -- wells on a spacing unit. If I look at that  
18 exhibit, it appears to me that even with your decline  
19 curves on it, the wells that -- second and third wells  
20 still add about 250,000 additional barrels of oil --

21 A. Yes, sir.

22 Q. -- to the ultimate recovery from that unit --

23 A. Yes.

24 Q. -- is that correct?

25 A. Yes.



1           Q.    And when you look at these, you see that the  
2           third and fourth wells may not perform quite as well as the  
3           earlier wells on the unit.  Is that what this exhibit --  
4           the way you put your decline curves on it, is that what  
5           that shows?

6           A.    I'm saying that the third well has reserves,  
7           probably 160,000 barrels.

8                    I'm saying the fourth well did not add  
9           significant reserves.  It was an accelerated well --  
10          acceleration recovery well.

11          Q.    Did you compare these wells -- the location of  
12          these wells to where they are located in the formation?

13          A.    No, I did not have at my disposal last evening to  
14          do that.  I think, if I remember this area --

15          Q.    Do you have a copy of Mr. Hardie's Exhibit Number  
16          1, the isopach?

17          A.    Yes.  Exhibit Number 1?

18          Q.    Yes, sir.  If you look at Exhibit Number 1 and  
19          focus on the southwest of Section 29 --

20          A.    Yes.

21          Q.    -- you can see the well spots that are indicated  
22          in that tract, can you not?

23          A.    Yes.

24          Q.    And if we look at this tract, the Boyd 2 is the  
25          first well that was drilled; is that right?

1           A.    That's that history that I'm not sure on.

2           Q.    If the -- And you can correct this if you want,  
3 but if the wells were drilled, Boyd Number 2, Boyd Number  
4 4, and then we drop down to the south and I think it's --

5           A.    Aspden 1.

6           Q.    -- Aspden 1 --

7           A.    One.

8           Q.    -- and then Aspden 2?

9           A.    Yes, and I think the Aspden 2 was the last well  
10 drilled on that unit.

11          Q.    It is in a thinner portion of the reservoir, is  
12 it not?

13          A.    It is.

14          Q.    And the last two wells, in fact, were drilled in  
15 thinner and poorer portions of the reservoir, are they not?

16          A.    Not necessarily poorer. You can see their  
17 response from the fourth well drilled. It was a very good  
18 well. It did encounter what appears to be good reservoir  
19 rock, even though it was thinner.

20          Q.    Okay. But it is a thinner portion of the  
21 reservoir?

22          A.    Yes.

23          Q.    All right. So the poorer wells, or the wells  
24 that contributed the least, were in the thinner part, no  
25 matter what was in that thinner section.

1           A.    They're not necessarily poorer wells.

2           Q.    But they contributed less overall than the  
3 original well?

4           A.    They impacted our unit to a greater extent.

5           Q.    Let's go now to your Exhibit Number 27.  And I  
6 guess we need to again look at these in conjunction with  
7 28.

8           A.    And my Exhibit 27?

9           Q.    Yes.

10          A.    The pressure?

11          Q.    And then the following exhibit, which shows the  
12 production curves.

13          A.    Yes.

14          Q.    Okay.  If we look at Exhibit 27, this is the  
15 pressures you see in the North Dagger Draw Pool since 1962  
16 through basically --

17          A.    North Dagger Draw Pool, only within Township 19  
18 South, 25 East.

19          Q.    Okay.  And so what we are looking at here is  
20 evidence that back in 1962 we were close to original  
21 reservoir pressure, about 3000 pounds?

22          A.    Yes.

23          Q.    And as we go forward, we get to a fairly steady  
24 decline until about 1984?

25          A.    Yes.

1 Q. And then it drops and we have a cluster of  
2 points --

3 A. Yes.

4 Q. -- 1993 through 1995?

5 A. Yes.

6 Q. Now we're looking at the same properties, are we  
7 not, when we look at Exhibit Number 28?

8 A. Yes.

9 Q. And what you're showing on Exhibit 28 is the  
10 withdrawal, actually, from this area?

11 A. Yes.

12 Q. This Exhibit 28 is a logarithmic plot, is it not?

13 A. Yes.

14 Q. So when we look at this and we see the production  
15 take off, say, in 1984, and we compare that to the  
16 increases that we see, say, in 1989 through 1991 --

17 A. Uh-huh.

18 Q. -- actually from 1989 to 1991, we're seeing about  
19 ten times as much of an increase as we see in 1984; isn't  
20 that right?

21 A. Yes.

22 Q. It's just a function of the kind of plot we've  
23 utilized here; isn't that correct?

24 A. Yes.

25 Q. And so what we really see is a tremendous

1     increase in production 1989, 1991, 1993, in that time  
2     frame; isn't that right?

3             A.    Yes.

4             Q.    Okay.  And so what we see in the area that you've  
5     selected is a fairly steady decline, and then the points  
6     drop down here to the clusters shown in 1993 and 1995?

7             A.    Yes.

8             Q.    If you take just those points in 1993 and 1995,  
9     you really don't see that continuation of decline, do you?

10            A.    There's not enough history.

11            Q.    So we've just got a cluster of points around 2000  
12    pounds, somewhere in that nature, slightly above?

13            A.    Yes.

14            Q.    And so that is really not markedly different than  
15    what we see when we look at Mr. Fant's Exhibit Number 16?  
16    We see a cluster of points in 1991, 1993 through 1995.  Did  
17    you want to see it?

18            A.    Well, they're probably, hopefully, the same  
19    pressure points, possibly taken to a different datum.

20            Q.    But when we plot the decline and continue it off  
21    as if there's a big drop from 1982 and continue it  
22    forward -- really the plots up there are scattered in 1993  
23    to 1995 -- it's hard to look at that alone and see if we're  
24    continuing to drop or if we're holding at about 2000  
25    pounds?

1 A. From this data you cannot make that statement.

2 Q. We do have one point that's off the bottom of the  
3 chart. That's the Savannah State Number 2, is it not?

4 A. Yes.

5 Q. That was recently drilled by --

6 A. -- Conoco.

7 Q. -- Conoco?

8 A. Yes, sir.

9 Q. That point, I believe you indicated, showed the  
10 results of excessive fluid withdrawal; is that --

11 A. That's my interpretation.

12 Q. Now, if we take out Exhibit Number 8, if we take  
13 this one out -- this is Mr. Hardie's Exhibit Number 8 --  
14 the Savannah Number 2 is the well in the upper left-hand  
15 corner of the block on this exhibit, at the bottom marked  
16 29; is that not correct?

17 A. Yes.

18 Q. If we first compare that with Exhibit Number 1,  
19 isn't the Savannah Number 2 in a -- again, a thinner  
20 section than even the Savannah Number 1, the well  
21 immediately offsetting it to the east?

22 A. Yes.

23 Q. Now, we can't tell what the size of the pod might  
24 be in which the Savannah Number 2 is located, can we?

25 A. No.

1           Q.   And we can't tell what other wells might be  
2 included with the Savannah Number 2 in that pod; is that  
3 right?

4           A.   Not at this stage.

5           Q.   It might be in a pod with the Savannah Number 1  
6 to the east; isn't that right?

7           A.   It could be, but Mr. Fant showed yesterday that  
8 that probably is draining a very small area of 29 acres.

9           Q.   It might be in a pod with the Boyd 6, the offset  
10 due north; isn't that correct?

11          A.   It could be, yes.

12          Q.   Or it might be in a pod with the Joyce well, the  
13 immediate offsetting well to the west; isn't that right?

14          A.   It could be.

15          Q.   And it's experienced, I think you said, excessive  
16 fluid withdrawal?

17          A.   It's experienced excessive pressure decline.

18          Q.   If it's from the Boyd 6 -- that's the spacing  
19 unit due north, the well due north of it --

20          A.   Uh-huh.

21          Q.   -- the Yates well.

22          A.   Yes.

23          Q.   If we look at Exhibit Number 8, that's on a  
24 spacing unit that according to Mr. Hardie is going to  
25 recover only 1.26 times the reserves that are originally

1 under it; isn't that right?

2 A. Yes.

3 Q. And if it's being drained by the Joyce well off  
4 to the west, that's from a unit that's operated by Conoco,  
5 I believe, that's going to produce 1.48 times what's under  
6 its tract; is that right?

7 A. Yes, yes.

8 Q. Bottom line is, we don't know why that well is  
9 actually at that low pressure, do we?

10 A. Well, we know that there have been fluids  
11 withdrawn. It is in communication with some portion of  
12 this reservoir.

13 Q. And we don't know where?

14 A. No.

15 Q. Okay. If we keep the rules exactly as they are,  
16 that 700-barrel-a-day allowable per 160, there are certain  
17 recently drilled wells that are going to have to be  
18 restricted; isn't that correct?

19 A. Yes, or cannot be drilled until they -- Yeah,  
20 that's correct.

21 Q. Does Conoco operate any of those recently drilled  
22 better wells that --

23 A. No.

24 MR. CARR: That's all I have.

25 CHAIRMAN LEMAY: Additional questions of the



1 witness?

2 Yes, sir, Mr. Bruce?

3 EXAMINATION

4 BY MR. BRUCE:

5 Q. Mr. Beamer, there are -- I don't have a map in  
6 front of me. There are numerous well units which have  
7 undrilled locations on them because of one or two wells in  
8 that unit which are producing the allowables; is that  
9 correct?

10 A. Yes.

11 Q. Now, if these undrilled locations are offset by  
12 wells outside of that well unit, which are producing at the  
13 700-barrel-a-day allowable, are those undrilled locations  
14 suffering drainage?

15 A. They could be, as a result of pressure decline,  
16 yes.

17 Q. How could you tell?

18 A. Pardon?

19 Q. How could you tell if they were suffering  
20 drainage?

21 A. Well, you drill the well and measure the  
22 bottomhole pressure, for one.

23 I mean, until the location is drilled you can't  
24 tell.

25 MR. BRUCE: Thanks.

1 CHAIRMAN LEMAY: Additional questions?

2 Commissioner Bailey?

3 EXAMINATION

4 BY COMMISSIONER BAILEY:

5 Q. Does Conoco use saltwater disposal wells that are  
6 injected into the formation?

7 A. No.

8 Q. None of your saltwater disposal wells inject into  
9 the --

10 A. None into the producing formation.

11 Our saltwater disposal goes into Devonian  
12 formation, which is significantly deeper than the producing  
13 horizon, yes.

14 Q. For those other saltwater disposal wells within  
15 the pools that are injecting into the formation, do you see  
16 a significant impact on the pressures or the recovery?

17 A. I quite honestly am not aware of any wells  
18 injecting into the producing formation, other than what  
19 Yates might be doing in their pilot waterflood project. At  
20 this moment, I can't think of a disposal well into the  
21 formation, into the producing formation.

22 Q. Can you speculate as to what impact that may have  
23 on the recovery?

24 A. It could be detrimental to the recovery. I think  
25 with the nature of this reservoir, with some high vugular

1 developed systems, high vugs, high flow channels, that if  
2 you start injecting water into this reservoir you will  
3 cycle water from well to well, and you could ultimately  
4 damage the recovery. That's why we are not interested in  
5 doing any waterflood work in this area.

6 Q. Maybe you can help me put together a few of these  
7 exhibits.

8 A. Okay.

9 Q. Exhibit Number 8 and Exhibit 31.

10 A. I've got mine so out of order --

11 Q. Okay, 31 is the North Dagger Draw Cisco --

12 A. Okay, I'll see if I can find that one. Yes.

13 Q. Exhibit 31 indicates that it was declining at a  
14 40-percent decline rate.

15 A. Yes.

16 Q. And then changed to a 75-percent decline rate.

17 A. Yes.

18 Q. Is that 40-percent decline rate typical of what  
19 should be in that particular area, in light of Exhibit 8?

20 A. In my opinion, it is, yes. That was the  
21 established production decline for this drainage area that  
22 these wells were draining, prior to interference.

23 Q. Okay, so you're saying that this 40-percent  
24 decline rate is typical of the other --

25 A. No.

1 Q. -- wells in that area?

2 A. No, I'm not. Each well and each proration unit  
3 will have its own particular decline, depending upon the  
4 thickness of the reservoir encountered, the porosity,  
5 permeability, the volume of oil within that drainage  
6 system, the capacity to produce.

7 It can become complicated, but each proration  
8 unit, each well, will develop its own specific performance  
9 decline.

10 Q. And each one will have a specific change in the  
11 rate of decline through time?

12 A. Probably, yes. Until they begin interfering with  
13 each other, and then at that time you typically will see  
14 the interfering wells all declining at the same rate.

15 Q. Now, I was just still under the impression that  
16 maybe 28 and 21 and 9 of the referenced portions of the  
17 Exhibit 8 may have actually benefitted because they're  
18 above 1.25.

19 A. It's possible. Again, the basic problem with  
20 volumetric estimates are the parameters that go into the  
21 volumetrics, and these are relative numbers. I guess --  
22 Some of these areas have recovered more than what we say a  
23 1.25 base number might be.

24 But again, for instance, in Section 21 -- I mean  
25 the reference to Section 21 on Exhibit 8 was one of the

1 earlier producing proration units in this field area and  
2 did probably drain oil from the east prior to the discovery  
3 of this eastern area.

4 Q. So it works both ways?

5 A. It works both ways.

6 COMMISSIONER BAILEY: That's all the questions I  
7 have.

8 CHAIRMAN LEMAY: Commissioner Weiss?

9 EXAMINATION

10 BY COMMISSIONER WEISS:

11 Q. Yeah, this issue of interferences might be in the  
12 eyes of the beholder, it appears to me, from what I've  
13 heard here. And is there a definitive way to pin this  
14 down, pressure testing, multi-well pressure testing,  
15 interference testing? Does that give you an absolute look  
16 at this interference problem?

17 A. It could. We have not done that. We've relied  
18 strictly on an analysis of changing decline rates, you  
19 know, similar to what I've done, and I think Yates has done  
20 the same thing, looking at interference effects as  
21 indicated from the changing decline rates.

22 To my knowledge, Yates has not done pressure-  
23 interference tests, and I know that we have not.

24 Q. Would that work, do you think?

25 A. It's possible that it could work.

1                   COMMISSIONER WEISS: That's the only question I  
2    had. Thank you.

3                                   EXAMINATION

4    BY CHAIRMAN LEMAY:

5           Q.    Mr. Beamer, what do you think of the Yates  
6    fracture closure theory where you had 3000 pounds and then  
7    you start coming in at 2200 or 2300, the reason for that  
8    being that some of the fractures that were open have  
9    closed, and therefore you've kind of compartmentalized the  
10   reservoir at that point, because you've closed the  
11   fractures?

12          A.    I don't think we support that theory. For one  
13   thing, we don't recognize that the reservoir is that  
14   significantly fractured. The vugular nature of it provides  
15   the flow capacity, in our opinion.

16          Q.    Okay. In terms of -- You mentioned it would not  
17   be your opinion to -- or your recommendation, if you were  
18   going to stay with Conoco, to do any waterflooding in this  
19   field. How do you feel about injection of carbon dioxide?

20          A.    Absolutely not. CO<sub>2</sub> is too expensive, and if a  
21   waterflood will cycle through this vugular system, we would  
22   end up cycling CO<sub>2</sub>, and that is just too expensive to do.

23                   I've been personally involved in a CO<sub>2</sub> project  
24   that failed, and it's not fun. Economically, it's  
25   difficult to approach a manager with an uneconomic CO<sub>2</sub>

1 flood.

2 I would not ever propose a CO<sub>2</sub> project here.

3 Q. Do you have any suggestions for getting any more  
4 than -- what, 12 to 20 percent of the oil in place out of  
5 this reservoir?

6 A. At this time, no, I do not. It would be nice if  
7 Yates can prove that waterflooding does work.

8 My analysis of it is that there have been so many  
9 fluids withdrawn from this reservoir, to rebuild pressure  
10 to any degree would require so much water, we don't have  
11 enough water available to do it, and we did not think we  
12 had enough -- It would be too expensive for us to even  
13 begin developing the capacity required to inject.

14 Our estimate was, it would take 30,000 to 40,000  
15 barrels of water per day to even begin to make an impact,  
16 and that's not considering the cyclic nature that would  
17 occur.

18 We think we would have rapid breakthrough of  
19 water.

20 Q. Since you're retiring, I can ask you to speculate  
21 a little bit here. Where is all this water leg?

22 If we see a relatively narrow band of dolomite  
23 that is the reservoir, we can't reach very far downdip  
24 southeast for it. Do we have to go along strike to get it?

25 A. That's something I'd rather have the geologist

1 discuss. It's difficult to interpret where all this water  
2 is coming from, especially in the gas cap. Gas cap  
3 production comes with very high water volumes. That's  
4 difficult to --

5 Q. Would you agree that there is some water drive in  
6 the Indian Basin gas field itself?

7 A. I haven't looked at that production history to  
8 say.

9 My analysis of this unit tells me that if there  
10 is any influx, it is very limited. We might see it at the  
11 very tail end of this production history.

12 But at this time, there is no evidence of any  
13 significant pressure support.

14 Q. There seems to be watering out of wells in the  
15 Indian Basin field, is the reason why I mention that.

16 A. Okay, I'm not aware of that.

17 Q. Well, do you want to do any more speculation  
18 before we release you?

19 A. No, I'm speculating whether I'm going to make  
20 Midland in time.

21 CHAIRMAN LEMAY: Thank you very much, and good  
22 luck on your retirement. We appreciate your testimony.

23 Boy, that's hitting it pretty good, huh? Twelve  
24 o'clock.

25 Do you have any more witnesses?



1 MR. KELLAHIN: No, sir, that concludes our direct  
2 presentation, Mr. Chairman.

3 CHAIRMAN LEMAY: Would you rather sum it up  
4 before we go to lunch or --

5 MR. KELLAHIN: I think Mr. Carr may have  
6 something else to do here.

7 MR. CARR: Mr. LeMay, I'm going to request that I  
8 be permitted to recall Mr. Fant for some very brief  
9 rebuttal testimony.

10 CHAIRMAN LEMAY: Well, we can -- about how -- Do  
11 we have some more testimony that we're going to be hearing  
12 here?

13 I was just trying to gauge whether to come back  
14 from lunch or whether to --

15 MR. CARR: I might suggest that some people have  
16 some airline --

17 CHAIRMAN LEMAY: Do they?

18 MR. CARR: -- flights they're trying to make.

19 CHAIRMAN LEMAY: Well, let's keep going.

20 MR. CARR: Mr. Beamer is one of them.

21 CHAIRMAN LEMAY: Sure. Well, you bet. Let's  
22 just keep going and --

23 MR. KELLAHIN: It would be our preference to try  
24 to finish it up.

25 CHAIRMAN LEMAY: Let's wind it up.

1 MR. CARR: All right. At this time we would  
2 recall Mr. Fant.

3 ROBERT S. FANT,  
4 the witness herein, having been previously duly sworn upon  
5 his oath, was examined and testified as follows:

6 DIRECT EXAMINATION

7 BY MR. CARR:

8 Q. Mr. Fant, I would request that you refer to what  
9 has been marked as Conoco Exhibit Number 6.

10 A. Okay.

11 Q. Can you identify that for us so we know what  
12 we're talking about?

13 A. It's a map, a plat entitled North Dagger Draw,  
14 Base Map Showing Allowable Violations.

15 Q. And on each of the tracts, there is a number of  
16 overproduction, is there not?

17 A. Yes, that's correct.

18 Q. And what does that number represent?

19 A. Basically it should represent the cumulative  
20 overproduction through -- as it was reported by them,  
21 through 7 of 1996, actually through the month of June, up  
22 until the beginning of July.

23 Q. Does it have any relationship to the recoverable  
24 reserves that were originally under that individual tract?

25 A. No.

1           Q.   It's just simply a reflection of how much over  
2           the current 700-barrel-a-day allowable those individual  
3           parcels happen to be; is that right?

4           A.   Yes.  I'd point out one minor problem in their  
5           analysis.  They used the wrong number of days for a few  
6           months in the later parts of this year, since February, and  
7           the northwest -- the tract number 1 on this one that they  
8           show with 3179 barrels of overproduction was at this time  
9           underproduced, and it still is underproduced, and so it's  
10          no longer in that status.  So it would be a negative number  
11          also.

12          Q.   All right.  Now, let's -- But those are basically  
13          subject to some mathematical corrections --

14          A.   Just math.

15          Q.   -- units that are overproduced?

16          A.   Yes.

17          Q.   Those numbers shown are only numbers that show  
18          how much those units are overproduced, not what's under  
19          there, those tracts in the reservoir?

20          A.   Yeah, they have nothing to do with recovery of  
21          oil; they simply have to do with what's been recovered as  
22          against some mythical number or some -- not a mythical  
23          number, but a number, 700 barrels a day.

24          Q.   All right, let's go to Exhibit Number 7.  Can you  
25          identify this?

1           A.   Exhibit Number 7 is the volumetrics map,  $\phi h$ ,  
2           presented by Mr. Hardie, for the same basic area that's  
3           shown in the previous one, with the overproduced area  
4           shaded in yellow.

5           Q.   Mr. Hardie testified that he had used electric  
6           logs to help prepare this data; is that right?

7           A.   Yes, he did.

8           Q.   How reliable is that?

9           A.   Well, in my experience, that was one of the first  
10          things I learned in this field, was that density neutron  
11          logs were incorrect. And Mr. Hardie in his direct  
12          testimony specifically said that imaging tools are much  
13          better.

14                Most of these wells do not have imaging logs.  
15          I've been working with some people to develop -- you know,  
16          mostly through their minds, not necessarily in my mind, but  
17          to utilize some artificial-intelligence technology to be  
18          able to predict what imaging logs would look like for a  
19          well where you didn't have imaging logs, you only had old  
20          ones.

21                But what the imaging logs -- one of the most  
22          powerful things they show is that sometimes the porosity --  
23          the true porosity in the reservoir is sometimes two,  
24          sometimes even three times higher than what a regular  
25          density neutron log reads. Okay? And that's -- You know,

1 and that makes sense with the amount of fluids that are  
2 being able to be withdrawn. And they furthermore show that  
3 in some instances -- and that two to three times can be for  
4 average over a well.

5 In some areas, you have places where it shows  
6 essentially zero -- the density neutron shows zero  
7 porosity. In other words, with a two-percent porosity  
8 cutoff, it would not be net pay, according to this map.

9 But with the imaging log or through the use of  
10 the artificial intelligence, you can see that oftentimes  
11 there is porosity there that is missed -- that secondary  
12 porosity that is missed by the density neutron tool, which  
13 primarily is designed to measure primary porosity. That's  
14 what Schlumberger -- Those are the people we happen to use.  
15 That's what they designed the tool to do.

16 And so within this map, in many different areas,  
17 there would be many different areas where  $\phi_h$  is even missed  
18 when you use conventional logs. And it would be missed in  
19 the areas that have high porosity, and it would be missed  
20 in the areas that have low porosity. So you cannot use  
21 density neutron logs directly to predict  $\phi_h$  per well. I do  
22 not believe you can do that.

23 Q. Wasn't the problem with the reliability of this  
24 log data discussed by Mr. Finley in 1991 in this hearing --  
25 in the rule hearing for Dagger Draw?

1           A.    Yes, Mr. Finley brought that up in 1991, that  $\phi h$   
2 maps are quite -- not the  $\phi h$  map, but porosity values are  
3 quite suspect. In fact, he proposed just adding 6-percent  
4 porosity to whatever the density neutron reads. I don't  
5 believe that's an accurate method of doing it, because in  
6 some wells we see great secondary porosity, in other wells  
7 we don't see great secondary porosity. So you really need  
8 to look and try to predict what that secondary porosity is,  
9 and we are working on -- we have not finalized, but we are  
10 working on techniques to do that.

11           Q.    Let's go now to Exhibit Number 8.

12           A.    Okay.

13           Q.    Would you identify that?

14           A.    This is Conoco Exhibit Number 8, the volumetric-  
15 versus-decline-curve reserve comparison.

16           Q.    Do you agree with how the factors that are  
17 depicted on this exhibit were actually calculated?

18           A.    No, sir, I'm real concerned with one and that is  
19 how to calculate the water saturation. Conoco was  
20 concerned and said it's a tough thing to do, and I admit  
21 that.

22                   Conoco based it upon a minus 4350 subsea water-  
23 oil contact, and as I remember, that Mr. Hardy  
24 characterized that as the point at which below that you  
25 don't get economic additions of oil, it's uneconomic

1 essentially to perforate below that level.

2 That's one definition of an oil-water contact. I  
3 know at least three others, okay?

4 The point at which you begin to produce water is  
5 one that's bandied about for an oil-water contact. Well,  
6 that contact for this field would theoretically be  
7 somewhere above the field, because all wells produce water.

8 There's a point at which you absolutely stop  
9 producing oil.

10 And then there is another definition of oil-water  
11 contact that is a very scientific definition. It's the  
12 point at which you have zero capillary pressure. And the  
13 point at which you have zero capillary pressure is always  
14 the lowest, absolutely, mathematically the lowest of all of  
15 those calculations, of all of those oil-water contacts, the  
16 four different kinds that we just described. The one  
17 that's structurally lowest always is the one with zero  
18 capillary pressure.

19 And that is the only one, that definition, that  
20 point of zero capillary pressure is the only oil-water  
21 contact that can be used to predict the water saturation as  
22 a function of height above the oil-water contact. When you  
23 do that, when you predict water saturation as a function of  
24 height above the oil-water contact, that oil-water contact  
25 mathematically has to be the point of zero capillary

1 pressure.

2 And it's sometimes 200 or 300 feet below the  
3 point where you stop making significant amounts of oil,  
4 because we have oil saturation in the reservoir at that  
5 point, so to have oil saturation in the reservoir at the  
6 point where we stop producing oil, that means we're --  
7 residual oil saturation is right there. That point right  
8 there, by definition, has to have capillary pressure, so  
9 that's not a zero capillary pressure point.

10 So if you're not using the point of zero  
11 capillary pressure to reference those calculations from,  
12 they would be wrong. And what it would cause to happen is  
13 that the volumetric -- it would cause the water saturation  
14 to be predicted too high and the volumetric oil recovery  
15 within the unit to be predicted too low.

16 That's one of the problems that's occurring.

17 Q. Look at tract 18, right in the middle.

18 A. Tract 18, yes, sir.

19 Q. The bottom number, what does that bottom number  
20 indicate?

21 A. The 2.56?

22 Q. I'm sorry, I don't have the exhibit.

23 A. Oh, I'm sorry. This 2.56 here?

24 Q. There's an 1100 number. Do you know what that  
25 is?



1           A.    The 1100 number is what Conoco is describing as  
2   the estimated ultimate recovery from decline-curve  
3   analysis.

4           Q.    And then the bottom number?

5           A.    And the bottom number in red, 2.56 is the ratio  
6   between the EUR reserve from decline-curve analysis and the  
7   volumetric reserves that they calculated.

8           Q.    As you understand that 2.56 number, what does  
9   that show?

10          A.    Conoco is saying here that this -- these two  
11   wells on this spacing unit will recover over 2.5 times what  
12   volumetric numbers would suggest that they can recover.

13          Q.    Can you, by looking at this exhibit, tell us  
14   where that 2.5 times what was originally there is coming  
15   from?

16          A.    Well, that -- Yeah, I looked at that, and it's  
17   really problematic, because you look to the north, that  
18   unit is at 2.32. To the northeast it's 1.81. Now, over to  
19   the right in 19 it's 1.2, which is what they said it should  
20   be, you know, 1.2, 1.25.

21                In all directions, everything is recovering  
22   basically as much or more than they said they were supposed  
23   to do. But they've already -- They're claiming by this  
24   that that's draining it from somewhere, but it doesn't look  
25   like anything around it is being drained.

1           Q.   Mr. Fant, when you look at this exhibit and these  
2 numbers and look at the preceding exhibit and the  
3 calculations that have been utilized, in your opinion  
4 should these numbers be relied on as depicting what's  
5 actually going on in the reservoir?

6           A.   No, sir, the porosity is wrong, the h is wrong,  
7 the saturations are wrong.

8                   Basically, the components that went into the  
9 analysis of volumetrically recoverable reserves, the basic  
10 components that went into that, every one of them is very  
11 suspect.

12          Q.   Let's go to Yates Exhibit 24, the curve on the  
13 Polo well.

14          A.   Yes.

15          Q.   Mr. Hardie indicated he could see a decline. Do  
16 you?

17          A.   Well, I see that the well was stabilizing over  
18 about the last five days at about 1300 barrels a day.

19                   Mr. Kellahin had talked to me before that, you  
20 know, has the stabilized? He continually asked me, had one  
21 stabilized? Well, this one was beginning to. It was  
22 producing -- and I'll call your attention to this -- it was  
23 producing approximately 3300 barrels of liquid per day.  
24 The pressure in the reservoir and the pump could combine to  
25 move 3300 barrels of liquid to the surface on -- when we

1     went to turn the well off.

2                 Now, they have said that we had -- and Mr. Beamer  
3     used the words "pressure decline from offset wells". They  
4     said that the pressure had declined in this.

5                 I want to call your attention to the fact that  
6     when we got the well producing again, it's producing 33- --  
7     it dropped -- it was producing 2800 barrels of oil and  
8     about 600 barrels of water, which is 3400 barrels of  
9     liquid.

10                In other words, the pressure in the reservoir was  
11    delivering exactly the same amount of liquid into this  
12    well. And we were -- And it has to be going against this  
13    same pressure, because if it wasn't going in the same  
14    pressure in the wellbore, that pump wouldn't be able to  
15    lift that much. This pump is not supposed to be able to  
16    lift this much as it is. It's because there's a very high  
17    fluid level in this well.

18                The fluid level, when we turned it on -- or the  
19    bottomhole producing pressure, when we turned it back on,  
20    is the same as it was before. The reservoir pressure  
21    essentially has to be the same as it was before, because  
22    we're moving the same amount of liquid, we're moving the  
23    same amount of fluid out of this reservoir.

24                Q.    Mr. Fant, is it fair to say when you look at this  
25    graph you don't see a decline?

1           A.   Absolutely not, when you analyze the total fluid.

2           Q.   Do you see potential damage to that well?

3           A.   It can really only be explained as damage to the  
4 well. It falls back to my statement yesterday that you  
5 must take into account all of the data on everything.

6           MR. CARR: That concludes my redirect of Mr.  
7 Fant.

8           CHAIRMAN LEMAY: Mr. Kellahin?

9           MR. KELLAHIN: No, sir.

10          CHAIRMAN LEMAY: Any other questions of the  
11 witness?

12          Commissioner Bailey?

13          COMMISSIONER BAILEY: No.

14          CHAIRMAN LEMAY: Commissioner Weiss?

15          COMMISSIONER WEISS: I have no questions.

16          CHAIRMAN LEMAY: Nor do I. Thank you.

17          Are we ready to sum it up? Are there any other  
18 witnesses or --

19          MR. KELLAHIN: I have a point of procedure, Mr.  
20 Chairman.

21          CHAIRMAN LEMAY: Yes.

22          MR. KELLAHIN: Mr. Carr announced at the  
23 beginning of the hearing that he was representing Nearburg  
24 Exploration Company --

25          CHAIRMAN LEMAY: Yes.

1 MR. KELLAHIN: -- if I remember right.

2 I have received a copy of a letter written to the  
3 Commission from Mr. Bob Shelton on behalf of Nearburg, in  
4 which he asks you to take his comments and recommendations  
5 into consideration at this hearing. Nearburg is a major  
6 violator of the overproduction. And I was curious of Mr.  
7 Carr if he intends to submit Mr. Shelton's letter into the  
8 record of this case.

9 MR. CARR: No, I do not. I do not.

10 MR. KELLAHIN: Then I propose to do so, Mr.  
11 Chairman.

12 CHAIRMAN LEMAY: Okay, thank you. My  
13 recollection of that letter, they were asking for a longer  
14 period to make up the overproduction, wasn't it?

15 MR. CARR: And I would note that this is not  
16 sworn testimony, and if it is taken into -- it can't  
17 actually as such be considered; it is nothing more than a  
18 comment.

19 CHAIRMAN LEMAY: Nothing more than what?

20 MR. CARR: Just a comment.

21 CHAIRMAN LEMAY: A comment.

22 MR. KELLAHIN: Mr. Chairman, these are admissions  
23 by an opponent in this case. It's an adjudication by you.  
24 It's a major violator, and I think his statements in here  
25 are very relevant and very important for your

1 consideration.

2 CHAIRMAN LEMAY: We'll weigh the letter  
3 accordingly.

4 Okay, anything else, Mr. Kellahin?

5 MR. KELLAHIN: No, sir.

6 CHAIRMAN LEMAY: Any reason to leave the record  
7 open for any additional information on this case?

8 MR. KELLAHIN: I don't know if there's -- There's  
9 other participants in the hearing, Mr. Chairman. I don't  
10 know if they have statements or requests from you.

11 CHAIRMAN LEMAY: Are you all going to make a  
12 statement, Jim?

13 MR. BRUCE: Yes, sir, I will, but it will be  
14 about 20 seconds long.

15 CHAIRMAN LEMAY: Okay, anyone else going to be  
16 giving a statement?

17 MR. KENDRICK: (Shakes head)

18 CHAIRMAN LEMAY: I think the show is still yours,  
19 so --

20 MR. KELLAHIN: All right.

21 CHAIRMAN LEMAY: -- are there any reasons you  
22 want to leave the record open?

23 MR. KELLAHIN: Not from our position, Mr.  
24 Chairman.

25 CHAIRMAN LEMAY: Okay. Do you want anything else

1 for the record to consider?

2 Okay. Well, we'll close it and take it under  
3 consideration after you sum it up.

4 MR. BRUCE: Mr. Chairman, just on behalf of Unit  
5 Petroleum, I'd like to state that Unit supports an increase  
6 in the allowable in the North Dagger Draw as the only way  
7 to protect its correlative rights. It owns working  
8 interest in well units which are now allowable-restricted,  
9 and without an allowable increase it will be unable to  
10 drill four wells per 160-acre unit for some time.

11 Without drilling those additional wells, Unit  
12 believes it will suffer drainage from wells on offsetting  
13 leases in which it has no interest, and Unit further  
14 believes the data presented yesterday and today supports  
15 the allowable increase.

16 CHAIRMAN LEMAY: Thank you. Additional  
17 statements in the case?

18 Do you all want to sum it up?

19 MR. KELLAHIN: Yes, sir.

20 CHAIRMAN LEMAY: That's it.

21 MR. KELLAHIN: Do you want me to go first?

22 MR. CARR: (Nods)

23 MR. KELLAHIN: Mr. Chairman, let me comment on  
24 Mr. Shelton's letter on behalf of Nearburg. I would ask  
25 that at the appropriate time you read it in its entirety.

1           Nearburg is representing to you their belief that  
2           they consider this reservoir is pressure-connected  
3           throughout the known producing area, and they are  
4           attempting to form an objective opinion on the appropriate  
5           method for producing and cutting back their -- this high-  
6           capacity reservoir.

7           It goes on and says, Nearburg has no objection to  
8           the allowable staying at 700 barrels a day in North Dagger  
9           Draw.

10           He does make a misstatement with regards to the  
11           Conoco overproduction in the northeast of 32. I think he  
12           has misstated. That's the Mewbourne tract, and it should  
13           be the northwest of 33. I think he simply misplotted the  
14           information. There's certainly no indication in this  
15           record by any of the parties that the northeast of 32 is  
16           overproduced.

17           He asks for an extension beyond the 18 months to  
18           make up the overproduction. He's asking for a 24-month  
19           period.

20           And I think the last paragraph, perhaps, sums up  
21           this case as good as can be summed up. He says, Certainly  
22           with new technology and ever-increasing knowledge of  
23           reserve behavior, reservoir behavior, regulations must keep  
24           pace to keep our industry viable. Likewise, once set,  
25           production allowables must be honored, or the Oil



1 Conservation Division mandate to protect correlative rights  
2 and prevent waste becomes impossible, and responsible  
3 operators who obey the regulations are severely penalized  
4 for their honest. Such in lies Conoco's dilemma.

5 The rules and regulations of the Division are  
6 very clear and unambiguous. Illegal oil is defined by the  
7 Oil Conservation rules to mean crude petroleum produced  
8 from a well in excess of the allowables fixed by the  
9 Division, and the sale, purchase, acquisition or the  
10 transporting, refining, processing or handling in any way  
11 of that oil is prohibited. Illegal oil cannot be  
12 transported from the lease tanks or sold.

13 In North Dagger Draw, the Division has adopted  
14 all allowables in this pool in order to manage and regulate  
15 production in a very competitive reservoir and to assure  
16 that all operators are playing by the same rules so that we  
17 will be afforded the opportunity to protect our correlative  
18 rights. Those rules were fixed by the Division, and they  
19 were established at 700 barrels of oil a day.

20 It is Conoco's position that Yates has ignored  
21 these rules and regulations and, in our opinion, created a  
22 pressure differential to their spacing units, a greater one  
23 than would have occurred had they complied with the  
24 regulatory producing rates that were set by the Division.  
25 That unfair competitive advantage has taken advantage of

1 US,

2 It is our technical conclusion that the excess  
3 pressure depletion of the reservoir cannot be restored, and  
4 Yates has caused permanent damage to the correlative rights  
5 of Conoco as an operator who has complied.

6 My good friend Mr. Carr is very fond of borrowing  
7 a phrase that my dad used to quote to this Commission years  
8 ago, and my dad, like Mr. Carr, always opened his closing  
9 statements by saying that the Oil Conservation Commission  
10 is a creature of statute, you're empowered and limited to  
11 protect correlative rights and prevent waste, and I'm sure  
12 Mr. Carr is going to tell you that once again, and he's  
13 going to ask you to do your duty to protect the correlative  
14 rights of Yates.

15 And what right has Yates asserted? They're  
16 asserting the right to unrestricted capacity allowables in  
17 North Dagger Draw. They're asserting the right to  
18 intentionally disregard your rules and to overproduce their  
19 producing allowables and to be excused and forgiven for  
20 that overproduction. They're exercising their correlative  
21 right, they contend, to resort to unregulated competitive  
22 practices in the reservoir.

23 The right to produce the oil is established by  
24 our rules and regulations, and there's a correct way to go  
25 about changing those rules, and then there's the wrong way.

1 The correct way to do this in this pool was done in 1991,  
2 when Conoco did it the right way. They brought their data  
3 into this regulatory body, got those rules changed  
4 prospectively, and then everybody is afforded a level  
5 playing field, and they produced at the higher rates. That  
6 is how we play fair.

7 What has occurred here is that Yates has taken  
8 information that they have had for almost a year and, to  
9 their advantage, has produced production from the pool, and  
10 after doing that, now contends it's wasteful to have them  
11 restricted.

12 Here's the real problem. The rules were  
13 flexible. They were generous to the operators in a very  
14 complicated reservoir. That flexibility afforded them the  
15 opportunity to make the choice to drill as many as four  
16 wells in a 160-acre spacing unit. But with that  
17 flexibility was the responsibility to drill their wells and  
18 produce them in a sequence that they abided by the top oil  
19 limit.

20 Yates chose not to do that. They drilled more  
21 wells than they needed in order to produce that allowable.  
22 And once they started doing that, as you can see from Mr.  
23 Shelton's letter, Nearburg responded, the flexibility of  
24 the rule becomes a problem and that now we in fact have  
25 unregulated competition occurring.

1           The fault is not Conoco's, the fault is not this  
2   Commission's, the fault is not Mr. Gum's. The fault is  
3   Yates, and they bear us the responsibility and the  
4   obligation to solve this problem.

5           I think it's unfair for them to ask us to forgive  
6   their overproduction. And the excuse is that now that they  
7   have drilled high-capacity wells, that if you restrict  
8   them, there may be some drop in the oil cut. How dare they  
9   put us in that predicament?

10          We've seen from the testimony of our witnesses  
11   that it's become a point in time in the reservoir where the  
12   violation and impairment of our correlative rights might  
13   not be cured. It's also a problem for us to figure out how  
14   are we going to balance the playing field, and what  
15   penalties are imposed upon Yates for the activity they have  
16   engaged in?

17          Let's not lose sight of the fact that Yates, by  
18   their action, has pushed this agency into a corner, they  
19   have challenged the regulatory integrity of the compliance  
20   methods of this Division. And historically this agency has  
21   not had to be policemen. We have established rules and  
22   afford the opportunity to all the players to be self-  
23   policing and to comply. Fortunately, that has worked most  
24   often.

25          I've been practicing before you for more than 25

1 years. I am unaware of a violation to this extent and to  
2 this magnitude.

3           Whatever you do with regards to this case is  
4 going to send a regulatory message to the State of New  
5 Mexico and to all operators. And we can niggle over  
6 whether or not there is wasteful consequences to asking  
7 Yates to reduce their production. If you look at the  
8 numbers, there's a 7- or 8-percent differential. Yates has  
9 put a price on it. They say it's \$7 million that we're  
10 somehow not going to get to keep. The problem is that the  
11 gross profit is \$20 million. And how do we do that? We're  
12 not very well equipped as regulators to manage that.

13           It would be wonderful to take the profit out of  
14 the violation and to ask Yates to turn over the profits  
15 from the illegal oil, and let's put it in the State of New  
16 Mexico. If I had the ability to do that, I would suggest  
17 that would be a marvelous solution.

18           If we had the ability to let these wells produce  
19 at capacity, wouldn't that be wonderful? Isn't it an  
20 incredible disappointment that they didn't unitize this  
21 wonderful asset, this marvelous resource? And I don't know  
22 how you fix it. I'm not sure anybody knows. But wouldn't  
23 it be neat if you could let these wells produce at capacity  
24 and yet take that profitability and share it to those  
25 people that are being drained and affected by the advantage

1 that they have sought for themselves and denied to us?

2 It is truly beyond comprehension to suggest that  
3 Yates is going to be excused or forgiven or the violation  
4 should be ignored. And so that's one issue for you to  
5 grapple with.

6 The other issue is, what are we going to do about  
7 the rules in the future? Yates has attempted to link them  
8 together, because if you link them it gives you a wonderful  
9 way out of the problem.

10 I suggest to you that Mr. Stogner's proposal to  
11 create an industry committee is a wonderful solution to  
12 this problem. I think it's an accepted practice, it is a  
13 marvelous idea.

14 I know Mr. Carr is going to tell you that you're  
15 abandoning your regulatory responsibilities and that you  
16 ought to sit here in a day and a half and figure this out  
17 and come up with the magic number, and we all go ahead.

18 But I think the responsibility for this reservoir  
19 ought to be for you to oversee its management, but to put  
20 the problem right back on the plate of the party that put  
21 it there, make these operators come together in a  
22 controlled committee activity and make them do what Mr.  
23 Stogner suggested. Let's get these brains together and in  
24 a matter of weeks or months let's put some real technical  
25 resources into solving the problem.

1           How dare they expect you to come here in a day  
2   and a half, assume all this information, spend your time  
3   and effort trying to figure out the technical aspects of  
4   this and then decide what's going to happen to us from here  
5   forward?

6           I think it is a manifest obligation of you to  
7   designate the committee operators to form this work study.  
8   I think it's a marvelous solution. We support having you  
9   do that.

10          Mr. Carr is certain to ask you to do your duty.  
11   Your duty is to control and manage the competitive  
12   reservoir that's occurring here. Unfortunately, despite  
13   your best efforts and your best intentions, Yates has  
14   broken the faith. They've breached their integrity with  
15   this Commission, and now they seek to have you forgive it,  
16   and we ask that you not do so.

17          We would ask that you modify the Examiner order  
18   to the extent that these wells be immediately shut in,  
19   until all their overproduction is made up.

20          The only evidence presented to you that that is  
21   somehow wrong is the contention by Mr. Fant that that Pogo  
22   well can't handle it. Now, you heard Mr. Hardie at length  
23   describe to you the fact that he had a well that was shut  
24   in for more than 18 months. He was able to restore it to  
25   production. It subsequently went on a steep decline,

1 simply because it had been drained by another nearby well.

2 But why should you have to decide whether these  
3 wells can bear a shut-in? Why should you decide and assume  
4 to do the engineering work to decide how to cycle these  
5 wells? Maybe we ought to just shut these wells in and let  
6 these operators get together and figure out how they're  
7 going to fix the problem Yates made.

8 We're in a difficult situation. We are a minor  
9 player in South Dagger Draw. We are not a major operator  
10 in North Dagger Draw. And we are the only operator coming  
11 forward to show you any type of technical presentation  
12 about the reservoir, other than the offender. It shouldn't  
13 be our responsibility to police the pool rules, it  
14 shouldn't be our responsibility to come here.

15 This is Yates' responsibility. They made this  
16 problem, and it's their obligation, it is their burden of  
17 proof to satisfy you beyond any reasonable doubt that you  
18 can increase the rules as they've requested. I've gone  
19 away with considerable doubt today. I hope that you have  
20 too. And if they have not satisfied you, then let's not do  
21 what they've asked to do.

22 We ask that you deny the request and that you  
23 affirm the Examiner Order with the modification that these  
24 wells be shut in.

25 Thank you, Mr. Chairman.



1           CHAIRMAN LEMAY: Mr. Kellahin.

2           Mr. Carr?

3           MR. CARR: Mr. Chairman, Mr. Kellahin has warned  
4 you that I may tell you to do your duty, and he's right.  
5 And he's trying to head that off because when we examine  
6 what your duty is in the context of this case, his case  
7 simply goes away. And so I'm going to warn you that in a  
8 few minutes I'm going to ask you to do your duty.

9           But beforehand, there are some other things that  
10 I think we ought to discuss, and I'm going to try and do  
11 it, unlike my friend Mr. Kellahin, I'm not going to have a  
12 miter on one moment and throwing lightening bolts the  
13 other, because I think this is too serious. And I think it  
14 goes beyond collateral issues of sending signals to the  
15 industry or whether or not we should unitize, because we  
16 have some very serious things before you, and things I  
17 believe you really do need to decide.

18           I also think it's important at the outset of my  
19 closing to address the statement filed by Nearburg. That  
20 statement stands before you in the same posture as the  
21 statement made by Mr. Bruce. It's an expression of an  
22 opinion of an operator. It was not sworn testimony, and  
23 Mr. Kellahin's review of it does not change it or elevate  
24 it in any way.

25           I think when we look at the Dagger Draw North and

1 South, that no one in this room doubts that this is an  
2 extremely complicated reservoir, and that's the reason that  
3 for the last 25 years the operators and this Division have  
4 been repeatedly involved with trying to figure out what  
5 must be done with this reservoir. And you have had an  
6 ongoing involvement in that process, and you haven't just  
7 passed your responsibility away to the operators in the  
8 pool.

9 And we're still learning about the reservoir and  
10 how we can effectively produce the reserves from the pool.  
11 If we go back through the history of this reservoir, we can  
12 see from the days of Roger Hanks or the days of the Conoco  
13 application in 1991, that there has been real concern that  
14 the reservoir needs to be produced without restriction.  
15 That's what Roger Hanks asked, that's what you said he  
16 could do. That's what Conoco asked for in 1991, and that's  
17 what you said they could do.

18 And we stand before you today asking you to tell  
19 us exactly what you told Roger Hanks and what you told  
20 Conoco, that yes, you recognize waste results from  
21 restricted wells, yes, there is not a serious correlative  
22 rights problem, if there's one at all, and that we must  
23 prevent waste, and yes, the allowables must go up.

24 There are two issues before you. One is the  
25 enforcement of your rules, and the other one concerns very

1 simply the waste of oil.

2           If we look at the question and the facts  
3 surrounding the overproduction in this pool, first,  
4 foremost and always, we admit we are overproduced. And  
5 when you look at that, instead of just charging in as Mr.  
6 Kellahin would like for you to, we'd like to put it in some  
7 context.

8           And we're not trying to say that it was wrong for  
9 Conoco or Mewbourne or Nearburg or anyone else to have  
10 wells that initially overproduced and through natural  
11 decline processes came back in line, but that is a fact of  
12 how the wells in this reservoir perform. And that's what's  
13 happened. It happened to ours, and last year it didn't  
14 happen to ours, and we didn't know what to do.

15           Now, we can speculate and say, Well, Mr. Gum said  
16 this, or we said this, and they should have said something,  
17 we should have reached an agreement. Bottom line is, we  
18 talked to them about it, you didn't know what to do, we did  
19 not know what to do. We continued to produce the wells, we  
20 continued to gather data, and we got into a situation where  
21 we're very substantially overproduced.

22           And we've come before you and we have done, I  
23 think, what any operator does in this situation. I mean,  
24 we're not hiding the ball. We're overproduced. And we've  
25 told you that as bad as we think what came out of the

1 Examiner Order August 14th was, we'll do that. And if you  
2 change it because you see that something else must be done,  
3 we will do that, and that we're overproduced, and it's your  
4 jurisdictional area to tell us what to do, and we will do  
5 it. But just because that's happened and just because  
6 that's going on, we can't ignore what's going on in the  
7 reservoir.

8 Now, Mr. Kellahin comes in, and you've heard him,  
9 You should have been here ahead of the fact, you should  
10 have come in here and changed the rules before the wells we  
11 thought were going to decline didn't, you should have  
12 formed an operator committee and you didn't even go out and  
13 ask.

14 You remember the Yates-Nearburg war, as Mr.  
15 Kellahin characterized it. How wise do you think it would  
16 have been to go over to Nearburg and say, Don't you think  
17 we ought to produce our wells higher so we can gather some  
18 data? I mean, those are not realistic. They're not  
19 realistic things that we could have done.

20 And then to say that, Well, if we'd gotten in  
21 here a year ago, maybe we could have increased the  
22 allowables and not overproduced, is an absolute ludicrous  
23 position to take.

24 When we came here in May, we presented to the  
25 Division data on 280 wells, data that went back over 25

1 years, and we were told we were premature. Well, I will  
2 tell you, if we were found to be premature in May of 1996,  
3 we would have been premature in your judgment in May of  
4 1995.

5 So that's how we got to this point. We're here  
6 before you telling you we are going to straighten it out as  
7 you tell us to, not as we tell you to, because you are the  
8 Commission. It's not always lop everything back to the  
9 operators, and we will deal with that problem as you want  
10 us to and you direct us to.

11 But we have a very much more important question  
12 before you here today, and that question involves the  
13 prevention of the waste of oil. I think an awful lot of  
14 the technical data is not in dispute. The pool produces  
15 large volumes of water, and we all agree that you have a  
16 higher oil cut at higher production rates. That's one of  
17 the heart-and-soul facts before you, is, you retire to  
18 resolve and address the issues presented here.

19 We've said that the producing rates are efficient  
20 and result in lower gas-oil ratios in 75 percent of the  
21 wells. We've shown you that most of the oil that is  
22 produced from additional wells in spacing units which we're  
23 drilling -- and I think everyone agrees and many areas need  
24 to be drilled -- most of that is new oil, oil that  
25 otherwise, without the wells, would be wasted. And we ask

1 for a depth bracket allowable that is increased very  
2 substantially.

3 We'd have been laughed out of here in 1991 if we  
4 had ever suggested that we would have needed to go above  
5 700 barrels a day to a number like 4000 barrels a day. But  
6 we hadn't drilled a well then that initial potentials on  
7 the well were 2460-some barrels a day. We didn't have  
8 wells, one potentially a four on a spacing unit, that  
9 stabilized like our Polo well at 1300 barrels of oil per  
10 day.

11 Now, when we talked with the expert witnesses for  
12 Conoco, they admit that if we stay at 700 a day, well,  
13 we're not going to be producing those wells as efficiently  
14 as they can produce theirs at 700, because we can't pump  
15 them off. So we have a legitimate waste issue.

16 And to sit here and suggest that we should walk  
17 into a room and try and agree with Conoco and the Nearburgs  
18 as to what could be done, and then that -- we're going to  
19 come forward with the unanimous recommendation, and we're  
20 sitting in that room with wells like we have, and everybody  
21 else who was not restricted at 700 barrels a day wants to  
22 stay there, we're walking into a situation where we're  
23 saying, don't declare war, as you have, on the fact that we  
24 have finally been able to figure out how to truly produce  
25 the reserves out of this reservoir, and apparently you have

1 not.

2 We submit to you that you can't dispute on the  
3 facts before you, and that's what you must look at. You  
4 don't go like the Examiner and go rambling through the  
5 files in old cases and try and build another case, a third  
6 case for you to consider. You look at what we've presented  
7 and what they have presented. And on the facts before you,  
8 I think you must conclude that at higher rates we're more  
9 efficient, that at higher rates waste does not occur.

10 As to the correlative rights, we've shown you  
11 that based on our review, interference occurs less than  
12 five percent of the time and that it only impacts one  
13 percent of the reserves in the reservoir. And that's  
14 because of compartmentalization reservoir, it may be  
15 because fractures close, as we believe, or it may be  
16 because of other factors within the reservoir, but  
17 compartmentalization is not an issue here. We agree on  
18 that. And because of that, the impact on correlative  
19 rights is small if at all.

20 And it's very much today like it was when Clyde  
21 Finley, Conoco's expert witness in 1991, came before you  
22 and said he didn't see a correlative-rights problem by  
23 going to 700 a day so they could produce the best wells in  
24 the pool without restriction.

25 I am going to tell you that it's time for you to

1 do your duty. And I want to tell you that when I come  
2 before you, I come before you ever mindful of the fact that  
3 I'm a lawyer and ever mindful of the fact that I come  
4 always before you with a group of lawyers. And we do, I  
5 will tell you, sense that -- and maybe rightly so -- we're  
6 generally viewed as a kind of unnecessary nuisance that you  
7 have to contend with. But there is a reason that we're  
8 here.

9 We're not here -- and I think you can tell from  
10 our depth cross-examination of technical witnesses -- we're  
11 not here to get the technical issues before you or to  
12 resolve those. We're here to remind you why you're here  
13 and to bring cases before you in the format that the  
14 Legislature said they had to come before you so you could  
15 decide them properly.

16 Mr. Hardie says, Mr. LeMay, Mr. Weiss, Ms.  
17 Bailey, you need to balance correlative rights and waste.  
18 And I will tell you that that is absolutely, absolutely  
19 wrong.

20 Jason Kellahin said, and I quote, This Division  
21 is a creature of statute whose powers are expressly defined  
22 and limited. He thought that was important. So do I.  
23 Because when you come in here to decide a case like this,  
24 you have to go back to the law, because you're a creature  
25 of statute. You're here because the Legislature gave you



1 very explicit and very important responsibilities, and your  
2 jurisdiction is based on waste, and then it is based on  
3 correlative rights.

4 Look at the definition of the terms. Waste is  
5 defined in numerous paragraphs. But correlative rights is  
6 defined as the opportunity to produce your share without  
7 causing waste. That says to this Commission, you can't  
8 protect correlative rights when you cause waste by doing  
9 it. You must look at the waste issue first. If you fail  
10 on the waste issue, you fail completely. That's what you  
11 have to look at.

12 It's not a balancing act, because when you focus  
13 on correlative rights, when you push that above, in your  
14 consideration, a waste issue, you're regulating fields not  
15 on what they can do, not on what the best operator in the  
16 pool can do with the best well in the pool; you're tying  
17 the production of reserves from the reservoir to what  
18 lesser operators do with lesser properties, and you cause  
19 waste. And that's why in our scheme, waste is the primary  
20 thing you are directed to prevent.

21 And you have to do something. It is not the  
22 function, I would submit, of a regulatory body to, when the  
23 questions get difficult, to say, Mr. Nearburg, Mr. Conoco,  
24 Mr. Yates, you go work it out and come back in 18 months.  
25 That's not the function of an agency of this nature.

1 You're here to decide cases, not just hear them. You're  
2 here to act to prevent waste.

3 And you can't duck that responsibility because  
4 the issue is complicated. When you do that, you're doing  
5 just what the Examiner did. And when the Examiner said,  
6 I'm not going to decide this, you're premature, 25 years,  
7 280 wells, every piece of data you can give us, but you're  
8 premature, and instead I'm going to pass it off to a  
9 committee.

10 That's not a failure of the Examiner to do his  
11 job, it's a refusal to do his job. Because you're here to  
12 decide cases, to render decisions on the evidence that is  
13 presented to you. And that's what we're asking you to do.

14 I think while you're asked to put meaning in your  
15 rules, and I think that's important, you've got to ask  
16 yourself some important questions, and when I opened  
17 yesterday I said there's some important questions before  
18 you.

19 But when you retire to decide what you're going  
20 to do to prevent waste and carry out your statutory duty, I  
21 submit there's one question each of you must ask yourself,  
22 and that is, How much waste is enough? How much waste is  
23 okay? And you've got to weigh that question, how much  
24 waste is enough, against your duties as Commissioners who  
25 are charged by the Legislature to prevent waste, and the

1 facts of this case.

2 Ms. Bailey, on these facts, when you retire, I  
3 think you have to ask yourself, On the facts of this case,  
4 how much waste is okay, how much oil should not be  
5 recovered because of Commission order practices in the  
6 absolutely most prolific oilfield in this state, how much  
7 waste is okay?

8 You must ask yourself, How much royalty should  
9 the royalty owners in these properties, including the State  
10 of New Mexico, be denied because of Commission order  
11 practices which cause waste today, which caused them last  
12 year and, if not changed, will cause them in the future? I  
13 think you must ask, How much waste is okay? How much  
14 should each royalty owner in these properties, including  
15 the State, be asked to contribute because some operators  
16 have overproduced wells?

17 Mr. Weiss, I think when you consider this case  
18 you must ask yourself, On these facts, how much waste is  
19 all right? And are we doing our duty? Should not  
20 operators be able to come in here and present to this body  
21 new engineering, technical information?

22 The Supreme Court of New Mexico found this body  
23 has special expertise, special engineering expertise and  
24 competence. And is it not fair for us to be able to come  
25 in here, bring our technical data to you and have you

1 review it and bring your expertise to bear on that? Isn't  
2 it reasonable to expect that to happen, instead of being  
3 told, Go back, meet somewhere in Midland and work it out  
4 for 18 months?

5 Because what happens when that occurs is that we  
6 meet for 18 months while in this reservoir Rome burns.  
7 Now, Rome, I will admit, in this case is located in  
8 Artesia, New Mexico.

9 But I will -- because we have the best wells, we  
10 have the properties that are going to be harmed. But it  
11 isn't that isolated, because as Rome burns, revenues fail  
12 to find their way back to the State of New Mexico, to other  
13 working interest owners and to the royalty interest owners.  
14 How much waste is all right?

15 Mr. LeMay, how much waste is all right? Can you  
16 just send the problem away to a committee, whose membership  
17 you don't even probably intend to appoint, and sit back and  
18 wait for 18 months until the questions that are presented  
19 to you here today become moot with the passage of time,  
20 until terrible reservoir damage has occurred?

21 I don't know how much waste it's proper to expect  
22 because some operators are overproduced, but I will tell  
23 you, when we deal with questions of this nature, we really  
24 believe we can bring them to you and they can be resolved.

25 If the only way we handle a difficult question is

1 just to lop that back to the industry, why would we need an  
2 Oil Commission? We won't come back with an agreement 18  
3 months from now, but we will have a waste we can document  
4 from here to Midland and back.

5 I submit to you that you can't refuse to do your  
6 duty here that you have to address the issues. And when  
7 you do it, do what you will with the overproduction. If we  
8 stand on the August 14 Order, so be it. And on if we make  
9 it up, we propose the only reasonable thing to do is to  
10 make that up under the 700-barrel-a-day original allowable  
11 for the pool. That will give everyone an incentive to get  
12 their properties back in line before they can take  
13 advantage of the allowable that is appropriate based on the  
14 technical data that's before you.

15 That's how we recommend it be handled. We'll  
16 live with whatever you tell us.

17 But we submit that looking forward, looking at  
18 the wells that are going to be drilled in the next year,  
19 the wells that have been drilled in the last year,  
20 allowables simply must be increased. They've got to be  
21 substantially increased.

22 If you can't go the whole way with us, a  
23 substantial increase is clearly warranted from the  
24 technical data before you, because if not, you side with  
25 Conoco. And Conoco is basically making an attack through a

1 regulatory process on the good wells in the pool. They  
2 don't have them, we do. And they want them curtailed and  
3 shut in.

4 When you increase the allowables and increase  
5 them substantially, you will have met your statutory  
6 obligation, you'll be acting to prevent waste. And I would  
7 tell you that only by doing that do I believe that when you  
8 look back on this case and your tenure as a member of this  
9 Commission, and when you are asked why you were there, what  
10 did you do to prevent waste, you will be able to answer,  
11 While I was there, any waste was too much.

12 CHAIRMAN LEMAY: Thank you, Mr. Carr.

13 Before you all go, I need to just kind of get my  
14 fellow commissioners and --

15 (Off the record)

16 CHAIRMAN LEMAY: Okay, before we close,  
17 recognizing Yates has voluntarily kept their production  
18 within the allowables that were dictated by the August 15th  
19 Examiner order, we would like to lift the stay, we will  
20 lift the stay, and until we get an order out from the  
21 Commission those allowables will remain in effect.

22 MR. CARR: And we will keep our wells at 350.

23 CHAIRMAN LEMAY: Yeah, at 350 --

24 MR. CARR: Yes.

25 CHAIRMAN LEMAY: -- until we get an order out.

1           Thank you very much, gentlemen. Appreciate it.

2           Is there anything else in the case?

3           MR. KELLAHIN: Can you issue a letter so that  
4 operators that perhaps weren't here will know --

5           CHAIRMAN LEMAY: Certainly will.

6           MR. KELLAHIN: -- the compliance requirements?

7           CHAIRMAN LEMAY: Yeah, we will do that.

8           Take the case under advisement. Thank you.

9           (Thereupon, these proceedings were concluded at

10 12:51 p.m.)

\* \* \*

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25


## CERTIFICATE OF REPORTER

STATE OF NEW MEXICO    )  
                                  )   ss.  
COUNTY OF SANTA FE    )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Commission (Volume II) was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL September 28th, 1996.

  
\_\_\_\_\_  
STEVEN T. BRENNER  
CCR No. 7

My commission expires: October 14, 1998