

STATE OF NEW MEXICO
 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
 OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
 THE OIL CONSERVATION DIVISION FOR THE)
 PURPOSE OF CONSIDERING:)

CASE NO. 11,536

APPLICATION OF MERIDIAN OIL, INC., FOR)
 AN UNORTHODOX COAL GAS WELL LOCATION,)
 SAN JUAN COUNTY, NEW MEXICO)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

May 16th, 1996

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, May 16th, 1996, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

May 16th, 1996
Examiner Hearing
CASE NO. 11,536

	PAGE
EXHIBITS	3
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>ALAN ALEXANDER</u> (Landman)	
Direct Examination by Mr. Carr	4
Examination by Examiner Catanach	10
<u>GREGORY L. JENNINGS</u> (Geologist)	
Direct Examination by Mr. Carr	13
Examination by Examiner Catanach	20
<u>MARK P. CASTIGLIONE</u> (Engineer)	
Direct Examination by Mr. Carr	23
Examination by Examiner Catanach	30
REPORTER'S CERTIFICATE	36

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	6	9
Exhibit 2	6	9
Certificate of Mailing	9	10
Exhibit 3	14	20
Exhibit 4	17	20
Exhibit 5	18	20
Exhibit 6	25	30
Exhibit 7	28	30
Exhibit 8	16	20
Exhibit 9	30	35

* * *

A P P E A R A N C E S

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE and SHERIDAN, P.A.
 Suite 1 - 110 N. Guadalupe
 P.O. Box 2208
 Santa Fe, New Mexico 87504-2208
 By: WILLIAM F. CARR

* * *

1 WHEREUPON, the following proceedings were had at
2 10:59 a.m.:

3 EXAMINER CATANACH: At this time we'll call Case
4 11,536, which is the Application of Meridian Oil, Inc., for
5 an unorthodox coal gas well location, San Juan County, New
6 Mexico.

7 Are there appearances in this case?

8 MR. CARR: May it please the Examiner, my name is
9 William F. Carr with the Santa Fe law firm Campbell, Carr,
10 Berge and Sheridan.

11 We represent Meridian Oil, Inc., in this matter,
12 and I have three witnesses.

13 EXAMINER CATANACH: Any additional appearances?
14 Will the witnesses please stand to be sworn in?
15 (Thereupon, the witnesses were sworn.)

16 ALAN ALEXANDER,
17 the witness herein, after having been first duly sworn upon
18 his oath, was examined and testified as follows:

19 DIRECT EXAMINATION

20 BY MR. CARR:

21 Q. Will you state your name for the record, please?

22 A. Yes, my name is Alan Alexander. I'm employed
23 with Meridian Oil, Inc., in our Farmington, New Mexico,
24 office as a senior land advisor.

25 Q. Mr. Alexander, have you previously testified

1 before the New Mexico Oil Conservation Division?

2 A. Yes, sir, I have.

3 Q. At the time of that testimony, were your
4 credentials as an expert in petroleum land matters accepted
5 and made a matter of record?

6 A. Yes, sir, they were.

7 Q. Are you familiar with the Application filed in
8 this case on behalf of Meridian Oil, Inc.?

9 A. I am.

10 Q. And are you familiar with the status of the lands
11 in the subject area?

12 A. Yes, sir, I am.

13 MR. CARR: Are the witness's qualifications
14 acceptable?

15 EXAMINER CATANACH: Yes, sir.

16 Q. (By Mr. Carr) Initially, Mr. Alexander, could
17 you briefly state for Mr. Catanach what it is Meridian
18 seeks with this Application?

19 A. We're seeking an off-pattern Basin Fruitland Coal
20 Pool location in the -- which would be located 1000 feet
21 from the north line and 1265 feet from the west line of
22 Section 23 of 32 North and 7 West in San Juan County, New
23 Mexico.

24 Q. This well is actually standard in terms of the
25 setbacks from the outer boundary of the spacing unit; is

1 that not correct?

2 A. That is correct.

3 Q. It is just off pattern because you desire to
4 place it in a quarter section other than that authorized by
5 the rules for this pool?

6 A. Yes, sir, that's correct.

7 Q. Have you prepared exhibits for presentation here
8 today?

9 A. Yes, sir, I have.

10 Q. Let's go to the exhibit book, and would you just
11 identify Exhibit Number 1 for the Examiner?

12 A. Yes, behind Exhibit Tab Number 1 we have placed
13 our Application for the requested off-pattern coal well
14 location.

15 Attached to that exhibit are a couple of
16 additional exhibits, a nine-section land plat and an offset
17 operator plat. We have repeated those plats in a couple of
18 the following exhibits for clarification and discussion.

19 Q. Let's go to Exhibit Number 2 in the exhibit book,
20 and start with the nine-section land plat. Would you
21 review the information on that exhibit for Mr. Catanach?

22 A. Yes, sir, I've provided a nine-section land plat
23 here, and as you might notice, we have -- The blue border
24 is the outside of the nine-section plat. We have some
25 green dashed lines internal to the plat. What we are

1 dealing with here are two federal units: the Allison unit,
2 which Meridian operates, and the San Juan 32-7 unit, which
3 Phillips Petroleum Company operates.

4 I have shown on this plat all of the existing
5 wells and completions in the nine-section area. I've shown
6 where our proposed well would be located in the northwest
7 quarter of Section 23, and I have shown by the hatched
8 outline the proposed drilling block.

9 And as you will notice, 50 percent of the
10 drilling block is dedicated to the Allison Federal unit --
11 and that would be the northwest quarter -- and 50 percent
12 of the drilling block would be dedicated to the San Juan
13 32-7 unit. And therefore, any subsequent allocation would
14 be also allocated on that basis.

15 Q. You have reviewed this Application with Phillips,
16 have you not?

17 A. Yes, sir, we have.

18 Q. Have you received any indication from them as to
19 whether or not they're going to join in this effort?

20 A. We met with them Tuesday of this week. I went
21 through a complete explanation with them for why we desire
22 this well to be located at this location.

23 Preliminary indications from them are good,
24 however they have not decided yet which way -- whether they
25 would like to join or whether they would like to go

1 nonconsent on this well.

2 Q. Has the proposed well location been staked?

3 A. Yes, sir, it has.

4 Q. And have you received any indication that there
5 are any topographical or other problems that might cause
6 Meridian to need to move the well?

7 A. No, sir, our field inspection and the
8 archeological inspection were good. They are waiting for
9 the order before they issue an APD on this particular well.

10 Q. Now, this plat has a code or a key at the bottom
11 that indicates the nature of all the other wells in the
12 nine-section area; is that not correct?

13 A. That is correct.

14 Q. If we look at Section 23, it appears we have
15 already an off-pattern well in the Fruitland Coal; is that
16 right?

17 A. Yes, sir, you'll see the Fruitland symbol, the
18 green symbol, down in the southeast quarter. It's our
19 Allison Unit Number 108 well. That well was drilled almost
20 simultaneously with the adoption of the Basin Fruitland
21 Coal pools and was later grandfathered in by sundry notice
22 in December of 1988.

23 Q. If we go to Section 15 to the northwest, again,
24 we have off-pattern wells in the Fruitland Coal, do we not?

25 A. Yes, sir, that's correct.

1 Q. Is it fair to say that there has been fairly
2 substantial precedent for what we're seeking over the years
3 in the Fruitland Coal Gas Pool?

4 A. That is correct.

5 Q. Let's go to page 2 of Exhibit Number 2. Can you
6 identify and review that?

7 A. Yes, sir, this is the offset operator
8 notification plat. You will see that there are two
9 operators involved, one of the Allison, one of the 32 and 7
10 unit, which would be Phillips Petroleum Company. So
11 notification was basically made to just two parties.

12 Q. Will Meridian also be calling engineering and
13 geological witnesses to review those technical reasons for
14 placing the well at this location?

15 A. Yes, sir, they will.

16 Q. Were Exhibits 1 and 2 prepared by you or compiled
17 at your direction?

18 A. They were.

19 MR. CARR: Mr. Catanach, at this time we would
20 move the admission into evidence of Meridian Oil, Inc.,
21 Exhibits 1 and 2.

22 EXAMINER CATANACH: Exhibits 1 and 2 will be
23 admitted as evidence.

24 MR. CARR: Mr. Catanach, at this time I would
25 also offer into evidence the certificate of mailing and

1 compliance with Order R-8054, executed by Mr. Kellahin,
2 confirming in fact that notice of this hearing has been
3 provided in accordance with OCD rules.

4 EXAMINER CATANACH: This will be admitted as
5 evidence.

6 MR. CARR: That concludes my examination of Mr.
7 Alexander.

8 EXAMINATION

9 BY EXAMINER CATANACH:

10 Q. Mr. Alexander, am I correct in assuming that
11 you're trying to form a west-half spacing unit for this
12 well?

13 A. Yes, sir.

14 Q. Is there already an existing east-half spacing
15 unit?

16 A. Yes, sir, that's correct, for the Allison Unit
17 108 well.

18 Q. How exactly is that handled when you've got
19 acreage in two different federal units by two different
20 operators? Is it just by some sort of agreement that you
21 commit the acreage to the spacing unit?

22 A. Yes, sir, we've dealt with this in the past; this
23 is not an unusual situation. And what basically happens
24 is, each of the unit operating agreements will control
25 their respective acreage, but we do have to reach some

1 common ground for some items. One of those would be like
2 producing overhead and drilling rates, and possibly
3 nonconsent, should one of the parties want to go
4 nonconsent.

5 And so what we have proposed in the past and what
6 I have proposed to Phillips is that we'll use the producing
7 and drilling overhead rates out of the Allison unit and
8 that if they wanted to go nonconsent, we would adopt the
9 State's nonconsent of 256 percent. The actual nonconsent
10 for Allison is 200 percent. The actual nonconsent for 32
11 and 7 is 300 percent.

12 And of course we will have a communitization
13 agreement in order to split -- to allocate royalties
14 between the two federal units, and we are currently
15 drafting that, and that will be executed.

16 Q. So at this point in time, it doesn't look like
17 Phillips is not going to commit its acreage in some form or
18 fashion?

19 A. It looks like that they will, and it looks like
20 they probably will join. After our discussion on Tuesday,
21 they were favorably impressed by what we were trying to
22 accomplish.

23 Q. They may go nonconsent, but they will commit
24 their acreage?

25 A. That's true, yes, sir.

1 Q. What happens if something occurs that they do not
2 commit their acreage?

3 A. We would have to come back before the Division
4 and force pool this property.

5 Q. Is federal approval required to execute some kind
6 of an agreement such as you're proposing?

7 A. Yes, sir, and that would be the communitization
8 agreement.

9 Q. Okay.

10 A. And they have relied upon that agreement to
11 satisfy their needs, and then we have relied upon our
12 letter agreements to operate between two federal units.

13 We do not intend on entering into a third
14 operating agreement, since we already have two operating
15 agreements in place.

16 Q. You don't see any problem with BLM approving
17 that?

18 A. No, sir, they have done it in the past on several
19 occasions, and I do not see a problem.

20 Q. Okay. You said that well in the southeast
21 quarter of Section 23 was grandfathered in; is that right?
22 The 108?

23 A. Yes, sir.

24 EXAMINER CATANACH: That's all I have of the
25 witness, Mr. Carr.

1 MR. CARR: That's all we have of Mr. Alexander,
2 and at this time we would call Greg Jennings.

3 GREGORY L. JENNINGS,
4 the witness herein, after having been first duly sworn upon
5 his oath, was examined and testified as follows:

6 DIRECT EXAMINATION

7 BY MR. CARR:

8 Q. Will you state your name for the record, please?

9 A. Yes, my name is Gregory L. Jennings.

10 Q. Where do you reside?

11 A. I reside in Farmington, New Mexico.

12 Q. By whom are you employed?

13 A. I'm employed by Meridian Oil, Inc.

14 Q. Mr. Jennings, what is your position with
15 Meridian?

16 A. My title is senior geologist.

17 Q. Have you previously testified before this
18 Division?

19 A. Yes, I have.

20 Q. At the time of that testimony, were your
21 credentials as a petroleum geologist accepted and made a
22 matter of record?

23 A. Yes, they were.

24 Q. Are you familiar with the Application filed in
25 this case?

1 A. Yes.

2 Q. Have you made a geological study of the portion
3 of the Fruitland Coal which is involved in this matter?

4 A. Yes, I have.

5 Q. And are you prepared to share the results of that
6 study with the Examiner?

7 A. Yes.

8 MR. CARR: Are the witness's qualifications
9 acceptable?

10 EXAMINER CATANACH: They are.

11 Q. (By Mr. Carr) Let's go to the exhibit book, and
12 I would direct your attention to what's marked Exhibit
13 Number 3. Could you identify and review that for Mr.
14 Catanach?

15 A. Yes, Exhibit 3 is an isopach of the Fruitland
16 Coal, covering a good portion of the Allison unit, and the
17 proposed well, the Number 146, is shown with a black
18 triangle.

19 And also for reference, I've prepared a cross-
20 section, A-A', and that's shown in red, which runs from
21 southwest to northeast, actually from a Phillips well in
22 the 32-7 Unit, Number 203, up to a well offsetting our
23 proposed Number 146, and then up north to the Allison
24 Number 127.

25 Q. Basically, what does this isopach map tell you

1 about the geology across this area?

2 A. The main purpose of showing this isopach is to
3 demonstrate that the variations in thickness throughout
4 this area are not the controlling factor -- is not the
5 controlling factor on production.

6 The variations in the vicinity of our proposed
7 location are in the neighborhood of five feet. If you move
8 to the north, that well has 37 feet of thickness. If you
9 move to the west, it's 43 feet. And if you look across the
10 unit, the variations are from perhaps a thin of 25 feet up
11 to a high of in the 40s. And as we'll look at a production
12 map a little bit later, you'll see that there is really no
13 correlation between thickness and production. And this is
14 not new; you've seen this before with the Fruitland Coal.
15 Permeability and other issues control the production much
16 more strongly than thickness.

17 Q. So by moving to this off-pattern location, in
18 fact, we're not really gaining any advantage in terms of
19 the thickness of the coal?

20 A. That's correct. In fact, we would be slightly
21 thicker, by two or three feet, if we were in the southwest
22 quarter. But as we'll demonstrate here, the thickness is
23 not the controlling factor, and we're definitely not
24 gaining an advantage in thickness by moving to the
25 northwest quarter.

1 Q. To the east of the proposed location, we see four
2 wells that look like injection wells. Could you just
3 identify what those are?

4 A. Yes, we currently have a CO₂ injection program, a
5 pilot program, that has been underway for some time, and
6 those four wells with arrows, numbered 140, 141, 142 and
7 143 are the four injector wells, and we've included those
8 on this map for reference.

9 Q. If that project was expanded sometime in the
10 future, it's possible the proposed location might be
11 involved, but that's not on an immediate schedule?

12 A. That's correct, at the current time we do not
13 have plans for the expansion of the injection program. We
14 don't have plans to drill any more injector wells in the
15 near future.

16 Q. All right, Mr. Jennings, let's go to the cross-
17 section that's in the back of the exhibit booklet, marked
18 Exhibit 8, and I'd like you to identify and then review the
19 information on this exhibit for Mr. Catanach.

20 A. I apologize for the size. This three-well cross-
21 section, as I mentioned earlier, runs from a location
22 southwest of our proposed well, which is the Phillips 32-7
23 Unit Number 203, which is producing 88 MCF per day, which
24 is essentially a noncommercial-type rate, and runs up to a
25 Mesaverde well, which is really almost a twin to our

1 proposed Number 146, and then up to the northeast to the
2 Allison 127, where we have a producer which is producing in
3 the 500 -- actually, it's currently producing 720 MCF a
4 day. At the time we made the production map that you'll
5 see, it was making 560 MCF a day.

6 The main point of the cross-section is to show
7 you the continuity of the coal. We have two basic coal
8 packages of what I've informally labeled lower coals and
9 upper coals. This really just supports the isopach map,
10 and that is that the thickness does not change much at all,
11 and in fact, the stratigraphic relationships don't change
12 much at all.

13 The factors controlling the production are ones
14 of permeability and ones of dewatering. The area to the
15 north is more dewatered. And we'll get into that issue a
16 little more as we proceed.

17 But the main purpose of the cross-section is to
18 show the continuity of the coal.

19 Q. All right, Mr. Jennings, let's go to Exhibit
20 Number 4 in the exhibit book. Would you identify and
21 review this?

22 A. Okay. Exhibit 4 is a structure map on a marker
23 in the Lewis formation, which is just right below the
24 Pictured Cliffs formation. I've chosen this interval
25 because it's a very -- a good structural marker; it doesn't

1 have a lot of stratigraphic factors influencing it.

2 And what you're looking at is a relatively gentle
3 structural area. The pink area down on the southern part
4 of the map is a syncline. That's the low spot on this map.

5 And if you'll look over in the area of our
6 proposed location, there's nothing significant going on
7 structurally, and there are no faults or structural
8 features that would affect production or cause any
9 discontinuities in the reservoir, or, for that matter, give
10 any of these locations any preference or advantage over the
11 other.

12 Q. So basically what we've looked at so far in terms
13 of the geology are the thickness and the structure, and
14 neither of these actually influence the placement of wells
15 in the Fruitland Coal; isn't that correct?

16 A. That's correct.

17 Q. Let's go now to factors which do influence
18 selection of off-pattern locations as we have here, and I'd
19 direct your attention in that regard to Exhibit Number 5 --

20 A. Right.

21 Q. -- and I would ask you to identify and review it.

22 A. Okay. Exhibit 5 is a daily production map that
23 was prepared using, for the most part, data from the month
24 of December, 1995, just a few months ago.

25 And this map really is the most telling map as

1 far as why we want to drill in the northern part of the
2 section, and also showing you where the dewatered area is.

3 The green line is greater than -- Where it turns
4 from blue to green is where the production hits the 500 MCF
5 per day, which is -- which should provide commercial
6 production for these type of well costs. As you get into
7 the blue area, you get below 500 and actually very quickly
8 get into the 100- to 200-MCF-a-day range.

9 The area to the north and east, which is in the
10 green and the pink, not only has higher gas production but
11 has lower water production now, because those wells have
12 been on production, and the reservoir is in more of a
13 dewatered state.

14 The area to the east and south and the north,
15 which is depicted in blue, is -- along with those lower gas
16 rates, we see higher water rates. And as our reservoir
17 engineer will get into some details on, this, basically,
18 number one, will allow us to encounter higher gas rates,
19 and number two, the dewatered nature of the reservoir will
20 help us with a better open-hole cavitation completion.

21 Q. Basically, when we look at this exhibit, as we
22 move into the areas that are shaded in blue, we're getting
23 into areas where there are higher water saturations; isn't
24 that right?

25 A. That's correct.

1 Q. And if we look at the section that we're
2 proposing to develop, when we move the well from the
3 proposed unorthodox -- or off-pattern location down into
4 the southwest quarter, based on this information alone,
5 would you conclude that we probably would have an
6 uneconomic well proposal?

7 A. Yes, that's our conclusion, and we in fact would
8 not propose a well in the southwest quarter. We feel that
9 we would have results very similar to the Number 203 well,
10 which is producing around 100 MCF a day.

11 Q. Mr. Jennings, were Exhibits 3, 4, 5 and 8
12 prepared by you?

13 A. Yes, they were.

14 MR. CARR: At this time, Mr. Catanach, we would
15 move the admission of Meridian Oil, Inc., Exhibits 3, 4, 5
16 and 8.

17 EXAMINER CATANACH: Exhibits 3, 4, 5 and 8 will
18 be admitted as evidence.

19 MR. CARR: And that concludes my direct
20 examination of Mr. Jennings.

21 EXAMINATION

22 BY EXAMINER CATANACH:

23 Q. Mr. Jennings, is water saturation the only thing
24 that explains these higher producing rates? Is there any
25 other geologic factors that would account for?

1 A. In the immediate vicinity of this location, the
2 answer is yes. Meridian has been aggressive in the Allison
3 unit doing two things. That's recavitating the wells and
4 putting artificial lift pumping units on the wells to
5 dewater the reservoir. And so we have taken these wells
6 from very low rates to the rates that you see on the map
7 now.

8 Now, there is an area of higher permeability. If
9 you were to go over to the hot pink area where we have the
10 injection wells located, that area did encounter higher
11 permeability -- or the wells that were drilled there
12 encountered higher permeability initially. And so in --
13 There are variations in permeability within the unit.

14 But as far as our specific location, we don't
15 have any information indicating higher permeability, you
16 know, a mile to the north or a mile to the south. We
17 believe that what's going on is simply dewatering of the
18 reservoir, allowing higher permeability to gas, and that
19 benefits us in a couple ways.

20 Q. So it's kind of a regional dewatering thing?

21 A. That's correct.

22 Q. Would that southwest quarter of Section 23 -- I
23 mean, would that eventually get dewatered to the point
24 where the production may come up in that area?

25 A. Eventually, yes. What we've found is that -- And

1 we've found this through our recavitation program, and our
2 reservoir engineer has some information on that, that will
3 help demonstrate that.

4 If you step out too far, too fast, and you get
5 into the area of higher water saturations, you not only
6 produce higher water rates and lower gas rates with that
7 well, but the reservoir doesn't respond as well to the
8 completion, the cavitation procedure. And just how long it
9 would take for that area to be dewatered, it's a tough
10 question to answer. Eventually, I imagine it would.

11 But what we will be doing by drilling this well
12 now is accelerating that process. And that's sort of our
13 plan for the Allison unit, is to continually move out and
14 not only recavitate additional wells, but drill additional
15 wells. But we have to be very careful and prudent about
16 where we place those wells, or we will have uneconomic
17 results.

18 Q. A well in that southwest quarter would likely
19 encounter producing rates less than 500 MCF a day?

20 A. Yes.

21 Q. Is that uneconomic?

22 A. Well, our best guess -- That's bad -- bad
23 terminology. Our best estimate for that southwest quarter
24 would be in the neighborhood of 100 MCF a day, and that
25 would be uneconomic.

1 Q. Okay.

2 A. And along with that, high water production, and I
3 believe our water-hauling costs in this area are \$2.50 a
4 barrel, and it's very cost-prohibitive to have the
5 combination of low gas and high water.

6 EXAMINER CATANACH: Okay, I have nothing further.

7 MR. CARR: That concludes our examination of Mr.
8 Jennings, and at this time we would call Mark Castiglione.

9 MARK P. CASTIGLIONE,
10 the witness herein, after having been first duly sworn upon
11 his oath, was examined and testified as follows:

12 DIRECT EXAMINATION

13 BY MR. CARR:

14 Q. Would you state your name for the record, please?

15 A. Mark P. Castiglione.

16 Q. Where do you reside?

17 A. In Farmington.

18 Q. By whom are you employed?

19 A. By Meridian Oil, Inc.

20 Q. And what is your current position with Meridian?

21 A. My title is Reservoir Engineer II.

22 Q. Have you previously testified before the New
23 Mexico Oil Conservation Division?

24 A. No, sir, I have not.

25 Q. Could you review your educational background for

1 the Examiner?

2 A. Yes, I achieved a bachelor of science degree in
3 petroleum engineering from Texas Tech University in 1993.

4 Q. Since graduation, for whom have you worked?

5 A. Meridian Oil, Inc.

6 Q. Does your area of responsibility include the
7 portion of the San Juan Basin which is involved in this
8 case?

9 A. Yes, sir, it does.

10 Q. Have you studied the Fruitland Coal in regard to
11 placement of wells to maximize gas recovery from this pool?

12 A. Yes, sir, I have.

13 Q. In fact, did you participate in a decision to
14 place the subject well in this off-pattern location?

15 A. Yes, sir, I did.

16 Q. And are you prepared to review the engineering
17 reasons for this off-pattern location with Mr. Catanach at
18 this time?

19 A. Yes, sir, I am.

20 MR. CARR: We tender the witness as an expert in
21 reservoir engineering.

22 EXAMINER CATANACH: He is so qualified.

23 Q. (By Mr. Carr) Let's go to what has been marked
24 in the exhibit book as Exhibit Number 6. Would you
25 identify this and review it for the Examiner?

1 A. Yes, sir. Page 1 of Exhibit 6 is a map of the
2 Allison unit, showing all of the Fruitland Coal wells
3 within the unit, as well as a couple of pressure-
4 observation wells, and it also marks the CO₂ injection
5 wells that we have referred to earlier.

6 Also on there, marked in yellow, are three
7 proposed new drills for this year. The well that we are
8 talking about today is the 146, marked with the large
9 arrow.

10 The green circles represent all of the
11 recavitated wells within the Allison unit. Also marked on
12 there is a 1995 Fruitland Coal new drill, the Allison 122
13 in the south portion of the unit.

14 Q. All right. Let's move to the second page of this
15 exhibit, and I'd like you to first just explain what
16 information is set forth on the exhibit and then review it
17 for Mr. Catanach.

18 A. Okay, on this spreadsheet, on page 2, is all of
19 the wells that we have recavitated, and marked on this
20 sheet is the well name and well number, the pre- and post-
21 rates, prior -- the pre- rate representing the rate prior
22 to recavitation, the post- rate representing a stable
23 production rate, one to two months following the workover.

24 Also noted is the recavitation date, and also is
25 a column noting whether the well was dewatered at the time

1 of the recavitation.

2 What I have done here is put together this sheet
3 so that it would show that our more successful
4 recavitations have occurred when the wells were dewatered.

5 If you look at the bottom -- or about midway
6 through the page, I have an average uplift of the wells not
7 dewatered, and as you can see there, it's only about 50,000
8 cubic feet per day.

9 The average of wells that have been dewatered is
10 a little over 600 MCF per day. And what this is showing is
11 that the more dewatered your reservoir is at that well
12 site, the better the chance is that you will have
13 successful cavitation or completion.

14 Q. So basically, a well in the northwest quarter of
15 the section we're discussing here today, you can
16 anticipate, will decavitate more effectively than one if we
17 were required to go down into the southwest quarter?

18 A. That's correct, based upon what Greg showed under
19 Exhibit 5, you can see that the northwest corner, northwest
20 quarter section, appears to be more dewatered than the
21 southwest quarter section. Thus, we anticipate the 146 to
22 cavitate more successfully by being drilled in the
23 northwest quarter section.

24 Q. Has Meridian drilled a well that actually shows
25 or represents what we're talking about here today?

1 A. Yes, sir, they have. In late 1995, we drilled
2 the Allison Unit Com Number 122, which is on page 1 of
3 Exhibit 6 down in the south portion of the unit in Section
4 31. We drilled that well and cavitated it over the course
5 of about three weeks. We saw a successful cavitation. Our
6 pitot gauges over the course of the cavitation increased,
7 as well as our coal returns, seemed to show that we were
8 having a successful cavitation.

9 And our -- when the well was first delivered in
10 January of this year, our initial rate was about 700 MCF
11 per day and about 70 barrels of water per day, and it
12 continues to produce at those rates.

13 Q. So basically what we have is, we have the Number
14 122, which was a new drill?

15 A. Yes.

16 Q. And if we take that location, which is shown on
17 the first page of Exhibit 6, and we go over to Exhibit 5,
18 we can see that it is an area that is shaded in green in
19 terms of the extent to which the well is anticipa- -- is
20 producing. We compare that to the proposed location, and
21 we have virtually the same sort of a profile for this well,
22 the well we're talking about here today, as we did for the
23 122?

24 A. Yes, that's correct. We believe that the 122 was
25 successful because it was in an area that has been

1 dewatered.

2 Q. And if we move that proposed location for the 146
3 and drop that down into the southwest quarter of the
4 section, would you be optimistic about the success of your
5 recavitation in that well?

6 A. No, I would not.

7 Q. Let's go to what has been marked Exhibit Number
8 7, a schematic drawing for the proposed well, and I would
9 ask you just to briefly review that for Mr. Catanach.

10 A. This is a wellbore schematic of the proposed
11 well, Allison Unit Com Number 146. Our plan is to top-set
12 the Coal down to about 3375 feet and set 7-inch casing
13 there and cement it. Then we plan to open-hole complete
14 the well, cavitate the well over the period of two to three
15 weeks.

16 We will then run a 5-1/2-inch liner, will not
17 cement the liner in place, and the liner will have pre-
18 perforated intervals based upon where we find the coal
19 seams when we drill through the coal section.

20 Q. Let's just briefly review the reasons for placing
21 this well in an off-pattern location.

22 First of all, has it been your testimony that, in
23 fact, you anticipate by going to the off-pattern location
24 you will be able to drill a well that, in fact, will more
25 effectively produce the Fruitland Coal?

1 A. Yes, sir, that's correct.

2 Q. And that's because you anticipate recavitation
3 will be better in this dewatered area?

4 A. Yes, sir, that's correct.

5 Q. This, in fact, is an on-pattern location, if we
6 look just at the section. That is, it's in the opposite
7 quarter section from where there is an existing Fruitland
8 Coal well; is that not right?

9 A. Yes, sir, that's correct.

10 Q. In fact, if we ultimately move to a CO₂ flood in
11 this area, is this well well positioned to be an effective
12 part of a subsequent CO₂ flood?

13 A. Yes, sir, that's correct.

14 Q. Is it your recommendation that the well be
15 drilled, for engineering reasons, at the proposed location,
16 as opposed to a standard location in the southwest quarter
17 of this section?

18 A. Yes, sir, that's correct.

19 Q. Will approval of this Application be in the best
20 interest of conservation, the prevention of waste and the
21 protection of correlative rights?

22 A. Yes, sir, that's correct.

23 Q. Were Exhibits 6 and 7 prepared by you?

24 A. Yes, sir, that's correct.

25 MR. CARR: I move the admission into evidence of

1 Meridian Oil Exhibits 6 and 7.

2 EXAMINER CATANACH: Exhibits 6 and 7 will be
3 admitted as evidence.

4 EXAMINATION

5 BY EXAMINER CATANACH:

6 Q. What do you consider to be a dewatered area?

7 A. Okay, I've prepared some backup data as to
8 criteria --

9 MR. CARR: Mr. Catanach, I think I have an
10 exhibit here -- we'll mark this as Exhibit Number 9 --
11 which I think will assist in responding to this question.

12 If you would, Mark, just review the criterion
13 approach you used to determine whether or not you had a
14 dewatered area or not.

15 THE WITNESS: Okay. This spreadsheet simply
16 gives the well name and number and gives the dewatered
17 marking that you saw on the previous spreadsheet, whether I
18 considered it dewatered or not.

19 And then the last three columns show the criteria
20 that I looked to determine whether it was dewatered or not.

21 The first of those three columns is -- shows
22 whether the well had a progressive cavity pump prior to
23 recavitation. That's something that I would consider as --
24 that accelerated the dewatering of that well site. Note
25 that the first five wells do not have -- or did not have

1 progressive cavity pumps prior to the recavitation. And
2 note also that they were marked as not dewatered at the
3 time of the recavitation.

4 Below in that column -- All of the other wells,
5 after those first five, other than two, did have a
6 progressive cavity pump prior to recavitation, other than
7 the 112 and the 130, and I've noted with an asterisk there
8 that although those wells did not have PCPs prior to
9 recavitation, all of their offsets did. Essentially the
10 offsets had dewatered that well site for -- by their
11 progressive cavity pumps. The five wells at the top of the
12 list, they were not surrounded by wells that didn't -- that
13 had PCPs.

14 The next column indicates another thing that I
15 looked for in determining whether it was dewatered, and
16 that's cum water production. And note that the first five
17 wells have some of the lowest water production of the whole
18 list.

19 The last thing that I looked at was the location
20 within the unit, and once again, this correlates with what
21 Greg showed earlier in Exhibit 5. And as you go down the
22 list, you'll note that the first five wells essentially are
23 on the outer parts of the unit.

24 For example, the 128 is located along the south
25 -- south and west -- really more west end of the unit. The

1 123 is located on the very far west end of the unit. The
2 101, 134 and 135 are in the northeast part of the unit,
3 where substantial dewatering has not occurred; therefore,
4 they were not successful recavitations.

5 And that was the criteria that I looked at for
6 determining whether the wells were dewatered or not.

7 Q. (By Examiner Catanach) So you feel like the well
8 location for the 127 -- or the 127 well has actually
9 contributed to the dewatering of the northwest quarter of
10 this section?

11 A. Yes, sir, that's correct. I believe that the 127
12 has helped in simply just the expansion outward from the
13 center of the unit.

14 Q. There isn't a well close to the southwest quarter
15 of this section that's been dewatered?

16 A. No, sir, there's not. The closest well would be
17 the 108, which is directly east, the Allison Unit Number
18 108.

19 Q. Has the 122 well been completed?

20 A. Yes, sir, it was completed back in December of
21 1995.

22 Q. And what's that producing at? What rate?

23 A. It initially produced at 700 MCF per day and
24 about 70 barrels of water per day, and it has continued to
25 produce that since it was first delivered in January of

1 this year.

2 Q. It's been a while since I've visited this coal.
3 Can you briefly go over what the recavitation procedure is?

4 A. Okay. Generally what we do is, for example on
5 the 146, when -- we'll drill through the coal, and then we
6 will under-ream that same section, and essentially we
7 under-ream to help prevent shale swelling and to give us a
8 little bit more room to play with.

9 And then after that is done, we begin with -- by
10 naturally letting the reservoir build up, and then we surge
11 the well to atmosphere. And if need be throughout the
12 process, we might even pressure up on the well from the
13 surface, pressure up to a certain pressure, then we'll
14 release that pressure to the atmosphere, surging the well.
15 We believe that helps create an enhanced permeability zone
16 near wellbore.

17 Q. So the 122 has had that procedure done?

18 A. Yes, sir, that's correct. And as a matter of
19 fact, it's probably the only well in the unit that was
20 cavitated over an extended period of time, during its
21 original completion. Most of the original new drills,
22 drilled in the early 1990s and late 1980s, were only
23 cavitated for a couple of days' time.

24 Q. So this procedure has to be done when the well is
25 initially drilled; is that correct?

1 A. Yes, that's what we plan to do.

2 Q. But is that the standard procedure out here?

3 A. It is now. The reason that we cavitated the 122
4 was based upon our recavitation results. We saw that by
5 spending an extended period of time, letting the well
6 naturally build up or pressuring up on the well and surging
7 it to atmosphere, we saw that we were seeing better rates.
8 So we thought that it would be best to cavitate and
9 complete -- complete the well through cavitation over an
10 extended period of time when we first drilled it.

11 Q. Okay, and that's what you propose to do to the
12 146?

13 A. Yes, sir.

14 Q. And you just feel like you'd get better rates in
15 that area because it's dewatered?

16 A. That's correct, we feel that it would cavitate
17 better, which would lead to better rates, and of course
18 that would lead to a better economic value.

19 Q. Do you have an opinion as to whether that well,
20 the 146 in the northwest quarter, would effectively drain
21 that west half?

22 A. Yes, I believe that it would effectively drain
23 that west half.

24 EXAMINER CATANACH: I have no further questions.

25 MR. CARR: Mr. Catanach, at this time we would

1 move the admission into evidence of Meridian Oil, Inc.,
2 Exhibit 9, which is a table entitled "Allison Recavitation
3 Program - Criteria for Determining Dewatered Status".

4 EXAMINER CATANACH: Exhibit Number 9 will be
5 admitted as evidence.

6 MR. CARR: And that concludes our presentation in
7 this case.

8 EXAMINER CATANACH: Okay, there being nothing
9 further in this case, Case 11,536 will be taken under
10 advisement.

11 (Thereupon, these proceedings were concluded at
12 11:44 a.m.)

13 * * *

14
15
16
17
18
19
20
21 I do hereby certify that the foregoing is
22 a complete record of the proceedings in
the Examiner hearing of Case No. 11536,
23 heard by me on May 16 1986.

24 David R. Catnach, Examiner
Oil Conservation Division
25


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL May 20th, 1996.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 14, 1998