


STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY )  
THE OIL CONSERVATION DIVISION FOR THE )  
PURPOSE OF CONSIDERING: )

CASE NO. 11,601

APPLICATION OF BURLINGTON RESOURCES OIL )  
AND GAS COMPANY FOR THE ESTABLISHMENT OF )  
A DOWNHOLE COMMINGLING REFERENCE CASE )  
PURSUANT TO DIVISION RULE 303.E AND THE )  
ADOPTION OF SPECIAL ADMINISTRATIVE RULES )  
THEREFOR, SAN JUAN COUNTY, NEW MEXICO )

**ORIGINAL**



REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

August 22nd, 1996

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, August 22nd, 1996, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

STEVEN T. BRENNER, CCR  
(505) 989-9317

## I N D E X

August 22nd, 1996  
 Examiner Hearing  
 CASE NO. 11,601

## PAGE

## APPEARANCES

3

## APPLICANT'S WITNESSES:

ALAN ALEXANDER (Landman)

Direct Examination by Mr. Kellahin	7
Examination by Examiner Catanach	13
Examination by Mr. Carroll	17

GLEN E. CHRISTIANSEN (Geologist)

Direct Examination by Mr. Kellahin	18
Examination by Examiner Catanach	30

MARY ELLEN LUTEY (Engineer)

Direct Examination by Mr. Kellahin	34
Examination by Examiner Catanach	44
Examination by Mr. Chavez	48

## REPORTER'S CERTIFICATE

50

\* \* \*

## E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	9	13
Exhibit 2	9	13
Exhibit 3	9	-
Exhibit 4	11, 19	30
Exhibit 5	11, 21	30
Exhibit 6	11, 26	30
Exhibit 7	11, 36	44
Exhibit 8	11, 38	44
Exhibit 9	12	13

\* \* \*

## A P P E A R A N C E S

## FOR THE DIVISION:

RAND L. CARROLL  
Attorney at Law  
Legal Counsel to the Division  
2040 South Pacheco  
Santa Fe, New Mexico 87505

## FOR THE APPLICANT:

KELLAHIN & KELLAHIN  
117 N. Guadalupe  
P.O. Box 2265  
Santa Fe, New Mexico 87504-2265  
By: W. THOMAS KELLAHIN

## ALSO PRESENT:

FRANK T. CHAVEZ  
District Supervisor  
Aztec District Office (District 3)  
NMOCD

\* \* \*

1           WHEREUPON, the following proceedings were had at  
2   8:28 a.m.:

3  
4  
5           EXAMINER CATANACH: At this time we'll call Case  
6   11,601.

7           MR. CARROLL: Application of Burlington Resources  
8   Oil and Gas Company for the establishment of a downhole  
9   commingling reference case pursuant to Division Rule 303.E  
10   and the adoption of special administrative rules therefor,  
11   San Juan County, New Mexico.

12           EXAMINER CATANACH: Are there appearances in this  
13   case?

14           MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of  
15   the Santa Fe law firm of Kellahin and Kellahin, appearing  
16   on behalf of the Applicant. I have three witnesses to be  
17   sworn.

18           EXAMINER CATANACH: Any additional appearances?  
19   Will the witnesses please stand and be sworn in?  
20   (Thereupon, the witnesses were sworn.)

21           MR. KELLAHIN: Mr. Examiner, Burlington seeks the  
22   approval of a reference case with regards to commingling  
23   activities in what is known as the 32 and 9 unit. It's a  
24   very large unit that's operated by Burlington. It consists  
25   of production from the Dakota, the Mesaverde and the

1 Pictured Cliff Pools.

2 The testimony will be that the only one of the  
3 three pools that is an economic stand-alone opportunity is  
4 the Mesaverde.

5 What we're asking you to do is establish a  
6 reference case for commingling within the unit, so that we  
7 may do the following: that when we file individual downhole  
8 commingling applications for existing wells or new drills  
9 in the unit, that we might reference this particular  
10 transcript and order to satisfy the economic criteria,  
11 which is, the Pictured Cliff and the Dakota are both  
12 marginal formations and can be commingled without the  
13 establishment of individual economics for those reservoirs.

14 In addition, we believe that you can be satisfied  
15 that as with the Basinwide reference case we just  
16 described, that you can use this case to satisfy yourself  
17 that the pressure requirements for the Mesaverde and the  
18 Pictured Cliff should not be of concern to you.

19 In addition, we are going to provide you with two  
20 proposed allocation formulas, which we will use within the  
21 unit. One is a percentage allocation based upon tests, and  
22 the other one is a conventional allocation formula where we  
23 have established a decline based upon existing production  
24 and can develop a ratio for allocation on that purposes.

25 Probably the most important aspect of the case is

1 the fact that there are divided interests within the  
2 participating areas in the unit, such that each time we  
3 have to file a downhole commingling application. As it  
4 currently stands, Mr. Alexander has to send in excess of  
5 220 notifications to interest owners by certified mail,  
6 return receipt.

7 We think that is a substantial burden, and so  
8 what we have requested is that this case satisfies  
9 notification to all those interest owners.

10 He has provided notification to all of those  
11 individuals and entities in this case. He has sent them a  
12 copy of the Application and the notice letter, and to the  
13 best of his knowledge and mine there have been no  
14 objections to having this case stand as notification for  
15 any subsequent commingling applications within the unit  
16 area.

17 That does not relieve us of the responsibility to  
18 notify offsetting operators in the event we have a  
19 commingling application around the boundary, and we have  
20 offsetting operators that are required to be noticed.

21 That is a substantial point in this case, is the  
22 notification issue.

23 With that introduction, then, if you will permit  
24 me, I will call and present Mr. Alan Alexander.

25 EXAMINER CATANACH: You may proceed.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

ALAN ALEXANDER,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. KELLAHIN:

Q. Mr. Alexander, would you please state your name and occupation?

A. Yes, my name is Alan Alexander. I'm currently employed with Burlington Resources Oil and Gas Company in their Farmington, New Mexico, office as a senior staff -- a senior land advisor with that company.

Q. Mr. Alexander, on prior occasions have you qualified as an expert in petroleum land management before the Oil Conservation Division?

A. Yes, sir, I have.

Q. As part of your duties with regards to this particular Application, are you familiar with the San Juan 32 and 9 unit that we're discussing here today?

A. Yes, sir.

Q. In addition, as part of your duties, have you researched Meridian/Burlington files to determine all of the owners that share in production with regards to any well producing within this unit?

A. Yes, sir, I have, and without mentioning the offset operators involved the list currently stands at 205

1 internal owners of royalties, overrides, burdens of other  
2 kinds, and working interest owners.

3 Q. Summarize for us what Burlington is seeking to  
4 accomplish with this Application, Mr. Alexander.

5 A. We would like to set a reference case for future  
6 development of the three particular reservoirs, being the  
7 Blanco-Mesaverde, the Blanco-PC and the Basin-Dakota,  
8 whereby we can commingle these formations in various  
9 combinations without having to notify the 200-plus internal  
10 owners in the unit.

11 We will, of course, still notify an offset  
12 operator if we are on the boundaries of the unit.

13 And we are asking that the Commission grant us  
14 summary administrative approval when filing these future  
15 applications, that both the Dakota and the Pictured Cliffs  
16 reservoirs are deemed marginal reservoirs, and to satisfy  
17 that criteria, and also that there would not be future  
18 needs to discuss or submit data for pressure information  
19 insofar as the Mesaverde and the Pictured Cliffs formation  
20 are concerned.

21 We will continue to monitor any kind of  
22 commingling application for the Dakota with the other  
23 reservoirs to see if we are in compliance with the Rule 303  
24 pressure limitations.

25 Q. Were you part of the industry group that studied,



1 analyzed and presented technical information to the  
2 Commission where Rule 303 was modified earlier this year?

3 A. Yes, sir, I was.

4 Q. And are you part of the technical team for  
5 Burlington that is responsible for the San Juan 32 and 9  
6 unit?

7 A. Yes, sir, I am.

8 MR. KELLAHIN: We tender Mr. Alexander as an  
9 expert witness.

10 EXAMINER CATANACH: He is so qualified.

11 Q. (By Mr. Kellahin) Let me have you summarize for  
12 us what's contained in the exhibit book so that we see how  
13 it's organized, Mr. Alexander.

14 A. Yes, behind the Exhibit Tab Number 1, we have  
15 provided the Division with our Application. Attached to  
16 that Application are various exhibits that set forth the  
17 acreage in the unit and the owners that we intend to  
18 contact.

19 Behind Exhibit Tab Number 2 is a list of the 205  
20 internal owners in the San Juan 32 and 9 unit.

21 Behind Exhibit Tab Number 3, we have provided a  
22 reference map of the entire San Juan 32 and 9 unit. This  
23 map includes all of the wells that are presently developed  
24 in the unit. It shows the unit outline, and it also gives  
25 lease outlines to represent the various tracts that are in

1 the unit.

2 Q. Give us a short explanation as to why there's  
3 such an odd shape to the boundary of the unit.

4 A. The 32 and 9 unit contains language that provided  
5 for an automatic elimination of certain acreage at the end  
6 of the development, the primary development period for the  
7 unit, and all acreage that was not then under production  
8 had to be automatically eliminated from the unit back in  
9 the -- it was probably the later Sixties. I'd have to look  
10 for the automatic elimination date.

11 But in any regard, that is why the unit was  
12 contracted back, and it is fairly broken up today as a  
13 result of that automatic elimination of certain acreage  
14 that was nonproducing as of that date.

15 Q. When was this unit first formed? Do you remember  
16 the approximate year?

17 A. It was in the early part of 1960, I believe, in  
18 January of 1960.

19 Q. All right, sir, what's behind Exhibits 4, 5, 6, 7  
20 and 8?

21 A. I did want to mention that although this  
22 Application does not talk about the Fruitland Coal  
23 formation, as you might see on this map, and you might be  
24 curious about it, is that we do have substantial Fruitland  
25 Coal production in this unit, but however it's not the

1 subject of this hearing. I just wanted to bring it to your  
2 attention.

3 Behind Exhibit Tab Number 4, we are providing a  
4 geologic evidence that will be testified to by Mr.  
5 Christiansen, both structure and isopach maps to discuss  
6 the geologic merits of the unit and how they would affect,  
7 if any, the commingling of these reservoirs.

8 Behind Exhibit Tab Number 5, we have provided  
9 maps that show existing Pictured Cliffs and Dakota  
10 penetrations, and also you will see that there is a cross-  
11 section line on each of those maps, and we have provided  
12 cross-sections that Mr. Christiansen will talk about also  
13 with regard to the commingling in this unit.

14 Behind Exhibit Tab Number 6 is the Dakota  
15 penetrations, current production, and cross-section.

16 Behind Exhibit Tab Number 7, we would like to  
17 discuss the economic criteria for commingling the Pictured  
18 Cliffs, Mesaverde and Dakota formations in some detail.

19 And then behind Exhibit Tab Number 7 [sic], we  
20 have presented two of the most commonly used allocation  
21 methods that we have used to date in the 32 and the 9 unit,  
22 and elsewhere.

23 Q. Let me show you what is marked as Burlington  
24 Exhibit 9, Mr. Alexander, and ask you to identify this  
25 exhibit.

1           A.   Exhibit Number 9 is an affidavit or certificate  
2   of mailing, and attached to that certificate of mailing are  
3   copies of the green cards, the certified return receipt  
4   that we mail to each of the parties that are on the notice  
5   list behind Exhibit Tab Number 2.

6           Q.   Is that your certificate and affidavit?

7           A.   Yes, sir, it is.

8           Q.   Do you have knowledge as to whether or not you  
9   actually mailed these notifications to all of these parties  
10   shown in the Application at least 20 days prior to the  
11   hearing?

12          A.   Yes, sir, we did.

13               MR. KELLAHIN:  Mr. Examiner, we need to verify  
14   the exact date of mailing, but Mr. Alexander assures me it  
15   was more than 20 days prior to the hearing, and I'll give  
16   that to you after the hearing.

17          Q.   (By Mr. Kellahin)  From your perspective, Mr.  
18   Alexander, summarize for us what in your opinion is the  
19   benefit of the granting of this Application.

20          A.   It will relieve significant administrative  
21   burdens, particularly with Burlington and I believe also  
22   with the Division, in that we would -- due to the fact that  
23   we are dealing with various combinations of ownership in  
24   the 32 and 9 unit, we will be dealing with drill-block  
25   interest, and we'll be dealing with participating-area

1 interests for both the -- for all three of the formations  
2 in the Dakota, the Mesaverde and the Pictured Cliffs.

3 Currently we have participating areas in one  
4 degree or another for the Mesaverde and the Pictured  
5 Cliffs. We do not have a participating area established  
6 for the Dakota formation at the present time.

7 Due to the fact that we'll be dealing with  
8 various combinations of ownership, it is extremely  
9 administratively burdensome to notify approximately 205  
10 people each time we would like to commingle one of these  
11 wells.

12 The unit agreement and the unit operating  
13 agreement adequately provide for the protection of  
14 correlative rights for these parties, and they will do so.  
15 And therefore, we believe that it is not necessary to  
16 notify all the internal ownership of the 32 and 9 unit.

17 MR. KELLAHIN: That concludes my examination of  
18 Mr. Alexander.

19 We move the introduction of his Exhibits 1, 2 and  
20 Exhibit 9.

21 EXAMINER CATANACH: Exhibits 1, 2 and 9 will be  
22 admitted as evidence.

23 EXAMINATION

24 BY EXAMINER CATANACH:

25 Q. Mr. Alexander, there is a -- this was mostly a

1 Mesaverde-developed unit; is that correct?

2 A. Yes, sir, until more recently. There is  
3 significant Fruitland Coal development. If you'll refer to  
4 Exhibit Number 3 in that map, you'll see that the Fruitland  
5 Coal is symbolized by the green triangle, and we do have  
6 commercial development in the Fruitland Coal in this unit  
7 and have drilled quite a few wells.

8 The PC and the -- the Pictured Cliffs and the  
9 Dakota formation are not well developed, for reasons that  
10 we will explain to you later.

11 Q. Is the PC participating area -- is it very big,  
12 or --

13 A. No, sir, it's very small, and it's centered down  
14 in the very southwest corner of the unit.

15 Q. So you've drilled very few PC wells?

16 A. There are probably -- oh, I forget the exact  
17 number -- 30-some-odd Pictured Cliff wells.

18 I do have a map, if you would like to see it, of  
19 the current Pictured Cliff participating area that I  
20 brought with me.

21 MR. KELLAHIN: Mr. Alexander, if you'll refer to  
22 Exhibit 1 and look at the first page of the Application,  
23 look down to the first numbered paragraph and it will give  
24 you the well count per pool within the unit.

25 THE WITNESS: Yes, sir, I might read that in that

1 the unit currently includes two Basin-Dakota completions,  
2 approximately 128 Blanco-Mesaverde completions, and  
3 approximately 32 Blanco-Pictured Cliff completions. Now,  
4 those may not be all stand-alone wellbores. They have been  
5 completed in some duals and some commingles, but they are  
6 completions.

7 Q. (By Examiner Catanach) Do you anticipate there  
8 being a PA established for the Dakota?

9 A. We have not encountered any commercial production  
10 for the Dakota yet. I think not, as it turns out, and the  
11 reason that I say that is that we hoped to do some  
12 development in the Dakota with the aid of the commingling  
13 orders. However, the rules for the unit agreement and unit  
14 operating agreement provide that if we do a completion of  
15 that type, we actually have to apply new drill-well cost  
16 against that completion to deem it commercial, and they  
17 probably will not withstand that kind of cost associated  
18 with them, even though they might be an economic venture if  
19 we were able to commingle the wells.

20 So to answer your question, we probably won't  
21 have a Dakota participating area developed but we will  
22 hopefully have some economic Dakota completions in the  
23 future.

24 Q. You said you felt like the unit operating  
25 agreement and the unit agreement adequately protect the

1 correlative rights of these interest owners. Can you  
2 expand on that, Mr. Alexander?

3 A. Yes, sir, they have mechanisms in those  
4 agreements that provide for the sharing of revenues,  
5 basically through two means.

6 One is that the well could be developed and if  
7 it's declared noncommercial, it would continue to be  
8 produced on a drill-block basis, and all the proceeds would  
9 be distributed on that drill-block basis.

10 However, if we do obtain production that is good  
11 enough to withstand the commerciality determination, then  
12 we create participating areas, as we already have done with  
13 the Mesaverde and the PC. And those will expand to include  
14 any commercial production, and all of the parties will  
15 share on a tract participation basis in that production.

16 So I believe that the agreement does provide for  
17 protection of correlative rights in that manner.

18 Q. Have you ever had an interest owner object to a  
19 downhole commingling application?

20 A. In the 32 and 9 unit in particular, or in the  
21 Basin in general?

22 Q. In the Basin in general?

23 A. No, sir, I don't believe -- I know we haven't in  
24 the 32 and 9 unit. I do not believe that we have had an  
25 objection to the commingling in all the cases I've dealt



1 with in the Basin.

2 Q. We've established this procedure for Meridian in  
3 other units, have we not, the notification?

4 A. Yes, sir, we have. One in particular is the  
5 Huerfano unit that we have established that. We also  
6 established a procedure up in our Allison unit for  
7 commingling.

8 EXAMINER CATANACH: Okay, I have nothing further.  
9 Do you have anything?

10 EXAMINATION

11 BY MR. CARROLL:

12 Q. Mr. Alexander, I see in Exhibit 2 that only the  
13 Mesaverde owners are listed?

14 A. That was a column that we pulled. The ownership  
15 for the -- the Mesaverde participating area is fully  
16 developed, and so we were able to extract the overrides,  
17 royalties and other burdens from our Division order  
18 section, because they're constant for both the other  
19 formations, and that's where that pull originated from, was  
20 from the Mesaverde Division orders.

21 And then of course we have our Exhibit B that we  
22 have the ownership of all the working interest owners for  
23 all of the formations.

24 Now, the ownership for the working interest in  
25 the formations does vary, but we did pick up all of the

1 working interest owners in all of the formations.

2 But that's the reason you see that heading up  
3 there. That's a computer pull from our Division order  
4 section, and that's where that heading came from.

5 MR. CARROLL: That's all I have.

6 EXAMINER CATANACH: I think that's all we have of  
7 the witness.

8 MR. KELLAHIN: Mr. Examiner, our next witness is  
9 Glen Christiansen. He spells his last name ending with  
10 s-e-n. Mr. Christiansen is a petroleum geologist and he  
11 resides in Farmington.

12 GLEN E. CHRISTIANSEN,  
13 the witness herein, after having been first duly sworn upon  
14 his oath, was examined and testified as follows:

15 DIRECT EXAMINATION

16 BY MR. KELLAHIN:

17 Q. For the record, sir, would you state your name  
18 and occupation?

19 A. My name is Glen Christiansen, and I'm a geologist  
20 for Burlington Resources Oil and Gas.

21 Q. Summarize for us your education, sir.

22 A. I received my bachelor's of science in geology  
23 from Oklahoma State University in 1991, and I received my  
24 master's degree in geology from the University of Wyoming  
25 in May of this year.

1 Q. You're currently employed with Burlington in  
2 Farmington as a petroleum geologist?

3 A. Yes, I am.

4 Q. Describe for us what your responsibilities are as  
5 a geologist for the San Juan 32 and 9 unit area.

6 A. I'm the geologist for the Area 45 team, which  
7 encompasses the northwest portion of the San Juan Basin,  
8 which includes the 32-9 unit.

9 Q. As part of your responsibilities for this area,  
10 which includes this unit, have you made yourself  
11 knowledgeable and familiar with regards to the geology of  
12 the Dakota, Mesaverde and Pictured Cliff formations and  
13 reservoirs?

14 A. Yes, I have.

15 Q. As part of your study, do you now have geologic  
16 opinions with regards to the ability to further develop the  
17 unit on a downhole commingled fashion?

18 A. Yes, I have.

19 MR. KELLAHIN: We tender Mr. Christiansen as an  
20 expert petroleum geologist.

21 EXAMINER CATANACH: He is so qualified.

22 Q. (By Mr. Kellahin) Let me have you turn, sir, to  
23 the Exhibit Tab 4. I want to ask you about the structural  
24 component of all three pools within the boundaries of the  
25 32 and 9 unit. Have you examined the structural features

1 with regards to those three pools within the unit?

2 A. Yes, I have.

3 Q. Do you find a structural component to the  
4 reservoir whereby wells positioned on structure will have a  
5 different rate of productivity, based upon their structural  
6 position?

7 A. No, we haven't.

8 Q. Let's look at this exhibit and have you summarize  
9 for me what you see about the structure.

10 A. The structure map you see is a subsea structure,  
11 contoured on the Huerfanito bentonite which lies between  
12 the Pictured Cliffs and Mesaverde formation. It's fairly  
13 indicative of what you see in structure, both at the  
14 Pictured Cliffs level, Mesaverde level and Dakota level.  
15 It shows really pretty -- no anomalous features.

16 Q. So if you as a geologist are looking for well  
17 locations for any of those three pools within the unit  
18 boundary, using structure is not going to be helpful to  
19 you?

20 A. Not in this area, no.

21 Q. All right. Let's turn to the next display,  
22 again, still in Exhibit Tab 4, and have you identify for me  
23 what the next display is.

24 A. This map is a contour map showing the thickness  
25 of the Pictured Cliffs interval from the top of the

1 Pictured Cliffs to the base.

2 Q. All right. Describe for me the significance of  
3 the color shading.

4 A. The yellows are generally the thinner zones,  
5 whereas, where you get to the orange and reds are the  
6 thicks.

7 Q. This is a gross isopach of the Pictured Cliff  
8 reservoir?

9 A. Yes, it is.

10 Q. Give us a general range of the minimum and the  
11 maximum gross thicknesses.

12 A. Generally in the area of the 32-9 unit, it ranges  
13 from approximately 110 feet to 190 feet at the max.

14 Q. I know we're going to see a well-location map in  
15 a moment, but as we look at this display, show us generally  
16 where the Pictured Cliff development has occurred within  
17 the unit.

18 A. Generally, the development has occurred in the  
19 southwestern portion of the 32-9 unit, generally in the  
20 areas of the thicker zones there.

21 Q. All right, sir. Let's turn now to Exhibit Tab 5  
22 and look at the first display after that exhibit tab. What  
23 are we seeing here?

24 A. This is a unit map showing the present-day  
25 Pictured Cliffs completions. The green dots represent the

1 1996-budgeted wells, and the red dots show 1997-budgeted  
2 wells.

3 Q. The wells budgeted for 1996, with the green dots,  
4 are any of those wells other than proposed downhole-  
5 commingling wells?

6 A. No, they're not.

7 Q. So these are all commingle prospects?

8 A. Yes, they are.

9 Q. And for the 1997 budget, are those also proposed  
10 commingled wells?

11 A. Yes, they are.

12 Q. Do you have any proposed stand-alone well for  
13 either year in any reservoir?

14 A. We do not in the Pictured Cliffs or Dakota.

15 Q. Okay. As a geologist, what do you foresee for us  
16 as the opportunities for further development of the  
17 Pictured Cliff reservoir within this unit? How are we  
18 going to do it?

19 A. We have seen from some of our previous  
20 completions in the 32-9 unit that to make these projects  
21 fly economically, we are going to have to commingle them  
22 with, generally, the Mesaverde.

23 Q. Have you drilled and completed any of the  
24 budgeted 1996 wells that are shown with the green dots?

25 A. Yes, we have.

1 Q. Can you identify for me where they might be?

2 A. The San Juan 32-9 Number 37A lies in the  
3 southeast --

4 (Power outage occurred in the hearing room. A  
5 recess was taken at 8:55 a.m.)

6 (The following proceedings had at 9:15 a.m.)

7 Q. (By Mr. Kellahin) Mr. Christiansen, before the  
8 break you and I were discussing the Exhibit 5. It's the  
9 first display behind that tab, and I was asking you to  
10 locate for us the two downhole commingled wells that were  
11 drilled under the 1996 schedule, and you were identifying  
12 those for us. Please continue.

13 A. Yes, the first one was the 32-9 Number 37A, which  
14 is in the southeast quarter of Section 32, 32 and 9. It's  
15 indicated by the green dot there.

16 And the other one is the 37 -- or 32-9 Number  
17 47A, and it is in the northwest quarter section of Section  
18 4, 31-9.

19 Q. Those were new drills as commingled wells?

20 A. Yes, they were, Mesaverde and PC.

21 Q. Mesaverde and PC in both of those?

22 A. Yes, sir.

23 Q. Do you recall what kind of rates you're getting  
24 on those wells?

25 A. We expect approximately 150 out of the PC and

1 approximately 800, I think, 700, out of the Mesaverde.

2 Q. As to the other wells, are they all to be new  
3 drills or recompletions, or some combination of both?

4 A. The remaining will be recompletions in existing  
5 Mesaverde wellbores.

6 Q. Okay. As we look at the distribution of PC wells  
7 on Exhibit 5, this first display, describe for us  
8 geologically why there has not been further PC development  
9 as we move from the southwest portion of the unit where we  
10 have PC wells, up towards the northeast portion.

11 A. Thus far, the wells to the north -- in the  
12 northern half of the 32-9 unit have been extremely  
13 marginal. One example would be the 32-9 Number 119 that we  
14 drilled last year as a stand-alone Pictured Cliffs well,  
15 and it is essentially a dryhole.

16 Q. Geologically, do you have enough information to  
17 determine a conclusion as to whether, in your opinion,  
18 subsequent development in the Pictured Cliff is in fact  
19 going to be marginal production?

20 A. We believe the remaining locations for the  
21 Pictured Cliffs in the 32-9 will be marginal.

22 Q. When we look down in the better portion of the  
23 Pictured Cliff development within the unit area, this  
24 portion down in the southwest where we have a number of PC  
25 wells, what's the general vintage of those wells?



1           A.    1980 to early 1990s.

2           Q.    Has there been substantial gas production out of  
3   the Pictured Cliff at this point?

4           A.    Several of the wells have produced good amounts.

5           Q.    Do you see any opportunity for further Pictured  
6   Cliff wells down in the better-developed area, such that  
7   you would encounter Pictured Cliff production that would be  
8   other than marginal?

9           A.    Generally, all the available locations have been  
10   drilled.

11          Q.    All right, sir. And any further development in  
12   there is likely to be subject to pressure depletion anyway?

13          A.    Yes.

14          Q.    So when we look throughout the unit, then, it's  
15   your geologic conclusion that there's no more Pictured  
16   Cliff development that can be developed, other than in a  
17   commingled fashion with some other formation?

18          A.    Yes.

19          Q.    Let's take a quick look at the cross-section,  
20   which is the next insert behind Exhibit Tab Number 5. If  
21   you'll fold yours out for a moment. All right, give us a  
22   quick geologic summary of what we're seeing when we look at  
23   the cross-section.

24          A.    Okay, we are going from roughly southeast to the  
25   northwest, right to left, beginning with the San Juan 32-9

1 Number 106, which is a commercial Pictured Cliffs well,  
2 going up to the San Juan 32-9 Number 119 in the northwest,  
3 which was the one I mentioned earlier. It was essentially  
4 a dryhole. And as you can see, we indicated where we had  
5 cored the main reservoir body of the PC in that well.

6 The Pictured Cliffs generally thickens to the  
7 northwest, along this section line.

8 Q. Where is the 32 and 9 unit in relation to the  
9 Basin? Where are we? Up in the north?

10 A. We are just south of the Colorado border, right  
11 along probably the structural axis of the Basin.

12 Q. All right, sir, let's turn to the next exhibit  
13 tab and focus your attention on the other marginal pool in  
14 the unit, and it's your conclusion that the Dakota is the  
15 other marginal pool?

16 A. Yes, it is.

17 Q. Describe for us what we're seeing when we look at  
18 Exhibit 6.

19 A. Essentially you're seeing that there is  
20 relatively no Dakota development in the 32-9 unit, and what  
21 wells have been completed have been noncommercial. Most  
22 recently, the 32-9 Number 113 and the 32-9 Number 114 were  
23 drilled by Amoco and had no production from the Dakota.

24 Q. Apart from the fact that there are few Dakota  
25 penetrations, you do have good geologic information with

1 regards to the Dakota Pool within the unit, don't you?

2 A. Using what wells are within the 32-9 unit and  
3 offsetting wells around the unit, we do have a fair log.

4 Q. In terms of reservoir deposition and  
5 distribution, is the distribution of the Dakota similar to  
6 that of the Pictured Cliff and/or Mesaverde Pools, or can  
7 you draw any kind of analogy between those other pools?

8 A. The Dakota is generally divided up into two  
9 units, the upper Dakota, which is generally more marine-  
10 dominated, a little more continuous unit, it's generally --  
11 The best reservoir in the producing area is to the south  
12 and southwest. And then the lower Dakota is generally  
13 thought to be nonmarine, much more discontinuous and  
14 interbedded with gas- and water-saturated sands.

15 Q. Okay, let's look at the cross-section so we can  
16 see what you've just described.

17 A. This section is running essentially from the  
18 southwestern portion of the unit up through the middle of  
19 it into Colorado. And what we see is the upper marine  
20 units of the Graneros. Two wells tongue in the marine  
21 Dakota, show a drastic thinning as well as shaling out.

22 Q. When we look for Dakota wells in the Basin that  
23 are the highly productive Dakota wells, they would be in  
24 the marine portion --

25 A. Yes, the --

1 Q. -- of the pool?

2 A. -- the main reservoirs of the Dakota lie in the  
3 upper Dakota, the Paguate-Cubero, and the two wells in the  
4 Graneros.

5 Q. And unfortunately, you do not have that  
6 opportunity in the unit area?

7 A. Those reservoirs are absent in the 32-9 unit.

8 Q. Geologically, then, how do you propose that the  
9 Dakota will ever be further tested within the unit  
10 boundaries?

11 A. The real unknown in this -- in the Dakota, is the  
12 nonmarine portion. It's very hard to interpret where the  
13 gas-charged sands will lie, versus the water sands, and  
14 therefore it makes it a very risky project.

15 Q. It's too risky to support a stand-alone Dakota  
16 attempt in the unit anywhere?

17 A. Yes.

18 Q. And so to penetrate the Dakota, you're going to  
19 have to package that with the Pictured Cliff or the  
20 Mesaverde?

21 A. Yes.

22 Q. And that package has got to be on a commingled  
23 basis?

24 A. Exactly.

25 Q. You've excluded the Mesaverde geologic analysis

1 for what reason, sir?

2 A. It is the main producer in the 32-9 unit, and  
3 therefore we believe it's the -- an economic one.

4 Q. So it's going to be an economic one?

5 A. Yes.

6 Q. From a geologic perspective, Mr. Christiansen,  
7 summarize for us your conclusions as to why you would like  
8 the Examiner to grant this Application.

9 A. We would like for you to grant this proposal for  
10 several reasons.

11 The Pictured Cliffs, in the area of existing  
12 completions, are likely to be depleted because of the  
13 production. And in the areas to the north where we see  
14 fewer completions, we expect that the reservoir  
15 characteristics are those that -- they have very little  
16 permeability, and from -- Our core data shows that, and we  
17 expect the reservoir in that area to be marginal.

18 The Dakota, from what little data we do have,  
19 shows that that is also quite marginal.

20 Q. Your geologic conclusion, then, about the best  
21 opportunity for Burlington to further develop those  
22 resources is in what fashion, sir?

23 A. To commingle the Pictured Cliffs generally with  
24 the Mesaverde, as well as the Dakota, and the Dakota with  
25 the Mesaverde as well.

1 MR. KELLAHIN: That concludes my examination of  
2 Mr. Christiansen.

3 We move the introduction of his geologic displays  
4 found behind Exhibits Tabs 4, 5 and 6.

5 EXAMINER CATANACH: Exhibits 4, 5 and 6 will be  
6 admitted as evidence.

7 EXAMINATION

8 BY EXAMINER CATANACH:

9 Q. Mr. Christiansen, the Mesaverde, is it fully  
10 developed in the unit?

11 A. It is developed in the majority of the unit.  
12 Towards the northeast portion, we are on 320s in that area.

13 Q. So do you anticipate much infill Mesaverde  
14 drilling going on?

15 A. Burlington Resources is currently looking at PUD  
16 development, and those that will attain our economic  
17 hurdles will be drilled.

18 Q. So the majority of the commingling situations  
19 you're talking about are with existing Mesaverde wells?

20 A. Yes, for the most part.

21 Q. Are you going to do anything with any of the  
22 existing PC wells?

23 A. We have nothing planned at this time.

24 Q. So is it your opinion that most of the  
25 commingling situations will occur in the southwest portion

1 of the unit? Is that a fair statement?

2 A. Yes, from -- we are -- I would say we're  
3 generally stepping out of the known production in the PC  
4 where it starts to become marginal, and so we'll be playing  
5 along that trend at this time.

6 Q. And initially, you think that for the most part  
7 it's going to be Mesaverde-PC situations, as opposed to  
8 Mesaverde-Dakota?

9 A. Yes.

10 Q. Where will the -- Where do you anticipate the  
11 Dakota commingling to occur?

12 A. From just what mapping I've done, it appears that  
13 probably the western portion probably shows the best  
14 opportunity for Dakota. We have, I guess, a better  
15 percentage of producing Dakota wells in that general  
16 direction.

17 Q. What is the factor that's controlling the PC  
18 production? Is it the thickness of the reservoir?

19 A. We believe that thickness does not control the  
20 production. We believe those ones in the southwest of the  
21 unit are dominated by natural fracturing. And we also look  
22 at the Mesaverde in that area, and it produces anomalously  
23 in that area as well.

24 Therefore, the conclusion is that we've got some  
25 natural fractured reservoirs throughout the section in that

1 area, whereas to the north and northeast we see dominance  
2 -- or production controlled by the matrix permeability.

3 Q. The thickness in the PC, does it change in the  
4 unit?

5 A. As you can see from that one isopach in Exhibit  
6 4, it does change. You know, we're talking about 70 feet,  
7 probably, across the unit, something like that. That's a  
8 gross isopach.

9 Q. So the PC wells that you're going to commingle,  
10 you feel like you're stepping out from the -- from where  
11 you had the good PC production initially in the unit?

12 A. Uh-huh.

13 Q. So you're stepping out into an area that might be  
14 marginal --

15 A. Exactly.

16 Q. -- based upon getting away from the natural  
17 fracturing?

18 A. (Nods)

19 Q. And did you say you would -- you had drilled --  
20 let's see, a couple of wells, commingled wells in this  
21 area --

22 A. Yes.

23 Q. -- in 1996?

24 MR. KELLAHIN: Mr. Examiner, it's these two, this  
25 one and that one.



1 EXAMINER CATANACH: Okay.

2 Q. (By Examiner Catanach) And you said -- The rates  
3 in the PC that you encountered?

4 A. Approximately 150 MCF a day is attributed to the  
5 PC.

6 Q. In both wells?

7 A. Yes.

8 Q. Those were new wells?

9 A. Yes, that was based off of pitot gauges, and then  
10 generally we see approximately 50 percent of down-the-line  
11 production.

12 Q. And you also completed those in the Mesaverde?

13 A. Yes, we did.

14 Q. Okay, 700, 800 MCF a day in the Mesaverde?

15 A. I believe that's the amount. Mary Ellen will  
16 probably be better able to answer that.

17 Q. Okay. On your PC cross-section, you've got rates  
18 at the bottom of those wells. Were those initial rates in  
19 those wells?

20 A. Those are cum, cumulative production.

21 Q. Oh, cumulative rate, okay.

22 A. Yes.

23 Q. Got you.

24 How many candidates for commingling do you think  
25 you're going to have in the unit? Is it -- Can you say?

1           A.    I guess it would be tough to say.  We would  
2           probably have to evaluate how -- this year's and next  
3           year's program we're going to do before I would say that.  
4           It would be limited, probably, to a couple sections around  
5           the existing proposed locations.

6                   EXAMINER CATANACH:  I believe that's all I have  
7           of this witness.

8                               MARY ELLEN LUTEY,  
9           the witness herein, after having been first duly sworn upon  
10          her oath, was examined and testified as follows:

11                               DIRECT EXAMINATION

12          BY MR. KELLAHIN:

13               Q.    Would you please state your name and occupation?

14               A.    My name is Mary Ellen Lutey, and I'm a production  
15          engineer for Burlington Resources.

16               Q.    Ms. Lutey, would you summarize for us your  
17          education?

18               A.    I received my bachelor's of science degree in  
19          petroleum engineering from Montana Tech in May of 1994.

20               Q.    And summarize for us your employment experience  
21          as a petroleum engineer.

22               A.    I've been working for Burlington, which was  
23          previously Meridian Oil, for approximately two years now as  
24          a production engineer in the Area-45 team, which is the  
25          northwest region of the Basin.

1           Q.   Does your area of responsibility as a production  
2 engineer include the San Juan 32 and 9 unit?

3           A.   Yes.

4           Q.   And as part of your responsibility, have you  
5 examined the production and reservoir-engineering aspects  
6 of the Dakota, the Mesaverde and the Pictured Cliff wells  
7 that you operate in that unit?

8           A.   Yes.

9           Q.   Based upon that analysis, do you have certain  
10 engineering conclusions and recommendations about how to  
11 further develop that unit?

12          A.   Yes.

13               MR. KELLAHIN: We tender Ms. Lutey as an expert  
14 production engineer.

15               EXAMINER CATANACH: She is so qualified.

16          Q.   (By Mr. Kellahin) As part of your study, have  
17 you made an analysis of whether or not the Pictured Cliff  
18 Pool is a marginal pool in terms of how to develop it with  
19 either commingled wellbores, a dual completion or a single  
20 completion?

21          A.   Yes.

22          Q.   Based upon that study, what is your conclusion  
23 about the Pictured Cliff Pool?

24          A.   The Pictured Cliff tends to be marginal in this  
25 area, and commingling would be the best economical way of

1 completing those wells.

2 Q. Okay. When you look at the opportunity for  
3 Mesaverde production, that Mesaverde production, as I  
4 understand it, is the one pool that continues to be  
5 economic and supports the other two; is that true?

6 A. Yes.

7 Q. When you look at the Dakota, do you have or have  
8 you ever had a Dakota well that was economic in the unit?

9 A. No, sir.

10 Q. Your study of the information on the Dakota, does  
11 it cause you to conclude that that reservoir will continue  
12 to be a marginal pool within the unit?

13 A. Yes.

14 Q. Let's turn to see how you analyzed and came to  
15 those conclusions.

16 If you'll turn to the exhibit book with me, let's  
17 look at Exhibit Tab 7 and focus first of all on the  
18 Pictured Cliff Pool. One of the things that we talk about  
19 in commingling is the available pressure information.  
20 Let's start at that point and have you describe what you've  
21 shown me in your summary. Under Pictured Cliff, you say  
22 original shut-in pressure. In fact, what are you meaning  
23 when you say that?

24 A. It's the shut-in pressure that -- the first shut-  
25 in pressure that was available when we started producing

1 gas.

2 Q. And that was a pressure available to you after  
3 there had been pressure depletion in the Pictured Cliff  
4 reservoir from production outside the unit?

5 A. Yes.

6 Q. Currently, what kind of pressure do you see in  
7 your Pictured Cliff wells, on average?

8 A. The average is about 350.

9 Q. All right. One of the items of concern for the  
10 Division when they process the commingled applications is  
11 whether or not there is a pressure differential among the  
12 commingled reservoirs, such that there would be a higher-  
13 pressured reservoir that would damage the container of the  
14 lowest-pressured reservoir. You understand that concept?

15 A. Yes.

16 Q. Would Pictured Cliff pressures be so high that  
17 the Division would concern itself about PC pressures in the  
18 unit when it comes to commingling?

19 A. No.

20 Q. The only reservoir that might have pressure to be  
21 of concern would be the Dakota, I guess?

22 A. Yes.

23 Q. You've also used pressure to help you extrapolate  
24 what you think a PC well's remaining gas recovery would be  
25 if you drilled that reservoir?

1           A.    Yes.

2           Q.    How did you do that?

3           A.    As you can see on the Exhibit 7, on page 1, using  
4 material balance method.

5           Q.    Okay. What have you concluded, then, is your  
6 average in MCFs, your average remaining recoverable gas per  
7 PC attempt? What number did you get?

8           A.    700 million cubic feet.

9           Q.    Okay. Can we use that number later when you show  
10 us your economic plots to see where a typical PC well will  
11 fall on the economic curves?

12          A.    Yes.

13          Q.    All right, let's turn to that and do that. If  
14 you'll turn the exhibit tab, let's take the next step,  
15 which is looking at the cost component. You've given us a  
16 recoverable gas number. Describe for us how you got your  
17 cost component of the economic analysis.

18          A.    This page is a summary of the costs that -- the  
19 average costs that we've seen to date for capital expenses  
20 for a single well completion, a dual well completion, and  
21 also commingled wells.

22          Q.    When we look at these numbers, have they been  
23 compiled so that these are the direct costs attributable  
24 only to the Pictured Cliff?

25          A.    Yes.

1           Q.    So in a commingled well or a dual well, there are  
2   other expenses as to other formations, but you have taken  
3   those out and we now see only the representative costs  
4   directly attributable to the Pictured Cliff?

5           A.    Yes.

6           Q.    The costs attributable to the Pictured Cliff for  
7   a single completion total what? What have you got for it?  
8   \$400,000?

9           A.    Yes.

10          Q.    And for a dual case is what?

11          A.    \$236,000.

12          Q.    And for the commingled cases?

13          A.    \$186,000.

14          Q.    All right. Let's turn over and look at the next  
15   display, which is the economic curves, okay? Help us set  
16   up the display. What's on the vertical axis?

17          A.    Along the Y axis is the EUR, and along the X axis  
18   is the initial rate. And you can see the three different  
19   lines. The line shown in blue is for a single well  
20   completion as a new drill, and the green line shows a dual  
21   well completion as a new drill, and the pink line shows a  
22   commingled well completion.

23          Q.    All right. We'll explain to the Examiner in a  
24   minute how you constructed and the criteria used to  
25   construct the curves, but let's give him the example of Mr.

1 Christiansen's well that you've recently completed as a  
2 single PC well. It had a rate of about 150 a day, and if  
3 we use your EUR of 700, where is that going to put us on  
4 the curves?

5 A. It shows that if you go up on the X axis and  
6 along the Y axis, that that's going to put us under all of  
7 these curves, which is an indication that even as a  
8 commingle, that the well that we specifically talked about  
9 is not economical.

10 Q. All right. If I'm on the X axis and I go to just  
11 less than 200 as a daily rate and go up the scale and get  
12 the EUR, then I'm still below the commingled economic  
13 baseline?

14 A. Yes.

15 Q. Do you see an opportunity for commingling of the  
16 Pictured Cliff in the unit that would put you -- I guess  
17 you have to be above the green line, right? The green line  
18 is your base case for dual completion?

19 A. Correct. So for in between the pink and the  
20 green, then, commingling would be the only viable option  
21 for economics.

22 Q. So everything below the green line, your only  
23 option is commingling. And if you're below the pink line,  
24 then even commingling is suspect?

25 A. Yes.



1           Q.   How were you able to justify the economics, then,  
2   for the well?  Is it supported by the Mesaverde?  Is that  
3   how you do this?

4           A.   Yes, and also the -- One of the things that we've  
5   talked about, as Glen already mentioned, will be -- some of  
6   these will be recompletions in existing Mesaverde wells and  
7   that will again lower the curves to make the project more  
8   economical.

9           Q.   Okay, we're looking at a curve then, for a new  
10  drill --

11          A.   Yes.

12          Q.   -- as a commingled well?

13          A.   Yes.

14          Q.   And your opportunity for a recompletion lets you  
15  save some money and therefore reduces the EUR and the rate  
16  so that you can make it work?

17          A.   Yes.

18          Q.   Mr. Scott Daves, in the Basinwide reference case,  
19  constructed a similar economic analysis using methodology  
20  like this, did he not?

21          A.   Yes, he did.

22          Q.   Describe for us what parameters are different  
23  between your analysis and what Mr. Daves did.

24          A.   The biggest change from when Mr. Daves presented  
25  is the greater return.  Our economic indicator rate of

1 return has increased, and this was a result of Burlington's  
2 company strategy has increased to 20 percent, and when  
3 Scott completed it, it was done at 15-percent rate of  
4 return.

5 Q. All right. Scott's economic rate of return  
6 started at 15 percent. You're no longer allowed to use  
7 that; it's 20 percent?

8 A. Correct.

9 Q. In addition, the pricing index escalator, if you  
10 will, he's escalating his costs over a time that was more  
11 optimistic than the escalator you used?

12 A. Correct.

13 Q. And then his initial pricing start was a little  
14 bit higher than your price start, right?

15 A. Yes.

16 Q. So your opportunity for commingling is even more  
17 pessimistic than his; is that not true?

18 A. Yes, that's correct.

19 Q. When we get to the Dakota case, you've not  
20 bothered to put together an economic analysis. That's  
21 simply because you know as a matter of fact that the Dakota  
22 is, in all probability, not going to be economic?

23 A. That's right.

24 Q. Summarize your conclusion, then, about the  
25 economics and the commingling opportunity in the unit.

1           A.    In summary, in the 32-8 unit, we don't feel  
2           that -- or we feel that commingling is the only viable  
3           alternative to complete the wells that we've talked about.

4           Q.    Let's turn to the topic of the allocation  
5           formulas.  If you look at the next tab and look at the  
6           displays behind Exhibit Tab Number 8, you're proposing to  
7           the Examiner the option for you to utilize either one of  
8           two allocation formulas; is that not true?

9           A.    Yes.

10          Q.    Describe for us the formulas you're proposing.

11          A.    The two main formulas that we're proposing are,  
12          first of all, one would be based on the historical  
13          production.  In the case of a recompletion where we have  
14          existing Mesaverde production, we can use that decline  
15          analysis and use our allocation formula based off the past  
16          historical production.

17                And the second alternative would be to use the  
18          actual gauges that we obtained during the workover or  
19          completion process and use the percentage allocation on  
20          that.

21          Q.    And both of these allocation formulas are  
22          commonly used in the Basin for commingling production in  
23          these wellbores?

24          A.    Yes.

25          Q.    In your opinion, either one of these allocations

1 is fair and reasonable and accurate?

2 A. Yes.

3 Q. Can you identify for the Examiner any of the  
4 wells that have received commingling approval and give him  
5 a reference as to those order numbers? Do you have that  
6 information?

7 A. Yes, the 32-9 Number 37A, I believe, is Commingle  
8 DHC-1275, and the 32-9 Number 47A is 1276 Commingle Order.

9 Q. In your opinion, will approval of your  
10 Application for a reference case provide an opportunity to  
11 reduce the economic burden with regards to the filing of  
12 those applications and at the same time prevent waste and  
13 protect the correlative rights of the owners entitled to a  
14 share in that production?

15 A. Yes.

16 MR. KELLAHIN: That concludes my examination of  
17 Ms. Lutey.

18 We move the introduction of her Exhibits 7 and 8.

19 EXAMINER CATANACH: Exhibits 7 and 8 will be  
20 admitted as evidence.

21 EXAMINATION

22 BY EXAMINER CATANACH:

23 Q. Ms. Lutey, how did you determine the original  
24 bottomhole pressures in the Pictured Cliffs formations?

25 A. The original that's stated on page 1 --

1 Q. Right.

2 A. -- under Exhibit 7, those were determined from  
3 actual shut-in wellhead pressures when the well was first  
4 brought on line or started producing.

5 Q. And was this an average number from all of the  
6 PC-completed wells in the unit?

7 A. Yes.

8 Q. How about the current number? How did you get  
9 that?

10 A. That information was available through also shut-  
11 in pressures. The most -- When I say current, that's the  
12 most recent data that we have, and it again is an average  
13 of the Pictured Cliffs data that we have.

14 Q. And you've got about -- Is it 32 PC wells  
15 existing?

16 A. Yes.

17 Q. So you're saying you took the average of all  
18 those wells?

19 A. That we had the pressure information on, yes.

20 Q. Do you know how many those were?

21 A. I think it was 18.

22 Q. For both the current and the original? Or  
23 just --

24 A. Yes.

25 Q. Okay. So you think that's pretty representative?

1 A. Yes.

2 Q. So if I understand right, you're estimating  
3 that -- for a new PC completion, you're estimating 700  
4 million cubic feet to be recovered from that well?

5 A. Yes.

6 Q. Okay. The initial PC rate, you had a couple of  
7 wells that you said, I think, that were 150 a day, initial  
8 rate?

9 A. Yes.

10 Q. Do you anticipate that being representative of  
11 the new completions in the PC?

12 A. I think so. They were both completed less than a  
13 mile apart, and they both had similar rates.

14 Q. Do you recall what some of the other PC initial  
15 rates were in the better portion, in the southwest portion  
16 there? Were they higher than that?

17 A. Yes, in the southwest portion they were. Some of  
18 those rates were as high as probably 500, 600 MCF a day.

19 Q. Bottom line is, you just don't think that you  
20 drill a stand-alone PC well in the unit?

21 A. Correct. The last well that we did drill as a  
22 stand-alone PC well was the 32-9 Number 119, which was a  
23 dryhole, and that was completed in 1995.

24 Q. Okay. On the allocation formulas, now, the first  
25 one you want to base on historical production, I guess.

1 I'm not sure I understand that completely. If you've got  
2 an existing Mesaverde well that's got some historical  
3 production, you want to be able to use that number?

4 A. Yes.

5 Q. And what number for the new PC? Just the current  
6 rate, or -- I'm not sure I understand.

7 A. The additional rate that we found after we added  
8 the PC completion.

9 Q. The other allocation method is where you actually  
10 measure both production streams at the time you commingle  
11 the well?

12 A. Yes, and the example there is with the 32-9 Unit  
13 Number 47A, which is the well that we completed in 1996 and  
14 have obtained approval.

15 Q. Would you test the PC formation for any length of  
16 time?

17 A. Yes, we usually will test it and ensure that it's  
18 stabilized. And then once we have a stabilized rate, we  
19 pull the bridge plug that's separating the Pictured cliffs  
20 from the Mesaverde and then obtain the final rate, final  
21 gauge.

22 Q. How long do you think it takes to get a  
23 stabilized rate?

24 A. Probably 12 hours.

25 EXAMINER CATANACH: Do you have anything?

1 MR. CHAVEZ: Yeah, I have some questions if you  
2 don't mind. Frank Chavez, I'm the District Supervisor in  
3 Aztec.

4 EXAMINATION

5 BY MR. CHAVEZ:

6 Q. Are any of the Mesaverde wells producing at such  
7 a rate that they may have at some time their production  
8 restricted by proration?

9 A. Not that I'm aware of.

10 Q. Okay. On your commingling -- on your allocation  
11 formula that used the pitot gauges, would the process  
12 include, for your wells for which you're adding, say,  
13 currently Mesaverde producer and adding a Pictured Cliffs  
14 formation, would you retest the Mesaverde at the same time  
15 or prior to commingling? Is that what your process would  
16 be --

17 A. Yes --

18 Q. -- to obtain that volume?

19 A. -- we always obtain a gauge on the Mesaverde  
20 also.

21 Q. Have you explored the possibility of using the  
22 remaining recoverable reserves as a method of allocation,  
23 versus production testing?

24 A. No. We feel that --

25 MR. CHAVEZ: That's all I have.



1 EXAMINER CATANACH: Anything?

2 MR. CARROLL: No.

3 EXAMINER CATANACH: Okay, this witness may be  
4 excused.

5 MR. KELLAHIN: All right, sir. That's all we  
6 have to present, Mr. Examiner.

7 EXAMINER CATANACH: Okay. Mr. Kellahin, I'd  
8 appreciate a rough order in this case as well.

9 MR. KELLAHIN: Yes, sir, I'd be happy to do that.

10 EXAMINER CATANACH: And there being nothing  
11 further in this case, Case 11,601 will be taken under  
12 advisement.

13 (Thereupon, these proceedings were concluded at  
14 9:56 a.m.)

15 \* \* \*

16  
17  
18  
19 I do hereby certify that the foregoing is  
20 a complete record of the proceedings in  
the Examiner hearing of Case No. 11601,  
heard by me on August 22 1996.  
21 David R. Catanch, Examiner  
22 Of Conservation Division  
23  
24  
25


## CERTIFICATE OF REPORTER

STATE OF NEW MEXICO    )  
                                  )   ss.  
COUNTY OF SANTA FE    )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL August 24th, 1996.

  
\_\_\_\_\_  
STEVEN T. BRENNER  
CCR No. 7

My commission expires: October 14, 1998