

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)	
THE OIL CONSERVATION DIVISION FOR THE)	
PURPOSE OF CONSIDERING:)	CASE NO. 11,615
)	
APPLICATION OF THORNTON OPERATING)	
CORPORATION FOR POOL CONTRACTION, POOL)	ORIGINAL
CREATION, SPECIAL POOL RULES,)	
NONSTANDARD SPACING OR PRORATION UNIT,)	
DIRECTIONAL DRILLING AND AN UNORTHODOX)	
WELL LOCATION, CHAVES COUNTY, NEW MEXICO)	

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MICHAEL E. STOGNER, Hearing Examiner

October 3rd, 1996

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, MICHAEL E. STOGNER, Hearing Examiner, on Thursday, October 3rd, 1996, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

STEVEN T. BRENNER, CCR
(505) 989-9317

I N D E X

October 3rd, 1996
 Examiner Hearing
 CASE NO. 11,615

	PAGE
APPEARANCES	3
APPLICANT'S WITNESS:	
<u>ROBERT L. THORNTON</u> (Engineer, geologist; President, Thornton Operating Corporation)	
Direct Examination by Mr. Carr	5
Examination by Examiner Stogner	27
REPORTER'S CERTIFICATE	37

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	6	27
Exhibit 2	14	27
Exhibit 3	15	27
Exhibit 4	17	27
Exhibit 5	17	27
Exhibit 6	18	27
Exhibit 7	20	27
Exhibit 8	23	27
Exhibit 9	24	27
Exhibit 10	7	27

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE and SHERIDAN, P.A.
Suite 1 - 110 N. Guadalupe
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: WILLIAM F. CARR

* * *

1 WHEREUPON, the following proceedings were had at
2 8:57 a.m.:

3 EXAMINER STOGNER: At this time I'll call Case
4 Number 11,615.

5 MR. CARROLL: Application of Thornton Operating
6 Corporation for pool contraction, pool creation, special
7 pool rules, nonstandard spacing or proration unit,
8 directional drilling and an unorthodox well location,
9 Chaves County, New Mexico.

10 EXAMINER STOGNER: At this time I'll call for
11 appearances.

12 MR. CARR: May it please the Examiner, my name is
13 William F. Carr with the Santa Fe law firm Campbell, Carr,
14 Berge and Sheridan.

15 We represent Thornton Operating Corporation in
16 this matter, and I have one witness.

17 EXAMINER STOGNER: Are there any other
18 appearances in this matter?

19 Are we missing anything in this Application, Mr.
20 Carr?

21 MR. CARR: I couldn't think of anything else to
22 throw in there, Mr. Stogner.

23 EXAMINER STOGNER: Will the witness please stand
24 and be sworn at this time?

25 (Thereupon, the witness was sworn.)

1 EXAMINER STOGNER: Mr. Carr?

2 MR. CARR: Thank you, Mr. Stogner.

3 ROBERT L. THORNTON,

4 the witness herein, after having been first duly sworn upon
5 his oath, was examined and testified as follows:

6 DIRECT EXAMINATION

7 BY MR. CARR:

8 Q. Would you state your name for the record, please?

9 A. Robert L. Thornton, T-h-o-r-n-t-o-n.

10 Q. Mr. Thornton, where do you reside?

11 A. Midland, Texas.

12 Q. And by whom are you employed?

13 A. Thornton Operating Corporation.

14 Q. And what is your position with Thornton
15 Operating?

16 A. I'm the president.

17 Q. Have you previously testified before the New
18 Mexico Oil Conservation Division?

19 A. Yes, I have.

20 Q. And how were you qualified as an expert at the
21 time of that prior testimony?

22 A. The other times I've been qualified as an expert
23 geologist.

24 Q. Having been qualified as a geologist in the past,
25 do you also have a degree in petroleum engineering?

1 A. Yes, sir, I do.

2 Q. And have you practiced petroleum engineering
3 since you received that degree?

4 A. Yes, I have.

5 Q. When and where did you receive your engineering
6 degree?

7 A. I have a BS in petroleum engineering from the
8 University of Texas. I received it in August of 1978.

9 Q. Are you familiar with the Application filed in
10 this case?

11 A. Yes, I am.

12 Q. Have you conducted a study of the subject area?

13 A. Yes, I have.

14 Q. And are you prepared to present the results of
15 that study to Mr. Stogner today?

16 A. Yes, sir.

17 MR. CARR: Mr. Stogner, at this time we tender
18 Mr. Thornton as an expert witness in petroleum engineering.

19 EXAMINER STOGNER: Mr. Thornton is so qualified.

20 Q. (By Mr. Carr) Mr. Thornton, we have a lot of
21 component parts to this Application. I think the best way
22 to approach it would be if you would refer to what has been
23 marked Exhibit 1, and using this exhibit, could you review
24 for Mr. Stogner what it is we seek in this case?

25 A. Okay, we seek contraction of the South Lone Wolf

1 Devonian Pool to exclude the northwest quarter of Section
2 26 and the northeast quarter of Section 27 of 13 South,
3 Range 29 East.

4 Q. If we go -- Mr. Stogner, if you would also take
5 out, perhaps, at this time Exhibit Number 10, the last
6 exhibit in this packet, this is a plat which shows the
7 current boundary of the South Lone Wolf-Devonian Pool, and
8 what acreage on this Exhibit 10, Mr. Thornton, are you
9 seeking to delete from the pool?

10 A. Section -- The easternmost acreage consisting of
11 the northwest corner of Section 26 and the northeast
12 quarter of Section 27.

13 Q. What else are you seeking?

14 A. We're seeking the creation of a new pool for the
15 production of oil from the Devonian formation underlying
16 the southwest of the southwest of Section 23 and the
17 northwest of the northwest of Section 26 of Township 13
18 South, 29 East, that being the acreage within -- on Exhibit
19 1, within the boundaries of the proposed -- what it says is
20 the proposed proration unit, also would be within the
21 proposed pool.

22 Q. Okay. So you're seeking the creation now of an
23 80-acre pool, and this is also in the Devonian formation --

24 A. Yes --

25 Q. -- is that right?

1 A. -- we're seeking promulgation of special pool
2 rules and regulations for the new pool, including 80-acre
3 spacing and proration units and well-location requirements
4 being within 150 feet of the center of the governmental
5 quarter-quarter section.

6 Q. Now --

7 A. In addition, we're seeking a nonstandard oil
8 proration unit comprised of the southwest of the southwest
9 of Section 23 and northwest of the northwest of Section 26,
10 which would be the 80-acres comprising the pool.

11 Q. What's your -- in essence -- What, in essence,
12 you're trying to do is break out 80 acres from the South
13 Lone Wolf-Devonian Pool and create a new 80-acre pool that
14 crosses this section line; is that not in summary what
15 you're trying to do?

16 A. That's correct.

17 Q. And as to the development of this pool, how do
18 you propose to go about that?

19 A. We plan to re-enter the currently existing well,
20 which was drilled by Manzano, interchangeably referred to
21 as the McClellan Federal Number 1 well and the West King
22 Camp Unit Number 1 well, re-enter that well from its
23 surface location, which -- unorthodox surface location,
24 which was approved earlier, 182 feet from the north line
25 and 507 feet from the west line of Section 26, and drill a

1 diagonal -- directionally drill to a bottomhole location
2 within a hundred feet of a point 148 feet from the south
3 line and 177 feet from the west line of Section 23.

4 Q. Now, if we look at Exhibit Number 1, what you're
5 doing is going -- proposing to develop this 80-acre
6 reservoir with -- by re-entering the existing well in the
7 northwest-northwest of 26, and ultimately directionally
8 drilling and bottoming that, north and --

9 A. -- west.

10 Q. -- west of the current surface location?

11 A. That's correct --

12 Q. All right.

13 A. -- where it shows -- at the end of the arrow that
14 says "proposed bottomhole location".

15 Q. Now, to put this in some sort of context, I think
16 it would be helpful if you could now review the background
17 for this particular Application.

18 A. Okay, this project was put together by Manzano
19 Energy Corporation, and they put together a 160-acre
20 federal unit designated the NMNM-92,016-X by the Bureau of
21 Land Management, which consisted of the south half of the
22 southwest quarter of Section 23 and the north half of the
23 northwest corner of Section 26, being that 160-acre square
24 that straddles the boundary and is labeled as leases
25 NM-62,195 and NM-50,415 on the map.

1 They got the formation -- you know, approval of
2 the formation of that unit from the federal government, and
3 they -- from -- on the basis of a 3-D seismic structural
4 high that appeared to be on the lease line between those
5 two sections, Section 23 and Section 26.

6 Q. And that structural high is indicated also on
7 Exhibit Number 1; is that right?

8 A. That's correct.

9 Q. And Manzano was the operator of that original
10 unit?

11 A. That's correct. Manzano Energy Corporation was
12 the operator of that unit.

13 Q. Was the location, surface location for the well
14 on this unit, approved by the Oil Conservation Division?

15 A. Yes, the OCD approved the unorthodox well
16 location for a Devonian test on this unit by Order
17 R-10,295, which was Case 11,166, and Manzano subsequently
18 drilled the McClellan Federal Number 1 well, subsequently
19 being re-named the West King Camp unit.

20 Q. And what did they encounter when they drilled
21 that well?

22 A. They drilled a 9862-foot Devonian test during
23 September of 1995. They encountered a permeable -- porous
24 and permeable Devonian zone. It tested at 90-percent oil
25 and 10-percent water in the drill stem test. It appeared

1 to be a commercial well. But unfortunately the results
2 were not -- the results during completion were not what was
3 to be expected from the drill stem test results.

4 They tried several times to obtain the production
5 that was anticipated from the drill stem test by various
6 acid jobs. When they acidized it, finally it went on a
7 vacuum and it started producing. They could not draw it
8 below 600 feet below the surface as fast as they took fluid
9 out of it. So it obtained extremely high permeability
10 finally, reached the high permeability, but by the time
11 they reached that, they had evidently acidized down into
12 the water zone and were producing 96-percent water.

13 Q. Is it your opinion there were completion problems
14 that, in fact, probably ruined the well?

15 A. Yes, and we don't know why, but there were some
16 completion problems.

17 Q. All right. What then happened with the well?

18 A. Well, they subsequently attempted -- They
19 subsequently squeezed the well, they shut off permeability
20 completely, then they went back in and perforated it some
21 more and put on a very light acid job this time.

22 Finally, by May of 1996, they had determined that
23 they weren't going to get any better than eight barrels a
24 day of -- they were getting about eight barrels a day of
25 oil and about 80 barrels a day of water. Due to the lack

1 of water disposal facilities right there on-site, they
2 decided that the well was noncommercial. They shut the
3 well in with -- and mentioned to the BLM their intentions
4 to plug and abandon it.

5 The BLM, after finding out these intentions by a
6 letter dated July 3rd, 1996, they terminated the unit
7 effective April 30th, 1996.

8 Q. What is the status of the leases now that the
9 unit has been terminated by the BLM?

10 A. Lease Number NM-62,195, being the south half of
11 the southwest quarter of 23, was given an extension till
12 April 30th, 1998, as was the lease down in NM-50,415, being
13 the north half of the northwest quarter of Section 26, was
14 also given an extension of its primary term to that period
15 of time. But by virtue of the fact that 40 acres was in
16 this producing well, it was given an HBP status, or held-
17 by-production status. So the lease in the NM-50,415 is
18 currently held by production, whereas 62,195 is scheduled
19 for expiration 1998.

20 Q. Now, Mr. Thornton, what interest does Thornton
21 Operating Corporation have in this property?

22 A. Thornton Operating Corporation, along with
23 several other entities, acquired the interest of Manzano
24 and Marathon in these tracts, NM-62,195 and NM-50,415. The
25 northern lease was a farmout from McClellan -- I mean from

1 Marathon, and the southern lease was a farmout from
2 McClellan Oil Corporation out of Roswell, and we acquired
3 the interests equally divided between those two leases, you
4 know, for all interest owners.

5 Q. And have you discussed plans to return this
6 acreage, or again attempt to establish commercial
7 production from this acreage? Have you discussed those
8 plans with the BLM?

9 A. Yes, I have --

10 Q. And what has --

11 A. -- twice.

12 Q. -- the BLM advised you?

13 A. The BLM advised me that it would be very awkward
14 for them to extend the unit, because when they form a unit
15 they have a -- you know, they have a geological picture
16 that they're attempting to -- They're forming the unit to
17 attempt to -- justifying the formation of the unit in the
18 public interest.

19 And once that idea has been tested, which they
20 believe it was tested in the Manzano well, they cannot --
21 they feel it's very awkward for them, they have no basis to
22 extend the unit, once that idea has already been tested.

23 Q. And what did they tell you that you should do if
24 you were going to go forward with your plans to develop the
25 unit?

1 A. They recommended that we take the matter to the
2 OCD, bring it here, in order to attempt to get a larger
3 spacing unit approved and then communitize the two tracts
4 in order to develop this.

5 Q. And it was in response to that BLM directive that
6 we developed the Application which we have brought to the
7 Division today; is that right?

8 A. That's correct.

9 Q. Does Thornton Exhibit Number 1 indicate the
10 ownership in the area of the proposed pool?

11 A. Thornton Exhibit Number 1 and also Number 10.
12 There's -- the -- Number 10 is over a larger area and
13 includes the entire pool, and any changes to Number 10
14 since January of this year are all as a result of our
15 purchasing -- you know, our agreements with Marathon and
16 McClellan, and are reflected on Unit [sic] Number 1.

17 Q. Is Exhibit Number 2 an affidavit confirming that
18 notice of this Application has been provided to all
19 affected operators in accordance with OCD rules?

20 A. That's correct, all operators within the pool --
21 there were no unleased mineral owners within the pool --
22 and then the operators of the Devonian wells within a mile
23 of the pool, through an oversight, were not notified but
24 have granted waiver notice.

25 Q. But you have notified -- either given notice of

1 this Application or received a waiver from all operators in
2 the proposed new pool? That's right?

3 A. Yes.

4 Q. And also from all operators in the original South
5 Lone Wolf Pool?

6 A. That's correct.

7 Q. And you've either given notice or obtained
8 waivers from all operators of Devonian wells within a mile?

9 A. That's correct.

10 Q. All right. Let's take a look at what has been
11 marked as Exhibit Number 3. Would you identify this,
12 please?

13 A. Exhibit Number 3 is a color geologic map of the
14 Mississippian lime formation in the area. The -- It shows
15 the existence of the black dot in the central southeast
16 area, is the -- By the way, these are the section lines,
17 and we failed to label the section lines, but they're the
18 same as shown on Exhibit 1, which has the same geology, not
19 in color on that, contour lines. But the -- showing the
20 existence of the Manzano well, which of course is now
21 operated by Thornton Operating Corporation, the existence
22 of the proposed bottomhole location, and the contour lines
23 showing closure of the Mississippian lime in this
24 structure, separate and distinct.

25 Q. Why was the Mississippian lime utilized?

1 A. In this particular area, it's been our experience
2 that the major differences in structure are due to
3 variations in thickness of the Penn clastics directly
4 overlaying the Mississippian lime, and that they're only
5 slight regional -- there's regional trends in the
6 thickness, changes in the thickness between the
7 Mississippian and the Devonian, but from proration unit to
8 proration unit we can assume they're constant in the
9 purpose of mapping.

10 The Mississippian lime is a much stronger
11 reflector, being caused by the difference in acoustic
12 impedance between the Pennsylvanian clastics, which are
13 much slower in velocity, and the hard, dense Mississippian
14 lime, whereas the acoustic impedance between the
15 Mississippian lime and Woodford shale versus the porous
16 dolomite below it is very minor. Therefore the picks on
17 the Devonian are very hard to see and can be overwhelmed by
18 noise, whereas the picks in the Mississippian are very
19 strong.

20 Since we have the luxury of having an area where
21 the top of the Mississippian and the top of the Devonian
22 are fairly constant, we can map the Mississippian and find
23 the Devonian structure.

24 Q. Let's go to Exhibit Number 4. Can you identify
25 that, please?

1 A. Exhibit Number 4 is a color seismic line running
2 east-west through the project, being through the well
3 that -- the green lines on each of them -- Each of these
4 are the same. The one on the left and the one on the right
5 are the same seismic line, the difference being that the
6 one on the left is in strictly black and white wiggle-
7 trace; the one on the right shows peaks with blue and
8 troughs with red, and then the white represents where it's
9 crossing over and it's neither a peak nor a trough, and so
10 you get a three-color diagram.

11 But basically they're the same line, they show --
12 The green line is the assumed bottomhole location of this
13 well, and it shows that -- The Mississippian formation is
14 the one that is highlighted in blue, the Mississippian
15 reflector is the one that's highlighted in blue on the left
16 side. This goes directly east-west.

17 And the significance is, it shows closure to the
18 west from the South Lone -- other wells in the South Lone
19 Wolf -- currently in the South Lone Wolf field.

20 Q. All right. Let's go now to Exhibit Number 5.
21 What is this?

22 A. Exhibit Number 5 is similar, although it's drawn
23 on a different computer and it looks somewhat different.
24 It's a similar seismic line from the survey. It's a line
25 that runs northwest-southeast. It runs through the

1 existing well, as indicated by the green line, and the
2 Mississippian, again, is marked down around 1.15 to 1.2
3 seconds.

4 By the -- Well, I can't tell the color exactly,
5 but you can see the green line through there, I think it
6 is, that marks the top of the Mississippian.

7 And you can -- the proposed -- The benefit of
8 this is, it runs through our proposed bottomhole location,
9 which would be exactly two traces to the left, or the
10 northwest, to the left on this display, of the vertical
11 green line.

12 And you can see in the Mississippian that the
13 Mississippian appears to get higher, slightly higher,
14 directly to the west, two traces to the west of the
15 vertical green line.

16 Q. About how many feet of structure do you gain by
17 moving to the proposed bottomhole location?

18 A. We figure it's about 15 feet.

19 Q. And is that an significant increase in structure
20 in a reservoir of this nature?

21 A. In a reservoir of this nature, it's extremely
22 significant.

23 Q. Let's go to Exhibit Number 6. Can you explain
24 what this is and what it's designed to show?

25 A. Exhibit Number 6 is a time slice or a series of

1 time slices through the data.

2 What a time slice is, it's a picture of the area
3 in question, in map view, and the 3-D seismic survey
4 consists of a grid of seismic points.

5 And what we're looking at here is that -- For
6 instance, in the first slice at 1160 -- that means at 1160
7 milliseconds -- on that map grid, what -- Are we looking at
8 a peak, represented by blue, or a trough, represented by
9 yellow, on the seismic data for each of those specific
10 points in that grid or matrix?

11 The significance of this is, the Mississippian
12 would be a blue reflector on this particular graph, being a
13 peak, the top of the Mississippian. And the top of the
14 Mississippian enters the picture on our wellbore at 1162 --

15 Q. And the wellbore is shown in the center of
16 this --

17 A. Yes, the wellbore is shown --

18 Q. -- slice?

19 A. -- as is the projected bottomhole location, the
20 proposed bottomhole location, which is just northwest of
21 the block dot, the black dot being the current well
22 bottomhole location and the white dot being the projected
23 bottomhole location.

24 Q. All right. We go -- It appears the Mississippian
25 on time slice 1162, correct?

1 A. Yes, it's just barely, in 1162 -- You can see it
2 more plainly in 1164. And what that is is, it's showing
3 the broadening of this pool as we go through time. In 1164
4 and 1166 the blue area is getting larger, 1168 it's getting
5 larger, 1170 it's getting larger.

6 By the time you get to 1172 it's gotten large,
7 and that's the Mississippian reflector. You can see that
8 it's -- a blue reflector is coming in from the west, and it
9 makes contact with the blue reflector in the center,
10 meaning that we have lost closure at that point in time.

11 What that means is that from the top at 1162, our
12 limit of closure would be 1172. That would be 10
13 milliseconds. Ten milliseconds would be equivalent to
14 around 70 feet in this particular area.

15 Since we know from the drill stem test, the fact
16 that we got water in it, that the oil-water contact is less
17 than 70 feet, we know that we have its own closure within
18 this interval.

19 Q. Let's go to Exhibit Number 7, the drill stem test
20 information.

21 A. Exhibit Number 7 is a drill stem test run on the
22 well drilled by Manzano prior to setting casing in that
23 well, by Baker Oil Tools.

24 This test, the first page of this test, shows
25 that they recovered 40.9 barrels of oil and five barrels of

1 water, which is a 490-barrel-a-day rate.

2 The pattern on the test of increasing flowing
3 pressures and then an almost instantaneous buildup to the
4 final reservoir pressure -- it's so rapid you can't discern
5 it off of this test, the time that it took to do it --
6 shows a reservoir, extremely high permeability, with
7 extremely high formation damage. And yet even with the
8 formation damage, it produced at the rate of 500 barrels of
9 oil a day.

10 It shows it recovered some water, in the sample
11 we recovered some water. The water that was recovered, the
12 chlorides in it indicated that it was formation water.

13 The mud pit sample was 85,000 parts per million,
14 the sample was 20,000 parts per million, which is nearly --
15 well, it's about half as salty as seawater. There's no
16 other place that that 20,000 parts per million could have
17 come from except from the formation. So it shows that
18 we're fairly close to the oil-water contact.

19 The last page of this shows the -- or the next-
20 to-the-last page of this shows the calculations that Baker
21 made at the time from the data and -- You know, from the
22 knowledge of viscosity and the density of the oil, gravity
23 of the oil, they determined that there was a skin -- a very
24 -- extremely high skin damage, 592 S factor, which is just
25 almost unheard of.

1 The permeability was 3.5 darcies, which is
2 extremely high. I don't know how to explain that to you
3 except for on Exhibit Number 1, they calculate a figure
4 called radius of drainage, and they calculate a radius of
5 drainage of twenty-seven hundred and -- let me see
6 exactly -- 2786 feet is shown on Exhibit 1.

7 What that figure means, that's a calculated
8 figure from the data, which means that if it were -- if
9 this reservoir were unlimited water drive and reached no
10 boundaries, that the pressure effect would be felt within
11 that period of time during that four hours that that well
12 was shut in, the pressure wave would have propagated out
13 more than a half a mile in every direction.

14 It doesn't mean it did propagate, because it
15 would be like having a bathtub with water in it. You shut
16 the drain in, it doesn't take very long for the pressure
17 wave to propagate to the other side of the bathtub and
18 level out and seek its own level once you shut the drain
19 in. You could calculate how far that pressure wave would
20 go within a four-hour period of time in your bathtub, but
21 obviously it would reach the boundary effects of the walls
22 of the bathtub prior to the four-hour period of time, just
23 in a matter of a second or so.

24 Q. But this information does establish that you have
25 high permeability?

1 A. Extremely high permeability, far beyond what we
2 normally see in this basin.

3 Q. Let's go to Exhibit Number 8. What is this?

4 A. Exhibit Number 8 and 9 are very similar. I had
5 Schlumberger do their own analysis on the data from this
6 chart. They read the chart, so it's a kind of a
7 verification-type analysis. They read the chart, they
8 input the data into their own computer system, and they
9 came up with these charts.

10 And what these charts show, there's two curves on
11 Chart Number 8. One of them is what they call the inflow
12 performance -- is labeled the "inflow performance curve".
13 And what that is is, that's a -- that relates bottomhole
14 flowing pressure with the production rate for a 9862-foot
15 well lifting a 10-percent water cut, 90-percent oil cut, at
16 the density of oil, how many barrels a day that that would
17 produce.

18 But there's another factor that influences the
19 production rate, and that is the restriction caused by the
20 size of the tubing.

21 They've assumed 2 3/8 tubing. That's called the
22 tubing intake curve, and that's saying 2 3/8 tubing -- the
23 resistance caused by that tubing is -- and the flow rates,
24 what would flow at certain pressures through that tubing,
25 is indicated by the other line. Where they cross would be

1 the equilibrium, what that well would -- they project the
2 well would flow at.

3 From the crossing of that point they figure that
4 the bottomhole flowing pressure would be -- it's located
5 down at the bottom left-hand corner -- is, X would be the
6 flow rate, 401 barrels a day of fluid, and Y, 2907, that
7 would be the flowing pressure.

8 The next exhibit, Exhibit Number 9, is the same
9 exhibit, or the -- It's trying to show the same thing. The
10 difference between Exhibit 8 is the well using the
11 reservoir energy to push the oil up through the tubing,
12 against the tubing friction, against the hydraulic head,
13 and overflow into the tanks.

14 The second one assumes that you are going to
15 provide a pump 100 feet above the bottomhole interval that
16 will take -- assume the entire load of lifting that fluid
17 out of the reservoir and pushing it through the tubing and
18 lifting it out of the reservoir against the hydraulic head.

19 In other words, you've taken the weight of the
20 column of fluid off the formation, and it basically
21 measures -- What you're trying to get here is, you're
22 measuring how much fluid would that reservoir give up if it
23 doesn't have to fight hydraulic head. If you provide the
24 energy to get that oil out of the fluid, how fast will it
25 put it into the wellbore?

1 And what this graph is showing is that it would
2 -- that well with a high-volume pump, at 10 percent water
3 cut, would produce 1658 barrels of fluid a day and 3908
4 barrels -- I mean 3908 pounds of flowing pressure into the
5 wellbore.

6 Q. Both of these exhibits, 8 and 9, show very high
7 permeability --

8 A. That's true.

9 Q. -- in this reservoir?

10 Mr. Thornton, what conclusions can you reach from
11 your study of this particular reservoir?

12 A. Our study, we feel, reveals that there are
13 recoverable reserves that unfortunately for some reason or
14 another, they did not obtain -- in the completion, did not
15 overcome the damage in the completion and were not
16 recovered in the original well.

17 We feel we can get slightly high to that and
18 recover more reserves and hope to not have the problems in
19 getting the permeability that we expect.

20 Q. There's definitely risk associated with --

21 A. Yes --

22 Q. -- what you're proposing?

23 A. -- it is a very high-risk effort to recover these
24 reserves.

25 We feel that the costs can be reduced

1 substantially by using the existing wellbore on the acreage
2 and drilling to the proposed bottomhole location, because
3 we can -- we already have casings set to depth in this
4 well, which will not only simplify the drilling, lower the
5 risk of drilling, because we're holding back all the Abo
6 shale, et cetera, and Pennsylvanian shales that can slough
7 into the wellbore, but also it will save the cost of
8 setting casing down to that depth.

9 We feel that OCD approval of this method of
10 developing the reserves is necessary, or we don't feel it
11 will be economical to proceed.

12 Q. If you're able to go forward with your desire to
13 develop these reserves, as it stands now, based on
14 negotiations with the BLM, it is essential that you obtain
15 approval from the Oil Conservation Division for an 80-acre
16 unit crossing the section line that you have requested; is
17 that --

18 A. Yes, the spacing --

19 Q. -- not true?

20 A. -- spacing unit.

21 Q. Right.

22 A. That's correct.

23 Q. In your opinion, will approval of this
24 Application enable you to attempt to recover these reserves
25 and otherwise be in the best interests of conservation and

1 the prevention of waste and the protection of correlative
2 rights?

3 A. Yes, sir, I feel it can't be recovered any other
4 way.

5 Q. Were Exhibits 1 through 10 either prepared by you
6 or compiled under your direction?

7 A. Yes, they were.

8 MR. CARR: Mr. Stogner, at this time we would
9 move the admission into evidence of Thornton Operating
10 Corporation Exhibits 1 through 10.

11 EXAMINER STOGNER: Exhibits 1 through 10 will be
12 admitted into evidence.

13 MR. CARR: And that concludes my direct
14 examination of Mr. Thornton.

15 EXAMINATION

16 BY EXAMINER STOGNER:

17 Q. Mr. Thornton, do you know briefly what the past
18 history on that South Lone Wolf-Devonian Pool -- I'm
19 sorry -- yeah, the Lone Wolf-Devonian Pool was?

20 A. Yes, I know from firsthand knowledge because I
21 was involved in the drilling of the discovery well in that
22 pool, and I was --

23 Q. Where was the discovery well?

24 A. The discovery well was in the -- let me get my
25 map and make sure -- it was in the northeast quarter -- the

1 southwest of the northeast of Section 28, I believe. Let
2 me make sure.

3 Yes, it was the -- it was originally -- It was
4 kind of complicated. It was drilled as the Stevens
5 Operating Corporation Number 1 McClellan Federal -- or
6 McClellan Federal Number 1 well.

7 Stevens Operating Corporation, subsequent to
8 the -- Yeah, that well was, of course, originally drilled
9 without any spacing unit, you know, it was given a 40-acre
10 spacing unit normally required by the State.

11 Subsequent to that, Mr. Stevens, as president of
12 Stevens Operating Corporation, requested and obtained --
13 through data very similar to ours showing 1.5 darcies of
14 perm in that well -- obtained a 160-acre temporary spacing
15 unit for that well. Unfortunately, Mr. Stevens passed away
16 in the airplane accident.

17 McClellan Oil Operating Corporation, or McClellan
18 Oil Corporation, took over operations of that well and
19 renamed it the McClellan Oil Corporation Stevens Number 1
20 -- Stevens Federal Number 1 well, and they did not return
21 to the OCD at the required time to perpetuate those --
22 those temporary spacing, and the spacing reverted
23 automatically from 160 back to 40 acres.

24 Subsequently, Thornton Operating Corporation took
25 over operations of that well from McClellan. So I

1 currently operate that well in the unit.

2 It produces currently about 40 barrels of oil a
3 day and 1000 water a day.

4 Q. Is its production profile similar to what you're
5 showing today for this particular --

6 A. Yes, the drill stem test on that well showed a
7 permeability, as I say, of 1.5 darcies. So it's similar to
8 -- You know, it's extremely high permeability. We expect
9 very similar type of results. We've produced that with the
10 production of water for a considerable length of time. We
11 have obtained about 110,000 barrels of oil out of that well
12 to this date, and we expect a well very similar to that in
13 our re-entry.

14 The current owners of that well are identical
15 to -- or mainly identical. There are a few exceptions, but
16 basically the same owners that are in the Manzano tract.
17 Or the former Manzano tract, because we now...

18 Q. In the current wellbore that we're talking about
19 today, the West -- What do you call that well?

20 A. Well, it's -- The current name is the West King
21 Camp Unit Well Number 1. It was originally drilled as the
22 McClellan -- another separate well. Both these wells
23 started out as the McClellan Federal Number 1 well for the
24 name, but by different operators.

25 This well was the Manzano Energy Corporation

1 McClellan Federal Number 1 well. It should have been
2 called and was subsequently renamed -- because the unit was
3 in existence at the time that they drilled it, and it
4 should have been called, and was subsequently forced to be
5 renamed by the BLM, the West King Camp Unit Well Number 1.
6 That's the current name of it.

7 The unit terminated effective April 30th, and the
8 name probably should be changed back or changed to some
9 other name to reflect it's not in a federal unit anymore.

10 Q. Okay, well, I'm talking about the McClellan
11 Federal Number 1, the one that we're -- that you're
12 proposing to --

13 A. Right.

14 Q. -- directionally drill.

15 What is the current status of that well, again?

16 A. It's currently shut in.

17 Q. Shut in. Do you have the past production
18 history, i.e., oil or fluids, whether it be water -- Do you
19 have the cumulative -- cumulatives on that? That would
20 have been through tests or actual production or whatever
21 the case may be.

22 A. I'm not sure exactly how much water -- Yes, I do
23 have the day-to-day. I don't have it added up.

24 As I say, I think it produced right around 230
25 barrels of oil, if I'm not mistaken. Let me see if I can't

1 find that. I do have the cumulative day-to-day production.
2 That could be provided because...

3 Q. That might be of some help if we could get that,
4 cumulative day-to-day.

5 Of that 230, plus or minus at this point, what we
6 talk about that oil production, what became of it? Was it
7 sold? Was it used on the lease? What did you do with it?

8 A. Well, you know, that's a good question. Manzano
9 was the operator when it was produced. There is some oil
10 in the tanks currently out there.

11 They never went to get a Division order on it, or
12 a Division order title opinion, because the Division order
13 title opinion would cost more than what the value of the
14 oil was.

15 But they -- I think the Skurlock Permian has
16 picked up a load, if I'm not mistaken, because I'm sure
17 that's the purchaser on it; they've established them as the
18 purchaser. So they wouldn't have established them as the
19 purchaser without having picked up the load. There's a
20 small amount --

21 Q. That would have been --

22 A. -- I believe, in the tank.

23 Q. -- what Manzano had?

24 A. Yes, that's correct.

25 We have not produced it since we have taken over,

1 because at the time we purchased it from Manzano, their
2 interest in those two tracts, those two 80-acre tracts, at
3 the time we purchased those, part of the deal was that they
4 would get to keep the pumpjack. And so in order to return
5 it to production, we're going to need to purchase a new
6 pumpjack.

7 Q. How about water production? What was the
8 cumulative water?

9 A. Again, I don't have that. All I know is -- The
10 well went through several different phases of production.
11 At the end, it was producing an average of eight barrels of
12 oil and 80 barrels of water. I do have that production
13 history for the last --

14 Q. Well now, your daily cumulative, would that show
15 the water?

16 A. Yes, the daily cumulatives would show the water.
17 I have some pages that show the daily production
18 for, say, from April 25th through May 24th.

19 They went through -- Like I say, they went
20 through various stages in the production of that well. The
21 initial production, it flowed at eight barrels with no
22 water. Then when they put a pumpjack on it -- They
23 acidized it and they put a pumpjack on it, and it flowed
24 more fluid but no more oil, eight barrels and about -- and
25 more water.

1 And then subsequent to that, they acidized it
2 again. They've got -- They could not draw it down. It was
3 producing almost unlimited water, just as fast as they
4 could pull it out. They couldn't bring the surface level
5 below 600. So they reached the permeability, but by
6 reaching a fracture and bringing up the water.

7 Subsequent to that, they squeezed the well. At
8 this point in time they got zero production, they
9 completely shut off production. Then they went back in and
10 perforated it with a hydrojet, trying to notch the thing
11 and not getting into the fractures again. At that point in
12 time they recovered a very low recovery of fluids.

13 They put on another acid job, and they've changed
14 the pump several times, and they eventually ended up with
15 this production of about eight barrels a day and 80 barrels
16 of water, that I'm speaking of, when they finally decided
17 to give it up.

18 The water costs -- Because of their lack of
19 ownership of a water-disposal well in the area, they were
20 hauling the water by -- and without a pipeline to the water
21 disposal, they were hauling the water. It was costing them
22 about a dollar and a half a barrel to get rid of the water,
23 and it made the well uneconomic.

24 The major owner of this well, the owner of the
25 well in the -- the easternmost well in the South Lone Wolf

1 field, while I'm the operator, Thornton Operating, King
2 Camp Water Disposal, Limited, is the major working interest
3 owner, and King Camp Water Disposal owns a commercial
4 water-disposal well in the vicinity, within a mile and a
5 quarter, and would be able to lay a line over there and
6 dispose of water very cheaply.

7 That's one of the items that entered into the
8 economics and us deciding to pursue this project, was that
9 we had an access to low-cost water disposal.

10 Q. What's the proposed completion method for the
11 directional well?

12 A. Well, we -- Of course, like I say, one thing we
13 don't have to contend with is the sloughing shales above
14 us, because they're within -- held behind -- back by pipe.
15 The Abo formation and the Penn clastic shales are notorious
16 for giving problems during the drilling of this well, and
17 we are forced -- we're required to use a 6-percent oil in
18 the mud to keep it from getting water-wet, high starch,
19 which helps clog up the formation when we get to it.

20 We haven't determined exactly what drilling
21 fluids we're going to use, but ideally the -- since we're
22 shut off from the risk of the other formations in the well,
23 in drilling this, we should be able to design a fluid and a
24 method of drilling it that would keep the burden off of the
25 well. The overpressure of the mud column is one thing that

1 causes the damage near the wellbore in these wells. Then
2 we would open-hole complete the well.

3 Q. Okay --

4 A. We'll probably put a string of tubing down to the
5 well inside the deviated wellbore.

6 Q. In Sections 22 and 27, that shows the McClellan
7 oil, et al., in lease Number NM-2824.

8 A. That's correct.

9 Q. Does that belong to Thornton, or is that still
10 McClellan's?

11 A. Those are McClellan Oil leases, held by
12 production. That's part of a 2560-acre lease, which
13 happens to also be the leasehold that our well in the South
14 Lone Wolf produces on. That well is currently -- in the
15 South Lone Wolf, is holding that by production.

16 The southern tract of this NM-50,415, in our
17 proposed -- that 80-acre tract that's comprising the north
18 half of the northwest quarter of 26, also came from --
19 resulted from a farmout with McClellan Oil Corporation. So
20 they're well aware of what's going on in this thing.

21 We've sat down and talked with the McClellans and
22 Mark McClellan, the president, and while they have -- from
23 our geology may have a fractional piece that's above the
24 oil-water contact, he already is involved -- McClellan Oil
25 already is involved in this project through their farmout

1 and a retention of override in this particular well.

2 And I at one time broached the possibility of
3 putting the entire 160 that comprised the 40 acres out of
4 each of these sections into the unit, and his opinion was
5 that since we paid for the well down here, he felt it would
6 be very difficult to try to accomplish that, and so he said
7 just go ahead and do it like this, as 80 acres.

8 EXAMINER STOGNER: Does anybody else have any
9 other questions of this witness at this time?

10 You may be excused, Mr. Thornton.

11 Do you have anything further, Mr. Carr?

12 MR. CARR: Nothing further, Mr. Stogner.

13 EXAMINER STOGNER: I'm going to take
14 administrative notice of the previous orders concerning the
15 South Lone Wolf-Devonian Pool, and I believe that's Orders
16 Number R-9514 and 9514-A, and also any other production or
17 well records within that pool.

18 If there's nothing further in Case Number 11,615
19 this case will be taken under advisement.

20 (Thereupon, these proceedings were concluded at
21 9:40 a.m.)

22 I do hereby certify that the foregoing is
23 a true and correct record of the proceedings in
24 the case of 11615,
25 heard by me on 3 October, 1996.
_____, Examiner
Oil Conservation Division


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter
and Notary Public, HEREBY CERTIFY that the foregoing
transcript of proceedings before the Oil Conservation
Division was reported by me; that I transcribed my notes;
and that the foregoing is a true and accurate record of the
proceedings.

I FURTHER CERTIFY that I am not a relative or
employee of any of the parties or attorneys involved in
this matter and that I have no personal interest in the
final disposition of this matter.

WITNESS MY HAND AND SEAL October 8th, 1996.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 14, 1998